



MANITOBA PUBLIC UTILITIES BOARD

Re :

MANITOBA HYDRO
NEEDS FOR AND ALTERNATIVES TO
PREFERRED DEVELOPMENT PLAN
TECHNICAL CONFERENCE

Ed Wojczynski - Facilitator

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
September 6, 2013
Pages 254 to 513

1	APPEARANCES		
2	Bob Peters) PUB Counsel
3	Anita Southall) PUB Counsel
4	Sven Hombach) PUB
5	Hollis Singh)
6	Kurt Simonsen)
7	Wally Koschik	(np))
8	Roger Cathcart)
9	Larry Buhr)
10	Jan Carr)
11	Josee Lemoine)
12			
13	Scott Thomson	(np)) Manitoba Hydro
14	Ed Wojczynski)
15	Patti Ramage)
16	Marla Boyd)
17	Colleen Curlick	(np))
18	Dale Friesen	(np))
19	Lloyd Kuczyk	(np))
20	Lois Morrison	(np))
21	Joanne Flynn)
22	David Cormie)
23	Judy Clendenan)
24	Liz Carriere)
25	Cheryl Pilek	(np))

1	APPEARANCES (Con't)	
2	Terry Miles)Manitoba Hydro
3	David Bowen)
4	Hanri Jacobs)
5	Nicole Fitkowski)
6	Ken Adams)
7	Ian Page)
8		
9	Boris Fichot)Knight Piesold
10	John Athas)La Capra Advisors
11	Dean Peaco (np))La Capra Advisors
12	John Todd)Elenchus
13	Robert Sinclair)Potamac Economics
14	Craig Sabine)MNP
15	Russ Tyson)TyPlan
16	Pelino Calaiacovo)Morrison Park
17)Advisors
18		
19	Brent Dempsey (np))Province of Manitoba
20		
21	Byron Williams)CAC (Manitoba)
22	Meghan Menzies)
23	Bill Harper)
24	Will Braun)
25	John Dalton (via chat))

1 APPEARANCES (Con't)

2 William Gange) GAC

3 Peter Miller)

4 James Magnus-Johnston (np))

5

6 Antoine Hacault) MIPUG

7 Patrick Bowman)

8 Melissa Davies (np))

9

10 Jessica Saunders) MMF

11 Rick Hendriks)

12 Lauren Reeves)

13 Marci Riel)

14

15 Mary Neal (via chat)) La Capra Advisors

16 Rick Horocholyn (via chat) (np))

17 Sarah Keyes (via chat)) Meyers Norris Penny

18 Wesley Stevens (via chat)) Power Advisory LLC

19 Paul Chernick (via chat)) Resource Insight

20 Susan Geller (via chat)) Resource Insight

21 Benjamin Kinder (via chat)) Morrison Park

22) Advisors

23

24

25

1	TABLE OF CONTENTS	258
2		Page No.
3		
4	Opening Comments	259
5		
6	Power Resource Planning, Alternatives, and	
7	Economic Evaluations Presentation Continued	265
8	Financial Evaluation of Development Plans	
9	Presentation	331
10	Business Case and Risk Assessment Presentation	367
11	Capital Cost Estimates for Keeyask and Conawapa	
12	Presentation	432
13	Macro-Environmental and Socio-Economic	
14	Considerations Presentation	492
15		
16	Certificate of Transcript	513
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:15 a.m.

2

3 THE FACILITATOR: Okay. So welcome
4 back, everybody. We're -- we're starting a few minutes
5 late. It's Friday. Things are a bit more casual. I
6 see we've got some good orange T-shirts around that
7 help emphasize the relaxed nature of today, or
8 hopefully relaxed nature.

9 So we have a full agenda going to 3:30.
10 We're more or less on schedule from where we thought we
11 would be with the agenda. Joanne is going to pick up
12 right away her presentation and deal with a few issues
13 and answer some questions.

14 Before we do that though we have our
15 senior vice president, Ken Adams, who has offered to
16 make a few comments and pick up where Scott, our
17 president, left off yesterday. And -- and then after
18 that I had said yesterday that when Joanne was
19 presenting we had some questions that we didn't have
20 the witnesses who could deal with all the issues,
21 obviously, here.

22 One of them was discount rate. We're
23 going to have Ian Page talk about that a little bit,
24 and the issue of hurdle rates versus detailed risk
25 assessment. We don't -- we don't have some of the

1 other witnesses we could have had here that weren't
2 sort of on the agenda. But at least Ian will say a few
3 words to fill in a little bit of what we talked about
4 yesterday.

5 But before that, I'd ask Ken to come up.
6 He -- Ken's our senior vice president with Manitoba
7 Hydro, and he's had an illustrious career at Hydro:
8 built half of the projects we have and -- and operates
9 half the company, and is a good guy to work for.

10

11 OPENING REMARKS BY MR. KEN ADAMS:

12 MR. KEN ADAMS: Good morning. Welcome
13 to the -- the second day of this technical conference.
14 Been around many of these sorts of things over the last
15 little while, but this is the first time, to my
16 knowledge, we've ever held something like a technical
17 conference as an introductory part of the -- the
18 process. Now, I was encouraged when the -- the
19 Chairman of the PUB said that he recognized that it was
20 new but his objective -- at least this is my spin on it
21 -- was to reduce the number of interrogatories. I sure
22 hope he's right.

23 Mr. Thomson mentioned yesterday this --
24 from your perspective, this is the start of the NFAT
25 review process. Our people, of course, have been

1 working on it pretty well constantly now for the last
2 couple of years. I -- I'm also quite convinced that as
3 you go through the process, you'll appreciate that the
4 people involved are good at their game. They know what
5 they're doing. But we have -- have as much certainty
6 about what's going to happen in the future as anybody
7 else in the room.

8 But having said that, I'm quite
9 satisfied that the -- the business case that we put
10 forward will clearly demonstrate the long-term benefit
11 of investing now in new hydro.

12 It will also demonstrate that the -- the
13 future going forward is flexible enough that in the
14 event that the -- the world doesn't unfold the way we
15 anticipated, well, there's opportunities to -- to
16 readdress, re -- realign and go in a different way.

17 I would like to comment that the -- the
18 legacy of previous investments in hydro is manifest
19 today in the low rates and the renewable energy that we
20 in Manitoba enjoy today. Obviously, the fact that
21 people made a decision twenty (20) years ago or forty
22 (40) years ago, or even a hundred years ago, doesn't
23 mean that we necessarily have to make the same decision
24 today.

25 But one (1) of the -- the enduring

1 things is that the nature of hydro is that once you
2 built it, they have a very, very long ter -- lifespan.
3 And as such, they represent a legacy to future
4 generations that we really have to -- to consider in
5 the decision making now.

6 Also I'd like to comment, in the late
7 1970s -- and I'm young enough to remember it -- we went
8 to the NEB and got approval to build a 500 kV
9 interconnection into Minneapolis, or the Minneapolis
10 area. The basis at that time was that in the long-term
11 it would be economic and beneficial.

12 In the thirty (30) odd years since, it
13 has proven to be extremely beneficial to Manitoba
14 customers, both in terms of economics, in terms of
15 reliability, and our ability to import when we're short
16 of energy. The -- the circumstances surrounding the --
17 that 500 kV line back in the '70s are very, very
18 similar to the circumstances surrounding the new 500 kV
19 line that we're proposing today.

20 Also, in 1990, including several of us
21 in this room sat in front of the Public Utilities Board
22 with what was then our long-term development plan and
23 secured a favourable recommendation to proceed with the
24 construction of the Conawapa generating station.

25 Shortly after we got that approval,

1 Ontario -- I was going to use a different word, but I -
2 - I -- since we're on the record, I'll modify it a
3 little bit. But Ontario cancelled a related purchase
4 agreement, so we had to sit back and reevaluate the
5 plan. And at that time, we determined that we really
6 shouldn't proceed with -- on that particular path.

7 The fact that we still haven't built
8 Conawapa, now some almost twenty-five (25) years later,
9 really demonstrates that we have an inherent
10 flexibility in our process to that -- that in the event
11 that the world unfolds different from what we expect
12 today, that we do have the ability to change direction
13 or modify the development approach.

14 Also in 2003 we went to the Clean
15 Environment Commission in a -- in a joint economic
16 environmental review. And that review panel also
17 recognized the long-term value of hydro development and
18 approved Wuskwatim generating station.

19 So as I mentioned earlier and as Scott
20 mentioned yesterday, it's now your turn to participate
21 in helping to decide Manitoba's energy future. We look
22 forward to learning of your comments and concerns. I
23 know of the times when we -- sitting up until four
24 o'clock in the morning answering IRs. Some of my staff
25 will probably question that comment, but it is an

1 important part of the process.

2 But having -- once we get your comments
3 and concerns, we will respond to them. And I'm
4 satisfied that we will present evidence through that
5 process; that we will demonstrate the long-term value
6 and the benefit of our pre -- Preferred Development
7 Plan and that we have in place mechanisms to -- to
8 manage the risks associated with that approach and the
9 ability to -- to modify future direction if and when
10 it's necessary.

11 So thank you very much. I look forward
12 to -- to reading the transcript of this. I am prepared
13 to answer questions, but remember I'm not under oath
14 and that it's not intended to be cross-examination.

15 THE FACILITATOR: Any high-level
16 questions for Ken? It's like a repeat of yesterday
17 with Scott. Okay. Thank you, Ken.

18 MR. KEN ADAMS: Okay. Good.

19 THE FACILITATOR: Before we get started
20 with Joanne, I've got to ask Ian just to buttress or
21 fill in a little bit on one (1) of the issues that we
22 said we didn't have the right people here. Bef --
23 before we do that, just a couple of comments. One (1),
24 I was asked that any of the speakers, if you're using
25 slides, give the slide numbers. That assists in the

1 transcript so that -- people reading the transcripts
2 later on.

3 Given that I'm doing two (2) of the
4 presentations, I guess I'm talking to myself as much as
5 anything. But so you'll understand why we keep on
6 talking about the slide numbers, so. And I guess
7 that's it. Is there anything else I was supposed to go
8 through? No. Okay. Ian, up here. Yes, please.

9 Oh, yeah, and maybe just give your
10 background and where you are in the company.

11

12 POWER RESOURCE PLANNING, ALTERNATIVES, AND ECONOMIC
13 EVALUATIONS PRESENTATION CONTINUED:

14 MR. IAN PAGE: Hello. Good morning.
15 My name is Ian Page, and I'm the division manager of
16 Corporate Planning and Strategic Review. And one (1)
17 of my areas of responsibility is -- is interest rate
18 forecasting, and -- and cost -- cost to capital, and --
19 and the appropriate use of hurdle rates when we use --
20 we're looking at risk-adjusted hurdle rate, or discount
21 rates, when we're evaluating projects on a go-forward
22 basis.

23 There was a question yesterday as to
24 whether we used the same discount rate for different se
25 -- different sequences, regardless of what they are --

1 of the different levels of inherent risk in different
2 cases. And I just wanted to make cl -- sort of expand
3 on -- on the answers that were given yesterday, because
4 I -- I don't -- not quite sure if -- if people got the,
5 sort of the -- the sense that we looked at that and
6 chose not to do that for a particular reason.

7 We traditionally have used risk-adjusted
8 discount rates when we're -- when we're looking at our
9 projects, and -- and we actually have a policy that
10 there's appropriate hurdle rates for the different
11 level of risk of a -- of a project. And those of you
12 who were around at the Wuskwatim hearing will recall
13 that we had a lot of discussion over the appropriate
14 use of discount rate, and what the necessary hurdle
15 rate should have to be, and so forth.

16 We recognized risk was going to be a
17 huge portion of this -- of this process because the --
18 the magnitude of the investment we're looking at. So
19 we wanted to make sure that we had addressed risk in
20 the best possible way. So we -- we went back and had -
21 - and had another loo -- had a look at what the
22 appropriate discount rate should be for use of the
23 hurdle rate.

24 And we got into a lot of discussions as
25 to -- as to the, you know, how robust those -- those --

1 the choice of rate could be and how -- and -- and we
2 really started to get -- to get -- recognize that
3 there's a lot of subjectivity in -- in the choo --
4 choose -- choice of a risk-adjusted hurdle rate, what
5 that risk premium should be.

6 So that -- that was a bit of a problem,
7 so we tried to see if we could get some more -- more
8 rigour around that calculation. So we looked at things
9 -- so we got some experts in. We looked at using
10 capital asset pricing models. We looked at comparables
11 to other -- other industries and utilities and so
12 forth. But it still came back t there was going to be
13 that subjectivity.

14 But there was even a -- a more
15 fundamental problem with using risk-adjusted hurdle
16 rates. And that was -- it was -- it -- it's -- it's a
17 bit of a blunt instrument, in that when we're looking
18 at all the different types of risk that were in a --
19 in a cer -- in a particular case, what we do is say --
20 say, Okay, this one (1) is more risky, therefore I'm
21 going to just discount all the cashflows.

22 And what we're typically looking at is
23 that ca -- with these hydro projects, we're looking at
24 the capital investment up front, revenue stream way out
25 in the long term. So if I have uncertainty in the

1 revenue and, as I say, there's a risk there, I adjust
2 my hur -- risk premium up. I'm going to discount that
3 revenue stream to recognize that inherent risk.

4 Probably not -- not bad.

5 What if my biggest concern is may -- is
6 capital costs? I have really high concern about the --
7 the capital costs and there's a lot of risk around
8 there, and Joanne's slide showing there was a lot of
9 potential variability there. So if we say, Okay, I --
10 I have an uncertainty of the capital cost, so I'm going
11 to raise my discount rate. Then what I'm essentially
12 saying is, because I'm uncertain on my capital costs,
13 I'm going to discount my revenues for the next seventy-
14 eight (78) years.

15 And that's -- it's -- it's a -- and it -
16 - so it doesn't really address the underlying risk.
17 And the other -- the other problem is that once you get
18 past the -- the -- once the project's built, that
19 capital cost risk is no longer there. So you -- you
20 sort of don't recognize that that risk changes over
21 time and you're not really addressing where the -- the
22 nature of the risk.

23 So what -- so that's why we went with
24 the approach that Joanne as -- went through yesterday
25 afternoon, where we're looking at, Okay, well, let's

1 look at the probabil -- probability distributions
2 around the inherent -- around each of the areas of
3 risk. And then instead of taking sort of these raw
4 cashflows out of our model, discounting them at a risk-
5 adjusted hurdle rate, what we're saying is let's put
6 the risk adjustment embedded in the actual cashflows so
7 that if -- if a project has a high uncertainty on -- on
8 capital cost, they'll be a lot -- they'll be a wide --
9 wide range of dispersion on the -- on the forecast for
10 -- for capital cost.

11 But then when we -- and if it's a -- a
12 revenue issue, we'll see the same thing on the revenue
13 and so forth. And then what we'll do is we'll discount
14 them all at the same, sort of, corporate riskless
15 discount rate. And -- and we think that gives us a
16 much better -- does a much better job of addressing the
17 inherent risk, recognizing the risk, tells us where we
18 need to focus in terms of managing risk. And -- and
19 it's something that I think that once we get -- all get
20 our heads around thinking in probabilistic terms, I
21 think we'll all understand that it's a much superior
22 tool.

23 Now, as mentioned yesterday, Appendix
24 9.3 does go into a lot of the discussion of the choice
25 of the -- of the high and low for the different

1 variables and the -- and the probability -- selection
2 of the probabilities for those ranges. And I would
3 suggest that everybody read that probably at least
4 twice, that appendix, because it's pretty dense. So
5 you know, read -- just to get your head around the way
6 we've done it. And I think once we all sort of
7 understand and appreciate that, I think we'll understa
8 -- recognize that we have treated risk and -- in -- in
9 the process. And I think we've done -- we've done it
10 in probably a much more sophisticated way than if we'd
11 done a risk-adjusted hurdle rate. And -- and I -- I
12 think we'll all be able to -- be able to focus on -- on
13 the -- on how to manage the risk rather than -- rather
14 than, you know, just arguing over should the risk
15 premium be 2 or 3 percent.

16 We had advisors saying, Well, maybe you
17 should use a lower hurdle rate than your cost to
18 capital to recognize the fact that that -- that long-
19 term legacy that -- that Ken just mentioned. If you
20 use a -- you know, with your discount rate, if you jack
21 that up, essentially you're valuing those long-term
22 assets at -- at zero even though they have that eighty
23 (80) or ninety (90) year life. So that -- that's why
24 we chose the method we have.

25 Any further questions? Mr. Todd...?

1 (BRIEF PAUSE)

2

3 MR. JOHN TODD: John Todd. Wouldn't
4 want you to have hurt feelings with nobody asking
5 questions, so --

6 MR. IAN PAGE: Sure.

7 MR. JOHN TODD: -- I thought I'd come
8 up with something.

9 Is it fair to say that any methodology
10 is going to involve some judgment?

11 MR. IAN PAGE: Yes. And like one (1)
12 of the areas of judgment involved in -- in when we're
13 looking at the probability distributions is there's --
14 I mean, there's an inherent assumption that when we're
15 trying to figure out, well, what's the range of
16 something, you know, we don't -- you know, we're
17 relying on -- on past relationships and assuming that
18 those past relationships are likely going to remain in
19 place. So -- so there's -- that's -- there's a bit of
20 a judgment there.

21 But it's -- I think if you sort of --
22 sort of look at the -- at those numbers and look at the
23 history and try to get a sen -- well, what would cause
24 it to be different, I think that's -- that's a
25 different discussion than whether it should be, I don't

1 know, 2 percent, 3 percent. It -- it's -- it's a
2 different type of judgment, but I think it's -- I think
3 it's a -- a lot more defensible and something that is
4 easier for everybody to agree on.

5 MR. JOHN TODD: Yeah. Okay. I hear
6 what you're saying. And then -- I mean, I think it's
7 interesting, what we saw yesterday, there's some cases
8 where there's dominance, which I thought was an
9 interesting presentation.

10 MR. IAN PAGE: Yeah.

11 MR. JOHN TODD: Where there's not,
12 there's always some tradeoffs and how do you measure
13 those tradeoffs.

14 MR. IAN PAGE: Yeah.

15 MR. JOHN TODD: So at the end of the
16 day, would you say that when things are really close,
17 that there's some, in a sense, confidence level, if you
18 want, that they become indifferent? It's almost like
19 is it statistically significantly different --
20 comparable to that, where it says: They're getting
21 close so the difference ultimately comes to the way
22 we've applied our judgments or may?

23 MR. IAN PAGE: I think what you -- what
24 you want to do when they're looking close is -- is try
25 to look at what's -- what the differences are between

1 the -- the two (2) cases. Like if you're looking at
2 what we were looking at yesterday, Case 4 and 14, I
3 believe it was, they were fairly close --

4 MR. JOHN TODD: Yeah.

5 MR. IAN PAGE: -- over -- over a fair
6 bit of time. So if you understand sort of what the
7 nature of the risk is, where the exposures are, then I
8 think that helps you understand that difference better,
9 and -- and where they're common and where they're
10 different.

11 Like there's a lot more capital cost
12 risk in one. Well, okay, well, what can we do to
13 manage that capital cost, box that in? And then -- and
14 then that changes the risk profile of that because the
15 -- the other one was more dependent on -- required
16 recurring reinvestment.

17 So, yeah, I'm -- I'm more certain on
18 capital costs for, say, a gas ET today. I don't know
19 what -- what the markets going to be like for gas ETs
20 twenty (20) or thirty (30) or forty (40) years from
21 now, so there's a bit of uncertainty there. And also
22 I'm dependent on -- they'll be a lot more dependent on
23 gas purchases.

24 So what can I do -- I -- you know, what
25 can I do to reduce the -- the variability on gas --

1 purchased gas thirty (30) or forty (40) years from now?
2 That -- that'll -- that's a different type of
3 discussion than what I can do to manage capital costs
4 for a project that I'm about to -- about to set out on
5 construction, say, in the next year or two (2).

6 MR. JOHN TODD: So I would conclude
7 from your discussion, good points around -- around
8 risk, that -- I just want to know whether you're on the
9 same path, that given that this process is about
10 providing advice to government that the process
11 primarily is about saying, Here's the judgments that
12 have been applied; here's the tradeoffs that we're
13 dealing with.

14 And government ultimately has to apply
15 its judgments as to what those tradeoff -- how -- how
16 those tradeoffs should be -- should -- how those things
17 should be traded off, the risks, the benefits, and so
18 on. And they've got to understand what they're getting
19 into as opposed to saying, This number is higher than
20 that number.

21 Is that a fair conclusion?

22 MR. IAN PAGE: It's -- it's certainly
23 fair to say, Yeah, you can't just say this number is
24 bigger than that one there -- number therefore this is
25 a better one. And that's why we did the -- you know,

1 the -- the distributions and the S-curves and -- and
2 the little box and whisker. So you can get a sense of
3 when is it better, when is it not, and -- and then
4 there's all the other factors you want to look at. And
5 that's why we -- we went beyond just the -- the
6 economics and -- and financials.

7 We've got the whole multi -- multiple
8 account analysis that -- that's in the Application
9 where we're looking at a whole range of factors outside
10 of just simple present values.

11

12 (BRIEF PAUSE)

13

14 MS. JOANNE FLYNN: Good morning. I am
15 going to resume my presentation, but before I do so,
16 there are a couple of things that I would like to
17 clarify from yesterday's -- yesterday afternoon's
18 discussion. And then I'll also open it back up for any
19 additional questions that you might not have had a
20 chance to ask at the end of the day.

21

22 (MOVED TO SLIDE 42)

23

24 MS. JOANNE FLYNN: So the first one is
25 I -- as I reflected on it last night and early this

1 morning, that -- that there seemed to be a growing
2 confusion between the treatment of the underlying
3 assumptions and the treatment of the probabilities.

4 And so I just want to clarify that for
5 capital costs and energy price forecasts, natural gas
6 and carbon, and electricity price forecasts, that the
7 underlying forecasts as they are prepared, each have --
8 or they're prepared separately, independently, and they
9 have their own ranges. And those ranges are applied in
10 the economic evaluation.

11 So everything, including the quilt that
12 you saw of all of the net present values for all of the
13 plans under each of those scenarios, are based on those
14 ranges. It is only when we get to the probabilities
15 that there -- that there is -- that the factors are
16 grouped, only for the purposes of identifying the
17 probability that's going to be applied.

18 So -- so I did answer a question -- and
19 I had misheard the question basically -- on the capital
20 costs for hydro, wind, and thermal are -- all have
21 their own separate ranges. So a low reference and high
22 are developed considering the characteristics and
23 considerations and issues around those separate
24 resource types. And the same is true of the natural
25 gas and electricity prices. They're separate

1 forecasting process -- processes that arrive at their
2 own forecasts, and those separate forecasts are used.

3 I would also like to correct a statement
4 I made yesterday in terms of the significance of the
5 application of the natural gas price forecast. In a
6 number of the plans, it is not that significant, but
7 there are other plans where we have a lot of gas
8 generation in them. And -- and the natural gas costs
9 are significant in those plans. So I might have
10 confused things yesterday by -- by what I said.

11 So -- so that's one (1) of the major
12 things I'd like to -- to provide the clarification on.
13 The other is I was asked at the end of the day, and I
14 think it's worth repeating for -- for the group, is
15 what is the period over which we are discounting when
16 we do our eval -- economic evaluations. And it is the
17 full seventy-eight (78) year study life. So I'd just
18 like to make that clarification, as well.

19 Patrick, you told me you weren't going
20 to ask any questions.

21 MR. PATRICK BOWMAN: I made it through
22 ten (10) minutes. I'm looking at your S-curves. And -
23 - and maybe any of the tables that have S-curves, just
24 if you -- if there's a way to pull that up.

25

1 (MOVED TO SLIDE 41)

2

3 MR. PATRICK BOWMAN: So your -- your
4 first comment this morning about correcting the -- or
5 clarifying the comment from yesterday was about the use
6 of probabilities on each variable, not necessarily on
7 groups of variables. And that -- that applies to this
8 part of the analysis.

9 Is that correct?

10 MS. JOANNE FLYNN: Yes, the -- the
11 probabilities are used -- or the box plot and the S-
12 curve have the probabilities applied to them. But the
13 underlying -- like if you look at this chart, you see
14 the, "Ref/Ref/Ref net present values," on it. Those
15 are based on the underlying assumptions built up from
16 there. So then the cumulative probability distribution
17 uses the probabilities that we developed.

18 The development of the probabilities is
19 using the process that I described in -- it's -- it's
20 one (1) of your slides, where we look at the
21 relationships between variables. So we look at the
22 relationships between the electricity prices and the
23 natural gas prices and the carbon prices, but only one
24 (1) probability applies.

25 MR. PATRICK BOWMAN: So when you

1 produce these S-curves, how many variables are being
2 varied to produce a point on this chart? Is it -- it's
3 not just three (3). It's -- it's not your three (3)
4 that you have one the quilt. It's some large number of
5 -- of variables, each of which has a probability
6 associated with it.

7 Is that fair?

8 MS. JOANNE FLYNN: Yes, yes. It's the
9 underlying ones, yes.

10 MR. PATRICK BOWMAN: And so somewhere
11 on this graph, for example, there's a dot which has any
12 given combination of those but weighted for its
13 likelihood of occurrence?

14 MS. JOANNE FLYNN: That's right. This
15 is what -- I'll just repeat what -- what Ian Page said,
16 and that is that this is explained in Appendix 9.3.
17 And how those probabilities are derived is explained in
18 detail in that appendix.

19 MR. PATRICK BOWMAN: And so each of
20 them -- so somewhere on this graph is -- is the dot
21 that has something like high export prices but low
22 natural gas prices?

23 MS. JOANNE FLYNN: No, the high ex --
24 high export pri -- no, the energy prices all move
25 together.

1 MR. PATRICK BOWMAN: And is somewhere
2 on this graph a dot that would have high discount rates
3 but low interest rates?

4 MS. JOANNE FLYNN: No.

5 MR. PATRICK BOWMAN: No --

6 MS. JOANNE FLYNN: Those are the -- in
7 the probabilities, those are combined.

8 MR. PATRICK BOWMAN: Yeah. Okay, that
9 -- I just wasn't sure whether you were saying there was
10 forty-two (42) sliders that are moving --

11 MS. JOANNE FLYNN: No, no.

12 MR. PATRICK BOWMAN: -- or three (3) or
13 --

14 MS. JOANNE FLYNN: Not for the
15 probabilities.

16 MR. PATRICK BOWMAN: Right.

17 MS. JOANNE FLYNN: But for the basis of
18 -- of using the -- like especially in terms of capital
19 costs and the energy and -- or electricity and natural
20 gas price forecasts, those are independently applied.

21 THE FACILITATOR: Maybe just a comment.
22 Joanne mentioned yesterday, and I think it's worth
23 repeating, there are twenty-seven (27) points for each
24 line. Those twenty-seven (27) points are the three (3)
25 variables times high, low -- pardon me, high, reference

1 --

2 MS. JOANNE FLYNN: Low.

3 THE FACILITATOR: -- low. So three (3)
4 times -- three (3) times three (3) gives you twenty-
5 seven (27), and that's the twenty-seven (27) points.

6 MR. ROGER CATHCART: Roger Cathcart.
7 Just quickly, each of those scenarios was separately
8 evaluated and had separate judgments put into them with
9 a framework of adjustments?

10 MS. JOANNE FLYNN: For the scenar --
11 what Ed was just saying, the twenty-seven (27)
12 scenarios are based on those three (3) groupings of
13 factors --

14 MR. ROGER CATHCART: Right.

15 MS. JOANNE FLYNN: -- high, reference,
16 low.

17 MR. ROGER CATHCART: Okay.

18 MS. JOANNE FLYNN: What's underneath
19 them, like for capital costs, there's one (1) category
20 called 'capital costs'.

21 MR. ROGER CATHCART: Right.

22 MS. JOANNE FLYNN: That's the capital
23 costs of the hydro, the thermal, the wind -- and the
24 wind, as examples. Okay. So each of those have their
25 own high reference and low range. The probability, the

1 likelihood, of what the low is going to be, the
2 likelihood of what the high is going to be, that same
3 likelihood is applied, that same weighting or
4 probability is applied to wind, to natural gas, to
5 hydro.

6 MR. ROGER CATHCART: So they're all
7 constant among -- for the construction costs, they're
8 all the same probability weightings?

9 MS. JOANNE FLYNN: Right, but the
10 development of the costs themselves are independent.

11 MR. ROGER CATHCART: And they're all
12 documented with the framework of how they were
13 developed?

14 MS. JOANNE FLYNN: Yes.

15 MR. ROGER CATHCART: And -- and we just
16 have to drill down into 9.3 to find them?

17 MS. JOANNE FLYNN: Yes.

18 MR. ROGER CATHCART: Okay. Thank you.

19 MS. NICOLE FITKOWSKI: I have a
20 question from John Dalton -- two (2) questions:

21 MR. JOHN DALTON (VIA CHAT): For the S-
22 curve diagram reviewed yesterday afternoon, which
23 showed that a natural gas/wind resource mix was
24 dominated by a hydro resource mix, how was the mix of
25 natural gas and wind resources established?

1 MS. JOANNE FLYNN: The wind/gas plan is
2 predicated on being a -- a plan that supplies as much
3 wind energy as possible. And the wind energy needs to
4 be backed up by capacity. So there was a process that
5 was gone through to try and -- and reflect when the
6 amount of natural gas would be required to provide the
7 capacity backup for the wind. And because wind is the
8 major resource through -- throughout it, there's --
9 there's a substantial amount of natural gas backup for
10 it.

11 MS. NICOLE FITKOWSKI: Okay. And his
12 other question was:

13 MR. JOHN DALTON (VIA CHAT): Was the
14 mix of single-cycle gas turbines and combined gas
15 turbines, or the mix of gas-fired generation versus
16 wind varied -- varied based on natural gas in carbon
17 prices to recognize the op -- optimality offered by
18 this portfolio?

19 MS. JOANNE FLYNN: The -- the intent of
20 the wind/gas plan was to serve the energy requirement
21 through the wind resource. So I think I've already
22 answered that piece through my first -- first answer.
23 Does Ed want to add something to it?

24 THE FACILITATOR: I -- Joanne did talk
25 about that before, but a simple answer, if you

1 optimized that wind/gas plan -- first of all, it was
2 all simple-cycle turbines, right? Min -- minimal
3 capacity cost. But if you'd optimized it, you'd have
4 done -- gone to all gas. You wouldn't have had any
5 wind.

6 MS. JOANNE FLYNN: Yeah.

7 MR. JOHN ATHAS: John Athas. Just one
8 (1) last thing on the pro -- probabilities as you
9 applied. The -- the key -- it -- it looks like, but I
10 just want to make sure that I understood it, that what
11 you've done is, though, you've -- in your analysis
12 you've placed a kind of a hundred percent correlation
13 between the capital costs being low for all the
14 technologies, or high for all the technologies, when
15 you've -- as you've rolled them through the scenario of
16 the uncertainty evaluation.

17 MS. JOANNE FLYNN: That -- that is, I
18 think, the effect of what we've done. There's some
19 discussion on that in 9.3 -- in Appendix 9.3.

20

21 (BRIEF PAUSE)

22

23 MR. BYRON WILLIAMS: I -- I think -- I
24 think John yesterday, and Patrick in the previous
25 question have this, but I -- I'm being a little thick

1 today. And Mr. Harper and I are having a fight back
2 here, so I just want to -- oh, it's Byron Williams.

3 So my question is just in -- when I
4 look, are you treating the energy price variable, the
5 discount rate variable, and the capital costs variable
6 as independent, in terms of their corr -- correlation?

7 MS. JOANNE FLYNN: Yes, there's no
8 cross-correlations between them.

9 MR. RICK HENDRIKS: Can you just return
10 to the -- oh, sorry, Rick Hendriks. Can you just
11 return to the page that has energy prices, discount
12 rate, capital costs, and then the three (3) weighted --
13 or the three (3) probabilities?

14

15 (MOVED TO SLIDE 35)

16

17 MR. RICK HENDRIKS: Yes, thank you,
18 that one. So my -- I have two (2) questions. The
19 first one (1) is: I think I understand why you've
20 chosen to apply the energy price probabilities to all
21 of the alternatives equally. And it was explained
22 earlier today by your colleague why you did so with
23 discount rates.

24 I'm having a little bit more trouble
25 with the capital cost one, though, because if I'm

1 building several wind plants versus one (1) hydro
2 plant, the probability of having a 30 percent -- the
3 probability of having a high cost on wind, because I'm
4 building a number of different plants, the probability
5 of them all being high is much less likely than the
6 probability of one (1) plant being high.

7 So I'm just curious to know how you --
8 how you dealt with that situation.

9 MS. JOANNE FLYNN: I -- I'd have to get
10 back to you on that one. I -- I can't recall that one
11 off the top of my head.

12 MR. RICK HENDRIKS: Okay.

13 THE FACILITATOR: But -- but maybe I
14 can just add a comment to that, and then -- oh, sorry,
15 Ed Wojczynski, and Joanne will get back. By the way I
16 should explain, Joanne and I co-managed the
17 evaluations, so that's why I'm sort of popping up with
18 some frequency because we -- we're like the Bobbsey
19 Twins. Well, maybe that wasn't a good analogy. I
20 wasn't going to respond to that.

21 As -- as Joanne explained earlier, the -
22 - the capital cost range for each of the technologies
23 was done uniquely to that technology. So it captures -
24 - that range captures -- and its capital cost, its --
25 its referenced capital cost and its range captures the

1 uniqueness of that technology. And then, by using the
2 same probability, we can combine them into these
3 scenarios and make the whole thing workable.

4 So the uniqueness of the fact that --
5 that wind has a different set of circumstances on its
6 cost is -- is captured there.

7 And we weren't focussing on one (1)
8 small -- we were assuming there'd be more that -- that
9 we're not just building one (1) plant. We recognize
10 that we're going to be looking at -- in -- implicitly,
11 we recognized that we're building -- that we're looking
12 at more than just one (1) single wind turbine farm. We
13 weren't -- implicitly, we did.

14 MR. RICK HENDRIKS: Okay. It's Rick
15 Hendriks, again. I'm not sure that quite clarifies it
16 for me. And then this may just be an IR and we -- we
17 deal with it that way.

18 I just -- intuitively what I'm saying is
19 if you have three (3) wind plants, a certain portion of
20 the cost of each of those plants is common to all three
21 (3); you know, the hardware, for example. The -- the
22 price is what the market bears. But other aspects of
23 capital costs such as, you know, construction labour,
24 could vary considerably between projects.

25 And so whereas if you have one (1) hydro

1 project -- so the probability is if -- if I just apply
2 a probability to -- just statistically speaking, if I
3 have three (3) projects and -- the probability of all
4 of them going over by 30 percent is much less than 30
5 percent. That's all I'm saying, statistically.

6 THE FACILITATOR: I probably shouldn't
7 be saying anything more, but I'm going to. I'm prone
8 to that. You've got two (2) variables to deal with
9 that issue. You've got probability, and you've got
10 range. So you can use the range to adjust for those
11 kinds of issues implicitly. You don't have to adjust
12 both.

13 MS. JOANNE FLYNN: And the other thing
14 I want to add to that is that we recognized, in doing
15 it, that -- that the highs were going to -- like the
16 highs and lows could be quite extreme. Do you have a --

17 MR. RICK HENDRIKS: Okay. Sorry?

18 MS. JOANNE FLYNN: -- another question?

19 MR. RICK HENDRIKS: My other question
20 was --

21 MS. JOANNE FLYNN: Oh --

22 MR. RICK HENDRIKS: -- I did have a
23 second question --

24 MS. JOANNE FLYNN: Oh, okay.

25 MR. RICK HENDRIKS: -- sorry, if that's

1 okay. I just want to make sure I understand, when
2 you're saying you have a 15 percent chance of having
3 high energy prices, right, is that -- am I
4 understanding this correctly? A 35 percent change of
5 having high -- am I understanding this -- this
6 percentage right?

7 Are you saying there's a -- high is 15
8 percent of -- is it basically how you're ranking on the
9 -- on the scale what is high? Like I'm not sure I'm
10 understanding what -- what that 15 percent actually
11 means.

12 MS. JOANNE FLYNN: These -- these
13 numbers are used to calculate the probabilities that
14 are applied to the number -- to -- to the -- to the net
15 present value. So this is -- these are the actual
16 probabilities that are applied for the cumulative prob
17 -- for the probability distributions. So to get that
18 effect, it's -- it's the 15 percent times the 35 per --
19 like for a high/high/high on those --

20 MR. RICK HENDRIKS: Right. So the
21 probability --

22 MS. JOANNE FLYNN: -- on those
23 scenarios.

24 MR. RICK HENDRIKS: Right. Okay. So
25 the probability of high/high/high is 15 percent times

1 35 percent times 30 percent. Am I understanding that
2 correctly?

3 MS. JOANNE FLYNN: I believe so, yes.

4 MR. RICK HENDRIKS: Okay. So the
5 probability of any one (1) of the twenty-seven (27)
6 varies.

7 MS. JOANNE FLYNN: Yes.

8 MR. RICK HENDRIKS: So these are
9 weighted --

10 MS. JOANNE FLYNN: Yes --

11 MR. RICK HENDRIKS: -- somehow.

12 MS. JOANNE FLYNN: -- absolutely.

13 MR. RICK HENDRIKS: Okay. So when I
14 look at the S-curve --

15 MS. JOANNE FLYNN: Yeah.

16 MR. RICK HENDRIKS: -- I'm seeing
17 twenty-seven (27) points, but those are weighted, if I
18 can use that term --

19 MS. JOANNE FLYNN: Exactly.

20 MR. RICK HENDRIKS: -- they're weighted
21 points --

22 MS. JOANNE FLYNN: That's --

23 MR. RICK HENDRIKS: -- so all of them
24 are not the same, in terms of their power, if you will.
25 Power is not -- that's -- that's --

1 MS. JOANNE FLYNN: Yeah, yeah, I --

2 MR. RICK HENDRIKS: -- I shouldn't use
3 that word, but.

4 MS. JOANNE FLYNN: -- know what you
5 mean. Yeah. Yeah.

6 MR. RICK HENDRIKS: There's -- you
7 know, they're -- some are less likely. Even though
8 they're all plotted on the curve as though they look --

9 MS. JOANNE FLYNN: Oh, yes. Yeah.

10 MR. RICK HENDRIKS: -- equally likely.

11 MS. JOANNE FLYNN: Yeah.

12 MR. RICK HENDRIKS: Okay. Okay. That
13 -- that's -- I think --

14 MS. JOANNE FLYNN: So we --

15 MR. RICK HENDRIKS: -- for -- I mean --

16 MS. JOANNE FLYNN: Well, we didn't --
17 we didn't go to that next step to say, Okay -- like, it
18 -- it starts to get overly complex to -- to try and
19 take it to that -- and judgmental to take it to that
20 next step.

21 MR. RICK HENDRIKS: Okay. I just
22 wanted to clarify that, that -- that not all the points
23 have the same weight, if you will.

24 MS. JOANNE FLYNN: They are reflecting
25 these probabilities. If you wanted -- the one that

1 shows you an equal weighting across the -- the twenty-
2 seven (27) scenarios is the quilt, because there are no
3 weightings applied.

4 Okay. Yes?

5 MR. ROBERT SINCLAIR: Yes. With res --
6 Robert Sinclair. With respect to energy prices, you
7 have a high of 15 percent, low of 30 percent. So the
8 reference case of 55 percent, that's your actual
9 forecast that you used in assessing the plans, right?

10 That's the -- the price forecast for
11 MISO export prices?

12 MS. JOANNE FLYNN: They're -- they're
13 all the -- the -- the consensus price forecast.

14 MR. ROBERT SINCLAIR: Right. Okay.

15 MS. JOANNE FLYNN: Or the assumed price
16 forecast for -- for -- like, underlying it is the
17 reference, high, and low --

18 MR. ROBERT SINCLAIR: Right.

19 MS. JOANNE FLYNN: -- and we're
20 applying a 55 percent probability as to the reference
21 being the most likely.

22 MR. ROBERT SINCLAIR: Yeah, I get that.
23 So the high reference, is that derived from the
24 consensus forecast? Is there some kind of consensus
25 high, consensus low?

1 MS. JOANNE FLYNN: There -- there is a
2 consensus high and low and then -- but the
3 probabilities are developed separately from them.

4 MR. ROBERT SINCLAIR: And who develops
5 the probabilities?

6 MS. JOANNE FLYNN: Those -- those
7 probabilities were developed by Manitoba Hydro.

8 MR. ROBERT SINCLAIR: Okay. And we can
9 get some kind of methodology on how that was done?

10 MS. JOANNE FLYNN: That's what's in
11 Appendix 9.3.

12 MR. ROBERT SINCLAIR: Okay. All right.
13 Thanks.

14 THE FACILITATOR: It's Ed Wojczynski
15 here. And Joanne just mentioned 9.3, Appendix. Her
16 staff point out that the quilt in nine (9) point -- in
17 that appendix has the probabilities for each of the
18 twenty-seven (27) scenarios.

19 MS. JOANNE FLYNN: Attached to the end
20 of the table. There wasn't really enough room to show
21 that on the screen, but it might have been helpful for
22 explanation. But -- so there is quite a bit more
23 information on this in the -- in the appendix.

24 Okay. Does that cover the questions?
25 All right.

1 (MOVED TO SLIDE 42)

2

3 MS. JOANNE FLYNN: Here we're going to
4 change topics now. Oh, is there...

5 MS. PATTI RAMAGE: I was just going to
6 make the comment -- it -- it's Patti Ramage, Cheryl --
7 that I think this discussion has really illustrated
8 perhaps the benefit of the technical conference, not in
9 terms of the questions per se, but I'm hoping this
10 avoids IRs in terms of these questions, I think what
11 I'm hearing, are all in Appendix 9.3. And we recognize
12 that everyone hasn't had an opportunity to read that.

13 But I think it's really helpful because
14 when we do get IRs at times in past hearings, we say
15 it's there, they just haven't seen it. So I -- I think
16 it's really helpful -- I'm just making the comment that
17 -- that we're able to direct you what appendix to go
18 to. And hopefully this topic, once you've read that,
19 will really -- we're going to see less IRs on it, is my
20 goal. But -- anyway, that's where I see the benefit of
21 the technical conference.

22 MR. ROGER CATHCART: Hi, Roger
23 Cathcart. Just one (1) more question on this. From
24 your quilt, did you run the worst-case scenario for
25 each of those options? Like --

1 MS. JOANNE FLYNN: For each of the
2 development plans?

3 MR. ROGER CATHCART: Right. So that
4 they could be stacked up with their -- if -- if
5 everything went sideways on each -- each of them, that
6 you could line them up and --

7 MS. JOANNE FLYNN: Yeah. And those are
8 different combinations --

9 MR. ROGER CATHCART: Right.

10 MS. JOANNE FLYNN: -- for -- for
11 different plans. And that's why when you look at the
12 quilt --

13 MR. ROGER CATHCART: Yeah.

14 MS. JOANNE FLYNN: -- the red and green
15 point you to those particular plans --

16 MR. ROGER CATHCART: Right.

17 MS. JOANNE FLYNN: -- or combina --
18 scenarios for those -- for each of the plans.

19 MR. ROGER CATHCART: Did you stack up
20 all of the worst-case scenarios and rank them in any
21 way just to say -- just to see how the -- they -- the
22 risk profile distributed among each one of them?

23 MS. JOANNE FLYNN: We didn't do that,
24 but you could certainly do -- like, the information is
25 all on that quilt for you -- for someone --

1 MR. ROGER CATHCART: Right.

2 MS. JOANNE FLYNN: -- to -- to do --

3 MR. ROGER CATHCART: Okay.

4 MS. JOANNE FLYNN: -- that.

5 MR. ROGER CATHCART: Okay. Thank you.

6 MS. JOANNE FLYNN: Okay. So 2013

7 reference scenario planning assumption. So this is the
8 information in Chapter 12 that I'm going to go through
9 now. So I'm going to start by explaining what the
10 changes in the planning assumptions were between what
11 we assumed in the main part of the filing, so the 2012
12 adjusted assumptions, compared to the 2013 planning
13 assumptions. Lois talked yesterday about how the load
14 forecast had decreased for both energy and peak demand,
15 and there are tables in the -- and graphs in the
16 chapter that -- that show that to you.

17 The effect of that change in -- in the
18 load is, and -- and some of the other planning
19 assumptions, the next generation in-service date for
20 Manitoba load for -- from an energy is still being
21 driven by energy, is deferred from 2022 to 2023/'24.
22 So a deferral of one (1) year as a result of the
23 reduction in the load forecast.

24 In the 2012, we had assumed the Great
25 River Energy Diversity Exchange Agreement extension,

1 but the development between the two (2) years is that
2 it -- it now ends in 2030/'31, rather than 2025/'26.
3 So that's reflected in the analysis. As well, there's
4 a new five (5) year, 50 megawatt term sheet with
5 Minnesota Power that starts in 2015/'16. And that
6 doesn't show up on our list of sales contingent on new
7 resources, because it isn't. It -- it can be served
8 out of existing resources.

9 As I mentioned yesterday, the 2013
10 reference electricity export prices are higher than
11 those used in the main NFAT submission. We had taken
12 the 2012 consensus forecast and -- and primarily there
13 were decreases to -- to the -- to the electricity
14 prices -- price forecast that we -- and we used that
15 decreased forecast in our main analysis. When we
16 looked at the twenty (20)...

17

18 (BRIEF PAUSE)

19

20 MS. JOANNE FLYNN: So in -- in the 2013
21 analysis we're using the -- or the -- the price
22 forecast is -- is higher than what we're using in the -
23 - in the main NFAT submission. The real weighted
24 average cost of capital, which is the discount rate
25 that we're using in the analysis, increased from the

1 five point zero-five (5.05) that we're using in the
2 main submission, to the -- to five point four (5.4)
3 point -- five point four-zero (5.40).

4 So that's what we're -- is used in the
5 analysis in this chapter. And the earliest in-service
6 date for Conawapa shifted from '25/'26 to '26/'27. So
7 all of those assumptions are reflected in the analysis
8 I'm going to go through.

9 And I went the wrong way. Okay. All
10 right.

11

12 (MOVED TO SLIDE 43)

13

14 MS. JOANNE FLYNN: So what impact does
15 that have on the development plans? So we only had the
16 time to do this analysis on a selected number of
17 development plans. These are the development plans we
18 chose. I'm on Slide 43. So the numbering is the same.
19 So the all gas, Keeyask gas, the -- the Keeyask '19
20 gas, 250 line, and two (2) of the 750 lines, one (1)
21 being the Preferred Development Plan.

22 And you can see, when you look at this,
23 the impact of the change in assumptions. So you look
24 at Plan 4, and in the 2012 list of plans you will find
25 gas in 2024, not in 2030. So the effect of the change

1 in assumptions is to shift the need for gas out to
2 2030. And similarly you'll see in Plan 12, Conawapa is
3 in thirty (30) -- 2033. In the 2012 list of plans,
4 it's in -- in 2031. You see in the Preferred Plan the
5 deferral of -- of Conawapa from being in 2025/'26 to
6 being in '26/'27.

7

8 (MOVED TO SLIDE 44)

9

10 MS. JOANNE FLYNN: All right. Now,
11 this is similar to the type of chart that you saw in
12 Chapter 9. Chapter 9 is all done in step charts, and
13 there are step charts in Chapter 12 as well, but
14 decided to -- to condense this into this style of chart
15 to put more -- more information all together rather
16 than walking through quite so much of it.

17 So you'll see familiar numbers in the
18 first column. So now we're looking at the development
19 plans and the net present values, millions of 2014
20 dollars. So the first column has the 2012 assumptions
21 using the five point zero-five (5.05) discount rate, so
22 the same ones that you would find in Chapter 9.

23 So you might recognize the eight eighty-
24 seven (887), which is the Keeyask now '23 gas plan, but
25 this actually, in the first column, reflects Keeyask

1 '22, followed by gas shown in the 2012 assumptions.
2 Compared to the all gas plants, it's still an
3 incremental analysis. And you will recognize the net
4 present value associated with the Preferred Development
5 Plan at sixteen ninety-six (1,696).

6 What the second column does is it uses
7 all the 2013 assumptions I've described to you with the
8 exception of the discount rate. We've held the
9 discount rate constant. So we can see what the impact
10 of the discount rate is by itself. And it's a fairly
11 significant impact is what -- what we're going to see
12 in the end.

13 So holding the discount rate constant,
14 instead of eight eighty-seven (887) for Keeyask gas
15 compared to all gas, it would become nine sixty (960).
16 You see it quite dramatically on the Preferred Plan,
17 where it would go from sixteen ninety-six (1,696) to
18 twenty-one twenty-five (2,125).

19 What the last column shows is -- is the
20 impact of now applying the change in assumption on the
21 discount rate, so 2013 assumptions, including the 5.4
22 percent discount rate. And you see the numbers change.
23 You see the Keeyask gas plan drop from the nine sixty
24 (960) in the previous column to seven twenty-eight
25 (728), so lower than the 2012 assumptions at eight

1 eighty-seven (887). And this is true all of the plans.

2 So when you look at the Preferred
3 Development Plan you see it's now gone from sixteen
4 ninety-six (1,696). If we had held the discount rate
5 constant, it would be up at twenty-one twenty-five
6 (2,125). At the 2013 assumed discount rate, it's at
7 fourteen sixty-two (1,462).

8 And I'm going to be coming back to some
9 of these numbers when I -- when I talk about the -- the
10 DSM sensitivity. So we'll -- we'll be -- maybe be able
11 to flip back to this chart at that time.

12 The one (1) other point I would make is
13 that a large part of the reason that we undertook the
14 probabilistic analysis and -- and the broader ranges is
15 because we recognize that there is a lot of
16 uncertainty, especially when you're going out into the
17 future as far as our study period does go.

18 And there's always an interest in having
19 the latest and greatest assumptions in place. What
20 this analysis also shows is that the 2013 assumptions
21 fall within the ranges of the analysis that we've
22 undertaken for the probabilistic analysis.

23 So it isn't always necessary to redo
24 everything with the latest and greatest information if
25 you can look at things from that broader perspective in

1 -- in looking at what the risks are and the ranges that
2 could occur.

3

4 (MOVED TO SLIDE 45)

5

6 MS. JOANNE FLYNN: Okay, so now I'm
7 going to go into the analysis on the one and a half (1
8 1/2) and four (4) times DSM. And once again, I
9 mentioned this yesterday, that the point of this
10 analysis was to demonstrate the relative impact of
11 higher levels of DSM on selected development plans, not
12 to assess the attractiveness of the DSM plans
13 themselves, but would -- how would higher levels of DSM
14 affect particular development plans.

15 Yes?

16 MR. JOHN ATHAS: I just want to
17 understand -- this is John Athas. I just want to
18 understand that -- that point you've made, that -- when
19 you went through your screening way back in the earlier
20 parts of your discussion you said one (1) of the
21 options moving forward in the resource options was more
22 DSM?

23 MS. JOANNE FLYNN: Yes.

24 MR. JOHN ATHAS: And none of the plans
25 had more DSM as a planned thing to do --

1 MS. JOANNE FLYNN: Right.

2 MR. JOHN ATHAS: -- correct? And --
3 but -- and now you're emphasizing that you're not
4 testing the economics of more DSM by this kind of
5 analysis.

6 Is there any place where you've done --
7 in the Application where you've done analysis as DSM as
8 an alternative to either gas or the -- or the hydro?

9 MS. JOANNE FLYNN: No, there isn't, and
10 there -- there was some discussion on this. I'll --
11 I'll let Ed take -- take this one.

12 THE FACILITATOR: Yeah, the motions
13 hearing, or pre-hearing conference on Wednesday, it --
14 it was explained by Manitoba Hydro that now that we
15 have the market potential study -- the DSM market
16 potential study that Lois talked about yesterday, that
17 we are going to have two (2) -- over the next few
18 months, they're feverishly working to put together two
19 (2) sets of overall DSM programs -- an updated one and
20 a higher one, a significantly higher one -- and that we
21 would be evaluating those and presenting the results,
22 both the economics and the financials.

23 And the plan is, as long as the
24 interrogatories don't take up too much of the time of
25 the people doing this work -- it's all the same people

1 -- that we would have that before the hearings. But
2 that would be looking at the economics of DSM, per se,
3 the two (2) different levels.

4 So that's -- that's a partial answer to
5 your question. But we won't be able to do all the
6 plans -- do that for all the plans. On the economics
7 we're hoping to do it for the Preferred Plan and one
8 (1) of the others, probably the all gas plan. But
9 we're still having to work all that out.

10 MR. JOHN ATHAS: So that'll be --
11 that'll be filed in this -- in this appli -- in this
12 docket -- this whole hearing process?

13 THE FACILITATOR: It -- the intent is
14 that will be filed, but it won't be filed -- well, it
15 can't be filed until it's done --

16 MR. JOHN ATHAS: Yeah.

17 THE FACILITATOR: -- and it won't be
18 done until prob -- early in the new year bef -- the
19 intent is before the hearings. As soon as it's
20 available, we'll file it. But -- and it would be part
21 of this process, yes.

22 MR. JOHN ATHAS: Thank you.

23 MR. BYRON WILLIAMS: Ed, in -- it's
24 Byron Williams, CAC. In terms of the DSM scenarios,
25 why would you use the all gas instead of perhaps Plan 4

1 and the -- and --and the best scenario with no
2 interconnection?

3 Wouldn't that be more useful
4 information?

5 MS. JOANNE FLYNN: Byron, may -- maybe
6 I'll just answer that one. It's -- we haven't
7 determined yet which ones we will -- will use it on.
8 And you -- you can see in the analysis that we did here
9 that that is what we did. We -- we didn't do it
10 against the all gas plan. So we're -- we're still
11 going to be sorting that out.

12 MR. BYRON WILLIAMS: And we -- we --
13 it's Byron Williams again for CAC. We -- we'd invite
14 you to seek at least the input of Intervenors on -- on
15 that point, because we think it's a pretty important
16 question.

17 And I guess the other one is, the DSM
18 potential study, at least our preliminary analysis
19 suggests it's quite an outlier in terms of other
20 reports in North America. And I -- I guess a question
21 is:

22 Is that -- you know, is that a reliable
23 base on which to do this analysis?

24 THE FACILITATOR: Yeah, Patti?

25 MS. PATTI RAMAGE: Yeah, we're -- we're

1 going way far afield, Byron, of questions of
2 clarification. And by your laughter, I know you --
3 you're aware of that, so.

4 THE FACILITATOR: On -- on the first
5 part of that, I'd -- I'd -- I'm looking at Joanne, but
6 I don't know why we couldn't have some sort of
7 arrangement to have what -- what the second set of DSM
8 plans and what they're applied to, have some sort of
9 input on that.

10 But our primary purpose on that one is
11 to start with the Preferred Plan, and we are -- we
12 don't -- it's going to be a challenge to do the
13 financials on that. And we -- we don't see it as being
14 viable to -- to do it for a second set of plans on the
15 financials.

16 And the economics, we have some good
17 hope that we would be able to but the -- with the --
18 it's not physically possible to have four (4) sets of
19 financials done; only the two (2) sets.

20 MS. JOANNE FLYNN: Yes?

21 MR. JOHN ATHAS: Just -- just a
22 definitional question: so, when you changed the DSM in
23 the -- in the sensitivities, was there any timing
24 changes of the resources in the plans?

25 MS. JOANNE FLYNN: Yes, I'm going to

1 show you that. Okay. So we're on Slide 45, and I
2 wanted to show this slide because -- and Lois mentioned
3 this yesterday, this is how we went about determining
4 the levels of DSM. And because the -- because there's
5 was limited information available from the study, what
6 we did is we literally took one and a half (1 1/2) and
7 four (4) times the 2013 base DSM forecast numbers. So
8 starting right off in 2014/'15, and out to twenty (20)
9 -- out of the end of the study, the detailed study
10 period, we applied those percentages.

11 So in looking at it, this yields a
12 higher overall energy savings on an -- pretty much on
13 an annual basis, than -- than we believe will come out
14 of the market potential study. The '27/'28 year is the
15 year that it kind of aligns. So it is a good test for
16 -- for the output of that study.

17

18 (MOVED TO SLIDE 46)

19

20 MS. JOANNE FLYNN: Okay. Now, this is
21 the heart of the -- the analysis. And what -- and this
22 is slide 46. What this graph depicts is an analysis of
23 differences and -- of differences. So the first set of
24 differences is based on the original chart, or the
25 earlier chart I showed you on the net present values.

1 So the seven-thirty-four (734) that you
2 see in the first column, there is the -- is the
3 difference between the net present value for the
4 Preferred Plan, compared to the all gas plan, minus the
5 net present value for Keeyask '23 applied to -- or
6 compared to the all gas plan.

7

8 (MOVED TO SLIDE 44)

9

10 MS. JOANNE FLYNN: So if I go back a
11 couple of slides here, it's the fourteen-sixty-two
12 (1,462) minus the seven-twenty-eight (728). That's
13 what the seven-thirty-four (734) is in this chart.

14

15 (MOVED TO SLIDE 46)

16

17 MS. JOANNE FLYNN: So I'll just start
18 with that. The next column is -- it's the same idea.
19 So it's the -- with one and a half (1 1/2) times DSM,
20 the Keeyask gas plan shifts from 2023 to 2024. So
21 you're seeing the impact of the DSM levels and the need
22 for -- for that resource. The Preferred Plan dates
23 stay the same for this one (1).

24 When you look at four (4) times DSM,
25 we've also shifted the in-service date for Conawapa

1 from 2026 to 2030. And in reality, when we looked at
2 the numbers there was very little, like I think it was
3 \$11 million or some very small difference in net
4 present value, but -- between the two (2) plans,
5 whether we held the date constant or not. But we've --
6 we've allowed the date to move. So those are the
7 differences.

8 Now, when you look at the application of
9 DSM, the one and a half (1 1/2) times DSM, and the
10 economic results of that, we're now looking at the
11 seventy (70) -- seven-seventy-one (771) for one and a
12 half (1 1/2) times DSM, compared to the seven-thirty-
13 four (734), with the base level of DSM in it. And that
14 difference is 37 million -- 37 million higher when you
15 apply the level of DSM to the value that you get when
16 you compare those two (2) plans.

17 The four (4) times DSM shows an even
18 higher number, and of three hundred and twelve (312).
19 And that is the -- the ten-eighty-three (1,083) when
20 you look at it from that perspective. So in the case
21 of one and a half (1 1/2) times DSM and four (4) times
22 DSM, when compared to the Keeyask followed by gas plan,
23 no new interconnection, the Preferred Plan benefits in
24 both case -- both cases, by increasing the level of
25 DSM.

1 (BRIEF PAUSE)

2

3 MR. BILL HARPER: Bill Harper. So I
4 guess -- because there's really two (2) -- two (2)
5 questions here. One (1) is whether -- whether,
6 basically, advance in Keeyask and building your high
7 interconnection is economic under different levels of
8 DSM. And what -- what you're por -- portraying here
9 is, over the range of which you believe is a reasonable
10 DSM, it makes sense to do the advancement under all
11 cases. Wha --

12 MS. JOANNE FLYNN: Right.

13 MR. BILL HARPER: What this doesn't
14 tell you, and if I understand what your analysis is
15 doing is, does it make economic sense to do more de --
16 to go gang busters on DSM, basically, which is -- but,
17 basically, you know, does -- and but that -- that --
18 and that's the second question is, wha -- that's your
19 analysis that you're undertaking right now is -- is
20 going to be doing is seeing to what extent do --
21 doesn't make sense to go gang busters on DSM as opposed
22 to doing just an all supply side por -- portfolio
23 because what -- that's what you got essentially now.

24 Is -- is that the case?

25 MS. JOANNE FLYNN: Well, ye -- yes,

1 that is what we're going to loo -- do, is look at the
2 attractiveness of the DSM itself.

3 MR. BILL HARPER: Okay. That's what I
4 understand. Okay.

5 MS. JOANNE FLYNN: Yeah.

6 MR. JOHN ATHAS: John Athas again. So
7 the -- in these cases, the DSM -- the increase in DSM
8 doesn't have any cost?

9 MS. JOANNE FLYNN: Right, there's no
10 cost supplied here.

11 MR. JOHN ATHAS: Yeah.

12 MS. JOANNE FLYNN: And like from the
13 economics perspective, the costs would be the same for
14 all the plans, so it wouldn't really be a factor. You
15 really need the financials to see the effect of the DSM
16 cost. Okay. All right.

17

18 (MOVED TO SLIDE 47)

19

20 MS. JOANNE FLYNN: So the -- so the
21 similar analysis was undertaken but, this time,
22 comparing it to you Plan 4, which is Keeyask '19
23 followed by gas and the 250 interconnection.

24 So in this case -- and so the same
25 approach. So it's still a differences -- first of all,

1 the differences between the Preferred Plan and Plan 4.
2 So that's what's represented by the three twenty-nine
3 (329), the three forty-two (342), and the one ninety-
4 six (196) under the different levels of DSM.

5 And so when you compare these columns
6 you now get a difference of 13 million between the one
7 and a half times DSM and the one (1) times DSM, so
8 basically resulting in a similar -- similar effects,
9 whether the DSM is there or not -- or not, or almost a
10 ne -- negligible impact on the Preferred Plan --
11 Development Plan if we go to a one and a half (1 1/2)
12 times DSM, but it doesn't cause it to decrease.

13 At the level of four (4) times DSM what
14 we are seeing is that Plan 4 can derive more benefit
15 from that high a level of DSM than the Preferred
16 Development Plan can. Now, the fact that the net
17 present value is positive, it's a hundred and ninety-
18 six (196), it has decreased the value of the -- it --
19 its value overall, but it is still a -- it's still
20 preferable.

21 So what it means is the -- the order of
22 the plans has not changed. The economic -- as far as
23 the economic impact of the plans, the order and the
24 ranking of the plans does not change.

25

1 (BRIEF PAUSE)

2

3 MR. RICK HENDRIKS: So just to
4 summarize then, of course, these are NPV differences?

5 MS. JOANNE FLYNN: That's right.

6 MR. RICK HENDRIKS: What happens --
7 what's happening to the global NPV here?

8 MS. JOANNE FLYNN: With the global NPV?

9 MR. RICK HENDRIKS: Like is four (4)
10 times DSM lowering the NPV of all of the plans and,
11 therefore, it's lowering some more than others? I
12 mean, this is just a difference, so.

13 MS. JOANNE FLYNN: Well, we don't -- we
14 don't have all of the plans analyzed. These are the
15 only plans we have analyzed.

16 MR. RICK HENDRIKS: Right, but you --
17 in order to calculate the difference between the NPVs
18 you --

19 MS. JOANNE FLYNN: Yes.

20 MR. RICK HENDRIKS: -- would have had
21 to calculate the revised NPVs with four (4) times DSM?

22 MS. JOANNE FLYNN: Right. And that's
23 what the one ninety-six (196) is showing, is the
24 difference.

25 MR. RICK HENDRIKS: Showing the

1 difference.

2 MS. JOANNE FLYNN: Yeah.

3 MR. RICK HENDRIKS: But it's not
4 showing what each of them... It's the difference
5 between two (2) plans, correct?

6 MS. JOANNE FLYNN: Yes. Right.

7 MR. RICK HENDRIKS: But what I'm
8 interested in is the difference totally in all the pla
9 -- like, okay, so if one (1) plan was two thousand
10 (2,000) -- the difference was -- let's say one (1) plan
11 was -- was 10 billion and one plan was 9 billion
12 before. Now, the difference is 1 billion, okay.

13 MS. JOANNE FLYNN: Right.

14 MR. RICK HENDRIKS: And now the plans
15 have gone to 8 bil and 7 billion. The difference is
16 still 1 billion, but all of the plans have been
17 decreased by -- by 2 billion. That's what I'm trying
18 to get at. What's happening globally behind this as a
19 result of the DSM?

20 MS. JOANNE FLYNN: Well, I'd have to --
21 I have to go back and look at those numbers. I don't
22 know them off the top of my head.

23 MR. RICK HENDRIKS: Okay.

24 DR. PETER MILLER: In the -- Peter
25 Miller. In the previous example, the -- the four (4)

1 times DSM was higher; here, it's -- it's lower. Does
2 this mean that the difference between the one point
3 five (1.5) and -- and the four (4) times DSM, that in -
4 - further increment just lowers the value of the
5 project --

6 MS. JOANNE FLYNN: Well --

7 DR. PETER MILLER: -- relative to one
8 point five (1.5) times? One point five (1.5) is
9 marginally higher.

10 MS. JOANNE FLYNN: That's only when
11 compared to one (1) particular plan, only when compared
12 to Plan 4. Like what we saw on the previous slide is
13 if you compare it -- you're going to get a difference
14 answer when you compare it to different plans.

15 DR. PETER MILLER: Okay.

16 MS. JOANNE FLYNN: But when we compare
17 it to -- to Plan 4, which is -- which is one of the
18 better plans, or the higher net present value plans
19 that we have on a base level or reference level, what
20 this -- what this is showing is that Plan 4 can derive
21 more value from the four (4) times DSM than can the
22 Preferred Plan.

23 Now, there's still positive net present
24 values there when you look at the differences, and it
25 doesn't change the ranking of the plans when you apply

1 the -- the four (4) times DSM to it. It's still -- the
2 Preferred Plan still has the highest net present value.
3 It's just not quite as high.

4 DR. PETER MILLER: But you can't make a
5 judgment as to whether four (4) times, because of
6 intertie limitations or something like that, produces
7 less value overall than in -- in the plan than one
8 point five (1.5)?

9 MS. JOANNE FLYNN: I -- I think the
10 information is there to look at that.

11 MR. JOHN ATHAS: It's John Athas again.
12 Ju -- just to try to train the thoughts of some of the
13 things you've put -- put forward. You had a -- and we
14 had a discussion around the question I asked.

15 In the S-curves that had four (4) and
16 fourteen (14) compared, there was a lot of overlap and
17 --

18 MS. JOANNE FLYNN: Right.

19 MR. JOHN ATHAS: -- similarity. And we
20 talked about the box and whiskers as being -- having
21 shown different things for the 75/25. And so now if I
22 look at Slide 44, I see kind of at the reference case
23 we were starting at before with a basically \$350
24 million difference between the four (4) and fourteen
25 (14) --

1 MS. JOANNE FLYNN: Right.

2 MR. JOHN ATHAS: -- and the changing of
3 assumptions all the way to the right-hand side narrowed
4 that gap a little bit.

5

6 (MOVED TO SLIDE 44)

7

8 MS. JOANNE FLYNN: Right.

9 MR. JOHN ATHAS: And really what you're
10 -- what you've got, with the way you've modelled it, if
11 I could just understand it correctly -- I'm not trying
12 to put words in your mouth -- that because what you've
13 modelled, the way you've modelled DSM as basically a
14 change in load growth with no costs or anything like
15 that, that it basically says that a lower load growth
16 would narrow that gap significantly between four (4)
17 and fourteen (14).

18 MS. JOANNE FLYNN: It will narrow it
19 more, yes.

20 MR. JOHN ATHAS: Because it gets --

21 MS. JOANNE FLYNN: Yeah.

22 MR. JOHN ATHAS: -- because that's how
23 it gets down -- that's how I interpret getting down to
24 one ninety-six (196) now. So from ye --

25 MS. JOANNE FLYNN: Yes.

1 MR. JOHN ATHAS: -- yesterday we were
2 at the three fifty (350) level at the references, and
3 now we're -- now, if -- if we do the -- a lower load
4 growth associated with four (4) times DSM --

5 MS. JOANNE FLYNN: Yeah.

6 MR. JOHN ATHAS: -- that you're now
7 down at one ninety-six (196)?

8 MS. JOANNE FLYNN: Yes.

9 MR. JOHN ATHAS: Okay.

10

11 (MOVED TO SLIDE 48)

12

13 MS. JOANNE FLYNN: Okay. I will be
14 showing one (1) more sort of related piece to this.
15 But just to -- I think we've probably summarized the --
16 these conclusions when you're looking at that
17 comparison to the Keeyask followed by gas, no
18 interconnection, that from an attractiveness
19 perspective in -- in both -- at both levels of DSM, the
20 Preferred -- the economics for the Preferred
21 Development Plan improves.

22 At the same levels, when compared to
23 Plan 4, they're basically indifferent or there's very
24 marginal difference at the one and a half (1 1/2) times
25 level. But at the four (4) times level, Plan 4 will

1 result in a higher net present value, which will
2 decrease that difference between the economics for the
3 Preferred Development Plan and the -- and this -- and
4 Plan 4.

5

6 (MOVED TO SLIDE 49)

7

8 MS. JOANNE FLYNN: In addition to that,
9 we reflected on the low load sen -- sensitivity that is
10 really discussed in detail in Chapter 10. It's based
11 on the 2012 planning assumptions.

12 What we wanted to look at once we saw
13 that the four (4) times DSM, when applied to the -- to
14 Plan 4, resulted in a greater benefit to Plan 4 than to
15 the Preferred Plan. We wanted to have some sense of
16 what might happen to the all gas plan. So we went back
17 to the low load sensitivity in -- in Chapter 10 and
18 brought that information forward.

19 The 10th percentile Manitoba load
20 sensitivity is -- yields a greater number than for --
21 for the -- than the four (4) times DSM. It's a little
22 bit higher than the four (4) times DSM, so it's -- it's
23 a conservative comparison.

24 So this is the -- the reference
25 economics on the left, so these are the numbers from

1 2012. You see the eight eighty-seven (887) and the
2 sixteen ninety-six (1,696). When we look at the low
3 loads in Chapter 10, we -- what we get is a reduction
4 for the -- for -- for both of the plans compared to all
5 gas.

6 And this, I think, might be getting back
7 to sort of Rick's underlying question, Is -- does it
8 shift the -- the whole economics. And I think this
9 gives you an indication that it does.

10 So under the -- something a little bit
11 higher than the four (4) times DSM, and based on the
12 2012 assumptions, we see the net present values decline
13 from eight eighty-seven (887) to seven thirty-six (736)
14 and sixteen ninety-six (1,696) to thirteen ninety
15 (1,390).

16 I'm just seeing what I'm doing here.
17 Okay. So, on that basis, we've -- we've judged that
18 that -- if we use that as sort of a proxy for what the
19 comparison would be to the -- the all gas plan, what we
20 can say is -- is it doesn't change the economic
21 ranking.

22 I don't know exactly what it would look
23 like with the DSM numbers but it doesn't change the
24 economic ranking. You would still have the Preferred
25 Plan as the -- with the -- with the highest net present

1 value.

2 MR. BILL HARPER: Bill Harper.

3 MS. JOANNE FLYNN: Yes.

4 MR. BILL HARPER: Given the conclusion
5 from the previous slide, which was that the four (4)
6 times DSM seemed to benefit the -- the Plan 4 --

7 MS. JOANNE FLYNN: M-hm.

8 MR. BILL HARPER: -- or the Plan 14. I
9 guess I was just curious, did you look at what going
10 down to the 10 percent load -- 10 percent Manitoba load
11 profile would do to the Plan 4? I noticed that was
12 absent and I was just wondering if that's something
13 that -- that you had looked at already or not, and how
14 it changed its relative economics relative to the --
15 relative to the change we're seeing in the Preferred
16 Plan.

17 MS. JOANNE FLYNN: I don't believe we
18 have that in the submission.

19 MR. BILL HARPER: No, I know it isn't
20 in the submission, and I guess I was just curious.
21 That's why -- that's why I was asking whether it was
22 something you had looked at already or not.

23 MS. JOANNE FLYNN: Not explicitly, no.

24 MR. BILL HARPER: Okay. Thanks.

25 MR. RICK HENDRIKS: Just to clarify

1 that --that 5.05 percent. This is the information
2 taken from Section 10 as opposed to --

3 MS. JOANNE FLYNN: From Chapter 10.
4 This is -- because that's the only place we have that
5 comparison back to all gas.

6 MR. RICK HENDRIKS: Okay. I just
7 wanted to clarify that because we -- you've been --

8 MS. JOANNE FLYNN: Yeah, the --

9 MR. RICK HENDRIKS: -- talking the five
10 point four (5.4) context --

11 MS. JOANNE FLYNN: -- they're all the
12 2012 -- only the 2012 assumptions. That's why I was
13 saying, you know, we're making a judgment that it would
14 have the simi -- a similar result when -- if you use
15 the 2013.

16 MR. JOHN ATHAS: John Athas again. I
17 just wanted to -- and I -- I don't know whether this
18 will cause -- outside the scope of today or what, but
19 you haven't presented the -- for discussion, today or
20 yesterday, any of the information on the drought
21 sensitivities in -- that are in Chapter -- Chapter 10,
22 Table 10.8 on page 41.

23 And I didn't know whether we could have
24 a discussion of that at all today, or -- or just -- or
25 -- or what 'cause it's -- I mean, these -- this

1 discussion has been very helpful to clarify your
2 thinking and -- and your process for -- for modelling
3 and other things, so it would be insightful to get that
4 kind of inter -- interaction, if we can do it.

5 THE FACILITATOR: It's Ed here. We're
6 -- we didn't plan on doing the drought sensitivity
7 because we have a lot of material and, if you look at
8 the time, it's 10:30. We're already half an hour
9 running late and Joanne's not finished yet. If we
10 started doing the drought one, and some of the other
11 things that we could do, I think we would then have to
12 scrap some of the other things we're planning to do
13 today. So that was the rationale, and it's -- whether
14 there needs to be a separate session for the experts,
15 or -- on that, that, that's -- that's another -- that's
16 a separate possibility. But I don't know, Joanne,
17 if...

18 MS. JOANNE FLYNN: Yeah, it -- it was
19 really just in the interest of time, but certainly
20 you'll --

21 THE FACILITATOR: Okay. Oh, sorry.
22 Apparently, on the financial presentation there's a
23 little bit on drought, so that might be of assistance.
24 But, sorry. Joanne?

25 MS. JOANNE FLYNN: Yeah, that's not --

1 I don't have anything to add to that.

2 DR. PETER MILLER: Yes, Peter Miller.

3 Okay. Low load has a lower net present value. Does
4 this mean that you are essentially depending on
5 Manitoba ratepayers to make this worthwhile, as opposed
6 to increase dependable sales to the states?

7 MS. JOANNE FLYNN: Well, I mean, all
8 the benefit always comes back to the Manitoba
9 ratepayers, so -- Can you ask that again?

10 DR. PETER MILLER: Low -- low load
11 means that Manitoba ratepayers are paying less in -- in
12 --

13 MS. JOANNE FLYNN: M-hm?

14 DR. PETER MILLER: -- your revenue
15 stream. And the question is, if -- if that frees up
16 dependable power and you were to sell it --

17 MS. JOANNE FLYNN: M-hm?

18 DR. PETER MILLER: -- would -- would
19 that reverse that net present value? In other words,
20 if -- if you created an additional block for sales -- I
21 guess you're holding sales constant here.

22 MS. JOANNE FLYNN: No, no. Sales are
23 not constant. When this -- when the low loads come in,
24 that energy is freed up and goes to market.

25 DR. PETER MILLER: But not at your

1 contract rates?

2 MS. PATTI RAMAGE: Peter, I think we're
3 -- we're going down the path again further. There -- I
4 don't believe there's financial analysis on this, which
5 is what we would require to be able to answer those
6 questions. Am I correct, Joanne?

7 MS. JOANNE FLYNN: It would be helpful
8 to have the financial analysis.

9 MS. PATTI RAMAGE: Yeah. So it -- it's
10 not one (1) we can answer here.

11 MR. BORIS FICHOT: Boris Fichot, with
12 Knight Piesold. One (1) of the items that we haven't
13 covered, and I don't see in the -- on the agenda today,
14 might be covered in the financial analysis, is the --
15 the O&M aspects. I realize that they're usually
16 marginal when you're talking NPV, but they are -- there
17 is an O&M cost, especially when we're talking about the
18 thermal options, and the -- and the wind -- wind power
19 options there, so.

20 I just want to make sure that that's
21 somewhere in the material and the -- and the supporting
22 information.

23 MS. JOANNE FLYNN: I'm sorry, I didn't
24 quite hear you. What kind of costs?

25 MR. BORIS FICHOT: O&M, operation and

1 maintenance costs.

2 MS. JOANNE FLYNN: Oh, yeah, O&M shows
3 up in the -- in the financials, but we didn't focus on
4 the O&M. But those costs are all described in Appendix
5 9.3 and itemized for you in the tables.

6 THE FACILITATOR: It's Ed here. Just a
7 clarification, but the O&M costs are embedded in all of
8 these runs. Okay.

9

10 (MOVED TO SLIDE 50)

11

12

13 MS. JOANNE FLYNN: Okay. This -- and
14 just going into the last slide, and I think we've --
15 we've pretty much covered it, but this -- this is --
16 this -- overall, for the 2013 reference economics, the
17 -- the Chapter 12 conclusions, moving from the '12 to
18 the '13 assumptions, the economic ranking of the
19 development plans remains the same. The incremental
20 economics is narrowed in the analysis, primarily due to
21 the change in the discount rate.

22 The 2013 planning assumptions are within
23 the range of the uncertainty analysis that we've --
24 we've went -- gone over in some detail. And the
25 economic ranking of the development plans also remains

1 the same under the higher levels of DSM. And that --
2 sorry, I'm on slide 50. And that -- that is the end of
3 my presentation. If there are any further questions on
4 this?

5 MR. JOHN ATHAS: Just a quick one (1).
6 John Athas, again. A quick one (1) on the last point.
7 The -- when you discussed four (4) and fourteen (14)
8 yesterday, one (1) of the differences that -- that was
9 made fourteen (14) attractive, the Preferred Plan, was
10 the higher expected value even though it had a bigger
11 risk range.

12 With the -- so your conclusion is the
13 same even though the -- the reference case and, thus,
14 maybe even the expected value has -- would have
15 narrowed significantly?

16 MS. JOANNE FLYNN: Yes.

17 THE FACILITATOR: Are there any more
18 questions for Joanne before the... I think what we're
19 going to do is take a break and -- but let's keep it
20 short because we are running behind. So let's have a
21 ten (10) minute break. And then we'll come back and
22 Liz will present on the financials, and I'll -- I'll
23 present the more general business case side. Thanks.

24

25 --- Upon recessing at 10:39 a.m.

1 --- Upon resuming at 10:53 a.m.

2

3 THE FACILITATOR: Okay, if we could get
4 again, please. A couple of things. We're going to
5 have Liz present on the financial part of the business
6 case. And then I'm going to pick up the rest of the
7 business case. And before we do that, there were two
8 (2) things I'd like to do.

9 First of all, Joanne was going to say a
10 few additional words, but she has an important family
11 matter to go to out of the province. And she -- what
12 she wanted to comment on is she was asked in the
13 earlier part about, I think, the worst of the worst, if
14 I can put it that way, when you have the twenty-seven
15 (27) scenarios.

16 In each one (1) of those for each plan,
17 there's got to be a worst case, and was there an
18 analysis of the -- of all the worsts against each
19 other. I can't remember -- who was it, Roger. So it
20 wasn't in her overheads, but what she wanted to
21 reference everybody to is in Chapter 10, the
22 probabilistic analysis, the scatter plot. It's on page
23 15 of 62.

24 And what it is, is for each of the
25 fifteen (15) plans, it's the twenty-seven (27) points

1 plotted. And you can see on it when you go and look on
2 it -- we're not going to put it up or anything -- that
3 obviously for each of the twenty-seven (27), there's
4 the worst one (1) on the bottom. And you can see all
5 those worst of worst immediately. I will say that the
6 very worst of worst is the wind/gas plan. And the
7 second worst of worst is the all gas plan. So that's
8 one (1) thing.

9 And then the other thing, I expect we're
10 going to lose people over the course of the day. So
11 rather than -- is it -- are we okay? Rather than wait
12 until 3:30, I'll just explain one (1) thing.

13 Naturally, over the course of preparing
14 a five thousand (5,000) page submission -- and,
15 frankly, we were scrambling. We were working fifteen
16 (15) hours a day every -- I was going to -- every day,
17 including weekends. And, inevitably, when doing that,
18 there's some little glitches, typos that are pretty
19 minor.

20 Sometimes somebody -- the formatting or
21 something, in getting it ready for the final report,
22 some things get mixed up a little. So what the lawyers
23 are going to do, I'm not pro -- hopefully next week, I
24 think, is issue like an errata kind of sheet, letter
25 that'll go to everybody that'll explain where some

1 things might have been missing or -- or in the wrong
2 place or something like that, various... None of them
3 are major. None of them change any major conclusions
4 or anything. But we thought we -- it would be useful
5 to do that.

6 Marla, Patti, I don't think there's
7 anything more I need to say on that?

8

9 (BRIEF PAUSE)

10

11 THE FACILITATOR: Yeah, we'll be
12 updating the online version, and also sending out a
13 letter of some kind, just giving a quick explanation
14 and referencing that for people. I think that's it.

15 And we've got Liz Carriere. She's the
16 department manager of Financial Planning. And -- and
17 the division manager, Hanri Jacobs, is sitting there,
18 who's -- she's going to jump up and answer questions
19 too. Right, Hanri?

20 So Liz is -- had a lot of experience and
21 is very knowledgeable in doing the financial analysis.
22 We don't have our whole financial team here. We've got
23 people -- other division managers in the financial
24 area. So we won't be able to answer every single
25 question, and I'm thinking particularly the things like

1 the debt and credit ratings and things. We're not
2 really in a position, with the people here today, to
3 answer those kind of questions.

4 Liz...?

5

6 FINANCIAL EVALUATION OF DEVELOPMENT PLANS PRESENTATION:

7 MS. LIZ CARRIERE: Thank you, Ed. Good
8 morning, everyone. As Ed mentioned, I'm the manager of
9 Financial Planning in Finance and Regulatory. My staff
10 and I are responsible for the preparation of the
11 integrated fi -- financial forecast that you can find
12 in Appendix A to this submission, but we're also
13 responsible for the financial evaluation in the
14 associated appendices with Chapter 11.

15

16 (MOVED TO SLIDE 2)

17

18 MS. LIZ CARRIERE: Sequentially, the
19 financ -- I should -- on Slide 2. Sequentially, the
20 financial evaluation follows the economic evaluation.
21 It uses the same set of assumptions and applies
22 accounting policies and practices that are used by
23 Manitoba Hydro to generate a set of projected pro forma
24 financial statements. In doing that, we calculate
25 revenue requirement, finance expense, borrowing

1 requirements. And the focus of our financial
2 evaluation is on the comparative impacts of the future
3 customer rates and our -- the comparative exposure to
4 financial risk of the various development plans.

5 Now, Ed says -- as Ed said, I'm not the
6 expert on the financial risk and creding -- credit
7 ratings and so forth, so I'm not going to discuss any
8 of that in any great detail today. But I will talk a
9 bit about the fut -- the impacts on future customer
10 rates.

11 An important thing to note is that the
12 projected pro forma financial statements, they're not
13 an incremental analysis. They are full cost and
14 revenue representations of what each of the plans and
15 scenarios are going -- are going to look like, given
16 the set of assumptions that are included in those --
17 those scenarios.

18 We begin -- we've begun with the IFF12
19 and updated for the export price forecast as Joanne
20 mentioned in the -- in the economic evaluation and
21 we're using the electric operations only. We haven't -
22 - it's not a consolidated look, we're -- and we're not
23 looking at the gas side of the business; it's the
24 electric only.

25 We start from IFF12, which is a twenty

1 (20) year forecast, and we've extended it out to fifty
2 (50) years. We then add, remove, or replace the
3 development plans' specific assumptions, such as your
4 capital costs, flow-related revenues, thermal cost
5 purchase -- power purchases, water rentals, operating
6 and maintenance costs, to develop these pro forma
7 financial statements.

8 Costs, revenues, assets, or liabilities
9 that are common to all of the development plans and
10 scenarios are carried forward from scenario to scenario
11 and don't change in terms of real costs.

12 Yes...?

13 MR. ROGER CATHCART: Hi. Roger
14 Cathcart. Quick question: The fifty (50) year
15 horizon, is that just for IFF12, or did you -- have you
16 been doing that for IFF09 and onward?

17 MS. LIZ CARRIERE: That is not -- we
18 haven't -- for IFF purposes, we have not done any
19 longer than twenty (20) years. For resource planning
20 purposes we've done thirty-five (35) years but for the
21 purposes of -- of the NFAT analysis we have extended it
22 out to fifty (50) years.

23 MR. ROGER CATHCART: IFF12 comes out
24 sometime during this year. When would that be
25 available? Is there going to be an IFF13?

1 MS. LIZ CARRIERE: IFF13, normally, I
2 think, it would come out in approximately the end of
3 November.

4 MR. ROGER CATHCART: Oh, good. So I
5 won't ask for it as a First Round question.

6 MS. LIZ CARRIERE: Yeah. However,
7 we're -- we're concurrently doing IRs and -- and the
8 IFF process at the same time. So it's not for certain
9 yet, but we might have an abbreviated version of IFF13,
10 followed by the full version once we're kind of through
11 the IRs -- IR process.

12 MR. ROGER CATHCART: Do you have an
13 IFF12-2 or --

14 MS. LIZ CARRIERE: No, we don't.

15 MR. ROGER CATHCART: Okay. So you just
16 updated for 2013 export prices in the IFF12?

17 MS. LIZ CARRIERE: Correct.

18 MR. ROGER CATHCART: And no other
19 adjustments for anything else?

20 MS. LIZ CARRIERE: Well, other than the
21 -- the assumptions specific to, so for example the
22 Keeyask and Conawapa estimates are changing depending
23 on the scenarios.

24 MR. ROGER CATHCART: Okay. No capital
25 expenditure forecast '13 yet?

1 MS. LIZ CARRIERE: No. The -- the
2 capital expenditures that would be done regardless of
3 which plan you undertake is consistent throughout.
4 Now, the only thing I'll say is, in the scenarios where
5 we've --

6 MR. ROGER CATHCART: Thank you.

7 MS. LIZ CARRIERE: -- in the scenarios
8 where we've -- we use -- use an alternate -- alternate
9 economic -- so the interest and escalation rates, the
10 underlying common capital have been recalculated to
11 include those -- the revised -- or those -- the -- the
12 new assumptions in those scenarios in the high and
13 lows, high/low in reference. Okay?

14 I think -- so the pro formas are
15 generated by our financial forecasting model. I'll
16 call it fine/fore for short. That's the -- the common
17 name that we use for it. It's a detailed model that
18 simulates the bus -- business transactions and the
19 accounting principles and practices that we use here at
20 Manitoba Hydro.

21 It is not an Excel-based model. The
22 complex nature of the transactions and the
23 relationships between the variables makes Excel -- it -
24 - it's not the best platform for -- for a model of this
25 sort. And it tend -- doesn't lend itself well for --

1 to the definition of the formulas in individual cells,
2 and increases the inherent risks that are in
3 spreadsheets. The other thing is, is that many of the
4 calculations in the financial model related to cash and
5 -- and finance expense are iterative, and Excel just
6 doesn't have the capacity to perform those
7 calculations.

8 So the model is -- is actually a
9 specialized model using a specialized financial
10 planning software called Interactive Financial Planning
11 System, and it runs on a Unix operating system. It
12 provides a large capacity and high-speed modelling
13 capability, and allows us to perform what-if and goal-
14 seek analysis.

15 And we optimize primarily the -- the
16 rates or the revenue requirement in order to meet a
17 range of financial constraints. And we're able to do
18 that with this model in a relatively short period of
19 time. For example, for each development plan it would
20 take -- it would take -- it takes approximately twenty-
21 seven (27) minutes to run. Well approximately --
22 exactly twenty-seven (27) minutes to run through goal-
23 seeking rate increases on each and every year. It
24 would takes days in -- in an Excel-based model.

25 The unique feature of the financial

1 forecast model is it's based on double-entry
2 accounting. And the benefit of that, it uses the full
3 range of cash and -- and accrual entry journals, and it
4 has a balancing function. So often in incremental
5 analysis where you might miss a relationship of a
6 variable, we tend to be able to follow that all the way
7 through the financial statements, and it actually keeps
8 itself in balance.

9 The model is generally annual for
10 accruals but for cash it's monthly. We use the same
11 model for the preparation of the IFF and we also -- and
12 it's used in -- in this -- in the preparation of the
13 financial analysis for NFAT.

14 It's not integrated with many of -- any
15 of the other operational or planning models. We are
16 fed input data from text-based data files that are
17 either created manually or we use automated procedures
18 to -- to create -- convert data, usually from an Excel-
19 based file.

20 I think moving -- we've talked about the
21 fifty (50) year study period already.

22

23 (MOVED TO SLIDE 3)

24

25 MS. LIZ CARRIERE: Moving onto slide 3.

1 This is showing the development plans, the full suite
2 of plans that are identified in the economic
3 evaluations, and the screening and in -- and the
4 uncertainty evaluations. These are the plans that have
5 been evaluated for financial purposes. The key ones
6 are -- are the Preferred Plan, the Keeyask gas, all
7 gas. And then we also have a range of the -- the --
8 whether it's 250 or 750 megawatts.

9 Similar to the uncertainty analysis that
10 Joanne was talking about, we have also done the
11 uncertainty analysis -- analysis on the financial
12 evaluations. So for every plan, there are twenty-seven
13 (27) separate scenarios run, based on the -- the three
14 (3) risk factors identified.

15 So we have revenues that vary the energy
16 prices, and the gas costs, and so forth, the -- the
17 commodity gas prices. We have the economic ins --
18 indicators, so we varied the -- the interest escalation
19 and US-Canadian exchange rates. And we have varied the
20 capital costs for both -- for Keeyask, Conawapa, as
21 well as the thermal plants.

22

23 (MOVED TO SLIDE 4)

24

25 MS. LIZ CARRIERE: On Slide 4, now Ed

1 was speaking just before I started about correction of
2 errors, and I believe it was discussed at the pre-
3 hearing conference the other day, it -- unfortunately -
4 - rather unfortunately, we've experienced a technical
5 glitch where the cash flow statements that can be found
6 in 11.4 has an incorrect line item on it. The -- it --
7 the -- the top portion above -- between the -- the two
8 (2) blue spaces, you see a red line under, "Investing
9 Activities, Other." That's actually other revenue and
10 doesn't belong -- it's already captured in the cash
11 flow statement and doesn't belong here.

12 When we generated the financial
13 statements it just pointed to the incorrect database
14 line and -- and it should be sinking fund payment,
15 which is the yellow highlighted piece, or line. Now,
16 just to note that you'll see that the totals under the
17 investing activities has not changed. Those totals are
18 correct, it's just the line item that was -- was
19 incorrectly referenced.

20 And there is no other -- there is no
21 corrections that are required to be made to either the
22 operating statements or the balance sheet statements.
23 So this was just a -- a technical glitch in -- in
24 generating. So those will be provided at some -- some
25 time next week.

1 MR. ROGER CATHCART: Roger Cathcart,
2 quickly. So the adds work on this schedule?

3 MS. LIZ CARRIERE: Yeah.

4 MR. ROGER CATHCART: Is there another
5 line item that goes there to make it add up?

6 MS. LIZ CARRIERE: Well, the "Other" --

7 MR. ROGER CATHCART: Yeah.

8 MS. LIZ CARRIERE: -- will be replaced
9 by the sinking fund. So if you --

10 MR. ROGER CATHCART: Okay.

11 MS. LIZ CARRIERE: -- add up the bottom
12 --

13 MR. ROGER CATHCART: Okay. Great.

14 MS. LIZ CARRIERE: -- it works.

15 MR. ROGER CATHCART: Okay, thank you.

16 MS. LIZ CARRIERE: The bottom portion.

17 Okay? So we apologize if -- I know you've all been
18 madly analyzing those cash flow statements. So if this
19 causes you any inconvenience, we are truly sorry. So
20 one (1) of the key things that -- in looking at future
21 customer rates, is the rate setting we -- approach we
22 use to compare rates and analyze rates.

23 I guess one (1) distinction that I
24 should make for everyone here, and it may be very
25 obvious to some of you, but to others it may not be, is

1 that Manitoba Hydro is regulated under a cost of
2 service regime. And what this do -- means is that it
3 makes a -- gives us a little bit more of a challenge in
4 terms of projecting fu -- future customer rates and how
5 to make sure that we're applying the principles of --
6 that Manitoba Hydro uses as -- for rate setting
7 consistently across all the development plans and all
8 of the scenarios, such that you end up with results
9 that are comparable, a solid basis of comparison.

10 In a -- in a rate -- rate-based rate of
11 return jurisdiction it's relatively simple. It's
12 formulaic to -- to derive rates in an -- annually, but
13 we tend to use for -- for cost of service and our rate-
14 setting principles we use sort of general principles of
15 regular reasonable rate increases.

16 And there -- there's no real hard and
17 fast rules other than we have our financial targets to
18 -- to guide us and that we must -- we have to make
19 reasonable annual contributions towards retained
20 earnings such that in order we -- in order that we can
21 maintain a reasonable capital structure sufficient to
22 withstand the adverse financial effects of potential
23 risks faced by the Corporation without incurring un --
24 unduly large or sudden rate increases on our customers.

25 So our -- what we view as a reasonable

1 capital structure is represented or reflected in our
2 financial targets which are a 75/25 debt-equity ratio,
3 one point two (1.2) times interest coverage ratio, and
4 a one point two (1.2) times capital coverage ratio.

5 Now, if you've had a look at the
6 financial statements, it's easy to see that we do
7 expect those financial indicators to deteriorate during
8 construction of these -- these plans.

9

10 (MOVED TO SLIDE 5)

11

12 MS. LIZ CARRIERE: So what we've looked
13 at in terms of an approach to rate setting is to look
14 at it returning to 75/25 by the end of the twenty (20)
15 -- twenty-one (21) -- '31/'32 time period. Now, that's
16 consistent with the approach that we've used in the
17 IFF. It's the end of the twenty (20) year period. So
18 there's not necessarily any significance for that.
19 It's just providing consistency or comparability to
20 what the Board has already seen in terms in -- in
21 previous IFFs.

22 After that point in time we use -- we
23 looked -- we set rates to achieve a one point two (1.2)
24 times interest coverage ratio in each and every year to
25 the end of the fif -- fifty (50) year forecast.

1 Now, that does result in a little -- in
2 some variability in the rates in -- in that short --
3 when we first make that shift but -- and we -- you
4 know, we -- if there's variability in rates, it's not
5 something that we would necessarily implement.
6 Obviously, it's way out in the future, but it's just to
7 -- it's to provide a mechanistic approach and increase
8 that comparability between -- between plans and
9 scenarios.

10 Actual rate increases are going to --
11 are going to vary from the ones we are projecting, and
12 will be dependent on future revenue requirements and
13 water flow conditions and other factors that influence
14 our revenue requirement of that day. And those rate
15 increases will be subject to full corporate review and
16 review by the pu -- Public Utilities Board, you know,
17 in the form of a GRA, a general rate application.

18

19 (MOVED TO SLIDE 6)

20

21 MS. LIZ CARRIERE: So at the risk of
22 confusing everyone further, we're going to look at
23 Figure 11.1, which is a box plot of the cumulative
24 rates. They're nominal cumital -- cumulative rates,
25 and they're shown for five (5) year intervals. It's

1 not each and every year of the fifty (50) year forecast
2 period, it's -- it's five (5) years. and within each
3 year we see eight (8) -- all eight (8) of the
4 development plans.

5 So yesterday -- or yesterday and today
6 Joanne has introduced the -- the box plot in her
7 presentation on the economic uncertainty evaluation.
8 And we've used the same graphical representation to
9 summarize all eight (8) times twenty-seven (27) pro
10 forma statements with the -- the nominal cumulative
11 rates there.

12 So, I guess, just to note that the red
13 bar is the all gas case. The -- the lighter blue or
14 turquoise bar is the Keeyask/gas 250 or Plan 4 in --
15 from -- from Joanne's presentation. And the green bar
16 is the pre -- Preferred Plan, or Plan 14 from Joanne's
17 presentation, as well.

18 The coloured box represents the 25th to
19 75th percentile. Actually, before I go into that I'm
20 going to take a crack at trying to explain how we came
21 up with these number -- how we came up with these.

22 So for each development plan there's
23 twenty-seven (27) scenarios. If you -- if you took pro
24 forma statements from Appendix 11.4 and looked at the
25 cumulative rates from -- from the operating statement

1 in that Appendices, and you picked off '21 -- or
2 '31/'32 and said that you would end up with a
3 cumulative rate, I don't know the exact number, of
4 about -- just over 100 percent -- cumulative rate
5 increase of over 100 percent.

6 Now, if you applied the weightings
7 according to the probability analysis to that number,
8 so under -- if you look for example at the -- the --
9 what we call the Ref/Ref/Ref, so the scenario where you
10 have the reference energy prices, reference economic
11 indicators, and the reference capital costs, you
12 multiply that 100 percent out by the 55 percent
13 probability for energy prices, the 50 percent
14 probability for economic indicators, and the 50 percent
15 probability for capital costs. That weighting that's
16 applied to the -- the rating -- cumulative rate in that
17 year is about 14 -- 14 percent.

18 Now, if you do that for each of the
19 scenarios and then you rank them from lowest to
20 highest, and then add up the probability as you go from
21 lowest to highest, that's how you develop those S-
22 curves.

23 In this case, we have -- we -- we're not
24 looking at an S-curve but we're interpolating and --
25 and plotting only the points at 10 percent, 25 percent,

1 50 percent, 75 percent, and 90 percent. So the box --
2 the coloured boxes represent the -- the cumulative
3 rates between the 25 and 75 percent probability points.
4 The dark hash is the 50 percent probability point. And
5 then the tails are the 10 and the 90 percent
6 probability point.

7 So if you were to go to Appendix 11.4
8 and look at the cumulative rates and picked one (1) of
9 the years here, you would generally be able to find
10 that somewhere -- that cumulative rate somewhere on
11 this -- this plot unless it falls outside the ten (10)
12 and the ninety (90). And there -- I mean, there are a
13 few that do that but we're capturing about 80 percent
14 of the results within this graph. Any questions?

15 MR. RICK HENDRIKS: So all of the --
16 Rick Hendriks here. If I look at -- I just want to
17 make sure I understand this -- 2015 to 2030 you have
18 100 percent increase, more or less, in rates for all of
19 the ones on this particular chart.

20 MS. LIZ CARRIERE: Correct.

21 MR. RICK HENDRIKS: Okay. So just as a
22 point of clarification, has Manitoba Hydro already
23 applied for approval of some of these rate increases?

24 MS. LIZ CARRIERE: Not -- not that far
25 out, no --

1 MR. RICK HENDRIKS: Okay.

2 MS. LIZ CARRIERE: -- because our --
3 our Rate Application tends to come in around January
4 but we're only looking at a -- usually a two (2) year
5 period.

6 MR. RICK HENDRIKS: Okay, so your --
7 your period is two (2) years.

8 MS. LIZ CARRIERE: Yeah.

9 MR. RICK HENDRIKS: Okay.

10 MS. LIZ CARRIERE: And that's what I
11 said. Like, these are -- these rates that we're
12 projecting are indicative, and for comparative and
13 evaluation purposes only. And I -- and I had mentioned
14 that actual rate increases that would be implemented
15 will be dependent on conditions of the day and be
16 applied for through a general rate application, you
17 know, much closer to the time.

18 MR. RICK HENDRIKS: So when was your
19 last GRA approved by the PUB?

20 MS. LIZ CARRIERE: We just finished it.

21 MR. RICK HENDRIKS: Okay.

22 MS. LIZ CARRIERE: I guess we wrapped
23 it up in January or February of this year? New rates
24 were implemented for May, for the electric business.
25 Yeah.

1 MR. ANTOINE HACAULT: Antoine Hacault,
2 for the record. In these calculations, what are
3 considered variable costs with respect to the capital
4 projects, and how does that treat it? I'll try to dumb
5 it down the way I understand it.

6 In the last hearing we had, for example,
7 a lot of overhead costs related to capital that were
8 treated differently now with the new accounting
9 standards. And a lot of the costs that were attributed
10 to capital projects and kind of rolled into the costs,
11 that started to change in the numbers.

12 So how is the accounting of variable
13 costs treated? Is that something you can answer, or
14 give us an idea? Or is it somewhere in the materials
15 that I...

16 MS. LIZ CARRIERE: Well, I'll say that
17 this analysis has the same -- uses the same underlying
18 assumptions about IFRS. So the overhead is treated in
19 the same way. But in terms of variable costs, I think
20 that might be best left to Dave Bowen's presenting
21 later.

22 So when we are given an estimate, we
23 apply overhead rates to the labour portion. And those
24 labour -- those overhead rates are based on the IFRS
25 assumptions. But if you mean variable costs, Dave

1 Bowen would have a better -- like, we're given a base
2 estimate of base cash flows.

3 MR. ANTOINE HACAULT: I have one (1)
4 more question that's related in the financial way. The
5 last hearing we dealt with depreciation.

6 MS. LIZ CARRIERE: M-hm.

7 MR. ANTOINE HACAULT: And the major
8 capital projects, the way I recall the evidence, did
9 not reflect in the IFF the -- kind of a revised
10 depreciation, which would increase the depreciation
11 expense.

12 Do you know whether or not all these
13 calculations change the way depreciation is treated for
14 the major capital projects? Does it update it to the
15 new study, or is it still treated in the old way?

16 MS. LIZ CARRIERE: I can't -- I can't
17 recall if we've changed the depreciation. For
18 financial evaluation purposes, we use a higher level
19 methodology for -- for -- if I -- for estimating
20 depreciation, and we look more at the average service
21 life of the -- of the asset. I believe the -- I don't
22 -- I don't know that we have depreciation rates fully
23 developed for Keeyask and Conawapa yet. And I believe
24 the issue was more with -- with Wuskwatim at the GRA.
25 So I'd have to confirm that, though.

1 MR. ROGER CATHCART: Hi, Roger
2 Cathcart. Just quickly, just interpret the -- the axis
3 is percentage increases in rates?

4 MS. LIZ CARRIERE: It's the cumulative
5 percentage rate increase that you would see -- normally
6 see in the operating statement.

7 MR. ROGER CATHCART: Okay. And I look
8 out on the axis on -- on the bottom, and I go out to
9 2080, or...

10 MS. LIZ CARRIERE: 2060.

11 MR. ROGER CATHCART: 2060.

12 MS. LIZ CARRIERE: Yeah.

13 MR. ROGER CATHCART: When is the
14 crossover where gas becomes more expensive for
15 ratepayers than the other options?

16 MS. LIZ CARRIERE: It depends on the
17 scenario. But, generally, you start to see separation
18 of the Preferred Plan around, like beneficial
19 separation, around 2030. And by 2040 the Preferred
20 Plan is better than all of them -- all of the other
21 eight (8) plans analyzed.

22 MR. ROGER CATHCART: Okay. Thank you.

23 MR. JOHN ATHAS: This is John Athas
24 again. Could you -- do you have any -- from looking at
25 your -- your runs, do you have any key observations as

1 to what's driving that decrease from -- general
2 decrease in the numbers from 2030 to 2035?

3 MS. LIZ CARRIERE: That was -- that's
4 in part due to the -- the methodology we've used for
5 rate-setting. That's where we -- we shift. Going from
6 a -- an even annual rate increase to achieve a debt-
7 equity ratio. And then we switch to setting rates to
8 achieve a one point two (1.2) times interest coverage.
9 So in those years in a -- in a short period of time
10 following that switch you see all plans are showing
11 significant rate increases and then decreases. But
12 overall those are -- are dropping.

13 The other thing that's happening is in
14 plans that have Keeyask and Conawapa, those plants are
15 -- are fully in service by that time. And within a
16 relatively short period of time after in service of
17 those plants, we start to see the benefits of the
18 export revenue pulling down the -- the requirement for
19 rates.

20 MR. JOHN ATHAS: So with that switchover
21 time period --

22 MS. LIZ CARRIERE: M-hm.

23 MR. JOHN ATHAS: -- that you have there,
24 that's -- that's saying that the target 75/25 versus
25 the one point two (1.2) the target produces higher

1 revenues -- revenue requirement?

2 If all these go down when you change the

3 --

4 MS. LIZ CARRIERE: Yeah. Generally,
5 yes.

6 MR. JOHN ATHAS: So if you -- if you
7 change the timing of when that -- when you made that
8 switchover, that may not have looked so abrupt or
9 something in --

10 MS. LIZ CARRIERE: That's right. In
11 practice, we're not -- we don't -- we're not going to
12 set rates in this manner, like I said. And even --
13 even where we use the -- the even annual rate increases
14 to say -- to -- to achieve 75/25 by '21 -- or '31/'32,
15 it's only for evaluation purposes it's not actually
16 something that we would evaluate because we tend to set
17 rates in three (3) year sort of chunks of -- of time
18 frame.

19 So you'd never see this actually being
20 put into practice, it just -- we're -- we're using a
21 mechanistic approach to -- to improve the comparability
22 between plans. So all of the plans see this -- this
23 variation in rates and -- and the drop in -- in rates.
24 So when you're looking at the differences between the
25 plans it makes them more comparable.

1 MR. BILL HARPER: Bill Harper. I was
2 just curious, does the application of the one point two
3 (1.2) post-2030 lead you to a wide variation in debt-
4 equity ratios by the end of the period, or are the
5 debt-equity ratios for the various scenarios roughly
6 around the same amount?

7 MS. LIZ CARRIERE: I think they're
8 roughly around the same amount, because what you see is
9 -- is by the end of the per -- end of the period your
10 net debt and retained earnings are all converging
11 towards roughly the same -- same number.

12 MR. BILL HARPER: Right. So the
13 results wouldn't be that much different if I was trying
14 -- so one point two (1.2), if I was trying to even rate
15 increases for the balance of the period to maintain the
16 same debt-equity ratio? The -- the relativities would
17 come out roughly the same.

18 MS. LIZ CARRIERE: You would end up
19 with -- you wouldn't get convergence of your debt and
20 equity or your -- your net debt and retained earnings
21 because of the -- the different levels of fixed assets,
22 net fixed assets, that we're working with in a gas-
23 based plan versus a hydro-based plan.

24 MR. BILL HARPER: I'll have to think
25 about that. Okay. Thank you.

1 MR. RICK HENDRIKS: Rick Hendriks. Just
2 in terms of those fixed assets, I'm assuming you're
3 referring to the assets that exist in the case of all
4 the plans?

5 MS. LIZ CARRIERE: Yes. When -- and on
6 the balance sheet it reflects all of Hydro's assets.

7 MR. RICK HENDRIKS: Right. So when I -
8 - when we look at this table here or this graph here,
9 this cumulative increase, is that the actual rate or is
10 it -- how do I explain this? If -- if the rate in 2015
11 is five (5) cents, all right, that I -- that I'm paying
12 as a consumer, and then the rate in 2030 doubles so now
13 I'm paying ten (10) cents. Is that how I understand
14 this? Or is this --

15 MS. LIZ CARRIERE: Yes.

16 MR. RICK HENDRIKS: -- the -- the
17 increase only attributable to the assets in the plan?

18 MS. LIZ CARRIERE: No --

19 MR. RICK HENDRIKS: This is --

20 MS. LIZ CARRIERE: -- these are the
21 absolute cumulative rates. They are not the
22 incremental rates.

23 MR. RICK HENDRIKS: Okay. Thanks.

24 MS. LIZ CARRIERE: Okay. So just to go
25 over some of the observations that we made in -- in the

1 financial evaluation, rate -- obviously rate increases
2 are required for all of the -- all of the plans that we
3 have evaluated. It shows that higher rates are
4 required in the -- in the medium term for all plans
5 regardless of whether the -- the plan is gas based or
6 hydro based.

7 The bottom line is that new energy
8 cannot be provided at the same low -- current low rates
9 that we've enjoyed for the last two (2) decades. In
10 the near term, by 2020, the cumulative rates -- rate
11 increases for the various alternatives are relatively
12 similar, and we can see that by the very tight boxes in
13 that year.

14 MR. ROGER CATHCART: Roger Cathcart.
15 Just quickly, did you net present value the rate
16 increases from time frames? I -- I mean, just -- I'm
17 looking at it. I -- I see a large -- large rate in --
18 I see a crossover point some time in the future. But
19 did you --

20 MS. LIZ CARRIERE: Yeah.

21 MR. ROGER CATHCART: -- bring
22 everything back to 2014 to see what the ratepayer would
23 be looking today at?

24 MS. LIZ CARRIERE: Well, not on the
25 rate -- rate increases but on -- on the overall

1 revenue.

2 MR. ROGER CATHCART: Overall additional
3 domestic revenue?

4 MS. LIZ CARRIERE: Yes.

5 MR. ROGER CATHCART: Okay.

6 MS. LIZ CARRIERE: Yeah.

7 MR. ROGER CATHCART: And that -- that's
8 been net present value?

9 MS. LIZ CARRIERE: Well, we can do it.
10 I mean --

11 MR. ROGER CATHCART: Okay.

12 MS. LIZ CARRIERE: -- we have the
13 revenue figures in the operating statement, and they
14 can be discounted, yes.

15 MR. ROGER CATHCART: Okay. Okay, thank
16 you.

17

18 (BRIEF PAUSE)

19

20 MS. LIZ CARRIERE: So by 2030 we can
21 see that cumulative rate increases for the capital
22 intensive plans are generally higher than other
23 alternatives. But by 2035, following the in-service of
24 both Keeyask and Conawapa, cumulative rate increases
25 for the Preferred Plan, the green one, we start to see

1 separation from the other plans.

2 Bu 2040, the cumulative rate increases
3 for the Preferred Plan is lower than all other
4 development plans when you look at all levels of
5 probability, at least the ones graphically presented
6 here at P10, twenty-five (25), fifty (50), seventy-five
7 (75), and ninety (90).

8 But from 2045 to 2060, the development
9 plans with both Keeyask and Cona -- Conawapa, so that
10 would be the pink, green, and looks like kind of grey,
11 silvery colour, have the lowest cumulative rates. And
12 by the end, the Preferred Plan is about 65 to 70
13 percent lower than the all gas plan under the reference
14 scenario.

15 The range of potential cumulative rates
16 expands over time for all the evaluated alternatives.
17 The all gas plan has the widest range or the greatest
18 uncertainty in terms of cumulative rates. And the
19 associated risk is -- is greater for -- for customers,
20 particularly look -- when you look at the -- the 10 and
21 90 percent probability levels.

22

23 (MOVED TO SLIDE 7)

24

25 MS. LIZ CARRIERE: This is another blo

1 -- box plot found in Figure 11.2. And I'm on page 7 of
2 the presentation. This shows the even annual rate
3 increases that are required to achieve the 75/25 debt-
4 equity target by 2132. As we saw in the previous
5 slide, we can see that rate increases are higher than
6 the expected rate of inflation for all of the evaluated
7 alternatives.

8 At the 50 percent probability level
9 across all -- all development plans the even annual
10 rate increases range from 3 1/2 percent to about 4.3
11 percent. And when you consider the -- the 25th and
12 75th pro -- probability points, the even annual rate
13 increases range from about 3.2 to 5.1 percent. During
14 this time frame, for -- up to 21 -- '31/'32 the even
15 annual rate increases for the Preferred Development
16 Plan, or the green bar, are generally higher in keeping
17 with the upfront capital costs.

18

19 (MOVED TO SLIDE 8)

20

21 MS. LIZ CARRIERE: Slide 8 of the
22 presentation is -- reproduces the Figure 11.3 from
23 Chapter 11. And this shows us the equivalent even
24 annual rate increase over the entire fifty (50) year
25 time period.

1 So if we took -- took the cumulative
2 rates and calculate what -- you're averaging -- you're
3 smoothing those rates over the entire fifty (50) year
4 time period, you would need approximately 1 1/2 percent
5 under the develop -- Preferred Development Plan
6 compared to 2.1 percent per year compared to the all
7 gas plan at the 50 percent probability level.

8 The Preferred Plan also is the
9 narrowest, or shows the least amount of uncertainty
10 relative to the other plans.

11

12 (MOVED TO SLIDE 9)

13

14 MS. LIZ CARRIERE: Now, the next slide
15 -- I'm not going to go through in detail. It just
16 summarizes for you some of the key metrics for the
17 reference scenario.

18 I should have pointed out that in
19 Joanne's presentation on the box plots, the hash marks
20 on the box plots are not the reference scenario that
21 the economic evaluation presentations had indicated.
22 These are the 50 percent probability level.

23

24 (MOVED TO SLIDE 8)

25

1 MS. LIZ CARRIERE: So just to provide
2 similar kind of information, these are the reference --
3 reference scenario key metrics.

4

5 (MOVED TO SLIDE 9)

6

7 MS. LIZ CARRIERE: As I mentioned
8 earlier, the -- if we look at Column A which is the
9 cumulative rates by the end of the fifty (50) year
10 period, we can see that the preferred plan and -- or
11 plans with both Keeyask and Conawapa are 65 to 70
12 percent lower.

13 In Column B, that was Figure 11.2,
14 summarizes the reference -- reference case that's --
15 that falls within that Figure 11.2 projected rate --
16 annual rate increases over the period from '14/'15 to
17 2031/'32 are about three point four-two (3.42) to three
18 point nine-eight (3.98). Then if you look at the
19 equivalent ann -- even annual rate increases in Column
20 B they're ranging from 1.44 percent to two point o-
21 seven (2.07).

22 Now, we've provided the net fixed
23 assets, net debt, and retained earnings for all of --
24 all of the plans that were analyzed here, as well, but
25 I'm not going to go over those in detail today.

1 (MOVED TO SLIDE 10)

2

3 MS. LIZ CARRIERE: So here's -- this is
4 a little part about -- we've got a slide, Slide 10, on
5 the drought risk that we did for the financial
6 evaluation. The economic evaluation provides us with
7 the cost of drought in real terms for reductions in
8 revenues, costs to purchase additional power from --
9 from customers outside of Manitoba, as well as
10 reductions in water rentals, and -- and the cost to
11 burn thermal here in Manitoba.

12 Now, we take that and then we apply the
13 impacts related to financing that result from those --
14 those reductions or increases in -- in fuel and power
15 purchases. We didn't do -- as similar to DSM and load
16 and so forth, we didn't analyse all eight (8) plans
17 under the financial evaluation but we tried to select
18 obviously the Preferred Plan, Plan 4, the Keeyask/gas
19 250, as well as the all gas plan.

20 And we looked at basically five (5) time
21 periods of drought commencing, and they're all five (5)
22 year droughts: '14/'15, during the construction of
23 Keeyask; '21/'22, affecting early revenues from Keeyask
24 and during the construction of Conawapa; affecting --
25 '27/'28, affecting the early revenues of Conawapa; and,

1 then, beyond the early revenues from Conawapa.

2 I'll just briefly say that the near term
3 impact on drought -- on net flow related revenue is
4 actually -- approximately the same for all development
5 plans and that's because we don't have any new gen --
6 generation coming online. It's only until you get to
7 after Keeyask and Conawapa are online that you see any
8 market differences in the -- in the net flow related
9 revenue impacts.

10 Although the absolute dollar impact for
11 a five (5) -- five (5) year drought is greater with
12 plans with Keeyask and Conawapa in them, retained
13 earnings at the end of the five (5) year drought are
14 higher under the Preferred Development Plan than
15 compared to the all gas plan. And this is -- is --
16 indicates that plans with Keeyask and Conawapa are more
17 robust in its ability to absorb the financial impacts
18 of adverse -- of drought.

19 The most adverse timing of a five (5)
20 year drought occurs in -- in the -- the two (2) earlier
21 time periods, so 2014/'15 and 2021/'22. You have a
22 greater likelihood that it may result in negative
23 retained earnings balance under the all gas plan. And
24 while it's signif -- retained earnings are
25 significantly reduced under the Preferred Plan, it

1 remains positive in these time frames.

2

3 (MOVED TO SLIDE 11)

4

5 MS. LIZ CARRIERE: So final two (2)

6 slides: just a summary of the observations or

7 conclusions from the financial evaluation, that rate

8 increases are required for all evaluated alternatives

9 in the long term. The development plans with Keeyask

10 and Conawapa are projected to have the lowest

11 cumulative rates.

12 In the medium term the capital inve --

13 intensive plans are projected to have cumulative rate

14 increases that are generally higher than the other

15 alternatives. And the Preferred Plan is projected to

16 have the lowest overall rates to Manitoba customers in

17 the long term.

18

19 (MOVED TO SLIDE 12)

20

21 MS. LIZ CARRIERE: On Slide 12 we have

22 some of the -- a summary of the conclusions on the

23 financial risk in the long-term development plans, that

24 include Keeyask and Conawapa, have the strongest

25 projected balance sheet. Net debt levels converge

1 towards the end of the study period for all development
2 plans. In the medium term, while net debt levels are
3 highest with the development plans that include both
4 Keeyask and Conawapa, they also have the highest fixed
5 assets and highest retained earnings.

6 Development plans with both Keeyask and
7 Conawapa are more robust in their ability to absorb the
8 adverse financial impacts of drought and other -- other
9 risks faced by the Corporation. So that's the end of
10 the financial evaluation presentation. If there's any
11 other questions? Everyone's hungry for lunch?

12

13 (BRIEF PAUSE)

14

15 THE FACILITATOR: Are there any
16 questions for Liz?

17

18 (BRIEF PAUSE)

19

20 THE FACILITATOR: Going once. Going
21 twice.

22 MS. LIZ CARRIERE: Gone.

23 THE FACILITATOR: Liz, will you be here
24 after lunch?

25 MS. LIZ CARRIERE: I'm here over lunch.

1 THE FACILITATOR: Okay. So if you
2 think of any last-minute questions you'd like to ask
3 Liz, your chance is lunch. We are running about an
4 hour or so late. So what we're going to do is, I
5 think, take a lunch break now. In the business case
6 side there were two (2) parts to it. There was: Liz
7 can do the financials, then I was going to wrap it up
8 with the business case, pulling it all together and a
9 few other little odds and sods.

10 There's not enough time to do that
11 before lunch because lunch is getting delivered at
12 11:45? Yeah, so which is just in a couple of minutes.
13 So what we're going to do is -- I -- I know -- I've
14 talked to Josee. There's a couple of meetings over
15 lunch, but we thought we'd squeeze the lunch to half an
16 hour and ask the people having that -- those lunchtime
17 meetings try and fit that in. And then we would pick
18 up, let's say, quarter after 12:00. Start again.

19 And the idea is we are going to finish
20 by 3:30. We know there's people who have got flights
21 out of the city and we'll make sure you get there. So
22 we may have to scrunch a little bit.

23 I was talking to Dave Bowen. I know a
24 number of people have expressed to him they really want
25 to hear his presentation, so we're not going to squeeze

1 the capital cost presentation. The last one on the
2 socioeconomic and environmental, I'm presenting that
3 one as well, so I have some flexibility. I think that
4 one we can scrunch a bit and -- and get inside our
5 timelines.

6 So that's the plan. Does that work for
7 people? Does anybody have a -- some concerns with
8 that? I'm looking at Josee right now. Does that work
9 still?

10 MS. JOSEE LEMOINE: I think so.

11 THE FACILITATOR: Okay.

12

13 (BRIEF PAUSE)

14

15 THE FACILITATOR: Okay. So if we could
16 lunch...

17

18 (BRIEF PAUSE)

19

20 THE FACILITATOR: Sorry?

21 MS. JOSEE LEMOINE: Where are the
22 meetings going to take place? Still, at the other --

23 THE FACILITATOR: The meetings -- are
24 the meetings are to be still in the end?

25 MS. JOSEE LEMOINE: Yes.

1 THE FACILITATOR: Yeah, still in the
2 end. And lunch, again, will be out in that hallway,
3 again. And so let's take a break now and at quarter
4 after 12:00 we will get back together. Thank you.

5

6 --- Upon recessing at 11:48 a.m.

7 --- Upon resuming at 12:30 p.m.

8

9 THE FACILITATOR: Okay, if we could get
10 restarted. Sorry about having you cut lunch a bit
11 short, but we are running behind and -- because I said,
12 we got people flying out, so we will finish at 3:30.
13 The -- Liz presented the first half of the business
14 case part of the sessions, and I'll be doing that
15 second half.

16

17 BUSINESS CASE AND RISK ASSESSMENT PRESENTATION:

18 THE FACILITATOR: And the -- the --
19 when we were -- the -- when we were talking about the
20 business case, it's sort of trying to pull everything
21 together into one (1) place, and so I'll try and do
22 that.

23 Obviously, we don't have time to go into
24 a lot of detail on it, so I'm going stay fairly high
25 level. And then I'll finish off briefly, very briefly,

1 with the last chapter, which is risk management and
2 implementation plan chapter. But, again, that's going
3 to be very brief.

4 Then we're going to have a presentation
5 by Dave on the capital costs, which there's been a lot
6 of interest in, so we're going to make sure we keep
7 time for that. And then, lastly, we got the
8 socioeconomic and environmental, which is going to get
9 squeezed a bit for us to get done in time.

10

11 (MOVED TO SLIDE 2)

12

13 THE FACILITATOR: So just to get
14 started then, based on some discussion yesterday, and I
15 did a mental run through at 4:00 in the morning while
16 in bed, I -- I revamped this presentation this morning.
17 And starting off with the focus being -- taking us
18 right back to the beginning of this whole effort, what
19 is it we're actually looking for here? What is it
20 that's got to be decided?

21 And so the first two (2) overheads are
22 dealing with that. And this -- this is virtually
23 verbatim from various places in the submission:
24 overview, executive summary, Chapter 14. What we need
25 is -- what Manitoba Hydro's seeking from the government

1 is approval for Keeyask GS to start construction
2 June/July 2014. Realistically, I guess we're looking
3 at July. Our construction people would prefer earlier,
4 but to go ahead in conjunction with that 250 megawatt
5 tile -- export sale with Minnesota Power that Dave has
6 talked about a few times, and -- and associated with
7 that, a new tie-line. And the tie-line we're seeking
8 approval for is a 750 megawatt tie-line.

9 And then we've had a lot of talk about
10 WPS. We had a WPS sale agreement that's 100 megawatts
11 that goes over existing transmission that's already a
12 signed deal, and the only thing missing from it is NEB
13 approval. So we would -- wanted to be proceeding with
14 that. And it finishes, I think, in 2028, something
15 like that, Dave? Yeah. And that's already in -- in
16 place, except we just don't have NEB approval yet.

17 And for the US friends who are here,
18 National Energy Board is our federal regulator on
19 exports and tie-lines or inter -- to get into the US.

20 The last one is, as Dave talked about
21 and Joanne talked about, we have the 300 megawatt
22 Wisconsin Public Service sale which effectively absorbs
23 the hundred megawatt sale once it gets started.

24 So if we have this one start, say, in
25 2026, the 300 megawatt sale, it's not three hundred

1 (300) plus one hundred (100); it still stays at three
2 hundred (300). So that is what we're seeking approval
3 for from the government at the end of this process
4 where the -- the NFAT process will give recommendations
5 to government.

6 We are also dealing with Conawapa. Our
7 -- our preference is to get a recommendation that says,
8 from the PUB, and then approval from government later
9 on, Yes, we should proceed with government -- with
10 Conawapa. But at the same time, we are not making any
11 final construction decisions on Conawapa in the next
12 few years.

13 For -- the earliest in-service date
14 we're looking at is 2026. For that, you have to make a
15 commitment in 2000 -- 2018. That's a construction
16 commitment. You have to spend money ahead of time to
17 do the -- the environmental -- finish the environmental
18 studies, regulatory process, do construction and
19 engineering preparation. But no -- no boots on the
20 ground, so to speak, before 2018.

21 And so that decision on Conawapa,
22 whether it's Conawapa, whether we even protect
23 Conawapa, whether -- for other -- we do other things
24 instead, higher DSM levels, say down the road wind
25 turns out to be economic, there's a whole bunch of

1 things that would be considered in that -- what are
2 energy prices four (4) years from now? What did our
3 load growth do? What was the impact of the new
4 pipeline announcements that have come out that are not
5 yet in our load forecast. You've heard about Enbridge
6 and TCPL and all that. Not all of that is in the load
7 forecast. But what else will be happening?

8 So the export negotiations. So we're
9 going to go -- I'll go through very briefly some of
10 those other factors as we go along. That -- that's
11 fundamentally what we're seeking approval for.

12 And I think the next overhead -- and
13 this is in the submission, as well -- is another way of
14 putting it. What are the decisions that are really
15 required that we have to address? It's another way of
16 putting the question forward.

17

18 (MOVED TO SLIDE 3)

19

20 THE FACILITATOR: And the first one is:
21 Do we go with a -- at least in the front end, with a
22 natural gas future, our next generation source, or do
23 we go with a hydro option? If you're going to go with
24 -- assuming you go with the hydro option, should you
25 put in an interconnection? And secondly -- or thirdly,

1 should that interconnection be 250 or 750 megawatts?

2 The -- the fourth one is, assuming
3 you're doing a big interconnection, because a small
4 interconnection would be essentially filled up with the
5 MP sale, if you're doing the big interconnection,
6 should we do the WPS sale?

7 Those are the -- the hard decisions that
8 are needed one (1) year from now or -- or ten (10)
9 months from now. I'm sure, like any other regulatory
10 process that anybody ever goes through, there will be
11 ancillary conclusions and commentary and
12 recommendations from the regulatory body, but -- but
13 these are the core decisions that we really need.

14

15 (MOVED TO SLIDE 4)

16

17 THE FACILITATOR: So you've seen this.
18 Joanne presented this. And I bring this up as a bit of
19 a reminder 'cause it was yesterday she presented it,
20 and I'm going to try to keep my summary of economics
21 very brief. Joanne spent a good time with you
22 explaining a lot of the stuff. There was a good
23 session this morning.

24 Just coming back to this one 'cause most
25 of the -- virtually of her presentation was focussed on

1 the private economics of just Manitoba Hydro or -- or
2 the projects, without consideration of the provincial
3 government transfers.

4 But the provincial government transfers
5 are a significant pic -- element of the overall picture
6 because the decisions that are going to be made
7 regarding the future electricity plan will not just
8 consider the -- the impacts on Manitoba Hydro, per se,
9 but also things like the -- the cash transfers to the
10 province. So -- 'cause the decisions will be
11 considering the overall -- what's best for Manitobans
12 overall. And if you go back to the terms of reference,
13 it -- it indicates that.

14 And she's explained this to you, so I'm
15 not going to go through it again. I will, though, make
16 one (1) or two (2) points. If you look at the
17 Preferred Plan compared to the all gas plan, just like
18 Joanne said, yes, it's \$1.7 billion more attractive
19 than the all gas plan. But if you look at the total
20 picture from a provincial point of view, including the
21 transfers to the province, you -- you're at around 4
22 billion and just a few hundred million, almost 4
23 billion more when you look at the total transfers to
24 the province and the private -- the -- sort of that
25 Manitoba Hydro and its partners' analysis.

1 So the -- the numbers become much larger
2 when you look at the bigger picture. That's not to say
3 we shouldn't look at the -- the private analysis or --
4 or corporate analysis and ignore it. No, no. It's
5 still the primary one. But we also have to look at
6 that broader picture. And in the business case, we're
7 trying to bring all those things together.

8 The -- the second piece coming out of
9 this is one of the -- the big difficulties, or -- as
10 I'm going to be talking about, one of the less clearer
11 -- yes? Can I just finish this one comment and then
12 that will finish this overhead.

13 One of the less clear conclusions out of
14 the economics is what we call the difference between
15 Pathway 3 and Pathway 4, the 250 line versus the 750
16 line if you have no WPS. And I'll be talking more
17 about that.

18 If you look at this here, if you compare
19 one of the 750 lines versus the two fifty (250) -- and
20 really when you talk about the 250 line people are
21 tending to think of the gas one here; and when you talk
22 about a 750 line it may be the one with Conawapa here -
23 - over here -- you're talking about roughly a half
24 (1/2) billion dollars difference between them when you
25 look at the cash transfers to the province included.

1 So again, it's -- those cash transfers
2 can make a difference when you're trying to conclude
3 between them.

4 MR. JOHN ATHAS: Thank you. This is
5 John Athas again. The one (1) thing that -- that
6 strikes me when I was looking at this, especially when
7 I start trying to figure out the right kind of
8 consideration for the provincial government transfers,
9 is the -- there's a -- almost a premise over this
10 entire period that you'll -- you'll never build
11 Conawapa if you -- in the cases where it's not in,
12 like, the descriptors. And so -- so -- and -- and I
13 don't think that's in the -- in the decisions that you
14 just laid out, you know, that there -- there's an
15 implication of that in these other plans to never make
16 use of that water and never have these kinds of
17 provincial government transfers.

18 So in -- and maybe -- you don't have to
19 answer it necessarily now because if -- a lot of other
20 slides to help us understand how you look at the
21 business case. But I'd like to -- to try to understand
22 how you think about that.

23 THE FACILITATOR: You're absolutely
24 right. First of all the -- the way these are
25 structured, Keeyask gas -- we don't have Conawapa down

1 the road. It assumes Conawapa never happens.

2 Realistically, none of these plans are going to work
3 out exactly as we said in here. You're going to have
4 all kinds of other things doing -- I -- I imagine we
5 are going to be doing wind down the road. I imagine
6 that we're going to be doing more DSM.

7 When? How much? Nobody knows. Are we
8 going to do some biomass at some point? Are we going
9 to find some -- there's not much co-generation
10 potential in Manitoba. But are there some other things
11 that we're going to be doing, finding that -- that
12 aren't in the plans? Absolutely.

13 So what we tried to do is come up with a
14 number of plans that are representative of what -- what
15 possibly will happen and try and cover the range. And,
16 yes, ultimately we expect that somewhere down the road
17 Conawapa will probably happen. But what -- we've gone
18 through previous processes and made those kind of
19 assumptions. We're told, Well, you're biasing the
20 answer by making that assumption because now you only
21 have to bring it forward a certain number of years.
22 Like, you have to prove that Conawapa would have been
23 built eventually anyways. So we've tried to keep this
24 pure by not making those kind of assumptions and making
25 what we're doing explicit.

1 So ideally, we would have done these
2 fifteen (15) plans and another fifteen (15) or thirty
3 (30) plans with Conawapa at various times. It's just
4 not physically possible to do all of those,
5 particularly when you're doing all the scenarios. So
6 we do have to think about your point that pro -- that
7 probably -- it's a judgment call, probably at some
8 point Conawapa will be built, but we don't know when.
9 But that's a judgment call; not everybody would agree
10 with that.

11 And that's a very important judgment
12 call, because later on we'll be -- that's one (1) of
13 the factors when judging between the 750 line and the
14 250 line. Do you think Conawapa is going to be built
15 in the foreseeable future? And in the end -- right now
16 you can't prove it. It's -- ultimately there will be a
17 judgment.

18 And -- and we had a dis -- question this
19 morning is: Will judgment play a part in the ultimate
20 decision-making? Of course. How can it not?

21 MR. JOHN TODD: John Todd. Ed, I think
22 this is a bit of a follow-up on yesterday and I sort of
23 thought that there was going to be a continuation on a
24 bit of our discussion yesterday.

25 In looking at this, as I understood it,

1 there was no analysis being done of impacts on
2 government of the level of debt here. And if we're
3 looking at these benefits to the province -- financial
4 benefits to the province, I don't know whether it's
5 fair, but in the sense the province is making -- by
6 doing a debt guarantee, it's making an investment in
7 the project and has an -- almost an RLI on its
8 investment.

9 But certainly, potentially there are
10 impacts that should play out in the judgment of the
11 province as to say what else might be getting squeezed
12 out? Are there consequences for the debt rate which is
13 going to cost us something? All these types of things,
14 that's not part of this analysis.

15 So I guess my question is: How --
16 within this process, how do we evaluate these
17 provincial benefits in isolation of the total
18 provincial consequences?

19 THE FACILITATOR: Well, that's a good
20 question. We've had so many good questions these few
21 days. I -- I can give you -- I can't answer that fully
22 because the experts who we have who deal with the
23 provincial debt guarantee and the rating agencies and
24 all that isn't part of our meetings right now and --
25 and -- but will certainly be one (1) of the experts

1 who's part of our NFAT process, and that will be part
2 of the process.

3 But I -- but I'll answer other stuff.

4 MR. JOHN TODD: Yeah. No. Okay, so
5 the important thing is, okay, so it is being addressed
6 in that context, from your perspective, in this
7 proceeding?

8 THE FACILITATOR: Yes. I mean, we
9 don't have a rigorous analysis included in the
10 submission in Chapter 11 or something.

11 MR. JOHN TODD: Yeah.

12 THE FACILITATOR: But it is certainly
13 part of the consideration that we have been given -- we
14 have been giving and we'll be in a position to speak
15 to, either in interrogatories or whatever, to the
16 degree it is appropriate.

17 MR. JOHN TODD: Okay, that's the
18 important --

19 THE FACILITATOR: Yeah.

20 MR. JOHN TODD: -- piece of information
21 for today. Thank you.

22 THE FACILITATOR: Yeah, okay. But just
23 carrying on to address part of your question, we've got
24 two (2) components here. We have to water rental and
25 capital tax, and that's totally separate from the debt

1 guarantee fee. And that's a pure tax.

2 And the third component is the
3 provincial guarantee fee, which is a hundred basis
4 points. And you're right, there's been testimony in
5 previous GRAs. And I won't try and comment on those
6 because I'm not in -- in a position to, and I don't
7 think anybody else here is.

8 So it is providing the government
9 significant amounts of money to cover -- to -- to
10 provide us the guarantee so we get that interest rate.
11 Our assumption, as I said yesterday, is that the --
12 whether we go with a plan with 20 billion or whatever
13 the numbers are, the larger amount of debt, or the --
14 the not so large amounts of debt, that the interest
15 rates the province pays and what we pay will not be
16 affected.

17 But that -- there -- is there a risk
18 that's wrong? It's certainly a risk, and -- and we
19 will have to be able to talk to it. I think that's it
20 for this one. Any other questions?

21 MR. DAVID CORMIE: I -- I don't know if
22 everybody's aware that -- that the 250 megawatt line
23 only has a capacity of 250 megawatts. It's a 230 kV
24 line that can't be upgraded.

25 What the 750 megawatt line is the

1 minimum capability of a 500 kV line, and it has the
2 optionality to go to 1,100 at some time in the future,
3 so it's -- it's the minimum investment necessary to get
4 the -- get the infrastructure put in for the 500 kV
5 line, which is the conductor and the right-of-way and
6 the -- the towers.

7 And then, down the road, if -- if it --
8 it becomes attractive, we have the option of increasing
9 it by another three hundred (300). So the -- the
10 comparison between the two fifty (250) and the seven
11 fifty (750) is not as simple as just three (3) times.
12 There's actually much more capability there that could
13 be had into the future.

14 MR. CRAIG SABINE: Craig Sabine here.
15 Just to add to that, was that potential or extra
16 potential quantified in the analysis in any way?

17 THE FACILITATOR: That answer's no, but
18 I'll be talking about that later.

19 MR. CRAIG SABINE: Okay, thanks.

20 MR. RICK HENDRIKS: Just -- Rick
21 Hendriks here. Just to follow up on the other
22 question, now some of these plans -- I realize you
23 didn't an -- analyze every possible scenario. Some of
24 these plans don't have -- have Keeyask proceeding, and
25 presumably the same argument that you made about

1 Conawapa would apply to Keeyask. In that --

2 THE FACILITATOR: Absolutely.

3 MR. RICK HENDRIKS: In that instance, I
4 -- I noticed that -- that Plan 7 and 8 have Conawapa
5 coming first then, before Keeyask. And even though
6 Keeyask is not there, it's implied that it might be
7 there at some point down the road. Why was -- if
8 Keeyask is first -- or if Keeyask is before gas it
9 seems to be first, and if Keeyask is after -- hydro is
10 after gas then Keeyask is second.

11 Can you just clarify again why that's
12 the case?

13 THE FACILITATOR: Well, you can bin
14 this in different ways. How we did -- and I'm going to
15 talk about pathways right away so we -- we're -- we're
16 actually getting into the definition of pathways a bit,
17 but what we are looking at -- just -- just look at
18 these top five (5) here.

19 These top five (5) -- and this is sort
20 of how Joanne presented it, as well. These are the --
21 the plans -- plans without any interconnection. So
22 we're saying, assuming no new interconnection, what
23 makes most sense. Do you start with Keeyask? Do you
24 start with simple-cycle gas? Do you start with
25 combined-cycle gas? Do you start with -- with only

1 gas? And so we tried to use those as being
2 representative.

3 With Conawapa, you can't -- in -- in
4 this load forecast we needed something in 2022, and the
5 earliest we could get Conawapa in without having
6 Keeyask in front of it is 2026. So we had a four (4)
7 year gap. So we filled the gap with gas turbines.
8 That seemed to be the -- the most logical thing to do.

9 So really what you've got is something
10 where you have a gas sequence, something where you have
11 a -- Conawapa sequences, and something with Keeyask
12 sequences.

13 MR. RICK HENDRIKS: Correct, but
14 there's -- there's no gas Keeyask.

15 THE FACILITATOR: There's no gas
16 Keeyask, and that was because from work we'd generally
17 done, advancing Keeyask was economic to do, and but we
18 could have done a keeya -- a gas Keeyask sequence and
19 it would mean another plan to evaluate.

20 And actually when you -- we get to the
21 pathways discussion and the decision tree you will see
22 we do actually say that. You could have gone gas and
23 then followed by Keeyask eventually. There's many
24 different plans we could have looked at as well, and we
25 didn't. You're right, that -- that one is not there.

1 Any others before we leave this one?

2

3 (MOVED TO SLIDE 5)

4

5 THE FACILITATOR: So just to summarize,
6 and you -- we just talked about the -- the 1.7 billion
7 Preferred Plan compared to all gas. It's nearly 4
8 billion when you consider the transfers compared to all
9 gas. I'm putting this one up because you -- you -- it
10 isn't -- I don't think to the players at this table, or
11 these tables, this next paragraph is that pertinent but
12 I wanted to explain why we have it in the overview and
13 in Chapter 14.

14 And that is, the general public, the
15 educated smart general public, anybody in the general
16 public, just about nobody understands NPV. So we are
17 trying to come up -- what is the way to make
18 understandable to Jane and John Public what these NPVs
19 meant.

20 So all we did was we took that NPV
21 number, and we took the big NPV number. You won't be
22 surprised we picked the biggest one we could find. And
23 -- and we spread it out after the first year of Keeyask
24 for sixty (60) years to give some sense to the -- to a
25 general public person what -- what this translates

1 into.

2 So I just wanted to give that quick
3 explanation as to what -- why is that in there. And
4 it's not -- it -- and I don't think that that
5 particular set of numbers is going to be really part of
6 the detailed technical analysis. But -- but I thought
7 it was important to context that.

8

9 (MOVED TO SLIDE 6)

10

11 THE FACILITATOR: We come to the
12 pathways. And exactly the point that was made a couple
13 of minutes ago. We've got five (5) pathways, and
14 actually Liz referred to it a little bit already today.

15 We have a gas pathway, 1. We have a
16 Keeyask pathway, 2. We have a Keeyask with 250 tie-
17 line, 3. We have Keeyask with a 750 tie-line, no WPS,
18 as a 4. And we have Keeyask with a 750 tie-line with
19 300 megawatt WPS as well. So a lot of that will sound
20 familiar to you.

21 And what we did is we took -- all those
22 plans we did, the fifteen (15) plans that we've talked
23 about already -- when you analyze the plan you have to
24 fix in-service dates, you have to fix choices. It's
25 the only way you can evaluate it. The reality is,

1 That's not how the future is going to unfold.

2 Those plans -- not one (1) of those
3 plans is the right plan. No -- no one knows exactly
4 what's going to happen, so each pathway tries to
5 philosophically try and capture the -- the fact that
6 there's flexibility and things will change in the
7 future.

8 So this was your question, well, why
9 don't you have a gas Keeyask. We have an evaluated
10 plan of a gas Keeyask, but when we -- when we consider
11 the future we have to consider the possibility on the
12 gas one that actually after gas you could go with
13 Conawapa, or you could just continue with gas, or you
14 could go to Keeyask or to Conawapa or wind or DSM or
15 other. That possibility is there. You're not
16 committed to gas forever.

17 Now, we haven't got a plan that
18 evaluates each one of those possibilities, but at
19 least, judgmentally, qualitatively, we have to think
20 about that. Similarly for all the other ones. If we
21 start with Keeyask and -- and we follow with gas, you
22 could foll -- you could have Keeyask followed with
23 Conawapa, wind, DSM, whatever, it's just the same
24 pattern.

25 And I just want to emphasize that we

1 talk about subsequent generation in all cases, I -- we
2 just use examples of wind, DSM, other. It's just a
3 general collective. We're not going to try and
4 describe all the possibilities. And I'll -- I'll stop
5 mentioning the fact that there are all these various
6 possibilities.

7 Keeyask 250, the most economic plan as
8 you've seen is based on the sort of expected value is
9 Keeyask followed by gas. But you could, depending what
10 happens, still find it economic to go with Conawapa or
11 go with -- with something else. And -- and we just go
12 along here.

13 And, similarly, our Preferred Plan is
14 the Keeyask 750 with the WPS sale. And the plan would
15 be right now that -- that we would be protecting the
16 Conawapa 2026. But, as I said earlier, there's no
17 decision that's already made on that, it would have to
18 be made right away. We -- the plan is we would protect
19 that, let's say from 2014 June to -- or July/July 2014
20 to July '15, it would cost a commitment -- a cashflow
21 for around \$40 million plus a \$10 million kind of
22 commitment to protect Conawapa for one (1) more year.
23 And at the end of that year we could drop Conawapa.
24 And what we would have done is invested another \$50
25 million. And that's the protection costs.

1 So each year in this plan, Preferred
2 Plan, we'd protect a Conwapa in-service date but assess
3 it on an ongoing basis just like you do an annual power
4 source plan, and assess is it worthwhile continuing to
5 protect Conawapa. Does it make more sense to push it
6 back? you know, look at all the various variables. So
7 that -- and that is part of our Pathway 5, Preferred
8 Plan. I'll come back to this more later on when we go
9 to the decision tree.

10

11 (MOVED TO SLIDE 7)

12

13 THE FACILITATOR: Just a very, very
14 high level summary of the economics from Joanne. With
15 no new interconnections our judgment -- our -- our
16 conclusion is from the economics, not looking at any of
17 the other factors, that hydro next plans are better
18 than all gas plans.

19 Secondly, that -- that if you're looking
20 at Hydro, Keeyask first makes more sense than Conawapa
21 first. And that if you're looking at no
22 interconnection, which is Pathways 1 and 2, the
23 pathways that have interconnections are clearly more
24 economic than those that don't have interconnections.

25 The difficulty is when you go look at

1 Pathways 3 and 4. Again, 3 is the one with the 250
2 tie-line; 4 is the one with the 750 tie-line; and 4
3 does not have WPS, either the sale or investment or
4 anything. And in our case we're assuming there's no
5 other new major sales in these plans.

6 In that case now, you don't have a clear
7 answer from the economics. if you think that Conawapa
8 is going to be built within the next two (2) decades,
9 and we come back to the question that was asked
10 earlier, then the analyses say Pathway 4, the 750
11 interconnection makes more sense.

12 On the other hand, if you think that
13 Conawapa is not going to be built for several decades,
14 and there's no -- we don't have a sharp crossover
15 point. But if you're convinced Conawapa is way back
16 for whatever reason, then you should build the two-
17 fifty (250) -- the numbers say you should build a 250
18 interconnection, not a seven-fifty (750).

19 If you take a look at what is the most
20 economic plan in each pathway, the two-fifty (250)
21 makes more sense than the seven-fifty (750). And what
22 I mean by that is the 250 line with gas is more
23 economic than the si -- 750 line with Conawapa based on
24 what we have in terms -- in -- in -- restricted our
25 analysis to. So based on that, you don't have a clear

1 answer, what should you do between a 250 and 3 -- and a
2 750 line if you do not have the WPS sale.

3

4 (MOVED TO SLIDE 8)

5

6 THE FACILITATOR: Pathway 5 with the
7 WPS sale and with the transmission investment, our
8 conclusion, it -- it is -- it is more economic. There
9 are some cases where the Preferred Plan compared to,
10 say, a 250 interconnection is not more economic.
11 That's particularly when you have low energy prices,
12 low export prices, low gas prices.

13 And if by 2018 we probably have a sense
14 of that, you know, what's happening with shale gas and
15 all of that, then mitigative measures, you can replace
16 Conawapa with gas generation and still meet your
17 commitments and move forward.

18

19 (MOVED TO SLIDE 9)

20

21 THE FACILITATOR: So just to summar --
22 oh, sorry.

23 DR. PETER MILLER: On the preceding
24 one, the -- Peter Miller -- the WPS transmission
25 agreement, what's in that agreement? They're paying

1 for it or -- or Hydro's paying for the transmission or
2 what?

3 THE FACILITATOR: In the WPS, for the
4 750, you're talking about?

5 DR. PETER MILLER: Yes.

6 THE FACILITATOR: Yes. In that one --
7 well, Dave, why don't -- you're -- you're closer to
8 that one. Why don't you... But -- but while Dave's
9 getting that, in this one -- I -- I was going to get
10 into that right away. But in this one, this is the one
11 where the transmission investment has fallen out. But
12 why doesn't Dave talk about where we're at on that.

13 DR. PETER MILLER: So -- so that one is
14 off the table now?

15 THE FACILITATOR: Well, partially. I -
16 - I was going to talk about that.

17 MR. DAVID CORMIE: The -- the analysis
18 has focussed on the WPS sale, but there are other
19 investor-owned utilities who would be interested in
20 investing in transmission. So although the WPS may --
21 has backed out, that doesn't preclude other investor-
22 owner utilities investing.

23 And -- and so the WPS transmission
24 agreement or investment is a proxy for someone else
25 coming along and picking up that -- that transmission

1 cost. So our objective is not to hold transmission
2 assets in the US. Our objective is just to get the 500
3 line built and offload those assets as soon as possible
4 in conjunction with a long-term PPA.

5 So there's lots of capacity available
6 from Keeyask and Conawapa that will ultimately -- that
7 we're ultimately assuming that we'll sell. We expect
8 that there will be investor-owned utilities who will
9 want to pick up a transmission investment at that same
10 time.

11 Our analysis assumed that that's not
12 going to happen except under the assumption that there
13 was a WPS sale and investment, but it -- but it is --
14 it is a possibility. So you have to think of the WPS
15 transmission agreement as a -- as a scenario in the
16 future where -- where somebody else is picking up a
17 portion of those transmission costs.

18 THE FACILITATOR: And very
19 specifically, what the analysis assumes in -- in the
20 submission for Pathway 5 is that Manitoba Hydro picks
21 up 40 percent of the US portion of the transmission
22 cost and operating cost, and all of the Canadian. In
23 all these cases, Manitoba Hydro picks up all the
24 Canadian costs. In the two fifty (250) case, it picks
25 up no US cost. For Pathway 5, we're assuming 40

1 percent is picked up by Manitoba Hydro. And in the
2 Pathway 4, it's 60 percent, isn't it? Yeah.

3 MR. DAVID CORMIE: But -- but the goal
4 would be that --

5 THE FACILITATOR: Yeah.

6 MR. DAVID CORMIE: -- a hundred percent
7 of -- of the tran -- US transmission costs would be
8 paid for by US transmission investors after Conawapa
9 comes in because the -- the issue is we don't have PPAs
10 in the bridging period between the in-service date of
11 the line in 2020 and the time in which Conawapa comes
12 in, in 2026.

13 So the original arrangement with WPS was
14 that they would pick up their share of those initial
15 transmission costs. That has now fallen off the way,
16 but it doesn't preclude that somebody else will come
17 along at a later date and -- and make -- and make that
18 investment and earn on it rather than Manitoba Hydro.

19 THE FACILITATOR: Yeah. And there's
20 another question there. And while that's being an --
21 someone gets the mic to him, it's Roger over there, so
22 in our analysis we've taken, I'll call it the
23 'pessimistic' or 'conservative' assumption that we will
24 be carrying that the whole time and we don't get to
25 divest it. But as I'm going to be talking about later

1 and is in Chapter 14, we are planning to divest
2 ourselves.

3 MR. ROGER CATHCART: Roger Cathcart.
4 Just quickly, is there an opt -- is there optionality
5 to engineer it for the seven fifty (750), string it as
6 a 230 line, and then have the option to upgrade it
7 sometime down the road? I mean, there is some more
8 certainty about when Conawapa might come on line.

9 THE FACILITATOR: We've certainly
10 talked about those kinds of things, and we touch on
11 that on -- in Chapter 14. The -- first -- first of
12 all, if you're going to set up -- I used to be a
13 transmission station designer in my youth.

14 What you would have to do and what you
15 just described is -- is put in towers and insulators
16 that are for seven fifty (750) -- for 500 kV. You'd
17 have to design your station to be that and you've got
18 huge capital costs associated with that. You -- and
19 you -- you -- and if you set it up as a two fifty (250)
20 line and then want to switch it to seven fifty (750),
21 you'd have incurred most of your costs anyways.

22 MR. ROGER CATHCART: So there's no real
23 --

24 THE FACILITATOR: Sorry, that was
25 Roger.

1 MR. ROGER CATHCART: So -- it's Roger
2 again. So there's really -- you couldn't scale it and
3 there wouldn't be a step up in costs, or -- or --

4 THE FACILITATOR: Well --

5 MR. ROGER CATHCART: -- would -- would
6 it be -- it's not like you're -- you're -- you'd incur
7 100 percent of the capital costs of a 750 line to do a
8 --

9 THE FACILITATOR: No --

10 MR. ROGER CATHCART: -- 230 line --

11 THE FACILITATOR: -- no, and we don't
12 have the exact numbers, but you'd have to incur most of
13 the capital cost and, then, if you did switch from two
14 fifty (250) to -- two thirty (230) to five hundred
15 (500) later on, two (2) things would happen.

16 One (1) is that you would have more
17 capital cost which would drive up the total capital
18 cost. Secondly, you're going to have to take major
19 outages to that line and it's -- and once you've got a
20 line operating and you're making firm commitments to
21 take it out of service to do the kind of upgrade we're
22 talking about, is very difficult and very costly.

23 MR. ROGER CATHCART: Okay. Well --
24 well, thank you. So -- so the option -- optionality is
25 if you -- if you don't have -- one (1) -- one (1)

1 option on the table, now, is you don't have any
2 operating costs on the US side, if you go with two
3 thirty (230), at all.

4 And if you upgrade it, then you'd incur
5 operating costs, but then you would also incur the
6 opportunity costs of loss sales of taking the line out
7 for a period of time.

8 THE FACILITATOR: And huge capital
9 costs, still.

10 MR. ROGER CATHCART: Okay.

11 THE FACILITATOR: The total capital
12 cost would be higher.

13 MR. ROGER CATHCART: Okay, thank you.

14 THE FACILITATOR: Dave, is there
15 anything you wanted to add to that?

16 MR. DAVID CORMIE: Yeah. I want --
17 what I wanted to point out is that -- that we also get
18 the 750 megawatt import capability, which is a huge
19 hedge against the late in-service date of plant for
20 either Keeyask, Conawapa load growth.

21 And, so the -- the -- during that period
22 of in-service of new generation and the risk of it
23 coming in on time, we -- we -- and -- and being exposed
24 to energy shortages when we need new generation to
25 serve Manitoba load in '22, '23, or '24, having that

1 750 megawatt import hedge has huge value to us in
2 dealing with the odd uncertainty.

3 So stringing it -- building it as a five
4 hundred (500) and operating it at a two thirty (230)
5 you get -- you don't get that import advantage.

6 THE FACILITATOR: Yeah.

7 MR. DAVID CORMIE: And -- and then --
8 and that import advantage if -- if we were to be hit by
9 a drought in that period of time would be -- would be
10 extremely valuable because you would be able to import
11 750 megawatts at off-peak prices rather than having to
12 go into the on-peak.

13 And -- and so there's -- but lots of --
14 lots of strategic advantage to doing it big, early.
15 And then you have the optionality at a future date of
16 upgrading it to eleven hundred (1,100). The 230 line
17 doesn't give you any of that optionality.

18 THE FACILITATOR: And we -- we did look
19 -- Ed Wojczynski. We did look -- I didn't mention
20 slide numbers, did I? I'm sorry. This is slide 9
21 we're on. I totally forgot my instructions to myself.

22 We did look at start -- doing a 230 line
23 and what if you went to a 500 kV line later; and,
24 again, in Chapter 14, I don't remember the section, we
25 addressed that and you have large capital cost

1 increases by doing that.

2 And secondly, you -- you -- by doing the
3 230 line first you -- you pick some of the low hanging
4 fruit. And it makes it a lot harder later on for a
5 second line, a 500 kV line, for it to become economic.
6 So you probably have a mutually exclusive situation
7 here, at least for decades.

8 MR. DAVID CORMIE: And one more thing,
9 Ed. The 500 line gives us access to the Wisconsin
10 market. So the existing transmission gives us access
11 to our five (5) main customers in Minnesota: Xcel,
12 Minnesota Power, Great River Energy, Otter Tail,
13 Dakota. The 500 line and it's upgrade opens up the
14 Wisconsin market and all the Wisconsin utilities.

15 So it -- so from the perspective of
16 getting value for our surpluses, more -- more
17 customers, more competition, higher values for us. And
18 -- and so there's -- there's strategic value in -- in
19 going down that path, of building the big line and --
20 and I'll -- and...

21 We haven't quantified that in the
22 analysis, what that value of -- of the larger market
23 is. But it's clearly, from my perspective, something
24 that, when you've got fifteen (15) people -- or fifteen
25 (15) companies competing for your power, as opposed to

1 five (5), there's lots of opportunity there.

2 THE FACILITATOR: Now, just, we sort of
3 covered a lot of what I was going to say on this
4 overhead, but I think I'll come back to one (1) of the
5 comments, and that is the WPS is not going to invest in
6 the transmission. They are negotiating. We expect
7 we're going to get a 300 megawatt export contract,
8 which will be attractive.

9 Dave's -- and Daryl (phonetic) and
10 others are working on that. But -- so one can say,
11 Well, Pathway 5 then is really off the table. And with
12 a WPS sale, which isn't in Pathway 4, you've really got
13 maybe a Pathway 4 1/2, which is something between the
14 two (2). To some degree, that's true, and we covered
15 that a little bit yesterday.

16 But the other part, as Dave just talked
17 about, is that we do expect that down the road there
18 will be players who have transmission assets in the
19 States who would find it attractive to invest in the
20 transmission line. WPS have chosen not to, in part
21 because they're not a transmission owner and this
22 doesn't fit with their business model; but there are
23 other people that we expect to be negotiating with who
24 are both se -- generation buyers, sellers, and
25 transmission owners, and -- and investing in the

1 transmission line would fit their business model.

2 So we think Pathway 5 isn't exactly
3 right. It'll -- it'll be less US ownership than we're
4 assuming by US players in Pathway 5, but it's still
5 representative of -- of one (1) kind of possibility.

6 There are so many other changes that I'm
7 going to talk about, right away, where not one (1) plan
8 is a perfect fit that continuing with the -- the pro --
9 the representative plans we have makes sense. And
10 we'll have to use judgment to recognize all the -- the
11 variables, and I'll get into that right away.

12

13 (MOVED TO SLIDE 10)

14

15 THE FACILITATOR: Just to finish off.
16 Just starting this one (1), just to pull together that
17 -- the economic evaluation summary, in our view, the --
18 what the economics say, Pathways 3, 4, and 5 are
19 clearly preferred to Pathways 1 and 2. Between 3, 4,
20 and 5, particularly between 3 and 4, you need something
21 more than just the economics to make decisions. You
22 obviously need the financial in the rates. You need to
23 know what's happening with the export negotiations, a
24 whole bunch of other factors; and I'll be addressing
25 those right away.

1 (MOVED TO SLIDE 11)

2

3 THE FACILITATOR: Ju -- I added, in the
4 last couple of days, a couple of overheads here because
5 of the discussion we've had on wind and the plans we've
6 evaluated. And Joanne and I thought it'd be useful
7 just to emphasize this a little bit and...

8 This is -- this overhead is pulling out
9 numbers strictly that are already in this submission,
10 and Joanne presented some of this already, but not all
11 of it.

12 So this is Chapter 9 Reference/
13 Reference/Reference scenario. If you look at the all
14 gas plan -- and we use that as a starting point, as our
15 reference, so that's why it's zero. And then, what we
16 did is, we added wind generation throughout the whole
17 sequence. And that's what we used to meet the
18 dependable energy requirements, but we used simple-
19 cycle combustion turbines to provide the capacity
20 support once capacity was required. And the number is
21 huge, minus nearly \$800 million, by adding the wind to
22 that gas plan.

23 Now, you get into a couple of issues.
24 This is -- former Chief of Fox (phonetic) is waving
25 goodbye to me, so -- we have next door, the next couple

1 of days, the Keeyask environmental assessment. And
2 it's a joint Manitoba Hydro/Keeyask partners panel.
3 And -- so you might have noticed the meeting.

4 So this is showing the parallels. We've
5 got one (1) panel sitting over there getting ready for
6 their hearings and another panel over here getting
7 ready for the hearings, so you're going to see -- not
8 all the players that we might want to have in this room
9 are there because they're busy in that room, so...

10 There -- obviously, if you've got to add
11 simple-cycle gas turbines to provide capacity support
12 for the wind, that's going to hurt the wind plan. Tha
13 -- that hurts the economics. So is that what's driving
14 our answer, that the wind isn't economic? So I've
15 included this one in here where Conawapa, you will
16 recall we have no interconnection Conawapa 2026, and --
17 but you have shortages for four (4) years: 2022 to
18 2025. So we need something.

19 So we -- we have in our plans one (1)
20 where we have gas to cover that and another one (1)
21 where we have wind. And, of course, after the 2025
22 period those resources are still available in the plan
23 and evaluated and operated and all that. And if you
24 compare those two (2) and there -- and you did not need
25 capacity support for the wind because you -- it was

1 only energy we were short in that time period, you
2 still had the wind uneconomic in this case by \$250
3 million.

4 So even if you're looking at, in the
5 2020s, wind versus gas and you don't have to worry
6 about the capacity support issues, we're still
7 concluding that the wind wasn't economic in there.

8 So that hopefully addresses some of the
9 concern people might have, Yeah, well, it's this issue
10 of the capacity, that's what's killing the wind. Well,
11 it isn't -- that's not the whole picture, as I've just
12 shown.

13 Also want to recognize that we've made
14 certain assumptions on wind costs, we're going to be --
15 that's going to be tested, as it should be, in the
16 process. If you go to Appendix 7.1, we have an
17 Emerging Energy Technologies Report. And you'll find we
18 discuss the fact that wind capital costs are going down
19 over time, as -- as it would be for other technologies.
20 And -- and we've als -- we've used data from -- it was
21 EPRI, wasn't it, Terry? It was EPRI we got the -- our
22 wind data from -- wind cost data for North America?

23 MR. TERRY MILES: Some of it.

24 THE FACILITATOR: Yeah, some of it.

25 So -- and other places. So our capital costs that

1 we're using for the wind are based on -- on industry
2 information for North America, but there's a lot of
3 uncertainty that -- are our wind costs overstated?
4 It's possible. And we're quite prepared to, you know,
5 talk about that. But the point here is there -- the
6 differences are so big there's a lot of room needed --
7 a lot of improvement needed to make it -- the wind even
8 break even.

9 Now, one (1) more on this wind issue. A
10 -- a good question that got asked the other day and, I
11 think actually it was Peter, was: Well, hang on a
12 second. You're evaluating wind when there's no
13 interconnection. You keep on talking about how these
14 interconnections, particularly the seven-fifty (750) is
15 so good, gives you all these benefits: you've got more
16 on-peak, you can import, you can optimize, you can do
17 all kinds of good things. So you're biassing against
18 wind by only evaluating in a no interconnection case.

19 So I tried -- so what I tried to put is
20 a heuristic explanation that says if the 750 megawatt
21 interconnection improved the economics of wind quite
22 largely, immensely -- let's just say it did that --
23 compared to what it would be in a no interconnection
24 case, what -- what are the implications of that?

25 Well, as I understand what the thinking

1 was, you could get away from Conawapa with a 750 line
2 by doing wind and gas, and maybe some other things, and
3 have something that's more economic because your 750
4 line makes the wind so much better.

5 Well, if that happened -- we already
6 have a pathway for a gas plan with no Conawapa, which
7 is 1,097 million and out of Chapter 9. What that means
8 is, you could do better than the thousand ninety-seven
9 (1,097) and that would improve the economics of Pathway
10 4, at least this leg of Pathway 4, compared to the all
11 gas plan.

12 So that's part of why we were
13 comfortable with the kind of analysis and sensitivities
14 we were doing. Either the wind is not more economic in
15 that case or, if it is, it would improve the economics
16 of the Preferred Plan. Now what -- this doesn't
17 address, what happens to the two-fifty (250) plan, you
18 know, there's others issues, I -- I would agree.

19 I'll just finish this and I'll come
20 right back to what I said at the beginning. Yes, maybe
21 with more DSM, maybe with wind, maybe with demand
22 response, maybe with all kinds of things -- and you've
23 got a 750 line, maybe Conawapa is not economic down the
24 road, but we don't have to decide that now.

25 We're going to look at DSM over the next

1 year; see about a higher level. We'll be looking more
2 at wind. The world will evolve. Di -- Dave's export
3 negotiations will carry on and we'll make a decision
4 down the road. And we could be going down something
5 that's better than this, or we could be going down
6 this, but that -- that's for down the road.

7 Sorry, there's a question?

8 MR. RICK HENDRIKS: Yeah, Rick
9 Hendriks. Just to be fair though, that's the
10 Ref/Ref/Res -- Ref/Ref/Ref situation, not the --

11 THE FACILITATOR: Yeah.

12 MR. RICK HENDRIKS: -- expected value
13 situation, which is quite different.

14 THE FACILITATOR: Yeah, but -- but even
15 in -- in the expected value the numbers will be
16 different and maybe the quantum won't be as big, but -
17 - but they -- directionally they'd be looking the same.

18 MR. RICK HENDRIKS: Sure, however, the
19 expected value difference between four (4) and fourteen
20 (14), which I believe are the two (2) plans there, is
21 quite small if my memory is correct.

22 THE FACILITATOR: Yeah. Oh, yeah.
23 Yeah. I agree.

24 MR. RICK HENDRIKS: Okay.

25 THE FACILITATOR: I don't dispute that.

1 MR. RICK HENDRIKS: Okay.

2 THE FACILITATOR: Yeah.

3 MR. RICK HENDRIKS: This is just a
4 reference --

5 THE FACILITATOR: Yeah.

6 MR. RICK HENDRIKS: -- a reference --

7 THE FACILITATOR: We -- we could do the
8 same -- let's -- I -- I understand you now. You're
9 saying if this -- if this was expected, and I don't
10 even know what the numbers are offhand, but if there
11 was only \$50 million between these then -- then the
12 question mark wouldn't have to be very big for this to
13 become more economic than that, right? Absolutely. I
14 agree.

15 MR. RICK HENDRIKS: And that --

16 THE FACILITATOR: And that decision
17 will be made later.

18 MR. RICK HENDRIKS: Right. Just one
19 (1) question for you. Rick Hendriks again. When
20 comparing alternatives, was there simply a minimum
21 threshold criteria? So in other words, what I mean by
22 that is, when you have your Preferred Development Plan,
23 okay, you create a certain amount of capacity by
24 building Keeyask, more than enough at first, correct?

25 Right now you're not capacity

1 constrained; you're energy constrained is my
2 understanding. So you don't really need, perhaps, to
3 back up wind at first.

4 THE FACILITATOR: And we don't.

5 MR. RICK HENDRIKS: To -- and so when
6 you analyze these, do you assume that you're going to
7 get the same ben -- are you comparing on a benefits
8 basis, or are you just comparing on based on meeting
9 the minimum requirements?

10 So in other words, when you compare it
11 to the Preferred Development Plan it gives you six
12 hundred (600) and how many megawatts for Keeyask? Six
13 hundred (600) we'll say.

14 THE FACILITATOR: Yeah, seven hundred
15 (700), but anyways, yeah.

16 MR. RICK HENDRIKS: Are you -- are you
17 comparing the development plans as though they all have
18 to create that same amount of capacity at the same
19 time?

20 THE FACILITATOR: No.

21 MR. RICK HENDRIKS: No. It's all about
22 meeting the minimum thresholds.

23 THE FACILITATOR: Yeah. And forgetting
24 the interconnection and the fact that MP wouldn't build
25 the interconnection without having a Keeyask, ignoring

1 that for the moment --

2 MR. RICK HENDRIKS: Fair enough. Yeah.

3 THE FACILITATOR: -- Keeyask, the
4 economic thing to do is build it as one (1) lump sum,
5 not build half of Keeyask. So you always start off
6 with an excess in the first years. Yes, I think that
7 was part of your earlier comment. Yes...? Yes...?

8 By the way, you see, I -- I like
9 wandering around so I hope that doesn't create a
10 problem for anybody, but...

11 MR. JOHN TODD: John Todd. Aside from
12 the gas and wind scenario, like just gas, just wind, no
13 hydro, am I correct that, in essence, we're talking
14 about wind for export?

15 THE FACILITATOR: Not in the wind/gas --

16 MR. JOHN TODD: Except for that --
17 except for that scenario. So if you're building some
18 hydro --

19 THE FACILITATOR: Well, the wind --

20 MR. JOHN TODD: -- any wind we're
21 adding is essentially for export, right?

22 THE FACILITATOR: Well, not in the wind
23 Conawapa one, that was for domestic load.

24 MR. JOHN TODD: The wind is not just
25 adding -- it's not that Conawapa is sufficient --

1 THE FACILITATOR: No, in this -- this -
2 - oh, hang on, the previous one.

3

4 (MOVED TO SLIDE 11)

5

6 THE FACILITATOR: In this one here --

7 MR. JOHN TODD: Yeah.

8 THE FACILITATOR: -- this is win --
9 wind was meeting domestic load for four (4) years.

10 MR. JOHN TODD: Well, after that --
11 after that bridge period, right.

12 THE FACILITATOR: Yeah. And it would
13 be available to meet domestic load later on, too.

14 MR. JOHN TODD: Okay. But -- okay.
15 Beyond there. Okay, so here's my --

16 THE FACILITATOR: It's not just for
17 export, no.

18 MR. JOHN TODD: Okay. Except for those
19 three (3) years --

20 THE FACILITATOR: It's a -- it's a
21 domestic resource.

22 MR. JOHN TODD: For three (3) years?

23 THE FACILITATOR: Four (4) years.

24 MR. JOHN TODD: For four (4) years.

25 THE FACILITATOR: And of -- and also

1 later on in the sequence. But once you --

2 MR. JOHN TODD: When --

3 THE FACILITATOR: -- if -- once you put
4 in Conawapa you don't need anything for twenty (20)
5 years, so --

6 MR. JOHN TODD: Yeah, exactly.

7 THE FACILITATOR: And -- but -- but
8 then -- I'd have to go back and see, Terry, if you
9 remember, Terry, whether in that sequence with Conawapa
10 -- I -- I expect, subject to check -- I know we're not
11 in cross-examination, but subject to check, that wind
12 also deferred generation later on --

13 MR. JOHN TODD: Yeah, my --

14 THE FACILITATOR: -- for domestic. So
15 it's not just export.

16 MR. JOHN TODD: My wife always says,
17 Subject to check, when I'm talking about something I
18 know nothing about, so be careful how you use that.

19 THE FACILITATOR: Well, I -- I do know
20 something about this, I'm just not 100 percent sure, so
21 I'm --

22 MR. JOHN TODD: Right.

23 THE FACILITATOR: -- I'm going 70
24 percent.

25 MR. JOHN TODD: So maybe that means my

1 real question is irrelevant, but when we look at hydro
2 you have no competitive alternative in neighbouring
3 jurisdictions. When you look at wind, wind can be
4 anywhere.

5 So I guess my question is, certainly as
6 an export resource, how does the wind maps in Mel -- in
7 Manitoba compare to other places that should be --
8 could be doing wind for Minnesota and how do losses
9 compare with, in a sense, the competitive locations for
10 wind --

11 THE FACILITATOR: Yeah.

12 MR. JOHN TODD: -- or do you know?

13 THE FACILITATOR: The -- the wind
14 experts aren't here, but I can give a first-cut answer.
15 We can always, in interrogatories, flesh out -- out
16 something in more detail.

17 South of us we have the Saudi Arabia of
18 wind, is the term that it's called, and mostly in the
19 Dakotas but also in -- some good stuff in Minnesota.
20 So it's a very attractive wind resource, certainly as
21 good as what's in Manitoba. Terry, is that -- yeah.
22 And -- and, if anything, I think somewhat better, but
23 that's subject to check.

24 And -- but it's a very good wind
25 resource, but even more importantly the federal US

1 government has a huge -- pardon me, a large production
2 tax credit that is -- there isn't the equivalent in
3 Canada. Thirdly, to some degree, and I don't want to
4 debate how -- you know, how much the degree is, some of
5 that wind development down there is also driven by a
6 portfolio standard kind of requirement.

7 So you've got a combination of things.
8 You -- Minnesota and Wisconsin don't have the renewable
9 option of hydro that we have, so there are put in place
10 portfolio standards for low emissions or for whatever
11 reasons, but -- so there's -- there's a number of
12 issues around that.

13 And as Dave has said, I think, a couple
14 of times, our counterparties down there, they're not
15 interested in buying wind generation from us. They --
16 they want to have a resource that's dispatchable,
17 that's hydro, because they can develop all their own
18 wind themselves. They don't need us for that.

19 MR. TERRY MILES: Terry Miles. Just to
20 add to your comment about the wind and -- and the wind
21 maps. Emerging technologies report in Appendix 7.1
22 gives a high-level wind map of Manitoba. And it
23 extends down into the US and shows where the best, you
24 know, wind resources -- or not the best wind resources,
25 but it shows it based on the wind speed as what's

1 there.

2 And you see Southern Manitoba has
3 typically the -- the better wind resource in Manitoba.
4 That improves as you go south into North Dakota. So
5 we're at the upper end of that. So the wind resource
6 does improve as you head down into North Dakota and
7 South Dakota. That's what the -- the maps show. But
8 feel free to have a look at that -- that section.
9 Okay.

10 DR. PETER MILLER: Peter Miller. Two
11 (2) questions. You always do single-cycle gas turbines
12 for capacity. Is there any way to add to capacity for
13 Keeyask or Conawapa by changing the configuration,
14 adding a turbine that you only run some of the time?

15 THE FACILITATOR: Yeah. I'm sorry, I
16 should let you finish.

17 DR. PETER MILLER: Okay. So --

18 THE FACILITATOR: Well, I -- I was
19 going to add to that, and I should -- I realized I
20 should let you ask your question.

21 DR. PETER MILLER: Okay. So you can
22 add to that. And the other one has to do with: What
23 is this NFAT about? Because you're taking about these
24 different pathways and sort of hand-waving about, what
25 come -- what -- what comes after Keeyask, and so on,

1 and -- and there are all sorts of possibilities.

2 Are we to presume that there would be a
3 thorough examination of -- of alternatives, even ones
4 that you've thrown off the table like wind, as a
5 possibility in there, or -- or more DSM? And would
6 that be a part of the overall approval, or do you see a
7 new NFAT coming in, in ten (10) years?

8 THE FACILITATOR: I -- my lawyers are --

9 MS. PATTI RAMAGE: Yeah. Yeah, that's
10 something that -- that we can't speculate on, Peter, in
11 terms of what's going to happen next. The -- the
12 Province of Manitoba determines when NFATs occur.
13 They're not a requirement. They're something the
14 province wanted for their benefit. So when they decide
15 they'll have them, it's up to them. And we shouldn't
16 be speculating on that, nor should we be speculating on
17 future filings or anything of that nature.

18 THE FACILITATOR: Yeah. The one (1)
19 thing I can say about that one, and Patti would be okay
20 with this, is -- is that we have committed to working
21 on the two (2) levels of DSM and have that be part of
22 this process. Not as early in the process as we and
23 you would have liked, but it will be part of this
24 process and prior to the hearings. That's our -- our
25 plan and our expectation.

1 Pardon me? Yeah, I'm just coming back
2 to answer your first question. I -- I jumped in and I
3 should have held back. We can increase the capacity of
4 Keeyask and Conawapa compared to what we had planned.
5 It's a little bit late in the game for Keeyask but,
6 Glen, you can always do it, right? Our Keeyask project
7 manager is sitting there and he -- he said he'd come
8 here as long as we didn't ask him any questions.

9 The problem is that you could get more
10 capacity out of Keeyask by putting in, let's say,
11 another unit. The problem is that means you have to
12 cycle the forebay more. And one (1) of the things we
13 did on Wuskwatim and are doing on Keeyask is
14 restricting the amount of cycling for environmental
15 reasons.

16 Wuskwatim is virtually ba -- well, is
17 very restri -- more restricted than Keeyask, but -- so
18 you would have to have a wider operating range, which
19 increases the environmental impact. So that's one (1)
20 issue. Something could be done, but then you run into
21 that problem.

22 There are some other problems too of, if
23 you're in a drought year and you got a very peaky plant
24 and now you have to run base load for two (2) weeks
25 because you've got what's called a 'two (2) week cold

1 snap', you could run out of water. That's also another
2 constraint.

3 So when we designed the discharge -- the
4 -- the amount of capacity in Keeyask, we optimized that
5 considering the economics of everything, but also
6 considering the amount of water that comes in and what
7 happens in the forebay. So there's a tradeoff,
8 ironically, environment before -- be -- be -- and
9 versus environment on that one.

10 Conawapa has got lots of capacity. And
11 there's lot of cycling in that, yes, absolutely. And
12 one (1) of the things -- I can't remember if Dave used
13 the term in the last two (2) days, but that's where
14 with Keeyask and with Conawapa we can act as a battery
15 for the wind in the US. And Conawapa gives you more
16 cycling than Keeyask, but even Keeyask wi -- is helpful
17 with that.

18 MR. DAVID CORMIE: Peter, there's
19 twelve (12) units at Kettle. Now, disregarding what
20 actual unit is the last unit at Kettle, the last
21 hundred megawatts at Kettle gets dispatched less than
22 10 percent of the time. So it on -- there's only
23 enough water to run it 10 percent of the time.

24 So that's the kind of -- you know,
25 there's lots of capacity in the system to -- that --

1 lots of time available in the system for that last unit
2 to provide regulation service. So I think that's what
3 you were getting at, that there's lots of capacity in
4 the Lower Nelson already to provide that regulation
5 service, yeah.

6 THE FACILITATOR: How do I advance
7 this? It seemed to have stopped working. We are
8 falling even further behind, I'm afraid. Oh, right,
9 never thought of that. How about the next one. Okay,
10 the next one.

11

12 (MOVED TO SLIDE 13)

13

14 THE FACILITATOR: We're on slide 13.
15 We've already talked about some of these. We said the
16 economics alone you can't make your decision on; you
17 need a whole bunch of factors. One (1) of the factors
18 you need to think about are -- are various things that
19 aren't in the economic analysis that -- that -- which
20 would affect the economic analysis or the financial
21 analysis.

22 Joanne's already presented the fact that
23 we already got some new information from the 2013. And
24 you've seen a little bit of a sensitivity on that,
25 which is all we could squeeze in, in time for the

1 submission.

2 By the time we get into the hearings,
3 we'll probably have some additional information, not --
4 we won't be through a full annual cycle, but I guess
5 we'll have some new ideas about what's happening with
6 gas and load and all of that, but -- so by the time we
7 get into the hearings we'll have 2013 1/2.

8 Some things we already knew about though
9 is -- and that's not in the evaluations are -- are the
10 US capital costs have come down since we started this
11 analysis. It's not in the many hundreds of millions of
12 dollars, but it's in the fifty (50) or so. I -- I
13 don't remember the number, but -- and even that's being
14 refined.

15 Dave already talked a little bit about
16 the third one. We've got a 750 megawatt import/export
17 transmission line in the 750 plans. But we know from
18 all the studies that that could be improved to at least
19 1,100 megawatts, import and export. And that would be
20 no cost to Manitoba Hydro because it's a relatively low
21 cost thing that could be done in the US by the US
22 entities who own that transmission of that area and
23 it'd be beneficial to them. So we would be able to
24 gain 1,100 megawatts capacity both ways with no in --
25 investment down the road. And, actually, I've been

1 told that it probably is higher than that.

2 On the other hand, though, the 250 line
3 is also not optimi -- the plans don't have a fully
4 optimized one. It seems two fifty (250) export, 50
5 megawatt import. Our transmission people are -- have
6 been studying, what if we could bump that import higher
7 than fifty (50) and maybe even increase the export. It
8 would cost money to do that but their judgment is that
9 probably would be cost effective.

10 So you've got two (2) factors here on
11 the two fifty (250) and the seven fifty (750), both of
12 which would improve their economics. And we can't tell
13 which one it would help more, but it would certainly
14 improve the economics of both of them.

15 The third thing -- we've already talked
16 about the WPS export sale, and Dave has talked about it
17 a lot, and we just talked about it today. I don't
18 think I'll go through that again. Also the fact that
19 we -- we -- our plan would be to divest. This is sort
20 of summarizing chapter 14 as well.

21 The second-last one is one that we
22 haven't talked about very much. Dave talked a bit
23 about it yesterday. The first is -- well, we've
24 assumed certain export sales and then we assume we get
25 a market rate for any surplus after that. But if there

1 are some export sale contracts that have attractive
2 rates and -- and fix the rates so you lose some of your
3 downside, that could improve the attractiveness of
4 either -- well, of the seven-fifty (750)
5 interconnection, because the two-fifty (250) is already
6 fully loaded.

7 And there are two (2) that we are -- are
8 very distinct strong possibilities. One (1) is
9 SaskPower. I think Dave men -- Okay, I'll stop there
10 for a sec.

11 MR. JOHN TODD: Maybe where you're
12 going was actually going to answer my question because
13 my question was:

14 What can the intertie be used for other
15 than exporting and importing to Manitoba?

16 THE FACILITATOR: Okay.

17 MR. JOHN TODD: And firstly at -- at
18 the present time --

19 THE FACILITATOR: You mean to the US?

20 MR. JOHN TODD: -- and subject to other
21 --

22 THE FACILITATOR: Yeah.

23 MR. JOHN TODD: For the US intertie,
24 yeah.

25 THE FACILITATOR: Okay. I -- I think -

1 - why don't I finish this and then we'll see if I've
2 answered your question.

3 Let me -- let me start with SaskPower
4 because that's what Dave already talked a bit about.
5 We have already had some negotiations, we have an MOU
6 with SaskPower, they'll be an announcement soon of a 25
7 megawatt sale, I think it is, Dave? And the MOU
8 involves discu -- negotiations of -- of up to a 500
9 megawatt sale, long-term firm, with an additional
10 transmission into Saskatchewan. Saskatchewan has got
11 some booming growth, they are very much looking at
12 needing resources and they're quite serious about
13 negotiating with us.

14 Now, that would not be over the US 750
15 tie, but it would definitely require Conawapa. The one
16 (1) thing is they want -- they don't want a GHG kind of
17 resource. I mean, they -- they can build coal if they
18 want. But the key thing is that it would need Conawapa
19 advanced to whatever year, let's just say '28 or
20 something. The exact year doesn't matter.

21 And if -- Saskatchewan would not take up
22 all of Conawapa if it was advanced. So you would have
23 Conawapa power that is not going to Saskatchewan and is
24 not at that point needed for domestic, that would then
25 want to go out over the US tie-line. So then it would

1 take advantage of the 750 tie-line and also improve the
2 economics of the 750 tie-line. So that's the
3 Saskatchewan one.

4 NSP, we have a -- we have sort of a
5 standing 500-megawatt kind of sale to NSP, but in the
6 2020 time frame we didn't have enough firm power to go
7 to full five hundred (500), so it's a 375 megawatt
8 sale. And we have the put option of going from three
9 seventy-five (375) to five hundred (500) if we have new
10 hydro generation. And the plan is with Keeyask, we
11 would go up to the 500 megawatts, which stops in 2025.

12 And we expect that NSP will want -- will
13 come to us and want to negotiate with us to extend that
14 500-megawatt sale beyond 2025. They do their planning
15 and they have a -- a regulatory process where they look
16 so many years ahead as to the firm requirements for
17 them meeting domestic load. And they haven't got to
18 that 2025 time frame yet. But when they do we fully
19 expect that they're going to be looking to us to extend
20 the five hundred (500) sale. And again, that would
21 need some additional new generation and probably --
22 well, Conawapa, if we -- if we've already got Keeyask
23 used. And we -- we've been conservative in our
24 assumptions by not assuming it's extended, but we think
25 the chances are it will be.

1 There are other entities Dave mentioned.
2 He didn't mention specifically who would be interested,
3 are interested in talking to us about buying long-term
4 from us, but -- but they're not on the table right now.
5 So does that answer your question? Okay.

6 Last one. I think Dave mentioned that.
7 What would -- if we do a 750 megawatt tie-line to the
8 area that tie -- starts to tie us into Wisconsin that
9 gives us a competitive market to Minnesota. It gives
10 us new players to have as counterparties.

11 And what that does is it helps to lift
12 the overall export price we would get on the average
13 and -- and make us in a more competitive situation, and
14 -- and it would actually help to reduce risks as well.
15 That we have not account for in our export price
16 assumptions. We've assumed the same export price
17 structure with -- with and without the 750 tie. And
18 that's hard to put a dollar value on. We're confident
19 directionally, we -- we can't really accurately put a
20 dollar value on it.

21 So I think I've covered tho -- any
22 questions before I move on? Okay.

23

24 (MOVED TO SLIDE 14)

25

1 THE FACILITATOR: Well, I've done it
2 now. So, I -- I have referenced the decision tree.
3 Actually we have a handout on this. I meant to -- we
4 don't? Oh. Oh, that's -- sorry, I got mixed up.
5 You're not -- you can't read that. It's in the
6 submission in Chapter 14. And we -- I won't spend much
7 time in this, particularly given how late it is.

8 But this is where we tried to
9 demonstrate over time in each pathway, there are many
10 different options, and this gives some of the decision
11 times for those. And here -- let's just go with the
12 development plan. We say that -- we start off with
13 Keeyask and the 750 tie, and the -- the sales we've
14 talked about.

15 We would continually decide, Do we need
16 to protect early Conawapa date. We -- then we make a
17 decision on Conawapa. Do we go with Conawapa? Do we
18 go with gas? Do we go with gas and then later on do
19 Conawapa? There's a bunch of possibilities.

20 That's true in each one of these plans.
21 And what I won't talk about here but is -- is in the
22 submission -- I won't talk about much -- is that if
23 something happens in Pathway 5 or 4 and we do not get
24 approval for the 750 tie, we will not have started
25 Conawapa yet. And we would then probably push Conawapa

1 back.

2 And if we didn't get approval for the
3 750 tie we could prob -- depending on why we didn't get
4 approval we could flip to Pathway 3, and then switch to
5 the 230 line, but that would probably delay the in-
6 service date. But that's still probably a possibility.

7 And worse comes to worse, let's say
8 we've committed Keeyask and then none of the tie lines
9 get approved and none of the sales get approved. Well,
10 then you flip from -- into Pathway 2. And Pathway 2
11 was attractive compared to Pathway 1 anyways. So we
12 have that sort of flexibility and risk management
13 between the pathways.

14

15 (MOVED TO SLIDE 15)

16

17 THE FACILITATOR: Sorry, pathway --
18 Slide 15. Again, coming back to Pathway 3 versus 4.
19 We talked about the economics of it, so now I'm going
20 to into comparison of the pathways beyond just
21 economics. We had Liz just present on the rates, and
22 talked a little bit about debt.

23 Again, the challenge is, if you don't
24 have the WPS sale, and now you've got to decide between
25 the 750 and the 250 line, the economics tell you, Well

1 depends this/depends that, which way you want to go.

2 If you're looking in Pathway 3 and 4 and
3 you have the same in-service date for Conawapa, then
4 the rate increases and debt balances are about the
5 same. They don't tell you anything different.

6 If you've got different in-service dates
7 for Conawapa, that's when you get the early rate
8 increases higher, and then the rate decreases later.
9 And that's true for either Pathway 3 or Pathway 4.

10 If you compare financially the
11 Keeyask/Conawapa 750 with Keeyask/gas 250, you get the
12 -- the 750 tie with Conawapa gives you the higher rate
13 increases the medium term, but then post-'35 they're
14 all lower. So they're lower in the long run.

15 The -- the bigger tie gives you higher
16 retained earnings, which gives you that buffer against
17 drought and other things that Liz talked about. And
18 you -- you will have a debt issue in the peak years
19 that is a challenge but we think is manageable. And
20 this was the question Mr. Todd asked about earlier, I
21 think, in effect. And -- and we have considered that
22 that debt level is manageable.

23 And I think, for us, the -- the deciding
24 feature between 3 and 4, if you don't have the WPS
25 sale, is that Pathway 4, the bigger tie-line, has so

1 many advantages that are not captured in the plan
2 evaluations. They have -- they give us much more
3 opportunity to have additional exports and imports down
4 the road later on. It gives us greater energy
5 security. It gives us greater reliability and -- and
6 other related benefits.

7 So for us, in the end, if you don't have
8 the WPS sale and you got to decide between Pathways 3
9 and 4, it's these other things that go beyond the
10 strict economics that probably, in our view, would
11 drive the answer.

12

13 (MOVED TO SLIDE 16)

14

15 THE FACILITATOR: And just finishing
16 off, I think we just finished seeing Pathway 5, if we
17 do have the WPS sale, that it would be the preferred
18 plan.

19

20 (MOVED TO SLIDE 17)

21

22 THE FACILITATOR: And this is just the
23 conclusion overhead on -- on the Chapter 14. If you
24 look at Pathways 4 and 5, overall, the economics are
25 better. It gives you lowest long-term rates to

1 customers, 5 it's more clear than 4. In both cases, it
2 does support our long-term fiscal health. We -- we
3 don't endanger the debt rating in the province; at
4 least we don't think so.

5 You have vast -- much improved for
6 twenty (20) years' reliability and energy security for
7 Manitobans, ability to deal with things like higher
8 load growth, climate change, those kind of events.
9 Provincially, the transfers are much higher. The --
10 the socioeconomic benefits to Manitobans overall,
11 particularly the First Nations and Aboriginal
12 communities in the North, but not just them, all
13 Manitobans are better, higher, whether we're talking
14 about the economy or jobs in Manitoba, those kind of
15 things.

16 We're using a renewable resource rather
17 nonrenewable resource. And we do have a provincial
18 clean energy strategy and sustainable development
19 principles that don't dictate what the answer of our
20 electricity plan should be, but they certainly need to
21 be considered. And that is part of the terms of
22 reference of the NFAT.

23

24 (MOVED TO SLIDE 18)

25

1 THE FACILITATOR: So moving off of
2 that, and recognizing we don't have -- we're running
3 out of time, I'm not -- I'm not going to have time to
4 go through this because we've just -- we're running out
5 of time.

6 Chapter 15 says you -- you've ma --
7 we've made a decision to go with Pathway 4 or 5,
8 assuming that. We -- there all -- there's always risks
9 in anything we do. So what are the risks and how are
10 we managing those, and -- and that's true -- the --
11 we've talked a bit about what about energy prices,
12 carbon policy, other US environmental policies that
13 would affect our exports and imports, how do we build
14 Cona -- Keeyask and Conawapa. We have a very extensive
15 set of strategies for construction, transmission. What
16 about the financial side exchange rates, droughts,
17 things like that, a DSM?

18

19 (MOVED TO SLIDE 23)

20

21 THE FACILITATOR: So we don't --
22 there's something called Species at Risk Act, where we
23 have -- lake sturgeon are in the process of affe -- a
24 listing decision. When will that be available? What
25 will the outcome be? There are numerous risks that we

1 know about, are managing, we think we can manage, and
2 in 15 we deal with that.

3 This happens to be a picture of the
4 Conawapa area. Conawapa would be built right there.
5 Thank you.

6 Any last questions? Good. So, Dave,
7 are you ready? Do we need a break or should we just
8 plunge into it. Five (5) minute break I'm hearing. A
9 five (5) minute break while Dave is setting up. And
10 let's do keep it to five (5) because we -- we're -- we
11 are going to ru -- we are running out of time.

12

13 --- Upon recessing at 1:49 p.m.

14 --- Upon resuming at 2:00 p.m.

15

16 THE FACILITATOR: Okay, so if we could
17 get started again, please. And we've got Dave Bowen.
18 He's a manger in the generation construction area. He
19 actually -- you -- Dave did present at the previous
20 technical conference. And we have, as an informal
21 support, Glenn Schick, the Keeyask project manager
22 here. And Dave is going to try and squeeze in as much
23 as he can the limited time we have. So, Dave, go for
24 it.

25

1 CAPITAL COST ESTIMATES FOR KEEYASK AND CONAWAPA

2 PRESENTATION:

3 MR. DAVE BOWEN: Well, thanks, Ed. Am
4 I on?

5

6 (MOVED TO SLIDE 2)

7

8 MR. DAVE BOWEN: Thanks, Ed. It's my
9 privilege to be able to talk to you about the Keeyask
10 and Conawapa capital cost estimates this afternoon.
11 For the benefit of the many new people here today, I'm
12 going to be covering much of the same information that
13 was covered back in July during the July technical
14 conference. There's also additional results being
15 presented at the presentation that's in addition to the
16 presentation presented back in July.

17 The -- the purpose of today's
18 presentation is to basically cover four (4) -- four (4)
19 points here: explain how we estimated the Keeyask and
20 Conawapa capital costs. I'll explain the basis of --
21 of the estimates, how we incorporate historical job --
22 job data, how we stay in touch with the marketplace,
23 what we've learned from past projects including
24 Wuskwatim. I'll also explain how we handle risk
25 through contingency and management reserves and define

1 what items are not covered in the estimate. And -- and
2 then finally how in-service costs are -- are defined.

3 I'll also look at the development of the
4 IFF and CEF12 capital cost estimates for -- for our
5 budget for Keeyask and Conawapa. I'll touch on the
6 project execution for -- for those two (2) projects and
7 lesson learned. And then, finally, I'll get into the
8 application of -- of how capital costs have been
9 applied for the purpose of the NFAT analysis.

10 In -- in terms of the estimate
11 development process there's -- there's two (2) major
12 steps. The first step is to -- to basically go through
13 the estimate to develop an in-service cost. First we
14 develop the base cost. The base cost includes both the
15 -- the point estimate contingency and management
16 reserve. And these are -- they're risk-free costs that
17 were developed at a specific point in time, or
18 overnight costs. It includes a development of hundreds
19 of line items. Risk dollars are identified from a rig
20 -- rigorous contingency analysis, and -- and also the
21 use of management reserve is used to -- to handle risk
22 and uncertainty.

23 And then, finally, in service costs are
24 -- are simply applying interest rates and escalation
25 rates to the cash flows to develop in-service costs.

1 The next step is to -- to really take a
2 step back and look at -- analyze the key drivers to --
3 to estimate variance or change, look at different
4 levels of confidence in the budget, and to walk through
5 a -- a scenario analysis. The process we follow
6 follows industry best practice defined by AACE and is
7 used by other utilities throughout Canada.

8 So the next -- the next few slides here
9 is going to walk through what we do for the -- the
10 point estimate.

11

12 (BRIEF PAUSE)

13

14 MR. BORIS FICHOT: Hi, this is Boris
15 Fichot, with Knight Piesold. I just wanted to start
16 maybe one (1) -- one (1) element before the point
17 estimate there. There's obviously a certain degree of
18 project definition and who defines what the actual
19 project that you're going to be estimating is and --
20 and where that is -- that fits. And so you get all the
21 planning results, let's say, we -- we want to
22 concentrate these things, but somebody has to define
23 what -- what is the project and -- and who is that, and
24 how's that come about before you can actually estimate
25 it, right?

1 MR. DAVE BOWEN: Sure. Sure. I'm
2 going to answer your question. We'll just go right to
3 the next slide here and I hope that answers your
4 question.

5

6 (MOVED TO SLIDE 5)

7

8 MR. DAVE BOWEN: So the -- the first
9 step in developing the point estimate is really to
10 define the project definition. So what are we
11 building? What's the scope of work? In the case of
12 Keeyask we have a -- a seven (7) unit plant. The
13 design is developed to the point where we know the --
14 the size of the generating station. We could estimate
15 quantities of concrete reinforcing steel.

16 We know the develop -- elevation of the
17 -- the forebay and tailrace so we can define -- design
18 our -- our dikes and dams and -- and develop those
19 quantities. The -- the -- that process there I -- I'm
20 not touching on it explicitly today, but in Appendix
21 7.3 it talks a little bit about our stage development
22 process. We go through a stage 1 to 5 process in which
23 the scope is developed and -- and the project is
24 developed from -- from really an idea -- idea phase.
25 So that -- that process there is defined.

1 Just -- just touching on that just
2 briefly is that the -- there's a stage 1 to 4. At the
3 end of stage 4, we're -- which is really where we're at
4 with Keeyask right now, the start of stage 5, in that
5 the design's been -- been developed to basically put
6 together all the design information for environmental
7 approvals. There's been a project development
8 agreement defined and -- and there's enough detail to
9 establish the -- the capital costs. I hope that
10 answers your question, Boris.

11 So -- so in terms of the point estimate.
12 There -- there's two (2) parts of the point estimate,
13 which include both the direct costs and the indirect
14 costs. The direct costs are items that are directly
15 attributable to the construction of the primary assets.
16 So -- so things at the end of the day that you could
17 touch and feel, like the generating station, the dams
18 and dikes.

19 The key -- key influences or assumptions
20 for the direct costs are -- are listed in these four
21 (4) boxes here. So we -- we walk through what the
22 construction methodology and sequencing -- what we
23 think it will be based on past job experience. We look
24 at the different market factors affecting the
25 marketplace. We also apply historical job data, past

1 job data, so there's labour, material, equipment
2 databases. And then also in those databases there's
3 also databases of production factors, so -- so how much
4 work can we do.

5 So we'll make assumptions on -- say, for
6 example, we're building a dike and we know that we
7 need this type of machinery. We need backhoes,
8 loaders, rock trucks to move material. So we'll make
9 assumptions on -- on how much -- how much materials we
10 can move per hour with a different crew size to do that
11 work.

12 In terms of estimating techniques we
13 use, direct costs are estimated in three (3) different
14 ways, primarily using what we call a 'first principles
15 estimate'. And the next slide we'll -- we'll get into
16 more detail on that. And this is -- the first
17 principle estimate technique is a bottom-up approach,
18 and that's the same technique that's used by -- by
19 contractors in industry to develop costs.

20 Other -- other techniques, we use
21 quotations when we can't do the first principle --
22 first principles and to a lesser extent factor
23 estimates.

24 The first principle estimates used for
25 the general civil contract, the largest contract dollar

1 value for this work, quotations are used for things
2 like the turbine and generator contracts, mechanical
3 supply-type equipment, where there's a limited number
4 of manufacturers in the business that could do this
5 type of work. And then only small dollar items are
6 used on a factor estimate.

7 So I've touched on a little bit about
8 what the first principle technique is used.

9

10 (MOVED TO SLIDE 6)

11

12 MR. DAVE BOWEN: And the next slide
13 here I'll just try to draw a bit of an illustration
14 here. So the first principles technique -- first
15 principle estimate, pardon me, comprises about 50
16 percent of the direct costs in the point estimate.
17 It's made up of -- of three (3) categories: labour,
18 equipment, and materials.

19 So this is a -- this is a picture here
20 of the -- one (1) of the scroll cases at Wuskwatim,
21 during construction. So in the estimate, say, for
22 example, we look at -- we're looking at a concrete. So
23 we'd have a -- we'd have a crew of carpenters, all the
24 different carpenters, rebar placers, et cetera, to --
25 to basically prepare -- prepare the structure for

1 placing concrete. That would be the labour cost.

2 In terms of materials, you could see
3 here we would cost out all the different materials for
4 the -- the final project, all the reinforcing steel,
5 the embedments that
6 will be cast in the concrete. And then we'll look at
7 all the different form work and false work used to --
8 to basically support the work and the concrete as it
9 cures.

10 And finally we look at equipment to
11 support that work. In this case here you could see in
12 the background here there's a -- there's a concrete
13 pump. So there'll be concrete pump, cranes, different
14 things like that that are used to -- that formulate the
15 costs.

16 So those -- those costs there, in terms
17 of concrete, they would be built from a bottom-up
18 approach making those assumptions. And you'd basically
19 land on a -- a unit price per cubic metres of concrete
20 per volume of concrete in this case here.

21

22 (MOVED TO SLIDE 7)

23

24 MR. DAVE BOWEN: The -- the next part
25 of the point estimate is the indirect costs and these

1 are also referred to as owner cost. These are the
2 items that are required to -- to basically build the
3 work, so they're not -- not necessarily things that are
4 left there once we're done but they're required to
5 build the work.

6 And there's -- there's six (6) broad
7 categories listed here that are used to -- to make up
8 the indirect costs. There's a substantial amount of
9 indirect costs to construct any remote project like
10 Keeyask or Conawapa. The -- the largest costs are in
11 the -- the site infrastructure, the camp, the
12 environmental requirements, licensing, and then the
13 site office and labour.

14 Over time these costs have been
15 increasing for our projects, and they comprise about --
16 roughly about a third of the point estimate. In terms
17 of in -- estimating techniques, for -- for indirect
18 costs these costs area largely developed by -- within
19 Manitoba Hydro. Some of the costs are -- are done
20 using first principle estimates while the majority are
21 based on vendor quotations and historical cost.

22

23 (MOVED TO SLIDE 8)

24

25 MR. DAVE BOWEN: So that's -- that's

1 the high-level overview of the point estimate. The
2 next slides here talk about how we address risk through
3 contingency and reserve.

4

5 (MOVED TO SLIDE 9)

6

7 MR. DAVE BOWEN: So the -- the point
8 estimate is produced based on a given set of
9 assumptions. Project risk and uncertainty make it
10 certain -- certain that not all assumptions will be
11 correct. Contingencies in alignment with the estimate
12 that's meant to address this uncertainty and is one (1)
13 step of a larger risk management process.

14 It's dev -- developed with the
15 expectation to be spent. And it's Manitoba Hydro, our
16 corporate policy, to use the -- the P50 estimate in the
17 contingency development. And -- and when I say, "risk-
18 free," I'll -- I'll use an example that I used back in
19 -- in July. So when we developed a direct cost for say
20 something like the -- the -- the dams and dikes, where
21 we need a clay material, an impervious material, we'll
22 -- we'll go out and we -- we have gone out and drilled
23 a series of test holes within where -- where that clay
24 material is. And we know what the moisture content is
25 -- is in that -- in that material.

1 However, based on the actual
2 construction, when we actually need that material, we
3 may have a wet year or a wetter year than normal, so
4 we'll make assumptions in our -- in our point estimate
5 based on that. But we -- but when we actually come to
6 construction the -- the material may be wetter or drier
7 than what we knew it to be when we did those test
8 holes. And that's what we'll use contingency for, as
9 an example.

10

11 (MOVED TO SLIDE 10)

12

13 MR. DAVE BOWEN: In terms of how we do
14 our -- our risk development, before I get into
15 explaining the -- the curve here, so there's -- there's
16 -- our contingency methodology follows a best practice
17 from AACE, as stated, and we group our risks into two
18 (2) broad categories, which are systemic risks and
19 project-specific risks.

20 Systemic risks are -- are things like
21 the level of product definition of scope. We touched
22 on that in the pa -- few past presentations. So a
23 simple example there is that we have estimates for our
24 gas turbines and wind that are at a very high level
25 definition, so one would expect the -- the range of

1 accuracy of those estimates to be much broader than
2 what's -- what we're using for our -- our Keeyask and
3 Conawapa estimates where we've studied them for years.
4 We're -- the engineering is much more developed. The
5 level of project definition is much more developed.
6 The systemic risks are based on em -- empirical
7 industry statistics from -- from past projects.

8 In terms of project-specific risks,
9 these include things like geotech con -- geotechnical
10 conditions, weather, quality of risk. And we use an
11 expected value approach for these. These two (2)
12 risks, they're -- they're combined and implied in a
13 Monte Carlo simulation to produce a contingency curve
14 much like the one that you -- you see here on the
15 screen. This is a sample of a contingency curve.

16 So again I -- I mention that it's --
17 it's our policy to use a P50 estimate value. So what -
18 - what this illustrates here is that normally our --
19 our P50 estimate would show up. In this case here,
20 it's at a 30 percent probability. So there's a 30
21 percent probability of an underrun. And there's also a
22 70 percent probability of a cost overrun in -- in this
23 example.

24 The -- the amount of contingency that is
25 applied to the project estimate would be the difference

1 between the P50 level and the -- and the P30 level. So
2 that -- that's an example how -- how we go about
3 estimating.

4

5 (BRIEF PAUSE)

6

7 MR. BORIS FICHOT: Boris Fichot. Just
8 -- and how do you determine the statistics on each of
9 these factors?

10 MR. DAVE BOWEN: For the -- for the
11 systemic risks we use a model. So we hire a -- we've -
12 - we've hired a consultant that basically has a model
13 with -- with past job data that -- that has all those
14 statistics built into it.

15 For the -- the expected value technique,
16 that's basically a three (3) point distribution where
17 we'll pick -- we'll have an expected value, a low, and
18 high. And -- and that's really -- that's based on our
19 past experience and expert judgment.

20

21 (MOVED TO SLIDE 11)

22

23 MR. DAVE BOWEN: The next -- the next
24 step in -- in addressing risk is -- is management
25 reserve. It's the amount added to -- to our budgets to

1 cover uncertainty items with higher impacts, and are
2 not -- and substantial risks that are not appropriately
3 covered under -- under a contingency. Question...?

4

5 MR. JAN CARR: Yeah. Jan Carr, with
6 the PUB. I -- the -- this -- sorry, I perhaps should
7 have asked this earlier. You're -- you're talking here
8 about the cost estimating process basically for the
9 hydroelectric generating stations.

10 MR. DAVE BOWEN: Correct.

11 MR. JAN CARR: The other components
12 like transmission lines and various other things, the
13 same approach generally?

14 MR. DAVE BOWEN: This -- the
15 transmission line -- the transmission -- transmission
16 costs are done using a different methodology. They're
17 done by a different business group but there's --
18 there's parallels in the methodology.

19 For the -- the gas and the wind there --
20 those methodologies are -- are much different than
21 this. They're -- they're -- there's a lot more rigour
22 in our estimates for the Keeyask and Conawapa in terms
23 of the methodology used.

24 MS. JAN CARR: I -- I guess sort of a
25 corollary question to that was this -- this is all

1 based on, you know, a particular approach to project
2 management where, in effect, Manitoba Hydro, the
3 eventual owner, subcontracts everything and acts as, if
4 you will, as a general contractor in terms of putting
5 the whole thing together.

6 Given that Manitoba Hydro is not a
7 construction company and there are, you know,
8 productivity improvements, I mean, how -- how, for
9 example, did you know that you needed a concrete pump?
10 You know, they were only invented a few years ago, or
11 relatively a few years ago, and -- and -- so -- so
12 where in this process does the impact and the risks
13 associated with state of the art, I guess, in the
14 construction industry, how does that get factored into
15 the cost estimates and the project management?

16 MR. DAVE BOWEN: Well, it's -- it's a
17 good question. So -- so Manitoba Hydro, we've -- we've
18 been building generating stations for forty (40) plus
19 years. Ken -- Ken provided a little bit of background
20 of that this morning.

21 The -- in -- in terms of state of the
22 art -- so in terms of the first principle estimate we
23 work hand-in-hand with contractors. We've been working
24 hand-in-hand with them to understand that -- how they
25 go about doing their construction, how they go about

1 their techniques.

2 Certainly a risk for -- for any owner in
3 developing their cost estimates is that until you have
4 your bids in, I think that's where you're going, it's -
5 - it's hard to know with certainty as to what your
6 costs may be. And certainly when you -- when you bring
7 a contractor on board you'll make different assumptions
8 within your -- within your estimate as to the
9 methodology they'll use. But you won't know that until
10 you actually hire the person who is building it.

11 So we -- we spend a lot of time staying
12 in touch with the marketplace, understanding how they
13 build up those risks. Our most experience is on
14 Wuskwatim. We went through all the different first
15 principle estimates with the different contractors who
16 bid on those projects. We've done that with our Pointe
17 du Bois spillway replacement project. There's -- and
18 then we've reviewed that with our experts who -- who
19 develop these costs. But there -- inherently there is
20 -- there is risk in -- until you have bid price in
21 front -- in front of you there is risk in terms of your
22 -- your knowledge of where that -- where that price
23 will end up.

24 I'm not sure if that's -- so if you --
25 if you used -- if you use a engineer/procure/construct

1 where you just hired one (1) entity to do the work and
2 got a single price up front, that is a -- it's a little
3 bit different methodology. You -- you wouldn't have to
4 go to this -- this degree. Does that answer your
5 question?

6 MR. JAN CARR: Yes, it does. And
7 actually, I guess, you know, again, so do you use
8 different -- different project methodologies, such as
9 design, procure, construct, depending on what the
10 facility is? And -- and I don't mean --

11 MR. DAVE BOWEN: Yeah.

12 MR. JAN CARR: -- I'm -- you're talking
13 about Conawapa or a big hydro station, that's one (1)
14 thing. But there are other elements in -- in the
15 overall plan that's part of the application that --
16 that might be amenable to different contracting
17 arrangements --

18 MR. DAVE BOWEN: Yeah.

19 MR. JAN CARR: -- and, therefore, dis -
20 - different risks and -- and obviously different
21 estimating approaches. That was really the gist of my
22 question.

23 MR. DAVE BOWEN: Okay. I'm going to --
24 I'm going to touch on how we developed our product
25 delivery strategy, which really looks at whether or not

1 we should employ the same, really, design/bid/bill
2 approach that we've em -- employed for the last number
3 of years at Hydro, or if we should do an EPC, or -- or
4 what that looks like. So I'll try to answer your
5 question at the end there. Yeah.

6 MR. RUSS TYSON: Hi, Dave. Russ Tyson,
7 from TyPlan. if you look at your contingency curve, at
8 what point and what level of estimate do you use to
9 roll that off to the rest of Manitoba Hydro personnel
10 for estimating, forecasting, and everything else?

11 Is it a point fifty (.50) estimate that
12 you do, or is it more concrete than that? So what
13 capital cost number do you give out to all your
14 counterparts so you can run all the other financial
15 models and everything else?

16 MR. DAVE BOWEN: I -- I'm going to get
17 to that, but -- but for the basis of our -- our CEF/IFF
18 number we use the P50 contingency at the point value.
19 And then I'll touch on how we've -- we've looked at the
20 different low, reference, and high capital cost for the
21 different financials. I'll touch on that at the end --
22 towards the end of the presentation.

23 So back to management reserve.
24 Typically -- oh, some more questions. Byron, right
25 behind you.

1 MR. ROGER CATHCART: Roger Cathcart.

2 P50 means what, 50 percent chance of being higher, 50
3 percent chance of being lower?

4 MR. DAVE BOWEN: Correct.

5 MR. ROGER CATHCART: Was the same
6 probability weighting used in the costing estimates for
7 Wuskwatim?

8 MR. DAVE BOWEN: To the best of my
9 knowledge, there's -- there was a range -- the
10 contingency was used, a range estimating technique.

11 MR. ROGER CATHCART: The same technique
12 as you're employing now, or did you change it?

13 MR. DAVE BOWEN: It's -- it's -- our
14 technique's slightly different. So it -- it is
15 different, but I believe that number there, Ed, you
16 probably know best, but it was a P50 value that was
17 used back for Wuskwatim.

18 MR. ROGER CATHCART: Another related
19 question just on the lessons learned, and we'll
20 probably get into this, so I'll -- I'll try not to get
21 Patti on the mic.

22 You said that you talked with all the
23 contractors and consultants of that project and had
24 some background conversations or reports?

25 MR. DAVE BOWEN: Well, I guess what I

1 was referring to there is that during Wuskwatim, when
2 we bid the general civil contract, we had -- there was
3 four (4) -- four (4) contractors that bid that
4 contract. They provided a -- a first principle
5 estimate for that work. So we -- we reviewed those
6 works with those contractors.

7 THE FACILITATOR: Ed Wojczynski.

8 Coming back to what Dave was alluding to, yes, with
9 Wuskwatim we did use a P50 with a contingency, but with
10 our experience at Wuskwatim, we've done a number of
11 things differently. First of all, the construction
12 people have learned a lot with the modern environment;
13 and B) expanded the -- if I can call it the uncertainty
14 analysis; C) we formally ,at the corporate level,
15 jointly between various divisions in the Company and --
16 visited best practices across Canada with Nalcor, with
17 BC Hydro, OPG, various other people.

18 On an informal basis we held a workshop
19 and we revisited how we put together our corporate
20 estimate and management reserve and the current -- we
21 talked about this bit in the July technical conference.
22 And we put together the process we have now that
23 includes a management reserve in addition to the
24 contingency.

25 So we have, I think, a much better

1 appreciation today than we did ten (10) years ago, but
2 the uncertainties we're facing -- and we're in a much
3 better position to deal with them and recognize them
4 and manage them.

5 MR. DAVE BOWEN: And thanks, Ed. And -
6 - and just to remind me of a point there that I didn't
7 mention. So since -- since Wuskwatim -- Wuskwatim was
8 the first plant that Hydro's developed since 1990,
9 Limestone. There hasn't been a pile of development in
10 the industry out -- outside of Hydro-Quebec since then.

11 So we've been in touch with counterparts
12 in BC Hydro, Ontario Power Generation, different --
13 different industries that are developing projects up in
14 northern remote Canada, Nalcor, as well, to -- to make
15 sure that we stay current with the -- the prices that
16 exist of projects that are actually getting built
17 because there's not -- there's not a lot of them. But
18 we're -- we're actively communicating with those owners
19 to make sure that we're aware of -- of what's -- what's
20 happening in the marketplace.

21 So how does -- how does management
22 reserve differ from contingency? Well -- well, first
23 off, it's -- it can only be used -- or -- or, pardon
24 me, unlike contingency as part of the cost of work,
25 it's only spent if that specific event occurs, and to

1 spend it, we require the Manitoba Hydro Electric Board
2 approval, which is added governance in our project
3 management structure.

4 It -- it may or may not be recommended
5 for the CEF/IFF budgets. It may or may not be
6 approved.

7

8 (MOVED TO SLIDE 12)

9

10 MR. DAVE BOWEN: Two (2) reserves were
11 approved -- were recommended and approved for the
12 Keeyask and Conawapa budgets. And I'll get to those in
13 -- in later slides.

14

15 (MOVED TO SLIDE 13)

16

17 MR. DAVE BOWEN: In terms of in -- in-
18 service costs, so once we develop the base costs, the
19 base costs do not include interests or escalation. The
20 in-service costs basically take the -- the schedule and
21 the cashflow from those base costs and apply interest
22 and escalation to those rates.

23 Why are -- why are in-service costs
24 important for jobs like Keeyask and Conawapa? Well,
25 because they span multiple years. There's the -- the

1 actual impact of those, the -- the quantum of those
2 costs is about 30 percent for Keeyask and 40 percent
3 for Conawapa, so we need to pay attention to them.

4 Conversely, our -- in addition, if you
5 add an additional year of in-service to one (1) of the
6 projects you'll add an additional year of interest and
7 escalation and your -- your costs will go up.

8

9 (MOVING TO SLIDE 14)

10

11 MR. DAVE BOWEN: So in summary, the --
12 the base costs, the point estimates, developed at a --
13 at a single point in time, and it's based on the -- the
14 definition of the project at that time and market
15 conditions.

16 We use contingency to address the risk
17 and uncertainty within the point estimate. The in-
18 service cost includes interest and escalation and also
19 interest on money spent to date. And then third is
20 that the scenarios are used to establish management
21 reserves if required. And this is the part where we
22 take a step back and look at the global picture. And
23 again, I'm going describe what we've done for both
24 Keeyask and Conawapa in the coming slides.

25 There are items that cause us to make

1 con -- to change: scope change, major scope changes,
2 change the in-service date, major market shifts. Those
3 type of things would cause the estimate to change.

4

5 (MOVED TO SLIDE 15)

6

7 MR. DAVE BOWEN: So what we did for
8 Keeyask and Conawapa back in 2012, the -- any re-
9 estimate process, the first thing it's driven by is
10 change to project definition or scope. It's -- to do a
11 re-estimate on a job like this, it's a six (6) month
12 process involving a multitude of people and -- and
13 different consultants and experts and people within
14 Hydro.

15 At that time, the -- the Keeyask
16 developed -- developed back in 2009 and Conawapa was
17 developed back in 2010. So they were two (2) and three
18 (3) years old, respectively.

19 So -- so we knew that little had changed
20 in terms of the project definition of scope. But we
21 did -- at this time, we now had a complete experience
22 on what had happened at Wuskwatim. That experience was
23 only partially complete when we had done the estimates
24 back in 2009 and '10.

25 We knew that we had other data from

1 projects in Ontario, BC Hydro, from other counterparts.
2 And we also were aware that there's a number of
3 projects within Canada and -- and North America
4 experiencing significant cost growth and issues with
5 labour escalation similar to issues that we experienced
6 in Wuskwatim.

7 So what we did, we stress tested the --
8 the key inputs to the -- the estimate based on this
9 most in -- re -- recent information. And we used this
10 to establish our -- our CEF and IFF12 capital cost
11 budgets for -- for both projects.

12 And what came out of this in terms of
13 the uncertainty analysis was the addition of both an
14 escalation and man -- labour management reserve.

15

16 (MOVED TO SLIDE 16)

17

18 MR. DAVE BOWEN: So in the stress test
19 we found that both labour and escalation, the -- the
20 quantum of those two (2) risk, had had the ability to
21 basically erode our -- our whole contingency, and we
22 knew we'd need to -- to pay attention them clo -- more
23 closely.

24 And we use scenarios -- and in the
25 scenario development we use the scenarios to -- to look

1 at these risk in more detail and -- but we -- and we
2 realize they weren't appropriate to be covered in
3 contingency based on the characteristics of the -- of
4 the risk but were appropriate to be addressed using
5 management reserve.

6 So labour reserve, it represents the
7 additional costs if the labour risk cannot be
8 mitigated. So how we -- how we quantified the reserve
9 and looked at it, it was basically modelled after what
10 had happened to us on Wuskwatim. So we -- the --
11 during Wuskwatim, the contractor, during the work, had
12 quite a significant issues with labour: attraction,
13 retention, productivity. What this meant, it caused
14 schedule delays.

15 And when you have schedule delays on a
16 project this size, the -- the cumulative impact to
17 costs are -- for -- you have to keep your camp there
18 longer; if you had more people, you need a larger camp;
19 you have all your project costs to keep the job alive
20 on a day-to-day basis. And these all grow on the
21 indirect costs role (phonetic) if you have schedule
22 elongation.

23 What -- what was driving the labour
24 risk? Well, there's a busy -- busy mega-project
25 marketplace, decreasing craft labour supply, and

1 continued challenges in -- in labour productive --
2 productivity, particularly in remote projects across --
3 across Canada.

4

5 (MOVED TO SLIDE 18)

6

7 MR. DAVE BOWEN: In terms of the
8 escalation reserve, this slide here shows the CPI in
9 the -- in the solid -- solid red line. Or is it black?
10 Black line, pardon me -- here. And it compares three
11 (3) commodities of copper, diesel, and rebar.

12 So historically, over long periods of
13 time, escalation has followed more closely to CPI. If
14 you -- if you extended this graph out to, say, the
15 early 1980s, you would see that these commodities would
16 follow CPI more closely.

17 In the graph here we see -- we've marked
18 the start of Wuskwatim construction back in 2006, where
19 we experienced a fair bit of escalation within the
20 marketplace. There's a recession here. And then today
21 is marked in this line here.

22 So -- so during the recession, some of
23 the drivers for the escalation were huge worldwide
24 demand for -- for raw materials, especially in large
25 developing countries such as China, India, Brazil.

1 We've had major investments in oil and gas, mineral,
2 and other natural resource developments within Canada,
3 not only Western Canada.

4 We also had the -- in this period after
5 the recession, we had the federal stimulus money which
6 targeted infrastructure renewal, largely involving
7 heavy -- heavy civil construction. So we didn't see
8 any break in -- as a result of that, in the -- in the
9 recession. And then there's the previous demographic
10 trends resulting in overall shortage of skilled labour
11 and experienced construction trades within Canada.

12 Manitoba Hydro is concerned that many of
13 these factors will persist throughout the construction
14 of Keeyask and Conawapa, and they'll continue to -- to
15 -- in the -- in the forecast here, you see that they've
16 broken off from the CPI. And that -- that will
17 continue. Therefore, we've added escalation reserve to
18 our CEF/IFF numbers.

19

20 (MOVED TO SLIDE 19)

21

22 MR. DAVE BOWEN: So again, back in
23 summary, we've just walked through the two (2) -- two
24 (2) main steps of estimate development, walking through
25 what we do to get the in-service costs from the base

1 costs, applying interest and escalation. And then also
2 looked at the different budget scenarios we've -- we've
3 applied to -- to develop the -- the CEF/IFF budget
4 values.

5

6 (MOVED TO SLIDE 20)

7

8 MR. DAVE BOWEN: So what were the
9 results? This -- this table here this is right out of
10 Appendix 2.4 in -- in the submission. It shows that
11 the -- this is based on Conawapa with a 2025 first unit
12 in-service date and a Keeyask 2019 first unit date. So
13 again, the total in-service costs are ten-two (10-2)
14 and six-two (6-2).

15 What I've done here, I've provided more
16 detailed breakdown of what was provided before. And in
17 the point estimate it's broken down between the
18 generating station and the -- and the -- genera --
19 generation outlet transmission. So in the generating
20 station for the point estimate the value is shown.

21 For Conawapa it's four point five (4.5),
22 and for Keeyask it's 3 billion. The contingency
23 amounts on the point estimate amounts are in the range
24 of about 17 percent. The -- the labour reserve amount
25 on the point estimate is -- is approximately equivalent

1 to roughly about 11 percent for both projects.

2 And keeping going then -- then. So
3 that's -- that's our base dollars, and then again -- we
4 have spent to date. This is -- this is as of March
5 31st, 2012, and they have obviously changed. But we
6 have \$230 million for -- for Conawapa and -- and \$500
7 million for -- for Keeyask, which gives the -- the in-
8 service costs of ten two (10-2) and five eight (5-8).

9 In terms of transmission there's --
10 there's little cost in terms of generation outlet
11 transmission for Conawapa. There's other costs --
12 generation costs that are covered within the economic
13 and financial analysis which are a separate scope to
14 this in the analysis. And then there's approximately
15 \$200 million for the generation outlet transmission
16 costs for -- for Keeyask.

17

18 (MOVED TO SLIDE 21)

19

20 MR. DAVE BOWEN: So what did we learn
21 from Wuskwatim? I'm going to touch on -- on five (5)
22 key points that we -- we've learned from Wuskwatim and
23 are applying to -- to the Keeyask and Conawapa
24 projects. The first one here is to start
25 infrastructure early.

1 So we want to start infrastructure early
2 to -- to ensure that it doesn't impact our critical
3 path of work. To ensure that once we start the work on
4 the generating station, which would -- which would
5 commence next June, that -- that we're ready for that
6 work. That we -- we won't delay the general civil
7 contractor, the first contracts at site.

8 We also wanted to -- to have the ability
9 to capitalize on any lessons that we're learning during
10 the infrastructure -- in the -- during the
11 infrastructure work, which is a Keeyask infrastructure
12 project in the Keeyask case, to -- to use those for the
13 rest of the project.

14 In terms of engineering, early
15 completion of design and earlier constructability
16 inputs. So -- so we're working with our designers to -
17 - to get the design done. We're also, as part of our -
18 - our product delivery, we're bringing on our -- our
19 general civil contractor approximately a year and a
20 half early from the main work to work along with
21 ourselves and our designer to -- to basically make sure
22 that we get any constructability inputs at a time when
23 we actually can react to them and -- and achieve cost
24 savings. And -- and there's other -- there's other
25 reasons -- other benefits for that as well.

1 In terms of human resources, these
2 projects, they're -- they're built and successful
3 because of quality team and people -- teams and people.
4 We've -- we had issues attracting and retaining project
5 staff and craft labour partic -- at -- at our Northern
6 sites.

7 So we're -- in terms of our staff we're
8 looking to basically complement our Hydro staff with --
9 with a world-class construction management firm to do
10 the construction management. We're also -- again with
11 the craft labour, we're looking at a bunch of different
12 mitigation activities to mitigate that, and bringing
13 our -- our main general civil contractor on early.

14 MR. ROGER CATHCART: Hi. Roger
15 Cathcart again. Back to slide 20.

16

17 (MOVED TO SLIDE 20)

18

19 MR. ROGER CATHCART: What discount rate
20 did you apply to each of these buckets of money? The
21 same discount rate?

22 MR. DAVE BOWEN: The -- for both
23 Conawapa and Keeyask?

24 MR. ROGER CATHCART: I'm looking at --
25 I'll look -- let's just look at -- you've got ten point

1 two (10.2). Then you've brought it back to 2014
2 dollars.

3 MR. DAVE BOWEN: Oh, so -- so here in -
4 - in terms of the in-service costs, we didn't apply --
5 those aren't a discount rate. That's the capital --
6 capitalized interest rate.

7 MR. ROGER CATHCART: Right.

8 MR. DAVE BOWEN: To -- to -- if you're
9 going to compare to the economics those items there, if
10 you're comparing the 2014 dollars, then those items
11 would -- these values would be escalated from 2012
12 dollars into -- to 2014 dollars.

13 MR. ROGER CATHCART: That's -- because
14 that's -- that's CEF12 escalation that had an increase
15 in Conawapa of 2.4 billion, including inflation and
16 management reserves to ten point two (10.2)?

17 MR. DAVE BOWEN: The --

18 MR. ROGER CATHCART: The last -- I'm
19 just going from the last CEF where you -- the last time
20 you updated that Conawapa number to a higher capital
21 cost.

22 MR. DAVE BOWEN: Yeah.

23 MR. ROGER CATHCART: Then you're just
24 bringing that ten point two (10.2) back? Maybe that's
25 a question for someone else.

1 MR. DAVE BOWEN: Oh, the -- well, in
2 terms of in-service cost basically we're running --
3 once we establish the base dollars, the base dollars
4 are in a cashflow from today forward to the in-service
5 date, which is --

6 MR. ROGER CATHCART: Oh.

7 MR. DAVE BOWEN: -- 2025. The interest
8 and escalation are applied to that cashflow to
9 basically -- to give you the -- the cost.

10 MR. ROGER CATHCART: Okay, I got you.
11 Now I understand it. Thank you.

12

13 (BRIEF PAUSE)

14

15 MR. BORIS FICHOT: Boris Fichot. When
16 you're talking about 'we', are you referring to
17 Manitoba Hydro or contractors? Because you're talk --
18 there may be some ways in the contracting methodology
19 to defer the risk to the contractor.

20 MR. DAVE BOWEN: Can you --

21 MR. BORIS FICHOT: So when you -- when
22 you talk about difficulty finding labour and craft
23 labour, in some ways, that's a contractor
24 responsibility as opposed to a Manitoba Hydro
25 responsibility --

1 MR. DAVE BOWEN: Correct.

2 MR. BORIS FICHOT: -- depending on what
3 type of contracts you set up?

4 MR. DAVE BOWEN: Yeah. What I -- what
5 I meant to -- so -- so Manitoba Hydro, for our site
6 personnel we -- we had challenges attracting, retaining
7 site staff at site. And the contractor also had
8 challenges attracting and retaining their labour at
9 site.

10

11 (BRIEF PAUSE)

12

13 MR. JAN CARR: Jan Carr. The -- these
14 estimates, as I understand it, are what you might call
15 for bricks and mortar. This is -- you know, you wind
16 up with a generating station or whatever the case may
17 be. And the -- the terms of reference to the Public
18 Utilities Board for -- for reviewing the NFAT
19 explicitly exclude the costs related to the partnership
20 with Aboriginal communities and all that sort of thing.

21 Where do -- where do those costs factor
22 into the -- the project? I guess they're not part of
23 these estimates is...

24 MR. DAVE BOWEN: Yeah. I'll refer that
25 question to Ed.

1 THE FACILITATOR: Ed Wojczynski. There
2 are costs -- the -- the main co -- there are two (2)
3 sets of costs with the partnership plus income share.
4 The largest chunk of costs -- single largest chunk
5 would be at the front end, with the negotiations,
6 consultations, process costs, all of those things.

7 Those are part of the capital costs of
8 the project. It's -- it's not obvious from this thing
9 here, but the 10.2 billion includes what we call
10 preconstruction costs that include all the process
11 costs for -- with the communities and any payments we
12 had to make up front, let's say, where there's an
13 adverse effects payment or something.

14 Secondly, there are some -- yeah, it's
15 total dollars spent as of. Secondly, there are some
16 ongoing process costs and commitment costs that are
17 capitalized or taken into account in various ways. And
18 then, thirdly, there's income sharing.

19 The income sharing is dealt with
20 explicitly in the financial analysis. Plus we have in
21 the confidential -- one (1) of the confidential
22 appendices, what the amount of income sharing for
23 Keeyask and Conawapa would be un -- in the various
24 cases. That's confidential because we're still
25 negotiating with the Conawapa nations.

1 And obviously what we have in there is
2 what we're planning on or assuming, and it wouldn't --
3 that would be harmful to our negotiations.

4 MR. JAN CARR: So -- Jan Carr. So I --
5 I guess the -- the main reason I'm asking is it is
6 outside -- those costs are outside the scope of this
7 review. But, you know, we -- we're looking at 'C',
8 which is made of 'A' plus 'B'. We need to -- we need
9 to know what 'B' is even though we're not reviewing it
10 so that we can do due diligence on 'A'.

11 And -- and I -- Boris is -- is going to
12 be heavily involved with that. So to what extent --
13 when -- when you say that certain costs are in these
14 estimates, where are they? Are they in the point
15 estimate? Are the in the --

16 THE FACILITATOR: Okay, they're --
17 they're in the total dollars spent as of, so -- so in
18 the -- up to that point. And then -- and -- and then
19 our base estimate going forward, it would it would be
20 in there, as well.

21 MR. JAN CARR: In the base estimate?

22 THE FACILITATOR: In -- well, it's in
23 the point estimate, in -- in --

24 MR. JAN CARR: Yeah. Okay.

25 THE FACILITATOR: -- for going forward.

1 And -- and as of March 31st, 2012, it would be in
2 there. So it's in -- it's in those two (2) places.

3 MR. JAN CARR: And from the
4 confidential information it'd be possible to back those
5 costs out, would it?

6 THE FACILITATOR: Okay, well, just
7 let's back up. The confidential information is the
8 income sharing.

9 MR. JAN CARR: Oh, okay.

10 THE FACILITATOR: We have the NPV of
11 income sharing as an appendix on that. And that's not
12 in the submission, because it's one (1) of the
13 confidential things.

14 MR. JAN CARR: My question is --

15 THE FACILITATOR: The -- the costs --
16 the capital costs that are in here, they are in the --
17 they are -- they are not confidential in that sense,
18 no. And -- and the -- the people reviewing the capital
19 costs, that -- that's not confidential.

20 MR. JAN CARR: So they will be able to
21 back it out?

22 THE FACILITATOR: Well, I -- yes, they
23 could.

24 MR. JAN CARR: It -- it needs to be
25 identified --

1 THE FACILITATOR: They could -- they
2 could be if -- yes.

3 MR. JAN CARR: Well, they need to be if
4 -- if there's going to be any kind of comparison to
5 normal market conditions, right? Of costs?

6 THE FACILITATOR: From that point of
7 view, yes, they -- they could be.

8 MR. JAN CARR: Yeah.

9 THE FACILITATOR: But -- and our costs
10 on the partnership pre -- preconstruction process
11 costs, are -- are quite -- are -- are very significant.
12 And so, yes, if you wanted to do an apples and apples
13 comparison to some other projects, it would be good to
14 be able to separate those costs out, but you also have
15 to remember that if you are doing a project in a more
16 conventional sense without a partnership, you're also
17 going to have processed costs at the front end. So
18 then you'd have to, if you're looking at a more
19 conventional project approach, then you'd also have to
20 back those kind of consultation process costs out as
21 well.

22 MR. JAN CARR: No, I don't have any
23 difficulty with backing out -- I mean, total dollars
24 spent, I -- I -- sunk costs are sunk. They're known.
25 They're -- it's a number --

1 THE FACILITATOR: Yeah.

2 MR. JAN CARR: -- it's easy to back
3 out. It's the going forward --

4 THE FACILITATOR: Yeah.

5 MR. JAN CARR: -- equivalent that --
6 that might cause some difficulty in due -- due
7 diligence on, let's call it, the bare costs, or
8 whatever you want to call it.

9 THE FACILITATOR: Yeah. Yeah. Tho --
10 tho -- I think those would be relatively small, but
11 they -- they ultimately could be backed out.

12 MR. BILL HARPER: Sorry. Bill Harper.
13 Actually, I want to go back to the answer you gave to
14 Roger, because unlike him, I'm not quite as quick. I
15 didn't quite get -- get the answer. We're looking at,
16 let's say for Conawapa, a \$10.2 billion for an in-
17 service date of 2025/'26. The economic evaluation used
18 things expressed in 2014 dollars.

19 To get that back to the number that's
20 used in the economic evaluation that -- would that
21 simply be sort of deflated back, using your CPI back
22 from 2025 to 2014? Or -- or is there some other way
23 you convert that 10.2 billion back into 2014 dollars?

24 MR. DAVE BOWEN: Well -- well, the --
25 the economics here -- Terry, jump in here if you need

1 to, but the economics are based on the base dollars.
2 So not -- they're not based on the in-service. The --
3 the financials consider the in-service dollars, first
4 off. And -- and so the base dollars here, if -- if the
5 economics in the case here were done with 2014 dollars,
6 they were escalated.

7 MR. BILL HARPER: Okay. So those base
8 dollar -- when you say, "total base dollars," those are
9 all expressed in 2014 -- to dollars on that line there?

10 MR. DAVE BOWEN: On -- in this line
11 here, they're -- they're based in 2012 dollars.

12 MR. BILL HARPER: Right. And then so
13 to get to the economic evaluation they'd have to be
14 escalated by two (2) years to convert to the 2014
15 dollars that are used and -- because everything in the
16 economic evaluation, it was my understanding, was based
17 on 2014 dollars.

18 THE FACILITATOR: Yes, and Joanne
19 presented, as I recall, I think it was this morning,
20 some of those numbers. The other thing, though, is do
21 -- we do account for the escalation higher than CPI as
22 well. So that change -- that modifies it a little bit.
23 It's not purely just the raw base dollars. Where --
24 where Dave Bowen was talking earlier about, we see in
25 various elements of the project cost parameters,

1 something higher than CPI. We build that into the
2 financial and the economic evaluations.

3 MR. DAVE BOWEN: Okay. Back to lessons
4 learned in Wuskwatim. The -- the fourth part there was
5 looking at the appropriate project delivery strategy.
6 So we need to basically consider the risk of the
7 project, what capacity exists in the marketplace, what
8 capacity exists for hydro, what -- what defines success
9 for us, and ensure that we have a right match in terms
10 of the delivery strategy for this project.

11 And then the fifth -- final point there
12 was that we need quality project management practices
13 to -- to execute well and efficiently for this work.
14 So we developed the sound processes and standards based
15 on our past experience and ensured a well -- a well-
16 trained team.

17

18

19 (MOVED TO SLIDE 22)

20

21 MR. DAVE BOWEN: In terms of execution,
22 some fundamentals to success for the project are,
23 again, the project delivery strategy, a sound strategy
24 that -- we looked at -- there were some questions on it
25 earlier, so we looked at -- we went through the

1 exercise.

2 We looked at whether or not we should do
3 engineer/procure/construct. Whether or not we looked
4 at alliance-type contracts. We looked at design build
5 -- design build contracts, design bid build, the -- the
6 whole different gamut. We weighed those against the
7 risks in the project to schedule what we could achieve
8 and -- and the result of that was, basically, we have a
9 bit of a hybrid of a design bid build model where we
10 have EPC contracts. We have an earlier -- early
11 contractor involvement contract for some of the work
12 and then more -- more traditional contracting forms.

13 Just -- just for information, there --
14 there is more information in the submission. I want to
15 make sure I get the right one in -- right one here, in
16 Appendix 7.3 there is further details of our -- of our
17 product delivery strategy.

18 Another part to the project is -- is a
19 comprehensive project schedule. There's numerous
20 contracts, numerous players right from -- through
21 procurement, design, the construction at work, many
22 interfaces. So having a sound schedule is -- is
23 required and -- and we have that for -- for our
24 projects to ensure success.

25 The project team for Keeyask is more

1 advanced, but we have a world-class consultant part of
2 our team, coupled with the Hydro team. We have top-
3 tier suppliers we've engaged to -- to execute the work
4 for us and we'll be continuing to engage those top-tier
5 suppliers.

6 In terms of mitigation strategy for
7 labour, four (4) key points here is that in terms of
8 attraction and retention of craft labour we are
9 constructing a premiere camp. That was one of the --
10 the key things that the construction community has been
11 telling us in terms of attracting and retenting (sic)
12 contractors. So that's being constructed as we speak.

13 We're employing the early construction -
14 - early contractor involvement contract to help us with
15 our labour strategy. The -- the general civil
16 contractor, the contractors manage the labour force;
17 they secure labour and -- and the productivity is
18 largely their responsibility. So -- so we're bringing
19 them on early to -- and working with them to -- to
20 develop techniques for that.

21 We're also investigating changes to the
22 Burntwood-Nelson agreement, modifying the work
23 schedule, different changes in that agreement to -- to
24 better attract and retain and ensure productivity with
25 the labour.

1 And -- and finally, it's to incorporate
2 all the lessons learned on -- not only just the
3 Wuskwatim project but other work that we're currently
4 working on and other projects that -- that we're aware
5 of within industry and using our -- our contracts,
6 colleagues, right across Utilities across Canada to --
7 to employ those lessons learned and ensure success.

8

9 (MOVED TO SLIDE 23)

10

11 MR. DAVE BOWEN: Now we'll get into how
12 we've applied capital costs for the NFAT. So I
13 mentioned earlier there that there -- there are things
14 that aren't explicitly part of the capital cost
15 estimates which include changes to in-service date,
16 major scope changes, changes in escalation interest.
17 And these -- these factors, and certainly these are --
18 are tests in -- in the NFAT analysis. You'll see here
19 that -- from the graphic here, this is from the earlier
20 presentations from -- from both Liz and Joanne, and the
21 economic indicators. So they're tested in -- in the
22 high, reference, and low.

23

24 (MOVED TO SLIDE 24)

25

1 MR. DAVE BOWEN: In terms of -- in
2 terms of how these risks are testa -- tested, well, the
3 -- the low represents the -- the low extreme with a
4 reasonable likelihood of a occurrence; the reference
5 represents the most likely; and the high represents a
6 high extreme that has -- also has reasonable likelihood
7 of occurrence.

8 These inputs were used in both the
9 economics and financials from a capital cost point of
10 view for -- for both Keeyask and Conawapa. And
11 adjustments were made to both the -- the contingency,
12 escalation amounts, labour reserve, and interest.

13

14 (MOVED TO SLIDE 25)

15

16 MR. DAVE BOWEN: This information --
17 this information here it's -- again, it's summarized in
18 -- in Appendices 2.4 and 9.3, as to what was used for
19 the low, reference, and high. But to quickly walk
20 through it in terms of capital costs for Keeyask and
21 Conawapa in terms of the base costs, the first item,
22 the -- for the low value it's based on the P10
23 contingency. So if you remember back to the S-curve
24 there, it's on the point -- on the point estimate. The
25 P10 value for the contingency was used with no labour

1 reserve. The reference point includes the P50
2 contingency, again with no labour reserve, and then the
3 high value includes the P -- P50 contingency plus the
4 labour reserve.

5 In -- in terms of interest costs, when
6 we take the base cost cashflow and apply interest and
7 escalation, again, there's a low, reference, and high.
8 And -- and these were established using the -- the low,
9 reference, and high interest in escalation rates.

10

11 (MOVED TO SLIDE 26)

12

13 MR. DAVE BOWEN: So -- so these -- this
14 slide here -- this slide is not in the submission. If
15 you look at the -- the financial results in -- in
16 Appendix 11.1 you're able to back calculate the
17 reference value. There -- you're not able to back
18 calculate the low and the high values in -- in the
19 submission.

20 So I'm going to just walk you through
21 this -- this slide here as to -- to what it means. So
22 it compares the -- the capital cost --

23 MR. JOHN ATHAS: I -- I just have a
24 question. If you go back one (1) slide.

25 MR. DAVE BOWEN: Sorry.

1 MR. JOHN ATHAS: Why would -- why
2 wouldn't we -- I would have expected to see something
3 higher than P50 in the high case just because you went
4 lower than P50 in the -- in the low case. I know you -
5 - I know you have labour reserve as a difference there,
6 but can you -- can you tell me a little about the --
7 why -- why you wouldn't use something higher on that
8 curve?

9 MR. DAVE BOWEN: In the -- in the P50?

10 MR. JOHN ATHAS: In the high -- yeah,
11 in the high case. You just have the same --

12 MR. DAVE BOWEN: The --

13 MR. JOHN ATHAS: -- point -- point that
14 you changed the labour reserve.

15 MR. DAVE BOWEN: It -- it has to do
16 with how we developed the -- and it goes back to the
17 stress test. So when we did the stress test back in
18 2012 we -- we stress tested key parameters to basically
19 back check what we had in the estimate to see if it was
20 adequate. We didn't re -- reproduce our contingency
21 curve.

22 It just so happened that the labour
23 reserve was -- was nearly equivalent to that P90 value
24 from our original contingency curve. So that's a
25 little background on it. So that's -- that's why we

1 ended up with the -- for the high case with a P50 value
2 with a labour reserve.

3 MR. JOHN ATHAS: And then they're --
4 you think that they're comparable -- and -- they're
5 comparable numerically, but are they the same effect
6 that you're trying to capture with the P90 in the
7 labour reserve because it sounds more specific, the
8 labour reserve, than the -- than -- than P90.

9 MR. DAVE BOWEN: It's -- it's an
10 excellent question. I'm not sure how much more detail
11 I'm going to get into it today. Certainly we could
12 provide more detail on that.

13

14 (MOVED TO SLIDE 26)

15

16 MR. DAVE BOWEN: In -- in terms of --
17 in terms of values this slide compares the -- the
18 CEF/IFF12 values to the NFAT scenarios looking at the -
19 - at the capital costs and economic indicators at the
20 low reference and high. It's for the Keeyask -- again,
21 Keeyask 2019 in-service date and the costs are in
22 billions of dollars.

23 So if you look at the first line item
24 here, the total base cost, excluding spent to date, the
25 -- you can see here in terms of -- it gives you the --

1 it gives you an idea of what the bookends are for the
2 analysis to help better understand. It goes back to
3 the question that was just asked, the range of those
4 results.

5 So -- so in -- for the base costs the --
6 there's a -- a -- basically a point -- a \$700 million
7 spread between the low and the high on the base cost.
8 The -- the CEF number is approximately equivalent to
9 the high value. The high value is slightly higher
10 because there's a -- a -- slightly more monies in the
11 escalation reserve that were applied there than that.

12 If we look at the -- the total in-
13 service costs there's a -- a broader range and -- and
14 again, the interest in escalation rates were applied to
15 those same cash flows. So there's a -- a difference
16 between -- of \$1.7 million from the lowest of the low
17 to the highest of the high. And -- and the -- the
18 capital cost of CEF -- CEF number follows roughly be --
19 roughly halfway between the reference and the high
20 value.

21 In terms of ranges, if we look at ranges
22 on the -- on the base cost we're roughly minus -- minus
23 eight (8) plus 12 percent. And this is all relative to
24 the reference.

25

1 (MOVED TO SLIDE 27)

2

3 MR. DAVE BOWEN: The -- the next slide
4 here tries to bring that into -- into context. So this
5 slide here is the -- it's -- it's the estimate
6 classification system for hydro power. It's right out
7 of the Association of Cost Engineers.

8 The -- the first column here is the
9 estimate class, so it ranges from -- from five (5) to
10 one (1), and it -- and it -- the estimate class changes
11 based on the level of project definition. For -- for
12 Keeyask we're within -- we're somewhere in the range
13 between a Class 2 and Class 3 estimate, and for
14 Conawapa we're in a -- we're in the Class 3 zone here.

15 In terms of how it's used, it -- it
16 talks -- it has broad categories for end usage here.
17 So the Class 3 is budg -- budget authorization or
18 control. Class 2 is the control or bid/tender. And it
19 also provides the meth -- some of the methodology
20 typically used.

21 What I -- what I want to talk about was
22 just the ranges here. So if we -- if we look at the
23 expected accuracy ranges, and -- and these -- these
24 apply to the base cost, they don't apply to the in-
25 service cost. That's how this table was developed and

1 should be interpreted.

2 But it -- it shows -- I -- I mentioned
3 earlier about the contingency percentages for both
4 Keeyask and -- and Conawapa, and then also the
5 percentages in the -- in the previous slide of where
6 we're at with base costs, but it shows that in terms of
7 gut check, in terms of industry gut checked, we are
8 within the ranges, the lows and the highs shown in --
9 in the slide here.

10 Again this table is in the -- in the
11 submission. Question?

12 MR. BORIS FICHOT: Yeah, Boris Fichot.
13 Is the definitions of management reserve and
14 contingency consist -- consistent with those from AACE?

15 MR. DAVE BOWEN: That's -- that's
16 another good question. So -- so this -- this table is
17 really meant for contingency. It doesn't explicitly
18 include management reserve. We -- we have our contacts
19 who are -- who are part of AACE and help develop the
20 standard. We've -- we've mentioned to them that --
21 asked them the question, Well, how does management
22 reserve fit into this? We believe that it fits in more
23 to the contingency analysis part, but it's not
24 explicitly addressed in that -- that standard because
25 it's a -- it's an -- it hasn't been considered by the -

1 - by the group.

2

3 (MOVED TO SLIDE 28)

4

5 MR. DAVE BOWEN: In terms of Conawapa,
6 walking through the same -- same table, same results,
7 again comparing the -- it's Conawapa 2025/'26 in-
8 service date and billions of dollars comparing the CEF
9 values to the NFAT scenarios. Again we're comparing
10 for both capital costs and economic indicators, the
11 lowest of the low, the reference point, and the highest
12 of the high.

13 I didn't -- I didn't mention last slide,
14 I apologize for that, that in terms of economic
15 indicators for the CEF/IFF, they -- they fall very
16 close to the reference. There's a slight difference in
17 the escalation rate that's applied to the reserve
18 amount. There -- we have the experts in the room who
19 could speak to that more directly.

20 So again comparing, if you look at for
21 the base cost excluding spent-to-date there's a range
22 of \$1.2 billion from 5 billion to 6.2 billion. Again,
23 the -- the CEF -- CEF value is approximately equal to
24 the high. The difference there is the different rate
25 in the escalation reserve that was applied in the NFAT

1 analysis compared to what was used in our CEF/IFF
2 number.

3 For the total in-service cost, there's a
4 larger range here -- larger range here of \$4.3 billion,
5 and -- and again the -- the capital costs for -- our
6 capital cost estimate for CEF/IFF is approximately
7 halfway between the reference and the high.

8 MR. JOHN TODD: John Todd. Just a
9 windup question. Back on page 12, management reserves,
10 it says:

11 "The Management Reserve ... may or
12 may not be recommended for inclusion
13 in the Project Budget --"

14 MR. DAVE BOWEN: Yeah.

15 MR. JOHN TODD: -- for Conawapa,
16 Keeyask, the intertie, so on.

17 Were they included or not included?

18

19 (MOVED TO SLIDE 12)

20

21 MR. DAVE BOWEN: They were included.

22 MR. JOHN TODD: Okay. So that high
23 consequence/low probability that does not expect -- you
24 do not expect to spend, is the right definition of it,
25 and it is included.

1 MR. DAVE BOWEN: I -- I missed the --
2 so we -- we recommended both an escalation in labour
3 reserve, and they both were included in -- into the
4 CEF/IFF value. So -- so, yes, the -- they're --
5 they're high consequence/low probability.

6 MR. JOHN TODD: Yeah. And, "only spent
7 if the identified event occurs." Yeah, okay.

8 MR. DAVE BOWEN: But -- but I
9 characterized -- it's important to note that there is
10 two (2) characterizations of type of -- type of items
11 within the management reserve. There is the -- the
12 high consequence, low probability number, and then --
13 and there -- the escalation. And I also mentioned that
14 there's other items that when we -- there's significant
15 events that don't necessarily fit into the contingency
16 bucket definition. They -- we also looked at the firm
17 management reserves.

18 The characterize -- the characterization
19 of the labour reserve and escalation fit that
20 characteristic.

21 MR. JOHN TODD: I see that -- it's John
22 Todd again -- the management reserve required MHUB
23 approval. In the filing, does that contain the actual
24 numbers for the management reserve?

25 MR. DAVE BOWEN: Yeah. I showed them

1 on --

2 MR. JOHN TODD: Sorry, I missed that, I
3 guess. Okay.

4 MR. DAVE BOWEN: Yeah, so in -- in
5 terms of -- what I meant there is that it -- the --
6 when I -- when we -- how -- when we execute a project,
7 the project manager for Manitoba Hydro is given the
8 authority to spend with a number of controls on it the
9 project budget.

10 If they need to access a management
11 reserve, they need to go to the Board and provide a
12 convincing story, say, Look, this is why I need to
13 access those funds, and have those funds added to the
14 project budget. That's what I meant by that.

15 THE FACILITATOR: Ed Wojczynski. I'd
16 like to add to that last part, because this is the
17 subject of some confusion in the past and in the
18 future. That policy where I said the management
19 reserve may or may not be included in the corporate
20 budget, in the IFF and CEF, was a consciously put in
21 piece when the corporation developed that policy.

22 And the thinking was that when we are on
23 a forward basis putting together our capital budgets,
24 borrowing requirements, whatever else, that the -- the
25 executive and board of the company may desire to have a

1 larger amount of capital res -- accounted for or
2 budgeted for than we think we're going to have to
3 spend, probably. And -- but not something that the
4 project manager could use unless it was justified and
5 approved by executive and board.

6 What that translates into for Keeyask
7 and Conawapa, and Vince Warden -- there was some very
8 testimony on that in the last GRA -- is so what we have
9 for Keeyask and Conawapa is an in-service cost estimate
10 which is more than our most -- our -- our most likely
11 cost. It is something which has a higher likelihood --
12 now, I'll have to get -- it's late on Friday. The --
13 the cost -- the budget amount in the IFF is more likely
14 to be higher than what we think will happen and then
15 lower than what we think will happen. It's sort of
16 like saying it's more than P50. We don't have an exact
17 probability number for it though.

18 So it's a bit of an issue, 'cause then
19 if you go to Ref/Ref/Ref capital costs estimate, it's
20 lower than what's in the IFF. So it cre -- it's going
21 to create some complications when our financial people
22 present rate results and things, for instance, 'cause
23 what's in the IFF is higher in terms of costs and rate
24 increases than Ref/Ref/Ref.

25 So it -- it's a complication. And I

1 just thought it'd be good to -- to clarify. We did
2 talk about this briefly in the last technical
3 conference, but this is actually -- now that we've got
4 numbers and everything else it's easier and more
5 explicit to talk about it.

6 Were there any more questions for Dave?
7 Oh, there are some. Okay.

8 MR. BORIS FICHOT: Boris Fichot. I
9 have a few questions. The first one's just a point of
10 clarification. So there's no significant change in
11 terms of the project definition over the last -- you
12 said three (3), is it four (4) or (5), just in terms of
13 the -- we have to review some of the IFFs, so in terms
14 of the project definition, it hasn't changed over the
15 last five (5) years?

16 MR. DAVE BOWEN: Yeah, since -- since
17 2009 and '10, when the Keeyask and Conawapa estimates
18 were -- were first completed, the -- the latest ones,
19 there hasn't been any significant changes.

20 MR. BORIS FICHOT: Okay.

21 THE FACILITATOR: Except for in-service
22 date.

23 MR. BORIS FICHOT: Okay. But in terms
24 of the -- the project itself, the --

25 MR. DAVE BOWEN: I'm taking for granted

1 that it says Conawapa 2025 here.

2 MR. BORIS FICHOT: Yeah. And so that
3 changed in which year?

4 MR. DAVE BOWEN: Pardon me?

5 MR. BORIS FICHOT: That changed which
6 year, the -- the in-service date?

7 MR. DAVE BOWEN: So the -- the current
8 in-service date for Conawapa is 2026, so there's
9 additional costs. The -- the ten point two (10.2) has
10 increased because of the -- the changes to interest
11 escalation and -- and carrying costs for another year.

12 MR. BORIS FICHOT: In -- in terms of
13 the staging and the scheduling and construction
14 process, who's been involved? It is solely Manitoba
15 Hydro or is it external? Like, in terms of overall,
16 you -- you've come up with a schedule of how this
17 project is going to be constructed and the cost is
18 derived from that. That's being -- sorry. Does that
19 have a lot of contractor involvement, or is that
20 internal?

21 MR. DAVE BOWEN: In -- in terms of
22 developing the -- the staging sequencing, that's based
23 on our past experience work with our consultants. I'm
24 not sure explicitly how much external review Keeyask
25 has had with external contractors. Certainly, in terms

1 of when the estimate was developed, but it -- it --
2 from our in-house Hydro people and a variety of
3 consultants, we -- we -- we've looked at that.

4 MR. BORIS FICHOT: I -- I presume
5 you'll -- you will be -- form a list of all the
6 established existing contracts. It seems like you
7 already have the general contractor on board, and is
8 that -- is that the case, or...

9 MR. DAVE BOWEN: No, no. In terms of
10 the contracts -- so the -- the Keeyask infrastructure
11 project started about a year, a year and a half ago.
12 So that's basically we're developing a -- an access
13 road to the site. We're developing the work areas.
14 We're building, basically, a -- small town at the site
15 to house all the workers and staff. So that work is --
16 is actively underway. There's a number of contracts
17 that have been -- that have been put out and are
18 currently being executed to do that work.

19 In terms of the generating station work,
20 the turbine generator contract has been -- work on that
21 has started already. It started about -- I'm looking
22 at Glenn -- a couple of years ago. Approximately two
23 (2) years ago. The general civil contract right now is
24 out for bid. That's -- that's scheduled to currently
25 close in -- in December of this year.

1 THE FACILITATOR: Any other questions
2 for Dave? Thank you, Dave. So we have twenty-three
3 (23) minutes to wrap up today. This next presentation
4 is going to be somewhat compressed. It'll -- if you --
5 it'll be handed out. So I will...

6

7 (MOVED TO SLIDE 2)

8

9 MACRO-ENVIRONMENTAL AND SOCIO-ECONOMIC CONSIDERATIONS
10 PRESENTATION:

11 THE FACILITATOR: I think we're okay.
12 So I'll speed -- we have speed dating, and now we've
13 got speed presentations. On the macro-environmental
14 and the socioeconomic, I wasn't planning to present a
15 lot of detail on it anyways. Before I get into it,
16 maybe just a -- a general explanation.

17 As I think everybody knows, we've got --
18 for Keeyask, we've already got the environmental
19 assessment process well underway. We're starting
20 public hearings in days. There is set -- I -- I went
21 and measured it. I lied yesterday to a couple of
22 people. I said there was 12 feet of -- linear of -- of
23 appendices and chapters and submissions and
24 interrogatory responses. It's actually only 7 -- 7
25 feet of -- of material, and plus lots more to come of

1 course.

2 Conawapa, we don't have an EIS yet, but
3 we've got lots of material and technical stuff done.
4 Similarly, on the transmission projects. And we had a
5 bit of a struggle in writing the NFAT submission, that
6 we obviously aren't going to duplicate the CEC process
7 on Keeyask and the next one that's going to be done at
8 Conawapa, nor the processes for the transmission.

9 So how much environmental and
10 socioeconomic do you transfer over into the NFAT
11 submission? Actually, the first draft we had of what's
12 called 'chapter 2' that has the project description,
13 the manager who put it together put in a who -- he used
14 to be the manager of the environmental assessment
15 group, and -- and did the -- the bulk of the Keeyask
16 environmental assessment and started the Conawapa one,
17 and we transferred into the NFAT to give us a hand
18 here.

19 He put in a whole bunch of stuff. And
20 he got some feedback that said, Whoa, whoa, whoa, whoa.
21 The -- the environmental and macro-environmental and
22 socioeconomic was supposed to be there for screening
23 comparison purposes, you've got too much. So -- so he
24 -- he reduced it and we -- we reduced it as a team.
25 But how much should we put in is -- is a bit of a

1 struggle.

2 Like I said, we've got 7 feet of
3 material. We could have put in 4 feet or 1 fit (sic).
4 Obviously, that's not what we want. Did we get the
5 right balance? I don't know. So we do have material
6 in there on Keeyask, Conawapa, and the whole range of
7 options.

8 I know there was some concern the other
9 day expressed, Well is there -- do we deal with the
10 Keeyask/Conawapa issues, particularly Keeyask, caribou
11 or -- or mercury or whatever. It is in there. Is it
12 to the level of de -- detail people would like to see?
13 Perhaps if it isn't it could always be expended. If
14 it's -- if we have the information.

15 I -- I do mention that caribou was
16 mentioned about nine (9) times or something, and I --
17 in -- in the front of the report. And we have some
18 more later, but I'll -- I'll just quickly go through.
19 We -- we have the terms of reference that we're -- that
20 talk about this. I -- I -- I don't have -- we don't
21 have time to go through it. It's there. PUB has
22 issued some definitions to utilize. We -- we've --
23 even though we did our work before a lot of this was
24 done, I think we're consistent with it.

25

1 (MOVED TO SLIDE 4)

2

3 THE FACILITATOR: Again the level of
4 detail may not be what we ultimately want.

5

6 (MOVED TO SLIDE 5)

7

8 THE FACILITATOR: Just very quickly, in
9 our process -- Joanne talked about the evaluation
10 process. We have in -- in it we have a multi-staged
11 screening process for our options that we include in
12 our assessments, ultimately, in our plans.

13 We start out with the technologies.
14 Then for the technologies we go to options. And then
15 we -- we screen those options down to get a short list
16 that we put in our plans. We use technical, economic,
17 environmental, and social information at all stage.
18 But at the earlier stages it's more technical in
19 general, and economic, and -- and then we get more
20 details as we go along.

21 Ultimately, when we make our final
22 decision-making, whether it was Wuskwatim back a few
23 years ago or -- or here, we do a social benefit cost
24 analysis which now has been reconfigured to be a bit
25 broader to a multiple account benefit-cost analysis.

1 And obviously as per the terms of reference we analyze
2 our plans against the -- the provincial act and
3 principles of sustainable development.

4

5 (MOVED TO SLIDE 6)

6

7 THE FACILITATOR: Just very briefly,
8 the screening information in the submission. I'm not
9 going to summarize it. It's too much. Chapter 7 talks
10 about that. We have in the appendices two (2) emerging
11 technology report review and Appendix 7.2 the range of
12 resource options. That goes through many of them. I'm
13 going to talk about those briefly right away.

14 And, ultimately, we picked up sixteen
15 (16) resource options, and then, ultimately, seven (7)
16 were the ones that we finally included in the plans.

17

18 (MOVED TO SLIDE 7)

19

20 THE FACILITATOR: This is Appendix 7.2.
21 I just want to point out, it's three hundred and
22 seventy-six (376) pages. And these are the options we
23 looked at at a screening level. The first screening
24 level.

25 And -- and the DSM we've talked about a

1 fair bit. That -- that's not so much talk -- dealt
2 with. It's more the supply options in here. And we
3 cover a very full, wide range in the submission.

4 Actually in our own work, and looking at
5 other options and dealing with the industry, we
6 actually have more information and more options we look
7 at than this, but these are the ones we got in the
8 submission. And even at this level in Appendix 7.2 we
9 do deal with environmental and social, and other
10 issues, as well, at that top level screening.

11

12 (MOVED TO SLIDE 8)

13

14 THE FACILITATOR: Then in the main
15 submission, Chapter 7, Table 7.1, these are the options
16 that are included in that chapter, and they're fairly
17 broad you can see. And we tried to focus on ones that
18 -- that have a possibly in Manitoba.

19

20 (MOVED TO SLIDE 9)

21

22 THE FACILITATOR: Then we screen that
23 down to a smaller number of options. Let's call it the
24 'short list'. These are the ones you're familiar with,
25 and they're in Table 7.6 in that chapter.

1 (MOVED TO SLIDE 10)

2

3 THE FACILITATOR: And this is the table
4 call -- Table 7.6 which have -- we have as a handout, I
5 believe. Is that -- yes, good. And obviously 'm not
6 going to be able to read that, and we don't have time
7 to spend much on that right now. But suffice it to
8 say, We tried to summarize there the -- the
9 environmental -- macro-environmental, socioeconomic,
10 and technical economic parameters against the -- these.
11 And so you don't have to try and read that whole thing.

12

13 (MOVED TO SLIDE 11)

14

15 THE FACILITATOR: These are the
16 characteristics we looked at in that Table 7.6, and
17 it's a fairly broad range. But again it's obviously at
18 a screening level.

19

20 (MOVED TO SLIDE 12)

21

22 THE FACILITATOR: And then we meant on
23 -- and what I -- what I didn't mention was in Chapter 2
24 we -- rather than just that Chapter 7 stuff, Chapter 2
25 for Keeyask particularly, we provide a greater level of

1 detail of -- of what the issues are. And that's
2 obviously extracted from that 7 feet of material I
3 talked about. Excuse me. And also in the multiple
4 accounts analysis.

5 The multiple accounts analysis is
6 Chapter 13 of this -- sorry, question? Oh, yeah.
7 Sorry.

8 MR. CRAIG SABINE: Yeah, sorry, just a
9 quick one (1). I know everybody is looking forward to
10 getting out of here. Craig Sabine. I'm just
11 wondering, I -- I know in the chapter it wasn't
12 entirely clear whether there was a set of criteria used
13 to apply to the screening factors against each other to
14 come to sort of an ultimate conclusion of what's
15 preferred versus what's not. Is that in the
16 appendices? Would you say that it's clearly defined in
17 the appendices, or...?

18 THE FACILITATOR: I don't think I said
19 the corr -- the -- the comparison is in there. I don't
20 -- I don't believe I said the final decision criteria
21 were clearly defined, no. When we looked at -- did the
22 screening down, I -- I think you have to say there's a
23 stage process, what -- what -- you know, from -- when
24 you start with the biggest list, what is sort of
25 economically within competitive range of each other,

1 what from a technical sense makes sense in Manitoba
2 from -- offshore wind obviously doesn't make that much
3 sense in Manitoba, as an example. And, ultimately, for
4 the very final short list, is -- is it environmentally
5 acceptable, are there socioeconomic benefits, or at
6 least are the impacts not too -- are they at least
7 acceptable, what makes economic sense. Do we have an
8 explicit decision matrix with weightings that gave us
9 that? No, it was more subjective.

10 MR. CRAIG SABINE: So it's judgmental
11 and subjective --

12 THE FACILITATOR: Yes.

13 MR. CRAIG SABINE: -- from that case?

14 THE FACILITATOR: Yes.

15 MR. CRAIG SABINE: And -- and purely
16 judgmental then on weighing impacts, say, emissions
17 related to impacts, water-related or fauna-related?

18 THE FACILITATOR: Yes. But --

19 MR. CRAIG SABINE: And -- and how you
20 evaluate them on the same plane?

21 THE FACILITATOR: Yeah. But I -- I
22 think it's safe to say that in the end we did not ex --
23 exclude any options quite on that basis in the end.
24 There are a couple -- nuclear we excluded and base load
25 coal we excluded on an environmental point of view and

1 a public acceptability point of view. And in good part
2 we've got legislation in Manitoba that -- that deals
3 with that, that expresses the social objective there.
4 So those were screened out.

5 If -- if you just go on purely on cost
6 you'd probably put in base load coal, pulverized coal.
7 But increasingly, that's ei -- just not socially
8 acceptable, and also not meeting the laws and
9 regulations. So -- but in terms of the other options
10 we -- we, ultimately, didn't exclude any of the major
11 options and included them all.

12 MR. BORIS FICHOT: Just following
13 between that Table 7.1 on Slide 8 and the -- I guess
14 the screened options on Slide 9, was the -- kind of the
15 -- the decision about the size of Keeyask and Conawapa,
16 did it occur then or did it occur later?

17 THE FACILITATOR: No, the Keeyask and
18 Conawapa sizing -- and again, we did touch on this in
19 the July technical conference and if we had more time
20 we could repeat that. We went through a twenty (20)
21 year process. I'm thinking more of Keeyask right now,
22 of -- of designing and optimizing Keeyask.

23 I think -- yeah, I did talk about it a
24 bit yesterday, didn't I, or am I dreaming? I -- I
25 believe I briefly talked about it yesterday of -- of

1 how we started with 1,100 megawatt options and winnowed
2 it down to what we have to reduce environmental impacts
3 and have it more socially acceptable to the local
4 people, dot, dot.

5 So that wasn't -- that was done as a --
6 as a thorough stakeholder-engaged process covering two
7 (2) decades. That may not be answering your question,
8 I'm not sure.

9 MR. BORIS FICHOT: Yeah. Well, there's
10 an optimization from a specific site perspective, but
11 then there's the optimization in the context of what
12 the large portfolio needs to be.

13 THE FACILITATOR: M-hm.

14 MR. BORIS FICHOT: And those tend to be
15 two (2) -- two (2) different exercises.

16 THE FACILITATOR: Yeah. There --
17 there's project-specific optimization and then there's
18 portfolio optimization. The -- in July we actually did
19 talk a bit about that where I went through the history
20 of the -- the power resource plans and -- and how it
21 evolved. And when we screened out certain options or -
22 - or brought them forward, economics were a big driver.

23

24 But also in parallel with that the
25 environmental parameters were -- an example of that I

1 gave was both Keeyask and Wuskwatim. In the mid '90s
2 we had high-head options. And then based on
3 environmental and social reasons we threw out those
4 options and put in smaller options. And that was part
5 of that staged planning process and part of the annual
6 powers of planning process.

7 And wind was put in in -- early in the
8 2000s and in -- in part it was based on social and
9 environmental preferences rather than purely economic
10 ones. On the other hand, in 2002 we put in a 280
11 megawatt combined -- simple cycle combustion turbine
12 facility at Brandon, and that was based pretty well on
13 economics. And even though from an environmental point
14 of view it was less preferable than -- in our view,
15 than hydro.

16 By the way I should take some kudos for
17 that. People talk about -- I'm going to pull a Byron
18 here. Ha-ha-ha. Mani -- even though we've had various
19 people outside of this room say, Well, geez, all you
20 look at is hydro and these other things, you never look
21 at thermal. We -- we built a -- 280 megawatts of gas
22 turbines in 2002 with no one pressuring us to do it
23 because it made sense at that time, so. And still
24 makes sense, it's -- so we don't just look at hydro.
25 Right, Byron? That's...

1 Anyways, does that answer your question?

2 Okay. I'm sorry, we have to cut -- you know, go
3 through this a bit quicker than we would otherwise.

4 The multiple accounts analysis is --
5 tries to internalize externalities and take a social
6 point of view on it.

7

8 (MOVED TO SLIDE 13)

9

10 THE FACILITATOR: We've got various
11 accounts. These are fairly standard accounts.

12

13 (MOVED TO SLIDE 14)

14

15 THE FACILITATOR: When -- if you're
16 doing a broa -- a very broad integration from a
17 societal point of view the market is what Joanne
18 presented.

19

20 (MOVED TO SLIDE 15)

21

22 THE FACILITATOR: The customer account
23 is a lot of what Liz presented, but it also accounts
24 for stuff we haven't talked much about here and that --
25 so. In this customer account, you know, we're dealing

1 with rates and -- short, medium-term rates. But also
2 from the customer point of view reliability and the
3 ability to deal with energy security, which the seven-
4 fifty (750) interconnection gives very big increases on
5 both reliability and energy security.

6

7 (MOVED TO SLIDE 16)

8

9 THE FACILITATOR: The government
10 account we've talked about. That was the transfers to
11 the province. But also -- if you go back there
12 recognizing they're taking on some debt, and that's an
13 issue for the province, we recognize that.

14

15 (MOVED TO SLIDE 17)

16

17 THE FACILITATOR: The Manitoba economy
18 account. And I know I had one of the -- where -- where
19 did he go? Anyways. Asking -- talking to us about
20 that already and the models for that, the input/output
21 models for economic driver, employment, those kind of
22 things. And that's part of the terms of reference
23 looking at the socioeconomic benefits for the province.

24

25 (MOVED TO SLIDE 18)

1 THE FACILITATOR: Environment account.
2 There are the air emission ones. The greenhouse gas is
3 one that we particularly focus on given the public pro
4 -- profile and societal importance placed on it,
5 including the whole carbon market issue and
6 externalities.

7

8 (MOVED TO SLIDE 19)

9

10 THE FACILITATOR: Biophysical impacts.
11 We recognize you can't just look at air emissions
12 because that is negative for, say, gas. You also have
13 to look at the biophysical impacts, and there
14 definitely are some but there's a lot of mitigation,
15 and we do talk about that a bit in Chapter 7.

16 In the submission with the gas turbines,
17 we focussed on the plants themselves but, of course, we
18 all recognize that there are other impacts that aren't
19 site-specific or site-oriented. If you know about
20 natural gas, the whole production process, the whole
21 pipeline process, as well the emissions.

22

23 (MOVED TO SLIDE 20)

24

25 THE FACILITATOR: Social account. The

1 single largest thing are the local communities which
2 are mostly the partner communities, which is why
3 they're partner communities, but there are also others
4 in -- in the area who are not partner communities who
5 benefit and have been involved.

6 We also, from an intergenerational
7 equity point of view, we have this in Chapter 14 as
8 well as in Chapter 13, that, yes, we're seeing medium-
9 term rate increases slightly higher with the Preferred
10 Plan than, say, an all gas plan or some of the others.
11 And then in later generations, we see a much lower
12 rate. So one could argue, from an intergenerational
13 equity point of view, in the medium term Manitobans are
14 seeing some impact, and is that fair from an
15 intergenerational equity point of view.

16 On the other hand, there's an offsetting
17 benefit to that generation in that this is the
18 generation that sees the job impacts and economic
19 stimulus impacts. So they're -- it's not just -- and
20 they are the ones who get the twenty (20) years of
21 reliability in energy security benefits. So from an
22 intergenerational point of view, you are getting some
23 balancing, even though they're on different accounts.

24

25 (MOVED TO SLIDE 21)

1 MR. DAVE BOWEN: I said this was going
2 to be a speed version. What -- yes, question...?

3 MR. RUSS TYSON: Russ Tyson, TyPlan.

4 THE FACILITATOR: We might go five (5)
5 minutes over.

6 MR. RUSS TYSON: No, no, I'll keep this
7 quick. Just a clarification on how you did the
8 multiple account chapter. I'm assuming you used the
9 federal guidelines on how to do multiple accounts. And
10 then once you ran all the accounts, you then looked at
11 the provincial input/output model of construction costs
12 to derive the economic benefits.

13 A couple of questions. Reliability
14 seems to come up in the questions. That is a very
15 significant point for your operations and also for the
16 people of Manitoba. Could you explain that one a
17 little more?

18 THE FACILITATOR: Yes, I can. The --
19 the answer is yes to your first two (2) questions. We
20 actually had an external consultant, by the way, his
21 name is Marv Shaffer, do the social benefit, the
22 multiple accounts. He's -- he's -- and he'll be a
23 witness in the hearings.

24 In terms of the reliability, we used --
25 and it's actually in one (1) of the appendices, a

1 probabilistic evaluation of the primary scenarios, or
2 primary plans. We used what's called loss of load
3 expectation, using Monte Carlo simulation of the
4 Manitoba system, bulk system interconnected with the ma
5 -- a MISO system. And we have emergency assistance
6 over that, using uncertainty in load forecast, and
7 short-term load forecast, outage rates for the major
8 transmission and generation.

9 And -- and a lot -- so that's all in
10 there. And it's -- it's one (1) of the submissions and
11 we have -- I don't remember the numbers offhand, but
12 quite -- 800 megawatts or something more of what's
13 called 'load carrying capability' of the 750-megawatt
14 interconnection plans compared to the no
15 interconnection plan. So a very substantial
16 improvement. It's somewhat higher for the two-fifty
17 (250) plan, but not a -- what -- not anywhere close as
18 much as the seven-fifty (750) plan.

19 MR. RUSS TYSON: Okay. Two (2) more
20 questions. I'll make them quick. Projected cost to
21 the ratepayers of Manitoba. How is that addressed
22 numerically in the multiple account or in the IO --
23 input/output model? Or was it?

24 THE FACILITATOR: Sorry, I -- I didn't
25 understand the question.

1 MR. RUSS TYSON: The implications of
2 rate increases to Manitobans.

3 THE FACILITATOR: You know, that's a
4 good question, and neither the staff who were involved
5 in it, nor the specialist is here to answer that. So I
6 -- I can't tell you.

7 MR. RUSS TYSON: Fair enough. And one
8 (1) last question. We all know that there's
9 significant construction benefits from projects like
10 this.

11 What about operational benefits? What
12 has Manitoba Hydro done, or can you direct me to
13 something in the application that would tell me all the
14 good stuff that you've done in that regard?

15 THE FACILITATOR: Could you repeat the
16 question?

17 MR. RUSS TYSON: How ma -- how are you
18 addressing optimizing operational jobs once
19 construction is complete?

20 THE FACILITATOR: Ah. It's touched on.
21 We have -- for the local communities we have various
22 arrangements and programs and guarantees, and twenty
23 (20) year funded programs. There's a -- it's touched
24 on in Chapter 7, Chapter 2. We'd have to provide more
25 information either in interrogatories or otherwise.

1 It's in that 7 feet of material.

2 Just to finish off, and this table is an
3 important table. From a social benefit cost point of
4 view, where you look at the province as a whole from a
5 societal point of view -- and -- and this is how I
6 would interpret. If you're -- look at the terms of
7 reference, the socioeconomic benefit to the province,
8 the societal perspective as opposed to a private
9 perspective, and so we have a -- using a social
10 discount rate, a real discount rate, of 6 percent. And
11 in -- internalizing the externalities, this is the
12 summary of -- at Ref/Ref/Ref. And what you get is the
13 -- and for some reason Marv chose -- preferred to
14 present it this way, so we didn't want to tamper too
15 much with what -- what Marv's analysis was. So he did
16 it the other way; preferred plan, and then negative as
17 opposed to the positive going the other way.

18 So in that one, you see when you add --
19 you do all the adjustments -- and he's got the
20 government transfers, he did not use the debt guarantee
21 fee, by the way. He felt his judgment was that the
22 debt guarantee fee -- that Manitoba Hydro's getting a
23 benefit by having the lower discount rate, that there
24 is some risk to the government, that maybe the debt
25 rating will be affected. There is some risk. John

1 Todd was asking about that.

2 So he chose not to in -- as a
3 conservative basis, not to include the debt guarantee
4 transfers in this and in -- in his government transfer
5 line, just the two (2) taxes. And then he brought in
6 the labour component adjustment, and then the
7 environmental externalities, mainly based on
8 greenhouses gases, or entirely.

9 And anyway, so his social -- societal
10 point of view came to more or less the same answers we
11 did, although the numbers are different. And I'm
12 nearly finished.

13 His conclusions, we talked about them.
14 SD principles, I'm not -- be able to go through them.
15 We have -- in Chapter 2 we deal with each one (1) of
16 the principles and also we have the guidelines. And so
17 -- I'm sorry, we don't have time for that. Thank you.
18 Any questions?

19 Okay. It is just past 3:30. I don't
20 know that there -- on a going forward basis, I think
21 this is the end of this workshop. I don't know, Hollis
22 or -- if there's anything that needs to be said about
23 going forward. I don't think so. There's no -- no.
24 Or Bob. I'm looking at Patti and Marla. No.

25 So I know Josee has been -- has -- will

1 be organizing this business with the independent -- the
2 ex -- experts, if something more needs to be done, in
3 terms of the meetings. I'm assuming there's a process
4 for that.

5 Are there any last questions before we
6 wrap up? I know we'll be talking in the future, but in
7 terms of these workshops?

8 Well, thank you very much and have a
9 good weekend.

10

11 --- Upon adjourning at 3:38 p.m.

12

13

14

15 Certified correct,

16

17

18

19 _____

20 Cheryl Lavigne, Ms.

21

22

23

24

25

<u>\$</u>	318:14,24	405:7,9	442:11	417:19
\$1.2 484:22	325:10,12	1,100 381:2	452:1	453:8
\$1.7 373:18	327:5,6,8	397:16	455:24	481:23
481:16	328:16	419:19,24	489:17	485:9,19
\$10 387:21	329:4,8,12	502:1	498:1	492:22
\$10.2 471:16	340:20,23	1,390 320:15	10.2	498:20
\$11 309:3	346:8	1,462 301:7	464:1,16,2	12:00 365:18
\$200 461:15	349:3	308:12	4 467:9	367:4
\$230 461:6	359:4	1,696	471:23	12:30 367:7
\$250 403:2	367:21	300:5,17	490:9	13 312:6
\$350 316:23	372:8	301:4	10.8 322:22	326:18
\$4.3 485:4	373:16	320:2,14	10:30 323:8	334:25
\$40 387:21	375:5	1.2	10:39 327:25	418:12,14
\$50 387:24	377:12	342:3,4,23	10:53 328:1	453:15
407:11	378:25	351:8,25	100	499:6
\$500 461:6	385:15	353:3,14	345:4,5,12	504:8
\$700 481:6	386:2	1.44 360:20	346:18	507:8
\$800 401:21	387:22	1.5 315:3,8	369:10	14 273:2
	388:22	316:8	370:1	316:16,25
	395:16,25	1.7 384:6	395:7	317:17
	399:4	1/2 302:8	411:20	321:8
	400:5,7,16	307:6	10-2 460:13	327:7,9
	,19	308:19	461:8	344:16
	402:5,19,2	309:9,12,2	10th 319:19	345:17
	0 404:9	1 312:11	11 331:14	368:24
	407:19	318:24	358:23	384:13
	409:4	358:10	363:3	394:1,11
	415:18	359:4	379:10	397:24
	416:12,19	374:24	401:1	406:20
	417:12	399:13	410:4	420:20
	418:17	419:7	444:21	424:24
	421:8	1:49 431:13	461:1	425:6
	422:16	10 277:22	498:13	428:23
	426:11	314:11	11.1 343:23	454:9
	434:16	319:10,17	478:16	504:13
	435:22	320:3	11.2 358:1	507:7
	436:2	321:10	360:13,15	14/'15
	438:20	322:2,3,21	11.3 358:22	360:16
	441:12	327:21	11.4 339:6	361:22
	448:1,13	328:21	344:24	15
	454:5	345:25	346:7	289:2,7,10
	467:21	346:5,11	11:45 365:12	,18,25
	469:12	354:13	11:48 367:6	292:7
	478:24	357:20	12 296:8	328:23,25
	482:10	361:1,4	299:2,13	329:16
	494:3	372:8	326:17	377:2
	499:9	400:13	363:19,21	385:22
	508:25	415:7		387:20
	509:10	417:22,23		398:24,25
	510:8			426:15,18
	512:15			430:6
	1,083 309:19			
	1,097			

431:2	365:6	2:00 431:14	334:16	297:2
455:5	368:11,21	20 261:21	418:23	299:5
504:20	373:16	273:20	419:7	471:17
16 428:13	379:24	297:16	2014 299:19	484:7
456:16	385:16	307:8	355:22	2026 309:1
496:15	388:22	333:1,19	369:2	369:25
505:7	389:8	342:14,17	387:19	370:14
17 428:20	395:15	380:12	464:1,10,1	383:6
460:24	399:14	411:4	2	387:16
505:15	400:19	429:6	471:18,22,	393:12
18 429:24	402:24	460:6	23	402:16
458:5	406:20	463:15,17	472:5,9,14	490:8
505:25	414:11	501:20	,17	2028 369:14
19 298:19	415:21	506:23	2014/'15	2030 298:25
311:22	416:24,25	507:20	307:8	299:2
459:20	417:13	510:23	362:21	309:1
506:8	420:10	2000 370:15	2015 346:17	346:17
196 312:4,18	421:7	2000s 503:8	354:10	350:19
313:23	426:10	2002	2015/'16	351:2
317:24	432:6	503:10,22	297:5	354:12
318:7	433:6,11	2003 263:14	2018	356:20
1970s 262:7	436:12	2006 458:18	370:15,20	2030/'31
1980s 458:15	442:18	2009	390:13	297:2
1990 262:20	443:11	455:16,24	2019 460:12	2031 299:4
452:8	449:17	489:17	480:21	2031/'32
	455:17	2010 455:17	2020 355:10	360:17
	456:20	2012	393:11	2033 299:3
	459:23,24	296:11,24	423:6	2035 351:2
	467:2	297:12	2020s 403:5	356:23
	469:2	298:24	2021/'22	2040 350:19
	472:14	299:3,20	362:21	357:2
2 265:3	482:13,18	300:1,25	2022 296:21	2045 357:8
270:15	486:10	319:11	383:4	2060
272:1	491:23	320:1,12	402:17	350:10,11
273:1	492:7	322:12	2023 308:20	357:8
274:5	493:12	455:8	2023/'24	2080 350:9
282:20	496:10	461:5	296:21	21 342:15
285:18	498:23,24	464:11	2024 298:25	345:1
288:8	502:7,15	469:1	308:20	352:14
297:1	508:19	472:11	2025	358:14
298:20	509:19	479:18	402:18,21	461:18
303:17,19	510:24	2013 254:22	423:11,14,	507:25
304:3	512:5,15	296:6,12	18 460:11	21/'22
306:19	2,000 314:10	297:9,20	465:7	361:23
309:4,16	2,125 300:18	300:7,21	471:22	2132 358:4
310:4	301:6	301:6,20	490:1	22 300:1
314:5,17	2.07 360:21	307:7	2025/'26	396:25
328:8	2.1 359:6	322:15		
331:16,19	2.4 460:10	326:16,22		
339:8	464:15			
347:4,7	477:18			
355:9				
362:20				
363:5				

473:19	25th 344:18	428:8	35 285:15	410:9,23,2
23 299:24	358:11	437:13	289:4,18	4 425:23
308:5	26 478:11	438:17	290:1	426:18
396:25	480:14	444:16	333:20	427:2,9,24
430:19	26/'27 298:6	455:18	350 318:2	,25
476:9	299:6	458:11	367 258:10	428:9,24
492:3	265 258:7	460:22	37 309:14	429:1
230 380:23	27 280:23,24	482:13,14,	375 423:7,9	430:7
394:6	281:5,11	17 489:12	376 496:22	432:18
395:10,14	290:5,17	3.2 358:13		436:2,3,21
396:3	292:2	3.42 360:17		451:3
397:4,16,2	293:18	3.98 360:18	<hr/>	475:7
2 398:3	328:15,25	3:30 259:9	4	489:12
426:5	329:3	329:12	4 273:2	494:3
24 396:25	336:21,22	365:20	298:24	495:1
476:24	338:13	367:12	302:8	4.3 358:10
25 263:8	344:9,23	512:19	304:25	4.5 460:21
345:25	482:1	3:38 513:11	306:18	4:00 368:15
346:3	27/'28	30 262:12	307:7	40 261:22
357:6	307:14	273:20	308:24	273:20
422:6	361:25	274:1	309:17,21	274:1
477:14	28 422:19	286:2	311:22	392:21,25
25/'26 298:6	484:3	288:4	312:1,13,1	446:18
250 298:20	280	290:1	4 313:9,21	454:2
311:23	503:10,21	292:7	314:25	400 254:20
338:8	<hr/>	299:3	315:3,12,1	41 278:1
344:14	3	377:3	7,20,21	322:22
361:19	3 270:15	443:20	316:1,5,15	42 275:22
369:4	272:1	454:2	,24 317:16	280:10
372:1	279:3	300	318:4,23,2	294:1
374:15,19,	280:12,24	369:21,25	5	43 298:12,18
20 377:14	281:3,4,12	370:1,2	319:4,13,1	432 258:12
380:22,23	285:12,13	381:9	4,21,22	44 299:8
381:10	287:19,21	385:19	320:11	308:8
385:16	288:3	399:7	321:5,6,11	316:22
387:7	337:23,25	31/'32	327:7	317:6
389:1,17,2	338:14	342:15	338:23,25	45 302:4
0,22	352:17	345:2	344:14	307:1
390:1,10	358:10	352:14	361:18	46 307:18,22
392:24	371:18	358:14	371:2	308:15
394:19	374:15	312 309:18	372:15	47 311:18
395:14	381:11	31st 461:5	373:21,22	48 318:11
405:17	385:17	469:1	374:15	49 319:6
420:2,4,11	389:1	329 312:3	383:6	492 258:14
421:5	390:1	330 254:20	384:7	
426:25	400:18,19,	331 258:9	385:18	<hr/>
427:11	20	342 312:3	389:1,2,10	5
509:17	410:19,22		393:2	
254 254:23	426:4,18		399:12,13	
259 258:4	427:2,9,24		400:18,19,	
			20 402:17	
			405:10	
			406:19	

5 297:4	360:9	382:4	22 377:13	887 299:24
342:10	419:12	388:11	380:25	300:14
343:25	420:4,7	435:12	381:11	301:1
344:2	438:15	439:22	385:17,18	320:1,13
354:11	449:11	492:24	387:14	
361:20,21	450:2	494:2	389:2,10,1	<hr/>
362:11,13,19	500	496:9,15,1	8,21,23	9
382:18,19	262:8,17,1	8 497:15	390:2	9 293:16
384:3	8 381:1,4	498:24	391:4	299:12,22
385:13	392:2	499:2	394:5,16,2	314:11
388:7	394:16	506:15	0 395:7	359:12
390:6	395:15	510:24	396:18	360:5
392:20,25	397:4,23	511:1	397:1,11	390:19
398:11	398:5,9,13	7.1 403:16	404:14,20	397:20
399:1,11	422:8	413:21	405:1,3,23	401:12
400:2,4,18	423:7,9,11	497:15	419:16,17	405:7
,20 425:23	,20	501:13	420:11	441:5
428:16,24	500-megawatt	7.2	421:4	494:16
429:1	423:5,14	496:11,20	422:14	497:20
430:7	513 254:23	497:8	423:1,2	501:14
431:8,9,10	258:16	7.3 435:21	424:7,17	9.3 269:24
435:6,22	55 292:8,20	474:16	425:13,24	279:16
436:4	345:12	7.6 497:25	426:3,25	282:16
461:21	5-8 461:8	498:4,16	427:11,12	284:19
482:9		70 309:11	505:4	293:11,15
484:22	<hr/>	357:12	509:18	294:11
489:12,15	6	360:11	750-megawatt	326:5
495:6	6 254:22	411:23	509:13	477:18
508:4	343:19	443:22	75th 344:19	9:15 259:1
5,000 329:14	385:9	700 408:15	358:12	90 270:23
5.05 298:1	438:10	70s 262:17	771 309:11	346:1,5,12
299:21	440:6	728 300:25	78 268:14	357:7,21
322:1	455:11	308:12	277:17	90s 503:1
5.1 358:13	496:5		<hr/>	960
5.4 298:2	511:10	734 308:1,13	8	300:15,24
300:21	6.2 484:22	309:13	8 314:15	<hr/>
322:10	60 384:24	736 320:13	344:3,9	A
5.40 298:3	393:2	75 346:1,3	350:21	a.m 259:1
50 297:4	600	357:7	358:19,21	327:25
326:10	408:12,13	75/25 316:21	359:24	328:1
327:2	62 328:23	342:2,14	361:16	367:6
333:2,14,2	6-2 460:14	351:24	382:4	AACE 434:6
2 337:21	65 357:12	352:14	390:4	442:17
342:25	360:11	358:3	440:23	483:14,19
344:1	<hr/>	750 298:20	481:23	abbreviated
345:13,14	7	338:8	497:12	334:9
346:1,4	7 314:15	369:8	501:13	ability
357:6	357:23	372:1	80 270:23	262:15
358:8,24	358:1	374:15,19,	346:13	263:12
359:3,7,22			800 509:12	264:9

362:17	500:5,7	across 292:1	447:10	361:8
364:7	501:8	341:7	448:7	419:3
429:7	502:3	358:9	452:16	422:9
456:20	access	451:16	462:23	423:21
462:8	398:9,10	458:2,3	471:13	428:3
505:3	487:10,13	476:6	489:3	432:14
able 270:12	491:12	act 417:14	492:24	454:5,6
294:17	according	430:22	493:11	457:7
301:10	345:7	496:2	497:4,6	490:9
304:5	account	actively	502:18	address
306:17	275:8	452:18	508:20,25	268:16
325:5	424:15	491:16	Adams 256:6	371:15
330:24	467:17	activities	259:15	379:23
336:17	472:21	339:9,17	260:11,12	405:17
337:6	495:25	463:12	264:18	441:2,12
346:9	504:22,25	acts 446:3	add 283:23	454:16
380:19	505:10,18	actual 269:6	286:14	addressed
397:10	506:1,25	289:15	288:14	266:19
419:23	508:8	292:8	324:1	379:5
432:9	509:22	343:10	333:2	397:25
469:20	accounted	347:14	340:5,11	457:4
470:14	488:1	354:9	345:20	483:24
478:16,17	accounting	417:20	381:15	509:21
498:6	331:22	434:18	396:15	addresses
512:14	335:19	442:1	402:10	403:8
Aboriginal	337:2	454:1	413:20	addressing
429:11	348:8,12	486:23	414:12,19,	268:21
466:20	accounts	actually	22 454:5,6	269:16
abrupt 352:8	499:4,5	266:9	487:16	400:24
absent	504:4,11,2	289:10	511:18	444:24
321:12	3 507:23	299:25	added	510:18
absolute	508:9,10,2	336:8	401:3,16	adds 340:2
354:21	2	337:7	444:25	adequate
362:10	accrual	339:9	453:2	479:20
absolutely	337:3	344:19	459:17	adjourning
290:12	accruals	352:15,19	487:13	513:11
375:23	337:10	362:4	adding	adjust 268:1
376:12	accuracy	368:19	401:21	288:10,11
382:2	443:1	381:12	409:21,25	adjusted
407:13	482:23	382:16	414:14	269:5
417:11	accurately	383:20,22	addition	296:12
absorb	424:19	385:14	319:8	adjustment
362:17	achieve	386:12	432:15	269:6
364:7	342:23	404:11	451:23	512:6
absorbs	351:6,8	419:25	454:4	adjustments
369:22	352:14	421:12	456:13	281:9
acceptabilit	358:3	424:14	additional	334:19
y 501:1	462:23	425:3	275:19	477:11
acceptable	474:7	431:19	324:20	511:19
		434:24	328:10	
		442:2,5	356:2	

advance 310:6 418:6	afternoon's 275:17	allows 336:13	325:6 409:13 432:3 501:24	303:5,7 305:8,18,2 3
advanced 422:19,22 475:1	against 305:10 328:18 396:19 404:17 427:16 474:6 496:2 498:10 499:13	alluding 451:8	amenable 448:16	307:21,22 310:14,19 311:21 325:4,8,14
advancement 310:10	agencies 378:23	alone 418:16	America 305:20 403:22 404:2 456:3	326:20,23 328:18,22 330:21 332:13 333:21 336:14
advancing 383:17	agenda 259:9,11 260:2 325:13	already 283:21 321:13,22 323:8 337:21 339:10 342:20 346:22 369:11,15 385:14,23 387:17 401:9,10 405:5 418:4,15,2 2,23 419:8,15 420:15 421:5 422:4,5 423:22 491:7,21 492:18 505:20	among 282:7 295:22	337:5,13 338:9,11 345:7 348:17 373:25 374:3,4 378:1,14 379:9 381:16 385:6 389:25 391:17 392:11,19 393:22 398:22 405:13 418:19,20, 21 419:11
advantage 397:5,8,14 423:1	ago 261:21,22 385:13 446:10,11 452:1 491:11,22, 23 495:23	als 403:20	amount 283:6,9 353:6,8 359:9 380:13 407:23 408:18 416:14 417:4,6 440:8 443:24 444:25 460:24 467:22 484:18 488:1,13	433:9,20 434:5 451:14 456:13 461:13,14 467:20 476:18 481:2 483:23 485:1 495:24,25 499:4,5 504:4 511:15
advantages 428:1	agreement 263:4 296:25 369:10 390:25 391:24 392:15 436:8 475:22,23	alternate 335:8	amounts 380:9,14 460:23 477:12	
adverse 341:22 362:18,19 364:8 467:13	Ah 510:20	alternative 303:8 412:2	analogy 286:19	
advice 274:10	ahead 369:4 370:16 423:16	alternatives 254:9 258:6 265:12 285:21 355:11 356:23 357:16 358:7 363:8,15 407:20 415:3	analyse 361:16	
advisors 256:10,11, 17 257:15,22 270:16	air 506:2,11	am 264:12 275:14 289:3,5 290:1	analyses 389:10	
Advisory 257:18	alignment 441:11		analysis 275:8 278:8 284:11 297:3,15,2 1,25 298:5,7,16 300:3 301:14,20, 21,22 302:7,10	
affe 430:23	aligns 307:15			analyze 340:22 381:23 385:23 408:6 434:2 496:1
affect 302:14 418:20 430:13	alive 457:19			analyzed
affected 380:16 511:25	alliance- type 474:4			
affecting 361:23,24, 25 436:24	allowed 309:6			
afield 306:1				
afraid 418:8				
afternoon 268:25 282:22 432:10				

313:14,15	428:11	512:22	474:16	361:12
350:21	429:19		478:16	382:1
360:24	435:2	anyway	496:11,20	436:25
analyzing	448:4	294:20	497:8	453:21
340:18	449:4	512:9	apples	463:20
ancillary	471:13,15	anyways	470:12	464:4
372:11	504:1	376:23	appli 304:11	478:6
Anita 255:3	508:19	394:21	application	482:24
ann 360:19	510:5	408:15	275:8	499:13
announcement	answered	426:11	277:5	applying
422:6	283:22	492:15	303:7	292:20
announcement	422:2	504:1	309:8	300:20
s 371:4	answering	505:19	343:17	341:5
annual	263:24	anywhere	347:3,16	433:24
307:13	502:7	412:4	353:2	460:1
337:9	answers	509:17	433:8	461:23
341:19	266:3	apologize	448:15	appreciate
351:6	435:3	340:17	510:13	261:3
352:13	436:10	484:14	applied	270:7
358:2,9,12	512:10	Apparently	272:22	appreciation
,15,24	answer's	323:22	274:12	452:1
360:16,19	381:17	APPEARANCES	276:9,17	approach
388:3	anticipated	255:1	278:12	263:13
419:4	261:15	256:1	280:20	264:8
503:5	Antoine	257:1	282:3,4	268:24
annually	257:6	appendices	284:9	311:25
341:12	348:1	331:14	289:14,16	340:21
answer	349:3,7	345:1	292:3	342:13,16
259:13	anybody	467:22	306:8	343:7
264:13	261:6	477:18	307:10	352:21
276:18	366:7	492:23	308:5	437:17
283:22,25	372:10	496:10	319:13	439:18
304:4	372:10	499:16,17	345:6,16	443:11
305:6	380:7	508:25	346:23	445:13
315:14	384:15	appendix	347:16	446:1
325:5,10	409:10	269:23	433:9	449:2
330:18,24	anything	270:4	443:25	470:19
331:3	265:5,7	279:16,18	460:3	approaches
348:13	288:7	284:19	465:8	448:21
375:19	317:14	293:11,15,	476:12	appropriate
376:20	324:1	17,23	481:11,14	265:19
378:21	329:2	294:11,17	484:17,25	266:10,13,
379:3	330:4,7	326:4	applies	22 379:16
389:7	334:19	331:12	278:7,24	457:2,4
390:1	389:4	344:24	331:21	473:5
402:14	396:15	346:7	apply 274:14	appropriatel
412:14	411:4	403:16	285:20	y 445:2
416:2	412:22	413:21	288:1	approval
421:12	415:17	435:20	309:15	262:8,25
424:5	427:5	460:10	315:25	346:23
	430:9	469:11	348:23	

369:1,8,13 ,16 370:2,8 371:11 415:6 425:24 426:2,4 453:2 486:23 approvals 436:7 approved 263:18 347:19 426:9 453:6,11 488:5 approximatel y 334:2 336:20,21 359:4 362:4 460:25 461:14 462:19 481:8 484:23 485:6 491:22 Arabia 412:17 area 262:10 330:24 419:22 424:8 431:4,18 440:18 507:4 areas 265:17 269:2 271:12 491:13 aren't 376:12 412:14 418:19 464:5 476:14 493:6 506:18	argue 507:12 arguing 270:14 argument 381:25 arrangement 306:7 393:13 arrangements 448:17 510:22 arrive 277:1 art 446:13,22 Aside 409:11 aspects 287:22 325:15 assess 302:12 388:2,4 assessing 292:9 assessment 258:10 259:25 367:17 402:1 492:19 493:14,16 assessments 495:12 asset 267:10 349:21 assets 270:22 333:8 353:21,22 354:2,3,6, 17 360:23 364:5 392:2,3 399:18 436:15 assistance 323:23 509:5	assists 264:25 associated 264:8 279:6 300:4 318:4 331:14 357:19 369:6 394:18 446:13 Association 482:7 assume 408:6 420:24 assumed 292:15 296:11,24 301:6 392:11 420:24 424:16 assumes 376:1 392:19 assuming 271:17 287:8 354:2 371:24 372:2 382:22 389:4 392:7,25 400:4 423:24 430:8 468:2 508:8 513:3 assumption 271:14 296:7 300:20 376:20 380:11 392:12 393:23 assumptions	276:3 278:15 296:10,12, 13,19 298:7,23 299:1,20 300:1,7,21 ,25 301:19,20 317:3 319:11 320:12 322:12 326:18,22 331:21 332:16 333:3 334:21 335:12 348:18,25 376:19,24 403:14 423:24 424:16 436:19 437:5,9 439:18 441:9,10 442:4 447:7 Athas 256:10 284:7 302:16,17, 24 303:2 304:10,16, 22 306:21 311:6,11 316:11,19 317:2,9,20 ,22 318:1,6,9 322:16 327:5,6 350:23 351:20,23 352:6 375:4,5 478:23 479:1,10,1 3 480:3 Attached 293:19	attention 454:3 456:22 attract 475:24 attracting 463:4 466:6,8 475:11 attraction 457:12 475:8 attractive 327:9 373:18 381:8 399:8,19 412:20 421:1 426:11 attractivene ss 302:12 311:2 318:18 421:3 attributable 354:17 436:15 attributed 348:9 authority 487:8 authorizatio n 482:17 automated 337:17 available 304:20 307:5 333:25 392:5 402:22 410:13 418:1 430:24 Avenue 254:20 average
---	--	---	--	---

297:24	balances	436:23	388:3	450:15
349:20	427:4	440:21	408:8	483:22
424:12	balancing	441:8	432:20	498:5
averaging	337:4	442:1,5	449:17	499:20
359:2	507:23	443:6	451:18	501:25
avoids	bar	444:18	457:20	belong
294:10	344:13,14,	446:1	487:23	339:10,11
aware 306:3	15 358:16	454:13	500:23	ben 408:7
380:22	bare 471:7	456:8	512:3,20	beneficial
452:19	base 305:23	457:3	battery	262:11,13
456:2	307:7	460:11	417:14	350:18
476:4	309:13	472:1,2,11	BC 451:17	419:23
away 259:12	315:19	,16 473:14	452:12	benefit
382:15	349:1,2	477:22	456:1	261:10
387:18	416:24	482:11	bears 287:22	264:6
391:10	433:14	490:22	become	294:8,20
400:7,11,2	453:18,19,	503:2,8,12	272:18	312:14
5 405:1	21 454:12	512:7	300:15	319:14
496:13	459:25	basically	374:1	321:6
axis 350:2,8	461:3	276:19	398:5	324:8
	465:3	310:6,16,1	407:13	337:2
	468:19,21	7 312:8	becomes	415:14
<hr/> B <hr/>	472:1,4,7,	316:23	350:14	432:11
ba 416:16	8,23	317:13,15	381:8	495:23
backed 283:4	477:21	318:23	bed 368:16	507:5,17
391:21	478:6	361:20	bef 264:22	508:21
471:11	480:24	432:18	304:18	511:3,7,23
background	481:5,7,22	433:12	begin 332:18	benefit-cost
265:10	482:24	436:5	beginning	495:25
439:12	483:6	438:25	368:18	benefits
446:19	484:21	439:8,18	405:20	274:17
450:24	500:24	440:2	begun 332:18	309:23
479:25	501:6	444:12,16	behind	351:17
backhoes	based 276:13	445:8	314:18	378:3,4,17
437:7	278:15	453:20	327:20	404:15
backing	281:12	456:21	367:11	408:7
470:23	283:16	457:9	418:8	428:6
backup	307:24	462:21	449:25	429:10
283:7,9	319:10	463:8	believe	462:25
bad 268:4	320:11	465:2,9	273:3	500:5
balance	337:1,19	473:6	290:3	505:23
337:8	338:13	474:8	307:13	507:21
339:22	348:24	479:18	310:9	508:12
353:15	353:23	481:6	321:17	510:9,11
354:6	355:5,6	491:12,14	325:4	Benjamin
362:23	368:14	basis 262:10	339:2	257:21
363:25	387:8	265:22	349:21,23	best 266:20
494:5	389:23,25	280:17	406:20	305:1
	404:1	307:13		335:24
	408:8	320:17		348:20
	413:25	341:9		
		380:3		

373:11	499:24	372:18	Bobbsey	23 449:16
413:23,24	bil 314:15	377:22,24	286:18	450:4,8,13
434:6	Bill 256:23	382:16	body 372:12	,25 452:5
442:16	310:3,13	385:14	Bois 447:17	453:10,17
450:8,16	311:3	399:15	bookends	454:11
451:16	321:2,4,8,	401:7	481:1	455:7
better	19,24	416:5	booming	456:18
269:16	353:1,12,2	418:24	422:11	458:7
273:8	4 471:12	419:15	boots 370:19	459:22
274:25	472:7,12	420:22	Boris 256:9	460:8
275:3	billion	422:4	325:11,25	461:20
315:18	314:11,12,	426:22	434:14	463:22
349:1	15,16,17	430:11	436:10	464:3,8,17
350:20	373:18,22,	435:21	444:7	,22
388:17	23 374:24	438:7,13	465:15,21	465:1,7,20
405:4,8	380:12	446:19	466:2	466:1,4,24
406:5	384:6,8	448:3	468:11	471:24
412:22	460:22	451:21	483:12	472:10,24
414:3	464:15	458:19	489:8,20,2	473:3,21
428:25	467:9	472:22	3	476:11
429:13	471:16,23	474:9	490:2,5,12	477:1,16
451:25	484:22	488:18	491:4	478:13,25
452:3	485:4	493:5,25	501:12	479:9,12,1
475:24	billions	495:24	502:9,14	5 480:9,16
481:2	480:22	497:1	borrowing	482:3
beyond 275:5	484:8	501:24	331:25	483:15
362:1	bin 382:13	502:19	487:24	484:5
410:15	biomass	504:3	bottom 329:4	485:14,21
423:14	376:8	506:15	340:11,16	486:1,8,25
426:20	biophysical	black	350:8	487:4
428:9	506:10,13	458:9,10	355:7	489:16,25
biassing	bit 259:5,23	blo 357:25	bottom-up	490:4,7,21
376:19	260:3	block 324:20	437:17	491:9
404:17	263:3	blue 339:8	439:17	508:1
bid	264:21	344:13	Bowen 256:3	Bowen's
447:16,20	267:6,17	blunt 267:17	349:1	348:20
451:2,3	271:19	board	365:23	Bowman 257:7
474:5,9	273:6,21	254:3,19	431:17	277:21
491:24	285:24	262:21	432:3,8	278:3,25
bid/tender	293:22	342:20	435:1,8	279:10,19
482:18	317:4	343:16	438:12	280:1,5,8,
bids 447:4	319:22	369:18	439:24	12,16
bigger	320:10	447:7	440:25	box 273:13
274:24	323:23	453:1	441:7	275:2
327:10	332:9	466:18	442:13	278:11
374:2	341:3	487:11,25	444:10,23	316:20
427:15,25	365:22	488:5	445:10,14	343:23
biggest	366:4	491:7	446:16	344:6,18
268:5	367:10	Bob 255:2	448:11,18,	346:1
384:22	368:9	512:24		358:1
				359:19,20
				boxes 346:2

355:12	bring 355:21	444:25	400:24	ca 267:23
436:21	372:18	453:5,12	418:17	CAC 256:21
Boyd 255:16	374:7	456:11	425:19	304:24
Brandon	376:21	487:23	463:11	305:13
503:12	447:6	buffer	493:19	Calaiacovo
Braun 256:24	482:4	427:16	burn 361:11	256:16
Brazil	bringing	Buhr 255:9	Burntwood-	calculate
458:25	462:18	build 262:8	Nelson	289:13
break	463:12	375:10	475:22	313:17,21
327:19,21	464:24	389:16,17	bus 335:18	331:24
365:5	475:18	408:24	business	359:2
367:3	broa 504:16	409:4,5	258:10	478:16,18
404:8	broad 440:6	422:17	261:9	calculation
431:7,8,9	442:18	430:13	327:23	267:8
459:8	482:16	440:2,5	328:5,7	calculations
breakdown	497:17	447:13	332:23	336:4,7
460:16	498:17	473:1	335:18	348:2
Brent 256:19	504:16	474:4,5,9	347:24	349:13
bricks	broader	building	365:5,8	camp 440:11
466:15	301:14,25	286:1,4	367:13,17,	457:17,18
bridge	374:6	287:9,11	20 374:6	475:9
410:11	443:1	310:6	375:21	Canada 413:3
bridging	481:13	397:3	399:22	434:7
393:10	495:25	398:19	400:1	451:16
brief 271:1	broken	407:24	438:4	452:14
275:12	459:16	409:17	445:17	456:3
284:21	460:17	435:11	513:1	458:3
297:18	brought	437:6	busters	459:2,3,11
310:1	319:18	446:18	310:16,21	476:6
313:1	464:1	447:10	busy 402:9	Canadian
330:9	502:22	491:14	457:24	392:22,24
356:18	512:5	built 260:8	buttness	cancelled
364:13,18	Bu 357:2	262:2	264:20	263:3
366:13,18	bucket	263:7	buyers	capability
368:3	486:16	268:18	399:24	336:13
372:21	buckets	278:15	buying	381:1,12
434:12	463:20	376:23	413:15	396:18
444:5	budg 482:17	377:8,14	424:3	509:13
465:13	budget 433:5	389:8,13	Byron 256:21	capacity
466:11	434:4	392:3	284:23	283:4,7
briefly	460:2,3	431:4	285:2	284:3
362:2	482:17	439:17	304:23,24	336:6,12
367:25	485:13	444:14	305:5,12,1	380:23
371:9	487:9,14,2	452:16	3 306:1	392:5
436:2	0 488:13	463:2	449:24	401:19,20
489:2	budgeted	503:21	503:17,25	402:11,25
496:7,13	488:2	bulk 493:15		403:6,10
501:25	budgets	509:4		407:23,25
		bump 420:6		408:18
		bunch 370:25		

414:12	469:16,18	9 466:13	261:9	374:25
416:3,10	476:12,14	468:4,21,2	267:19	375:1
417:4,10,2	477:9,20	4	273:2	433:25
5 418:3	478:22	469:3,9,14	292:8	481:15
419:24	480:19	,20,24	309:20,24	cashflow
473:7,8	481:18	470:3,8,22	310:24	387:20
capital	484:10	471:2,5	311:24	453:21
258:11	485:5,6	carried	316:22	465:4,8
265:18	487:23	333:10	327:13,23	478:6
267:10,24	488:1,19	Carriere	328:6,7,17	cashflows
268:6,7,10	capitalize	255:24	344:13	267:21
,12,19	462:9	330:15	345:23	269:4,6
269:8,10	capitalized	331:7,18	354:3	cast 439:6
270:18	464:6	333:17	360:14	casual 259:5
273:11,13,	467:17	334:1,6,14	365:5,8	categories
18 274:3	Capra	,17,20	367:14,17,	438:17
276:5,19	256:10,11	335:1,7	20 374:6	440:7
280:18	257:15	337:25	375:21	442:18
281:19,20,	capture	338:25	382:12	482:16
22 284:13	386:5	340:3,6,8,	389:4,6	category
285:5,12,2	480:6	11,14,16	392:24	281:19
5	captured	342:12	403:2	Cathcart
286:22,24,	287:6	343:21	404:18,24	255:8
25 287:23	339:10	346:20,24	405:15	281:6,14,1
297:24	428:1	347:2,8,10	435:11	7,21
333:4	captures	,20,22	439:11,20	282:6,11,1
334:24	286:23,24,	348:16	443:19	5,18
335:2,10	25	349:6,16	462:12	294:22,23
338:20	capturing	350:4,10,1	466:16	295:3,9,13
341:21	346:13	2,16	472:5	,16,19
342:1,4	carbon 276:6	351:3,22	479:3,4,11	296:1,3,5
345:11,15	278:23	352:4,10	480:1	333:13,14,
348:3,7,10	283:16	353:7,18	491:8	23
349:8,14	430:12	354:5,15,1	500:13	334:4,12,1
356:21	506:5	8,20,24	cases 266:2	5,18,24
358:17	career 260:7	355:20,24	272:7	335:6
363:12	careful	356:4,6,9,	273:1	340:1,4,7,
366:1	411:18	12,20	309:24	10,13,15
368:5	caribou	357:25	310:11	350:1,2,7,
379:25	494:10,15	358:21	311:7	11,13,22
394:18	Carlo 443:13	359:14	375:11	355:14,21
395:7,13,1	509:3	360:1,7	387:1	356:2,5,7,
7 396:8,11	carpenters	361:3	390:9	11,15
397:25	438:23,24	363:5,21	392:23	394:3,22
403:18,25	Carr 255:10	364:22,25	429:1	395:1,5,10
419:10	445:5,11,2	carry 406:3	438:20	,23
432:1,10,2	4	carrying	467:24	396:10,13
0 433:4,8	448:6,12,1	379:23	cash 336:4	450:1,5,11
436:9		393:24	337:3,10	,18
449:13,20		490:11	339:5,10	463:14,15,
456:10		509:13	340:18	19,24
464:5,20		case 258:10	349:2	
467:7			373:9	

464:7,13,1 8,23 465:6,10 cause 271:23 312:12 322:18,25 372:19,24 373:10 454:25 455:3 471:6 488:18,22 caused 457:13 causes 340:19 CEC 493:6 CEF 456:10 464:19 481:8,18 484:8,23 487:20 CEF/IFF 449:17 453:5 459:18 460:3 484:15 485:1,6 486:4 CEF/IFF12 480:18 CEF12 433:4 464:14 cells 336:1 cents 354:11,13 cer 267:19 certain 273:17 287:19 334:8 376:21 403:14 407:23 420:24 434:17 441:10	468:13 502:21 certainly 274:22 295:24 323:19 378:9,25 379:12 380:18 394:9 412:5,20 420:13 429:20 447:2,6 476:17 480:11 490:25 certainty 261:5 394:8 447:5 Certificate 258:16 Certified 513:15 cetera 438:24 Chairman 260:19 challenge 306:12 341:3 426:23 427:19 challenges 458:1 466:6,8 chance 275:20 289:2 365:3 450:2,3 chances 423:25 change 263:12 289:4 294:4 296:17	298:23,25 300:20,22 312:24 315:25 317:14 320:20,23 321:15 326:21 330:3 333:11 348:11 349:13 352:2,7 386:6 429:8 434:3 450:12 455:1,2,3, 10 472:22 489:10 changed 306:22 312:22 321:14 339:17 349:17 455:19 461:5 479:14 489:14 490:3,5 changes 268:20 273:14 296:10 306:24 400:6 455:1 475:21,23 476:15,16 482:10 489:19 490:10 changing 317:2 334:22 414:13 chapter 296:8,16 298:5 299:12,13, 22	319:10,17 320:3 322:3,21 326:17 328:21 331:14 358:23 368:1,2,24 379:10 384:13 394:1,11 397:24 401:12 405:7 420:20 425:6 428:23 430:6 493:12 496:9 497:15,16, 25 498:23,24 499:6,11 506:15 507:7,8 508:8 510:24 512:15 chapters 492:23 characterist ic 486:20 characterist ics 276:22 457:3 498:16 characteriza tion 486:18 characteriza tions 486:10 characterize 486:18 characterize d 486:9 chart 278:13 279:2 299:11,14	301:11 307:24,25 308:13 346:19 charts 299:12,13 chat 256:25 257:15,16, 17,18,19,2 0,21 282:21 283:13 check 411:10,11, 17 412:23 479:19 483:7 checked 483:7 Chernick 257:19 Cheryl 255:25 294:6 513:20 Chief 401:24 China 458:25 choice 267:1,4 269:24 choices 385:24 choo 267:3 choose 267:4 chose 266:6 270:24 298:18 511:13 512:2 chosen 285:20 399:20 chunk 467:4 chunks 352:17 circumstance
--	--	--	--	---

s 262:16,18 287:5	374:10	299:18,20, 25	426:18 451:8 454:24	333:9 335:10,16
city 365:21	clearly 261:10	300:6,19,2 4 308:2,18	commence 462:5	communicatin g 452:18
civil 437:25	388:23 398:23 400:19 499:16,21	360:8,13,1 9 482:8	commencing 259:1 361:21	communities 429:12 466:20 467:11 507:1,2,3, 4 510:21
451:2 459:7 462:6,19 463:13 475:15 491:23	Clendenan 255:23	columns 312:5	comment 261:17 262:6 263:25 278:4,5 280:21 286:14 294:6,16 328:12 374:11 380:5 409:7 413:20	community 475:10
cl 266:2	climate 429:8	co-managed 286:16	commentary 372:11	companies 398:25
clarificatio n 277:12,18 306:2 326:7 346:22 489:10 508:7	clo 456:22	combination 279:12 413:7	comments 258:4 259:16 263:22 264:2,23 399:5	company 260:9 265:10 446:7 451:15 487:25
clarifies 287:15	close 272:16,21, 24 273:3 484:16 491:25 509:17	combinations 295:8	Commission 263:15	comparabilit y 342:19 343:8 352:21
clarify 275:17 276:4 291:22 321:25 322:7 323:1 382:11 489:1	closely 456:23 458:13,16	combine 287:2	commitment 370:15,16 387:20,22 467:16	comparable 272:20 341:9 352:25 480:4,5
clarifying 278:5	closer 347:17 391:7	combined 280:7 283:14 443:12 503:11	committed 386:16 415:20 426:8	comparables 267:10
class 482:9,10,1 3,14,17,18	co 467:2	combined- cycle 382:25	commitments 390:17 395:20	comparative 332:2,3 347:12
classificati on 482:6	coal 422:17 500:25 501:6	combustion 401:19 503:11	common 273:9 287:20	compare 309:16 312:5 315:13,14, 16 340:22 374:18 402:24 408:10 412:7,9 427:10 464:9
clay 441:21,23	co- generation 376:9	comes 272:21 324:8 333:23 393:9,11 414:25 417:6 426:7		compared 296:12 300:2,15 308:4,6
clean 263:14 429:18	cold 416:25	comfortable 405:13		
clear 374:13 389:6,25 429:1 499:12	colleague 285:22	coming 301:8 362:6 372:24 374:8 382:5 391:25 396:23 415:7 416:1	commodities 458:11,15 commodity 338:17	
clearer	colleagues 476:6			
	collective 387:3			
	Colleen 255:17			
	colour 357:11			
	coloured 344:18 346:2			
	column			

309:12,22	510:19	363:10,24	471:16	9,20 446:9
315:11	completed	364:4,7	477:10,21	449:12
316:16	489:18	370:6,10,1	482:14	concurrently
318:22	completion	1,21,22,23	483:4	334:7
320:4	462:15	374:22	484:5,7	condense
359:6	complex	375:11,25	485:15	299:14
362:15	291:18	376:1,17,2	488:7,9	conditions
373:17	335:22	2	489:17	343:13
384:7,8	complication	377:3,8,14	490:1,8	347:15
390:9	488:25	382:1,4	493:2,8,16	443:10
404:23	complication	383:3,5,11	494:6	454:15
405:10	complication	386:13,14,	501:15,18	470:5
416:4	s 488:21	23	concentrate	conductor
426:11	component	387:10,16,	434:22	381:5
485:1	380:2	22,23	concern	conference
509:14	512:6	388:5,20	268:5,6	254:11
compares	components	389:7,13,1	403:9	260:13,17
458:10	379:24	5,23	494:8	294:8,21
478:22	445:11	390:16	concerned	303:13
480:17	comprehensiv	392:6	459:12	339:3
comparing	e 474:19	393:8,11	concerns	431:20
311:22	compressed	394:8	263:22	432:14
407:20	492:4	396:20	264:3	451:21
408:7,8,17	comprise	402:15,16	366:7	489:3
464:10	440:15	405:1,6,23	conclude	501:19
484:7,8,9,	comprises	409:23,25	274:6	confidence
20	438:15	411:4,9	375:2	272:17
comparison	con 443:9	414:13	concluding	434:4
318:17	455:1	416:4	403:7	confident
319:23	Cona 357:9	417:10,14,	conclusion	424:18
320:19	430:14	15	274:21	confidential
322:5	Conawapa	422:15,18,	321:4	467:21,24
341:9	258:11	22,23	327:12	469:4,7,13
381:10	262:24	423:22	388:16	,17,19
426:20	263:8	425:16,17,	390:8	configuratio
470:4,13	298:6	19,25	428:23	n 414:13
493:23	299:2,5	427:3,7,12	499:14	confirm
499:19	308:25	430:14	conclusions	349:25
competing	334:22	431:4	318:16	confused
398:25	338:20	432:1,10,2	326:17	277:10
competition	349:23	0 433:5	330:3	confusing
398:17	351:14	440:10	363:7,22	343:22
competitive	356:24	443:3	372:11	confusion
412:2,9	357:9	445:22	374:13	276:2
424:9,13	360:11	448:13	512:13	487:17
499:25	361:24,25	453:12,24	concrete	conjunction
complement	362:1,7,12	454:3,24	435:15	369:4
463:8	,16	455:8,16	438:22	
complete		459:14	439:1,6,8,	
455:21,23		460:11,21	12,13,17,1	
		461:6,11,2		
		3 463:23		
		464:15,20		
		467:23,25		

392:4	483:14	436:15,22	433:15,20	447:7
consciously	consistency	438:21	441:3,17	457:11
487:20	342:19	442:2,6	442:8,16	462:7,19
consensus	consistent	446:7,14,2	443:13,15,	463:13
292:13,24,	335:3	5 451:11	24 445:3	465:19,23
25 293:2	342:16	458:18	449:7,18	466:7
297:12	483:14	459:7,11,1	450:10	474:11
consequence	494:24	3 463:9,10	451:9,24	475:14,16
486:12	consistently	474:21	452:22,24	490:19
consequence/	341:7	475:10,13	454:16	491:7
low 485:23	consolidated	490:13	456:21	contractors
486:5	332:22	508:11	457:3	437:19
consequences	constant	510:9,19	460:22	446:23
378:12,18	282:7	consultant	477:11,23,	447:15
conservative	300:9,13	444:12	25 478:2,3	450:23
319:23	301:5	475:1	479:20,24	451:3,6
393:23	309:5	508:20	483:3,14,1	465:17
423:23	324:21,23	consultants	7,23	475:12,16
512:3	constantly	450:23	486:15	490:25
consider	261:1	455:13	contingent	contracts
262:4	constrained	490:23	297:6	421:1
358:11	408:1	491:3	continually	438:2
373:8	constraint	consultation	425:15	462:7
384:8	417:2	470:20	continuation	466:3
386:10,11	constraints	consultation	377:23	474:4,5,10
472:3	336:17	s 467:6	continue	,20 476:5
473:6	construct	consumer	386:13	491:6,10,1
considerably	440:9	354:12	459:14,17	6
287:24	448:9	Con't 256:1	continued	contribution
consideratio	constructabi	257:1	258:7	s 341:19
n 373:2	lity	contacts	265:13	control
375:8	462:15,22	483:18	458:1	482:18
379:13	constructed	contain	continuing	controls
consideratio	475:12	486:23	388:4	487:8
ns 258:14	490:17	content	400:8	conventional
276:23	constructing	441:24	475:4	470:16,19
492:9	475:9	CONTENTS	contract	converge
considered	construction	258:1	325:1	363:25
348:3	262:24	context	399:7	convergence
371:1	274:5	322:10	437:25	353:19
427:21	282:7	379:6	451:2,4	converging
429:21	287:23	385:7	474:11	353:10
483:25	342:8	482:4	475:14	conversation
considering	361:22,24	502:11	491:20,23	s 450:24
276:22	369:1,3	Contingencie	contracting	Conversely
373:11	370:11,15,	s 441:11	448:16	454:4
417:5,6	18 430:15	contingency	465:18	convert
consist	431:18	432:25	474:12	337:18
			446:4	

471:23	409:13	440:1,21	11	481:5,13
472:14	441:11	441:19	338:16,20	483:6
convinced	445:10	443:22	345:11,15	484:10
261:2	450:4	445:8	348:3,7,9,	485:5
389:15	466:1	446:15	10,13,19,2	488:19,23
convincing	513:15	447:3	5 358:17	490:9,11
487:12	correcting	449:13,20	361:8	508:11
Conwapa	278:4	452:24	368:5	Counsel
388:2	correction	454:18	387:25	255:2,3
copper	339:1	456:4,10	392:17,24	counterparti
458:11	corrections	461:10	393:7,15	es 413:14
core 372:13	339:21	462:23	394:18,21	424:10
Cormie	correctly	464:21	395:3,7	counterparts
255:22	289:4	465:2,9	396:2,5,6,	449:14
380:21	290:2	472:25	9	452:11
391:17	317:11	476:14	403:14,18,	456:1
393:3,6	correlation	477:9	25 404:3	countries
396:16	284:12	478:6,22	419:10	458:25
397:7	285:6	480:24	432:20	couple 261:2
398:8	cost 258:11	481:7,18,2	433:2,8,16	264:23
417:18	265:18	2	,18,23,25	275:16
corollary	268:10,19	482:7,24,2	436:9,13,1	308:11
445:25	269:8,10	5 484:21	4,20	328:4
corporate	270:17	485:3,6	437:13,19	365:12,14
265:16	273:11,13	488:9,11,1	438:16	385:12
269:14	284:3	3 490:17	439:15,16,	401:4,23,2
343:15	285:25	495:23	25	5 413:13
374:4	286:3,22,2	501:5	440:8,9,10	491:22
441:16	4,25	509:20	,14,18,19	492:21
451:14,19	287:6,20	511:3	445:16	500:24
487:19	297:24	costing	447:6,19	508:13
corporation	311:8,10,1	450:6	453:18,19,	coupled
341:23	6 325:17	costly	20,21,23	475:2
364:9	332:13	395:22	454:2,7,12	course
487:21	333:4	costs	457:7,17,1	260:25
corr 285:6	341:1,13	268:6,7,12	9,21	313:4
499:19	361:7,10	273:18	459:25	329:10,13
correct	366:1	274:3	460:1,13	377:20
277:3	378:13	276:5,20	461:8,11,1	402:21
278:9	387:20	277:8	2,16 464:4	493:1
303:2	392:1,22,2	280:19	466:19,21	506:17
314:5	5	281:19,20,	467:2,3,4,	cover 293:24
325:6	395:13,17,	23	6,7,10,11,	376:15
334:17	18 396:12	282:7,10	16	380:9
339:18	397:25	284:13	468:6,13	402:20
346:20	403:22	285:5,12	469:5,15,1	432:18
383:13	419:20,21	287:23	6,19	445:1
406:21	420:8,9	311:13	470:5,9,11	497:3
407:24	432:1,10	317:14	,14,17,20,	coverage
	433:4,13,1	325:24	24 471:7	342:3,4,24
	4 439:1,3	326:1,4,7	476:12	
		333:4,6,8,	477:20,21	
			478:5	
			480:19,21	

351:8	438:23	currently	dams 435:18	0 391:7,12
covered	criteria	476:3	436:17	396:14
325:13,14	407:21	491:18,24	441:20	399:16
326:15	499:12,20	curve 278:12	dark 346:4	413:13
399:3,14	critical	282:22	Daryl 399:9	417:12
424:21	462:2	291:8	data	419:15
432:13	cross-	442:15	337:16,18	420:16,22
433:1	correlatio	443:13,15	403:20,22	421:9
445:3	ns 285:8	449:7	432:22	422:4,7
457:2	cross-	479:8,21,2	436:25	424:1,6
461:12	examinatio	4	437:1	431:6,9,17
covering	n 264:14	curves	444:13	,19,22,23
432:12	411:11	345:22	455:25	432:3,8
502:6	crossover	customer	database	435:1,8
CPI	350:14	332:3,9	339:13	438:12
458:8,13,1	355:18	340:21	databases	439:24
6 459:16	389:14	341:4	437:2,3	440:25
471:21	cubic 439:19	504:22,25	date 296:19	441:7
472:21	cumital	505:2	298:6	442:13
473:1	343:24	customers	308:25	444:10,23
crack 344:20	cumulative	262:14	309:5,6	445:10,14
craft 457:25	278:16	341:24	370:13	446:16
463:5,11	289:16	357:19	388:2	448:11,18,
465:22	343:23,24	361:9	393:10,17	23
475:8	344:10,25	363:16	396:19	449:6,16
Craig 256:14	345:3,4,16	398:11,17	397:15	450:4,8,13
381:14,19	346:2,8,10	429:1	425:16	,25 451:8
499:8,10	350:4	cut 367:10	426:6	452:5
500:10,13,	354:9,21	504:2	427:3	453:10,17
15,19	355:10	cycle 401:19	454:19	454:11
cranes	356:21,24	416:12	455:2	455:7
439:13	357:2,11,1	419:4	460:12	456:18
cre 488:20	5,18 359:1	503:11	461:4	458:7
create	360:9	cycling	465:5	459:22
337:18	363:11,13	416:14	471:17	460:8
407:23	457:16	417:11,16	476:15	461:20
408:18	cures 439:9		480:21,24	463:22
409:9	curious	<hr/>	484:8	464:3,8,17
488:21	286:7	Dakota	489:22	,22
created	321:9,20	398:13	490:6,8	465:1,7,20
324:20	353:2	414:4,6,7	dates 308:22	466:1,4,24
337:17	Curlick	Dakotas	385:24	471:24
creding	255:17	412:19	427:6	472:10,24
332:6	current	Dale 255:18	dating	473:3,21
credit 331:1	355:8	Dalton	492:12	476:11
332:6	451:20	256:25	Dave	477:1,16
413:2	452:15	282:20,21	348:20,25	478:13,25
crew 437:10	490:7	283:13	365:23	479:9,12,1
			368:5	5 480:9,16
			369:5,15,2	482:3
				483:15
				484:5
				485:14,21
				486:1,8,25

487:4	494:9	426:24	457:25	399:14
489:6,16,2	497:9	428:8	defensible	413:3,4
5	505:3	decided	272:3	434:17
490:4,7,21	512:15	299:14	defer 465:19	448:4
491:9	dealing	368:20	deferral	delay 426:5
492:2	274:13	deciding	296:22	462:6
508:1	368:22	427:23	299:5	delays
Dave's 391:8	370:6	decision	deferred	457:14,15
399:9	397:2	261:21,23	296:21	delivered
406:2	497:5	262:5	411:12	365:11
David 255:22	504:25	370:21	define	delivery
256:3	deals 501:2	383:21	432:25	448:25
380:21	dealt 286:8	387:17	434:22	462:18
391:17	349:5	388:9	435:10,17	473:5,10,2
393:3,6	467:19	406:3	defined	3 474:17
396:16	497:1	407:16	433:2	demand
397:7	Dean 256:11	418:16	434:6	296:14
398:8	debate 413:4	425:2,10,1	435:25	405:21
417:18	debt 331:1	7 430:7,24	436:8	458:24
Davies 257:8	351:6	499:20	499:16,21	demographic
day 260:13	353:3,10,1	500:8	defines	459:9
272:16	9,20 358:3	501:15	434:18	demonstrate
275:20	360:23	decision-	473:8	261:10,12
277:13	363:25	making	definitely	264:5
329:10,16	364:2	377:20	422:15	302:10
339:3	378:2,6,12	495:22	506:14	425:9
343:14	,23 379:25	decisions	definition	demonstrates
347:15	380:13,14	370:11	336:1	263:9
404:10	426:22	371:14	382:16	Dempsey
436:16	427:4,18,2	372:7,13	434:18	256:19
494:9	2 429:3	373:6,10	435:10	dense 270:4
days 336:24	505:12	375:13	442:21,25	department
378:21	511:20,22,	400:21	443:5	330:16
401:4	24 512:3	decline	454:14	dependable
402:1	debt-equity	320:12	455:10,20	324:6,16
417:13	342:2	decrease	482:11	401:18
492:20	353:5,16	312:12	485:24	dependent
day-to-day	decades	319:2	486:16	273:15,22
457:20	355:9	351:1,2	489:11,14	343:12
de 310:15	389:8,13	decreased	definitional	347:15
494:12	398:7	296:14	306:22	depending
deal	502:7	297:15	definitions	324:4
259:12,20	December	312:18	483:13	334:22
287:17	491:25	314:17	494:22	387:9
288:8	decide	decreases	deflated	426:3
369:12	263:21	297:13	471:21	448:9
378:22	405:24	351:11	degree	466:2
429:7	415:14	427:8	379:16	
431:2	425:15	decreasing		
452:3				

depends 350:16 427:1	501:22 design's 436:5	433:13,14, 25 435:16,18 437:19	312:11,16 318:21 319:3 326:19,25	313:12,17, 24 314:1,4,8, 10,12,15
depicts 307:22	desire 487:25	447:19 453:18 460:3	331:6 332:4 333:3,9	315:2,13 316:24 318:24
depreciation 349:5,10,1 3,17,20,22	detail 279:18 319:10 326:24	475:20 483:19 developed 276:22	336:19 338:1 341:7 344:4,22	319:2 374:14,24 375:2 406:19
derive 312:14 315:20 341:12 508:12	332:8 359:15 360:25 367:24 412:16	278:17 282:13 293:3,7 349:23 433:17	357:4,8 358:9,15 359:5 362:4,14 363:9,23	443:25 479:5 481:15 484:16,24
derived 279:17 292:23 490:18	436:8 437:16 457:1 480:10,12	435:13,23, 24 436:5 440:18 441:14,19	364:1,3,6 407:22 408:11,17 413:5 425:12	differences 272:25 307:23,24 309:7 311:25
describe 387:4 454:23	492:15 494:12 495:4 499:1	443:4,5 448:24 452:8 454:12	429:18 433:3,11,1 8 435:21 436:7 441:17	312:1 313:4 315:24 327:8 352:24
described 278:19 300:7 326:4 394:15	detailed 259:24 307:9 335:17 385:6	455:16,17 473:14 479:16 482:25	442:14 452:9 456:25 459:24 496:3	362:8 404:6 different 261:16
description 493:12	460:16 details 474:16 495:20	487:21 491:1 developing 435:9 447:3	developments 459:2 develops 293:4	263:1,11 265:24,25 266:1,10 267:18 269:25
descriptors 375:12	deteriorate 342:7 determine 444:8	452:13 458:25 490:22 491:12,13	Di 406:2 diagram 282:22	271:24,25 272:2,19 273:10 274:2 286:4
design 394:17 435:13,17 436:6 448:9 462:15,17 474:4,5,9, 21	determined 263:5 305:7 determines 415:12 determining 307:3	development 254:10 258:8 262:22 263:13,17 264:6 278:18 282:10 295:2 297:1 298:15,17, 21 299:18	dictate 429:19 diesel 458:11 differ 452:22 difference 272:21 273:8 308:3 309:3,14 312:6	287:5 295:8,11 304:3 310:7 312:4 315:14 316:21 353:13,21 382:14 383:24 406:13,16 414:24 425:10 427:5,6
design/bid/ bill 449:1	dev 441:14 develop 333:6 345:21 359:5 413:17	300:4 301:3 302:11,14		
designed 417:3				
designer 394:13 462:21				
designers 462:16				
designing				

434:3	263:12	274:3,7	330:17,23	333:18,20
436:24	264:9	275:18	divisions	335:2
437:10,13	directionall	284:19	451:15	338:10
438:24	y 406:17	294:7	docket	368:9
439:3,7,13	424:19	302:20	304:12	377:1
445:16,17,	directly	303:10	documented	378:1
20	436:14	316:14	282:12	383:17,18
447:7,14,1	484:19	322:19,24	dollar	387:24
5	dis 377:18	323:1	362:10	416:20
448:3,8,16	448:19	368:14	424:18,20	419:21
,20	discharge	377:24	437:25	425:1
449:20,21	417:3	383:21	438:5	440:4,19
450:14,15	discount	401:5	472:8	445:16,17
452:12,13	259:22	discussions	dollars	447:16
455:13	265:20,24	266:24	299:20	451:10
460:2	266:8,14,2	dispatchable	374:24	454:23
463:11	2 267:21	413:16	419:12	455:23
474:6	268:2,11,1	dispatched	433:19	460:15
475:23	3	417:21	461:3	462:17
484:24	269:13,15	dispersion	464:2,10,1	472:5
502:15	270:20	269:9	2 465:3	493:3,7
507:23	280:2	dispute	467:15	494:24
512:11	285:5,11,2	406:25	468:17	502:5
differently	3 297:24	disregarding	470:23	510:12,14
348:8	299:21	417:19	471:18,23	513:2
451:11	300:8,9,10	distinct	472:1,3,4,	door 401:25
difficult	,13,21,22	421:8	5,8,9,11,1	dot
395:22	301:4,6	distinction	5,17,23	279:11,20
difficulties	326:21	340:23	480:22	280:2
374:9	463:19,21	distributed	484:8	502:4
difficulty	464:5	295:22	domestic	double-entry
388:25	511:10,23	distribution	356:3	337:1
465:22	discounted	278:16	409:23	doubles
470:23	356:14	444:16	410:9,13,2	354:12
471:6	discounting	distribution	1 411:14	dow 317:23
dike 437:6	269:4	s 269:1	422:24	downside
dikes 435:18	277:15	271:13	423:17	421:3
436:18	discu 422:8	275:1	dominance	DR 314:24
441:20	discuss	289:17	272:8	315:7,15
diligence	332:7	Diversity	dominated	316:4
468:10	403:18	296:25	282:24	324:2,10,1
471:7	discussed	divest	done	4,18,25
direct	319:10	393:25	270:6,9,11	390:23
294:17	327:7	394:1	284:4,11,1	391:5,13
436:13,14,	339:2	420:19	8 286:23	414:10,17,
20 437:13	discussion	division	293:9	21
438:16	266:13	265:15	299:12	draft 493:11
441:19	269:24		303:6,7	dramatically
510:12	271:25		304:15,18	300:16
direction			306:19	

draw 438:13	305:17	462:9,10	427:16	508:12
dreaming	306:7,22		easier 272:4	economically
501:24	307:4,7	<hr/> E <hr/>	489:4	499:25
drier 442:6	308:19,21,24	earlier	easy 342:6	economics
drill 282:16	309:9,12,1	263:19	471:2	256:13
drilled	3,15,17,21	285:22	economic	262:14
441:22	,22,25	286:21	258:7	275:6
drive 395:17	310:8,10,1	302:19	262:11	303:4,22
428:11	6,21	307:25	263:15	304:2,6
driven	311:2,7,15	328:13	265:12	306:16
296:21	312:4,7,9,12,13,15	360:8	276:10	311:13
413:5	313:10,21	362:20	277:16	318:20
455:9	314:19	369:3	309:10	319:2,25
driver	315:1,3,21	387:16	310:7,15	320:8
502:22	316:1	389:10	312:22,23	321:14
505:21	317:13	409:7	320:20,24	326:16,20
drivers	318:4,19	427:20	326:18,25	372:20
434:2	319:13,21,22	445:7	331:20	373:1
458:23	320:11,23	462:15	332:20	374:14
driving	321:6	472:24	335:9	388:14,16
351:1	327:1	473:25	338:2,17	389:7
402:13	361:15	474:10	344:7	400:18,21
457:23	370:24	476:13,19	345:10,14	402:13
drop 300:23	376:6	483:3	359:21	404:21
352:23	386:14,23	495:18	361:6	405:9,15
387:23	387:2	earliest	370:25	417:5
dropping	405:21,25	298:5	383:17	418:16
351:12	415:5,21	370:13	387:7,10	420:12,14
drought	430:17	383:5	388:24	423:2
322:20	496:25	early 275:25	389:20,23	426:19,21,25
323:6,10,23	du 447:17	304:18	390:8,10	428:10,24
361:5,7,21	due 326:20	361:23,25	398:5	464:9
362:3,11,13,18,20	351:4	362:1	400:17	471:25
364:8	468:10	397:14	402:14	472:1,5
397:9	471:6	415:22	403:7	477:9
416:23	dumb 348:4	425:16	405:3,14,23	502:22
427:17	duplicate	427:7	3 407:13	503:13
droughts	493:6	458:15	409:4	economy
361:22	during	461:25	418:19,20	429:14
430:16	333:24	462:1,14,20	461:12	505:17
DSM 301:10	342:7	0 463:13	471:17,20	Ed 254:14
302:8,11,12,13,22,25	358:13	474:10	472:13,16	255:14
303:4,7,15,19	361:22,24	475:13,14,19	473:2	281:11
304:2,24	396:21	476:21	476:21	283:23
	432:13	480:19	484:10,14	286:15
	438:21	earn 393:18	495:16,19	293:14
	451:1	earnings	498:10	303:11
	457:11	341:20	500:7	304:23
	458:22	353:10,20	503:9	323:5
		360:23	505:21	326:6
		362:13,23,24	507:18	331:7,8

332:5	300:14	449:10,15	enduring	enjoyed
338:25	301:1	464:25	261:25	355:9
377:21	320:1,13	487:24	energy	ensure
397:19	EIS 493:2	489:4	261:19	462:2,3
398:9	either 303:8	em 443:6	262:16	473:9
432:3,8	337:17	449:2	263:21	474:24
450:15	339:21	embedded	276:5	475:24
451:7	379:15	269:6	279:24	476:7
452:5	389:3	326:7	280:19	ensured
466:25	396:20	embedments	283:3,20	473:15
467:1	405:14	439:5	285:4,11,2	entire
487:15	421:4	emergency	0 289:3	358:24
educated	427:9	509:5	292:6	359:3
384:15	510:25	emerging	296:14,20,	375:10
effect	electric	307:12	21,25	entirely
284:18	332:21,24	403:17	307:12	499:12
289:18	347:24	413:21	324:24	512:8
296:17	453:1	496:10	338:15	entities
298:25	electricity	emission	345:10,13	419:22
311:15	276:6,25	506:2	355:7	424:1
427:21	278:22	emissions	369:18	entity 448:1
446:2	280:19	413:10	371:2	entry 337:3
480:5	297:10,13	500:16	390:11	environment
effective	373:7	506:11,21	396:24	263:15
420:9	429:20	emphasize	398:12	417:8,9
effectively	element	259:7	401:18	451:12
369:22	373:5	386:25	403:1,17	506:1
effects	434:16	401:7	408:1	environmenta
312:8	elements	emphasizing	428:4	1 263:16
341:22	448:14	303:3	429:6,18	366:2
467:13	472:25	empirical	430:11	368:8
efficiently	Elenchus	443:6	505:3,5	370:17
473:13	256:12	employ 449:1	507:21	402:1
effort	elevation	476:7	engage 475:4	416:14,19
368:18	435:16	employed	engaged	430:12
ei 501:7	eleven	449:2	475:3	436:6
eight 268:14	397:16	employing	engineer	440:12
299:23	elongation	450:12	394:5	492:18
300:14,25	457:22	475:13	engineer/	493:9,14,1
320:1,13	else 261:7	employment	procure/	6,21
344:3,9	265:7	505:21	construct	495:17
350:21	334:19	Enbridge	447:25	497:9
361:16	371:7	371:5	474:3	498:9
461:8	378:11	encouraged	engineering	500:25
481:23	380:7	260:18	370:19	502:2,25
eighty	387:11	endanger	443:4	503:3,9,13
270:22	391:24	429:3	462:14	512:7
299:23	392:16	endanger	Engineers	environmenta
eighty-seven	393:16		482:7	lly 500:4
			enjoy 261:20	

EPC 449:3 474:10	478:7,9 481:11,14 484:17,25 486:2,13,1 9 490:11	455:3,9 456:8 459:24 460:17,20, 23,25 468:15,19, 21,23 477:24 479:19 482:5,9,10 ,13 485:6 488:9,19 491:1	378:16 383:19 385:25 500:20 evaluated 281:8 338:5 355:3 357:16 358:6 363:8 386:9 401:6 402:23	452:25 486:7 events 429:8 486:15 eventual 446:3 eventually 376:23 383:23 everybody 259:4 270:3 272:4 328:21 329:25 377:9 492:17 499:9 everybody's 380:22 everyone 294:12 331:8 340:24 343:22 Everyone's 364:11 everything 276:11 295:5 301:24 355:22 367:20 417:5 446:3 449:10,15 472:15 489:4 evidence 264:4 349:8 evolve 406:2 evolved 502:21 ex 279:23 500:22 513:2 exact 345:3
EPRI 403:21				
equal 292:1 484:23	especially 280:18 301:16 325:17 375:6 458:24			
equally 285:21 291:10	essence 409:13	estimated 432:19 437:13	evaluates 386:18	
equipment 437:1 438:3,18 439:10	essentially 268:11 270:21 310:23 324:4 372:4 409:21	estimates 258:11 334:22 432:1,10,2 1 433:4 437:23,24 440:20 442:23 443:1,3 445:22 446:15 447:3,15 450:6 454:12 455:23 466:14,23 468:14 476:15 489:17	evaluating 265:21 303:21 404:12,18 evaluation 258:8 276:10 284:16 331:6,13,2 0 332:2,20 344:7 347:13 349:18 352:15 355:1 359:21 361:6,17 363:7 364:10 400:17 471:17,20 472:13,16 495:9 509:1	
equity 351:7 353:4,20 358:4 507:7,13,1 5	establish 436:9 454:20 456:10 465:3 established 282:25 478:8 491:6	estimating 349:19 434:19 437:12 440:17 444:3 445:8 448:21 449:10 450:10		
equivalent 358:23 360:19 413:2 460:25 471:5 479:23 481:8	estimate 348:22 349:2 433:1,10,1 3,15 434:3,10,1 7,24 435:9,14 436:11,12 437:15,17 438:6,15,1 6,21 439:25 440:16 441:1,8,11 ,16 442:4 443:17,19, 25 446:22 447:8 449:8,11 451:5,20 454:17	et 273:18 438:24 ETs 273:19 eval 277:16 evaluate 352:16	evaluation 258:8 276:10 284:16 331:6,13,2 0 332:2,20 344:7 347:13 349:18 352:15 355:1 359:21 361:6,17 363:7 364:10 400:17 471:17,20 472:13,16 495:9 509:1 evaluations 258:7 265:13 277:16 286:17 338:3,4,12 419:9 428:2 473:2 event 261:14 263:10	
erode 456:21				
errata 329:24				
errors 339:2				
escalated 464:11 472:6,14				
escalation 335:9 338:18 433:24 453:19,22 454:7,18 456:5,14,1 9 458:8,13,1 9,23 459:17 460:1 464:14 465:8 472:21 476:16 477:12				

395:12	300:8	451:13	experienced	467:20
422:20	excess 409:6	expands	339:4	476:14
488:16	exchange	357:16	456:5	483:17,24
exactly	296:25	expect	458:19	490:24
290:19	338:19	263:11	459:11	export
320:22	430:16	329:9	experiencing	279:21,24
336:22	exclude	342:7	456:4	292:11
376:3	466:19	376:16	expert 332:6	297:10
385:12	500:23	392:7	444:19	332:19
386:3	501:10	399:6,17,2	experts	334:16
400:2	excluded	3 411:10	267:9	351:18
411:6	500:24,25	423:12,19	323:14	369:5
examination	excluding	442:25	378:22,25	371:8
415:3	480:24	485:23,24	412:14	390:12
example	484:21	expectation	447:18	399:7
279:11	exclusive	415:25	455:13	400:23
287:21	398:6	441:15	484:18	406:2
314:25	Excuse 499:3	509:3	513:2	409:14,21
334:21	execute	expected	explain	410:17
336:19	473:13	327:10,14	286:16	411:15
345:8	475:3	358:6	329:12,25	412:6
348:6	487:6	387:8	344:20	419:19
437:6	executed	406:12,15,	354:10	420:4,7,16
438:22	491:18	19 407:9	384:12	,24 421:1
441:18	execution	443:11	432:19,20,	424:12,15,
442:9,23	433:6	444:15,17	24 508:16	16
443:23	473:21	479:2	explained	exporting
444:2	executive	482:23	279:16,17	421:15
446:9	368:24	expended	285:21	exports
500:3	487:25	494:13	286:21	369:19
502:25	488:5	expenditure	303:14	428:3
examples	exercise	334:25	373:14	430:13
281:24	474:1	expenditures	explaining	exposed
387:2	exercises	335:2	296:9	396:23
Excel 335:23	502:15	expense	372:22	exposure
336:5	exist 354:3	331:25	442:15	332:3
337:18	452:16	336:5	explanation	exposures
Excel-based	existing	349:11	293:22	273:7
335:21	297:8	expensive	330:13	expressed
336:24	369:11	350:14	385:3	365:24
excellent	398:10	experience	404:20	471:18
480:10	491:6	330:20	492:16	472:9
except	exists	444:19	explicit	494:9
369:16	473:7,8	447:13	376:25	expresses
392:12	expand 266:2	451:10	489:5	501:3
409:16,17	expanded	455:21,22	500:8	extend
410:18		473:15	explicitly	423:13,19
489:21		490:23	321:23	extended
exception			435:20	333:1,21
			466:19	

423:24	326:6	426:17	466:21	299:17
458:14	327:17	428:15,22	factored	385:20
extends	328:3	430:1,21	446:14	497:24
413:23	330:11	431:16	factors	family
extension	364:15,20,	451:7	275:4,9	328:10
296:25	23 365:1	467:1	276:15	farm 287:12
extensive	366:11,15,	468:16,22,	281:13	fast 341:17
430:14	20,23	25	338:14	fauna-
extent	367:1,9,18	469:6,10,1	343:13	related
310:20	368:13	5,22	371:10	500:17
437:22	371:20	470:1,6,9	377:13	favourable
468:12	372:17	471:1,4,9	388:17	262:23
external	375:23	472:18	400:24	feature
490:15,24,	378:19	487:15	418:17	336:25
25 508:20	379:8,12,1	489:21	420:10	427:24
externalitie	9,22	492:1,11	436:24	February
s 504:5	381:17	495:3,8	437:3	347:23
506:6	382:2,13	496:7,20	444:9	fed 337:16
511:11	383:15	497:14,22	459:13	federal
512:7	384:5	498:3,15,2	476:17	369:18
extra 381:15	385:11	2 499:18	499:13	412:25
extracted	388:13	500:12,14,	fair 271:9	459:5
499:2	390:6,21	18,21	273:5	508:9
extreme	391:3,6,15	501:17	274:21,23	fee 380:1,3
288:16	392:18	502:13,16	279:7	511:21,22
477:3,6	393:5,19	504:10,15,	378:5	feedback
extremely	394:9,24	22	406:9	493:20
262:13	395:4,9,11	505:9,17	409:2	feel 414:8
397:10	396:8,11,1	506:1,10,2	458:19	436:17
	4 397:6,18	5 508:4,18	497:1	feelings
	399:2	509:24	507:14	271:4
	400:15	510:3,15,2	510:7	feet
	401:3	0	fairly 273:3	492:22,25
	403:24	facility	300:10	494:2,3
	406:11,14,	448:10	367:24	499:2
	22,25	503:12	497:16	511:1
faced 341:23	407:2,5,7,	facing 452:2	498:17	felt 511:21
364:9	16	fact 261:20	504:11	feverishly
Facilitator	408:4,14,2	263:7	fall 301:21	303:18
254:14	0,23	270:18	484:15	fi 331:11
259:3	409:3,15,1	287:4	fallen	Fichot 256:9
264:15,19	9,22	312:16	391:11	325:11,25
280:21	410:1,6,8,	386:5	393:15	434:14,15
281:3	12,16,20,2	387:5	falling	444:7
283:24	3,25	403:18	418:8	465:15,21
286:13	411:3,7,14	408:24	falls 346:11	466:2
288:6	,19,23	418:22	360:15	
293:14	412:11,13	420:18	false 439:7	
303:12	414:15,18	factor	familiar	
304:13,17	415:8,18	311:14		
305:24	418:6,14	437:22		
306:4	421:16,19,	438:6		
323:5,21	22,25			
	425:1			

483:12	files 337:16	362:17	finishing	489:9,18
489:8,20,2	filing	363:7,23	428:15	493:11
3	296:11	364:8,10	firm 395:20	496:23
490:2,5,12	486:23	378:3	422:9	508:19
491:4	filings	400:22	423:6,16	first-cut
501:12	415:17	418:20	463:9	412:14
502:9,14	fill 260:3	430:16	486:16	firstly
fif 342:25	264:21	449:14	first 260:15	421:17
fifteen	filled 372:4	461:13	275:24	fiscal 429:2
328:25	383:7	467:20	278:4	fist 416:2
329:15	final 329:21	473:2	283:22	fit 365:17
377:2	363:5	478:15	284:1	399:22
385:22	370:11	488:21	285:19	400:1,8
398:24	439:4	financially	299:18,20,	483:22
fifth 473:11	473:11	427:10	25 306:4	486:15,19
fifty 318:2	495:21	financials	307:23	494:3
333:1,14,2	499:20	275:6	308:2	
2 337:21	500:4	303:22	311:25	Fitkowski
342:25	finally	306:13,15,	328:9	256:5
344:1	433:2,7,23	19 311:15	334:5	282:19
357:6	439:10	326:3	343:3	283:11
358:24	476:1	327:22	367:13	fits 434:20
359:3	496:16	365:7	368:21	483:22
360:9	financ	449:21	371:20	five 297:4
374:19	331:19	472:3	375:24	298:1,2,3
381:10,11	finance	477:9	382:5,8,9	299:21
389:17	331:9,25	financing	384:23	315:3,8
392:24	336:5	361:13	388:20,21	316:8
394:5,16,1	financial	finding	394:11	322:9
9,20	258:8	376:11	398:3	329:14
395:14	323:22	465:22	407:24	343:25
419:12	325:4,8,14	fine/fore	408:3	344:2
420:4,7,11	328:5	335:16	409:6	354:11
449:11	330:16,21,	finish	420:23	361:20,21
505:4	22,23	365:19	429:11	362:11,13,
fight 285:1	331:6,9,11	367:12,25	433:12,13	19
figure	,13,20,24	370:17	435:8	382:18,19
271:15	332:1,4,6,	374:11,12	437:14,16,	385:13
343:23	12 333:7	400:15	21,22,24	395:14
358:1,22	335:15	405:19	438:8,14	397:3
360:13,15	336:4,9,10	414:16	440:20	398:11
375:7	,17,25	422:1	446:22	399:1
figures	337:7,13	511:2	447:14	423:7,9,20
356:13	338:5,11	finished	451:4,11	431:8,9,10
file 304:20	339:12	323:9	452:8,22	460:21
337:19	341:17,22	347:20	455:9	461:8,21
filed	342:2,6,7	428:16	460:11,12	482:9
304:11,14,	349:4,18	512:12	462:7	489:15
15	355:1	finishes	472:3	508:4
	361:5,17	369:14	477:21	fix 385:24
			480:23	
			482:8	

421:2	22	506:17	form 343:17	471:3
fixed	291:1,4,9,	focussing	439:7	487:23
353:21,22	11,14,16,2	287:7	491:5	499:9
354:2	4	foll 386:22	forma 331:23	502:22
360:22	292:12,15,	follow-up	332:12	512:20,23
364:4	19	377:22	333:6	fourteen
flesh 412:15	293:1,6,10	force 475:16	344:10,24	301:7
flexibility	,19 294:3	forebay	formally	316:16,24
263:10	295:1,7,10	416:12	451:14	317:17
366:3	,14,17,23	417:7	formas	327:7,9
386:6	296:2,4,6	435:17	335:14	406:19
426:12	297:20	forecast	formatting	fourteen-
flexible	298:14	269:9	329:20	sixty-two
261:13	299:10	277:5	former	308:11
flights	302:6,23	292:9,10,1	401:24	fourth 372:2
365:20	303:1,9	3,16,24	forms 474:12	473:4
flip 301:11	305:5	296:14,23	formulaic	four-two
426:4,10	306:20,25	297:12,14,	341:12	360:17
flow	307:20	15,22	formulas	four-zero
339:5,11	308:10,17	307:7	336:1	298:3
340:18	310:12,25	331:11	formulate	Fox 401:24
343:13	311:5,9,12	332:19	439:14	frame 352:18
362:3,8	,20	333:1	forth 266:15	358:14
flow-related	313:5,8,13	334:25	267:12	423:6,18
333:4	,19,22	337:1	269:13	frames
flows 349:2	314:2,6,13	342:25	332:7	355:16
433:25	,20	344:1	338:16	363:1
481:15	315:6,10,1	371:5,7	361:16	framework
flying	6 316:9,18	383:4	forty 261:21	281:9
367:12	317:1,8,18	459:15	273:20	282:12
Flynn 255:21	,21,25	509:6,7	274:1	frankly
275:14,24	318:5,8,13	forecasting	446:18	329:15
278:10	319:8	265:18	forty-two	free 414:8
279:8,14,2	321:3,7,17	277:1	280:10	441:18
3	,23	335:15	312:3	freed 324:24
280:4,6,11	322:3,8,11	449:10	forward	frees 324:15
,14,17	323:18,25	forecasts	261:10,13	frequency
281:2,10,1	324:7,13,1	276:5,6,7	263:22	286:18
5,18,22	7,22	277:2	264:11	Friday 259:5
282:9,14,1	325:7,23	280:20	302:21	488:12
7 283:1,19	326:2,13	foreseeable	316:13	friends
284:6,17	327:16	377:15	319:18	369:17
285:7	focus 269:18	forever	333:10	Friesen
286:9	270:12	386:16	371:16	255:18
288:13,18,	326:3	forgetting	376:21	front 262:21
21,24	332:1	408:23	390:17	267:24
289:12,22	368:17	forgot	465:4	
290:3,7,10	497:17	397:21	468:19,25	
,12,15,19,	506:3			
	focussed			
	372:25			
	391:18			

371:21	341:4	320:5,19	257:20	283:15
383:6	343:6,12	322:5	gen 362:5	296:19
447:21	355:18	329:7	genera	362:6
448:2	371:22	332:23	460:18	371:22
467:5,12	373:7	338:6,7,16	general	387:1
470:17	377:15	,17 344:13	327:23	390:16
494:17	381:2,13	350:14	341:14	396:22,24
fruit 398:4	386:1,7,11	353:22	343:17	399:24
fu 341:4	392:16	355:5	347:16	401:16
fuel 361:14	397:15	357:13,17	351:1	411:12
full 259:9	415:17	359:7	384:14,15,	413:15
277:17	487:18	361:19	25 387:3	423:10,21
332:13	513:6	362:15,23	437:25	431:18
334:10		371:22	446:4	452:12
337:2	<hr/> G <hr/>	373:17,19	451:2	460:19
338:1	GAC 257:2	374:21	462:6,19	461:10,12,
343:15	gain 419:24	375:25	463:13	15
419:4	game 261:4	382:8,10,2	475:15	507:17,18
423:7	416:5	4,25	491:7,23	509:8
497:3	gamut 474:6	383:1,7,10	492:16	generations
fully 349:22	gang	,14,15,18,	495:19	262:4
351:15	310:16,21	22 384:7,9	generally	507:11
378:21	Gange 257:2	385:15	337:9	generator
420:3	gap 317:4,16	386:9,10,1	346:9	438:2
421:6	383:7	2,13,16,21	350:17	491:20
423:18	gas	387:9	352:4	geotech
function	273:18,19,	388:18	356:22	443:9
337:4	23,25	389:22	358:16	geotechnical
fund 339:14	274:1	390:12,14,	363:14	443:9
340:9	276:5,25	16	383:16	gets
fundamental	277:5,7,8	401:14,22	445:13	317:20,23
267:15	278:23	402:11,20	generate	369:23
fundamentall	279:22	403:5	331:23	393:21
y 371:11	280:20	405:2,6,11	generated	417:21
fundamentals	282:4,25	409:12	335:15	getting
473:22	283:6,9,14	414:11	339:12	272:20
funded	,16 284:4	419:6	generating	274:18
510:23	298:19,20,	425:18	262:24	317:23
funds 487:13	25	442:24	263:18	320:6
fut 332:9	299:1,24	445:19	339:24	329:21
future	300:1,2,14	459:1	435:14	365:11
261:6,13	,15,23	503:21	436:17	378:11
262:3	303:8	506:2,12,1	445:9	382:16
263:21	304:8,25	6,20	446:18	391:9
264:9	305:10	507:10	460:18,19	398:16
301:17	308:4,6,20	gas/wind	462:4	402:5,6
332:2,9	309:22	282:23	466:16	418:3
340:20	311:23	gases 512:8	491:19	452:16
	318:17	gas-fired	generation	499:10
	319:16	283:15	277:8	507:22
		geez 503:19		511:22
		Geller		

GHG 422:16	goal 294:20	357:5	396:20	307:6
gist 448:21	336:13,22	graphs	422:11	308:19
given 265:3	393:3	296:15	429:8	309:9,12,2
266:3	go-forward	GRAs 380:5	456:4	1 312:7,11
274:9	265:21	great 296:24	GS 369:1	318:24
279:12	gone 283:5	332:8	guarantee	323:8
321:4	284:4	340:13	378:6,23	365:15
332:15	301:3	398:12	380:1,3,10	367:13,15
348:22	314:15	greater	511:20,22	374:23
349:1	326:24	319:14,20	512:3	409:5
379:13	364:22	357:19	guarantees	462:20
425:7	376:17	362:11,22	510:22	491:11
441:8	383:22	428:4,5	guess	halfway
446:6	441:22	498:25	265:4,6	481:19
487:7	goodbye	greatest	305:17,20	485:7
506:3	401:25	301:19,24	310:4	hallway
gives 269:15	governance	357:17	321:9,20	367:2
281:4	453:2	green 295:14	324:21	hand 389:12
320:9	government	344:15	340:23	420:2
341:3	274:10,14	356:25	344:12	493:17
398:9,10	368:25	357:10	347:22	503:10
404:15	370:3,5,8,	358:16	369:2	507:16
408:11	9 373:3,4	greenhouse	378:15	handed 492:5
413:22	375:8,17	506:2	412:5	hand-in-hand
417:15	378:2	greenhouses	419:4	446:23,24
424:9	380:8	512:8	445:24	handle
425:10	413:1	grey 357:10	446:13	432:24
427:12,15,	505:9	ground	448:7	433:21
16	511:20,24	370:20	450:25	handout
428:4,5,25	512:4	group 277:14	466:22	425:3
461:7	GRA 343:17	442:17	468:5	498:4
480:25	347:19	445:17	487:3	hand-waving
481:1	349:24	484:1	501:13	414:24
505:4	488:8	493:15	guide 341:18	hang 404:11
giving	granted	grouped	guidelines	410:2
330:13	489:25	276:16	508:9	hanging
379:14	graph	groupings	512:16	398:3
Glen 416:6	279:11,20	281:12	gut 483:7	Hanri 256:4
Glenn 431:21	280:2	groups 278:7	guy 260:9	330:17,19
491:22	307:22	grow 457:20	<hr/>	happen 261:6
glitch	346:14	growing	Hacault	319:16
339:5,23	354:8	276:1	257:6	376:15,17
glitches	458:14,17	growth	348:1	386:4
329:18	graphic	317:14,15	349:3,7	392:12
global	476:19	318:4	Ha-ha-ha	395:15
313:7,8	graphical	371:3	503:18	415:11
454:22	graphically		half 260:8,9	488:14,15
globally			302:7	happened
314:18				

405:5	289:2,5	300:8	406:8,9,12	481:7,9,17
455:22	301:18	301:4	,18,24	,19
457:10	304:9	309:5	407:1,3,6,	484:12,24
479:22	316:20	416:3	15,18,19	485:7,22
happens	365:16	451:18	408:5,16,2	486:5,12
313:6	367:10	he'll 508:22	1 409:2	high/high/
376:1	383:5	Hello 265:14	here's	high
387:10	396:25	help 259:7	274:11,12	289:19,25
405:17	397:11	375:20	361:3	high/low
417:7	408:25	420:13	410:15	335:13
425:23	474:22	424:14	he's	higher
431:3	511:23	475:14	260:7,22	274:19
hard 341:16	head 270:5	481:2	431:18	297:10,22
372:7	286:11	483:19	508:22	302:11,13
424:18	314:22	helpful	511:19	303:20
447:5	414:6	293:21	heuristic	307:12
harder 398:4	heads 269:20	294:13,16	404:20	309:14,18
hardware	health 429:2	323:1	Hi 294:22	315:1,9,18
287:21	hear 272:5	325:7	333:13	319:1,22
harmful	325:24	417:16	350:1	320:11
468:3	365:25	helping	434:14	327:1,10
Harper	heard 371:5	263:21	449:6	349:18
256:23	hearing	helps 273:8	463:14	351:25
285:1	266:12	424:11	high 268:6	355:3
310:3,13	294:11	Hendriks	269:7,25	356:22
311:3	303:13	257:11	276:21	358:5,16
321:2,4,8,	304:12	285:9,10,1	279:21,23,	362:14
19,24	339:3	7 286:12	24	363:14
353:1,12,2	348:6	287:14,15	280:2,25	370:24
4 471:12	349:5	288:17,19,	281:15,25	396:12
472:7,12	431:8	22,25	282:2	398:17
hash 346:4	hearings	289:20,24	284:14	406:1
359:19	294:14	290:4,8,11	286:3,5,6	420:1,6
haven't	304:1,19	,13,16,20,	289:3,5,7,	427:8,12,1
263:7	402:6,7	23	9	5
294:15	415:24	291:2,6,10	292:7,17,2	429:7,9,13
305:6	419:2,7	,12,15,21	3,25 293:2	445:1
322:19	492:20	313:3,6,9,	310:6	450:2
325:12	508:23	16,20,25	312:15	464:20
332:21	heart 307:21	314:3,7,14	316:3	472:21
333:18	heavily	,23 321:25	335:12	473:1
386:17	468:12	322:6,9	367:24	479:3,7
398:21	heavy 459:7	346:15,16,	388:14	481:9
420:22	he'd 416:7	21	442:24	488:11,14,
423:17	hedge 396:19	347:1,6,9,	444:18	23 507:9
504:24	397:1	18,21	449:20	509:16
having 261:8	held 254:18	354:1,7,16	476:22	highest
264:2	260:16	,19,23	477:5,6,19	316:2
285:1,24		381:20,21	478:3,7,9,	320:25
286:2,3		382:3	18	345:20,21
		383:13	479:3,10,1	364:3,4,5
			1 480:1,20	481:17

484:11	329:23	266:10,14,	465:17,24	348:14
high-head	403:8	23	466:5	365:19
503:2	hoping 294:9	267:4,15	473:8	435:24
high-level	304:7	269:5	475:2	481:1
264:15	horizon	270:11,17	482:6	ideally
413:22	333:15	hurt 271:4	487:7	377:1
441:1	Horocholyn	402:12	490:15	ideas 419:5
highlighted	257:16	hurts 402:13	491:2	identified
339:15	hour 323:8	hybrid 474:9	503:15,20,	338:2,14
highs	365:4,16	hydro 254:8	24 510:12	433:19
288:15,16	437:10	255:13	Hydro/	469:25
483:8	hours 329:16	256:2	Keeyask	486:7
high-speed	house 491:15	260:7	402:2	identifying
336:12	how's 434:24	261:11,18	hydro-based	276:16
hire 444:11	huge 266:17	262:1	353:23	IFF 333:18
447:10	394:18	263:17	hydroelectri	334:8
hired 444:12	396:8,18	267:23	c 445:9	337:11
448:1	397:1	276:20	Hydro-Quebec	342:17
historical	401:21	281:23	452:10	349:9
432:21	413:1	282:5,24	Hydro's	433:4
436:25	458:23	286:1	354:6	487:20
440:21	human 463:1	287:25	368:25	488:13,20,
historically	hundred	293:7	391:1	23
458:12	261:22	303:8,14	452:8	IFF09 333:16
history	284:12	331:23	511:22	IFF12
271:23	309:18	335:20		332:18,25
502:19	312:17	341:1,6		333:15,23
hit 397:8	369:23,25	346:22	I	334:16
hold 392:1	370:1,2	355:6	Ian 256:7	456:10
holding	373:22	371:23,24	259:23	IFF12-2
300:13	380:3	373:1,8,25	260:2	334:13
324:21	381:9	382:9	264:20	IFF13 333:25
holes 441:23	388:17,20	388:17,20	265:8,14,1	334:1,9
442:8	392:20,23	392:20,23	5 271:6,11	IFFs 342:21
Hollis 255:5	393:1,18	393:1,18	272:10,14,	489:13
512:21	395:14	409:13,18	23 273:5	IFRS
Hombach	397:4,16	412:1	274:22	348:18,24
255:4	408:12,13,	413:9,17	279:15	ignore 374:4
hope 260:22	14 417:21	419:20	I'd 260:5	ignoring
306:17	423:7,9,20	423:10	262:6	408:25
409:9	496:21	440:19	271:7	I'll 263:2
435:3	hundreds	441:15	277:12,17	275:18
436:9	419:11	446:2,6,17	286:9	279:15
hopefully	433:18	448:13	306:5	303:10,11
259:8	hungry	449:3,9	314:20	305:6
294:18	364:11	451:17	328:8	308:17
	hur 268:2	452:12	349:25	327:22
	hurdle	453:1	375:21	329:12
	259:24	455:14	411:8	
	265:19,20	456:1	487:15	
		459:12	idea 308:18	
		463:8		

335:4,15	286:3,7,17	463:24	507:18,19	imports
348:4,16	287:15,18	464:18	impervious	428:3
353:24	288:5,7	468:5	441:21	430:13
362:2	289:9	471:14	implement	improve
367:14,21,	290:16	478:20	343:5	352:21
25 371:9	294:9,11,1	480:10,11	implementati	405:9,15
374:16	6 296:8,9	489:25	on 368:2	414:6
379:3	298:8,18	490:23	implemented	420:12,14
381:18	301:8	491:21	347:14,24	421:3
387:4	302:6	496:8,12	implication	423:1
388:8	306:5,25	499:10	375:15	improved
393:22	314:7,17	501:21	implications	404:21
398:20	317:11	502:8	404:24	419:18
399:4	320:16	503:17	510:1	429:5
400:11,24	325:23	504:2	implicitly	improvement
405:19	327:2	508:8	287:10,13	404:7
420:18	328:6	512:11,14,	288:11	509:16
421:9	329:23	17,24	implied	improvements
432:20,24	330:25	513:3	382:6	446:8
433:3,5,7	331:8	imagine	443:12	improves
438:13	332:5,7	376:4,5	import	414:4
441:18	344:19	immediately	262:15	include
449:4,19,2	354:2,11,1	329:5	396:18	335:11
1 450:20	3 355:16	immensely	397:1,5,8,	363:24
453:12	358:1	404:22	10 404:16	364:3
463:25	359:15	impact	419:19	436:13
466:24	360:25	298:14,23	420:5,6	443:9
488:12	364:25	300:9,11,2	import/	453:19
492:12	366:2,8	0 302:10	export	467:10
494:18	367:24	308:21	419:16	476:15
508:6	372:9,20	312:10,23	importance	483:18
509:20	373:14	362:3,10	506:4	495:11
illustrated	380:6	371:3	important	512:3
294:7	382:14	416:19	264:1	included
illustrates	384:9	446:12	305:15	332:16
443:18	393:25	454:1	328:10	374:25
illustration	397:20	457:16	332:11	379:9
438:13	400:6	462:2	377:11	402:15
illustrious	411:17,20,	507:14	379:5,18	485:17,21,
260:7	21,23	impacts	385:7	25 486:3
I'm 261:2,8	414:15	332:2,9	453:24	487:19
262:7	416:1	361:13	486:9	496:16
264:3,13	418:8	362:9,17	511:3	497:16
265:3,4,15	426:19	364:8	importantly	501:11
267:20	430:3	373:8	412:25	includes
268:2,10,1	431:8	378:1,10	importing	433:14,18
1,12,13	432:11	445:1	421:15	451:23
273:17,22	435:1,19	500:6,16,1		454:18
274:4	447:24	7 502:2		467:9
277:22	448:12,23,	506:10,13,		
284:25	24 449:16	18		
285:24,25	454:23			
	461:21			

478:1,3	351:11	359:21	431:20	306:9
including	352:13	indicates	451:18	337:16
262:20	353:15	362:16	information	input/output
276:11	355:1,11,1	373:13	293:23	505:20
300:21	6,25	indication	295:24	508:11
329:17	356:21,24	320:9	296:8	509:23
373:20	357:2	indicative	299:15	inputs 456:8
432:23	358:3,5,10	347:12	301:24	462:16,22
464:15	,13,15	indicators	305:4	477:8
506:5	360:16,19	307:5	316:10	ins 338:17
inclusion	361:14	318:18	319:18	in-service
485:12	363:8,14	342:7	322:1,20	296:19
income	398:1	345:11,14	325:22	298:5
467:3,18,1	416:19	476:21	360:2	308:25
9,22	427:4,8,13	480:19	379:20	356:23
469:8,11	488:24	484:10,15	404:2	370:13
inconvenienc	505:4	indifferent	418:23	385:24
e 340:19	507:9	272:18	419:3	388:2
incorporate	510:2	318:23	432:12	393:10
432:21	increasing	indirect	436:6	396:19,22
476:1	309:24	436:13	456:9	427:3,6
incorrect	381:8	439:25	469:4,7	433:2,13,2
339:6,13	440:15	440:8,9,17	474:13,14	5
incorrectly	increasingly	457:21	477:16,17	453:20,23
339:19	501:7	individual	494:14	454:5
increase	increment	336:1	495:17	455:2
311:7	315:4	industries	496:8	459:25
324:6	incremental	267:11	497:6	460:12,13
343:7	300:3	452:13	510:25	464:4
345:5	326:19	industry	infrastructu	465:2,4
346:18	332:13	404:1	re 381:4	472:2,3
349:10	337:4	434:6	440:11	476:15
350:5	354:22	437:19	459:6	480:21
351:6	incur	443:7	461:25	485:3
354:9,17	395:6,12	446:14	462:1,10,1	488:9
358:24	396:4,5	452:10	1 491:10	489:21
416:3	incurred	476:5	inherent	490:6,8
420:7	394:21	483:7	263:9	inside 366:4
464:14	incurring	497:5	266:1	Insight
increased	341:23	inevitably	268:3	257:19,20
297:25	independent	329:17	269:2,17	insightful
490:10	282:10	inflation	271:14	323:3
increases	285:6	358:6	336:2	instance
336:2,23	513:1	464:15	inherently	382:3
341:15,24	independentl	influence	447:19	488:22
343:10,15	y 276:8	343:13	in-house	instead
346:23	280:20	influences	491:2	269:3
347:14	India 458:25	436:19	initial	300:14
350:3	indicated	informal	393:14	304:25
			input 305:14	

370:24	509:14,15	g 345:24	378:6,8	294:10,14,
instructions	interconnect	interpret	381:3	19
397:21	ions	317:23	389:3	334:7,11
instrument	388:15,23,	350:2	390:7	isn't 297:7
267:17	24 404:14	511:6	391:11,24	301:23
insulators	interest	interpreted	392:9,13	303:9
394:15	265:17	483:1	393:18	321:19
integrated	280:3	interrogator	419:25	378:24
331:11	301:18	ies 260:21	investments	384:10
337:14	323:19	303:24	261:18	393:2
integration	335:9	379:15	459:1	399:12
504:16	338:18	412:15	investor	400:2
intended	342:3,24	510:25	391:21	402:14
264:14	351:8	interrogator	investor-	403:11
intensive	368:6	y 492:24	owned	413:2
356:22	380:10,14	intertie	391:19	494:13
363:13	433:24	316:6	392:8	isolation
intent	453:21	421:14,23	investors	378:17
283:19	454:6,18,1	485:16	393:8	issue 259:24
304:13,19	9 460:1	intervals	invite	269:12
inter 323:4	464:6	343:25	305:13	288:9
369:19	465:7	Intervenors	involve	329:24
interaction	476:16	305:14	271:10	349:24
323:4	477:12	introduced	involved	393:9
Interactive	478:5,6,9	344:6	261:4	403:9
336:10	481:14	introductory	271:12	404:9
interconnect	490:10	260:17	468:12	416:20
ed 509:4	interested	intuitively	490:14	427:18
interconnect	314:8	287:18	507:5	488:18
ion 262:9	391:19	inve 363:12	510:4	505:13
305:2	413:15	invented	involvement	506:5
309:23	424:2,3	446:10	474:11	issued
310:7	interesting	invest	475:14	494:22
311:23	272:7,9	399:5,19	490:19	issues
318:18	interests	invested	involves	259:12,20
371:25	453:19	387:24	422:8	264:21
372:1,3,4,	interfaces	investigatin	involving	276:23
5	474:22	g 475:21	455:12	288:11
382:21,22	intergenerat	investing	459:6	401:23
388:22	ional	261:11	IO 509:22	403:6
389:11,18	507:6,12,1	339:8,17	IR 287:16	405:18
390:10	5,22	391:20,22	334:11	413:12
402:16	internal	399:25	ironically	456:4,5
404:13,18,	490:20	investment	417:8	457:12
21,23	internalize	266:18	irrelevant	463:4
408:24,25	504:5	267:24	412:1	494:10
421:5	internalizin		IRs 263:24	497:10
505:4	g 511:11			499:1
	interpolatin			it'd 401:6

489:1	19 311:25	412:18,20,	511:1	283:1,19,2
item	312:17,19	24 415:15	I've 264:20	4 284:6,17
339:6,18	313:11	416:5	283:21	285:7
340:5	314:3,4	419:11,12,	300:7	286:9,15,1
477:21	315:1	20	365:13	6,21
480:23	316:1,3,11	423:7,24	402:14	288:13,18,
itemized	319:10,21,	425:5	403:11	21,24
326:5	22 322:25	428:9	419:25	289:12,22
items 325:12	323:5,8,13	429:1	422:1	290:3,7,10
433:1,19	325:9	432:8	424:21	,12,15,19,
436:14	326:6	438:17	425:1	22
438:5	328:22,25	441:14,15	438:7	291:1,4,9,
440:2	332:22,23	443:16,17,	460:15	11,14,16,2
445:1	334:8	20 444:25		4
454:25	335:17,24	446:16	<hr/>	292:12,15,
464:9,10	337:1,10,1	447:4,5	<hr/> J <hr/>	19
486:10,14	2,14 338:8	448:2	jack 270:20	293:1,6,10
iterative	339:10,18	450:13	Jacobs 256:4	,15,19
336:5	341:11	452:23,25	330:17	294:3
it'll 400:3	342:6,17,1	454:13	James 257:4	295:1,7,10
492:4,5	9	455:9,10,1	Jan 255:10	,14,17,23
it's 259:5	343:4,6,7,	1	445:5,11,2	296:2,4,6
263:20	25 344:2	460:17,21,	4	297:20
264:10,14,	350:4	22	448:6,12,1	298:14
16 267:16	352:15	467:8,14	9 466:13	299:10
268:15	362:6,24	468:22	468:4,21,2	302:6,23
269:11,19,	367:20	469:2,12	4	303:1,9
21 270:4	369:25	470:25	469:3,9,14	305:5
271:21	370:22	471:2,3	,20,24	306:5,20,2
272:1,2,3,	371:15	472:23	470:3,8,22	5 307:20
6,18	373:18	476:1	471:2,5	308:10,17
274:22	374:4	477:17,22,	Jane 384:18	310:12,25
277:14	375:1,11	24	January	311:5,9,12
278:19	377:3,7,16	480:9,20	347:3,23	,20
279:2,3,4,	378:4,6	482:5,6,15	Jessica	313:5,8,13
8 280:22	380:18,23	483:23,25	257:10	,19,22
285:2	381:3	484:7	Joanne	314:2,6,13
287:14	382:6	486:9,21	255:21	,20
289:18	384:7	488:12,15,	259:11,18	315:6,10,1
293:14	385:4,24	16,18,19,2	264:20	6 316:9,18
294:6,13,1	386:23	0,25 489:4	268:24	317:1,8,18
5,16 299:4	387:2	492:24	275:14,24	,21,25
300:2,10	393:2,21	494:14,21	278:10	318:5,8,13
301:3,6	395:1,6,19	495:18	279:8,14,2	319:8
303:25	398:13,23	496:9,21	3	321:3,7,17
304:15,19,	400:4	497:2	280:4,6,11	,23
23	401:15	498:17	,14,17,22	322:3,8,11
305:6,13,1	402:2	499:16	281:2,10,1	323:16,18,
5,19	403:9	500:10,22	5,18,22	24,25
306:12,18	404:4	503:24	282:9,14,1	324:7,13,1
308:11,18,	408:21	507:19	7	7,22
	409:25	508:25		325:6,7,23
	410:16,20	509:10,16		326:2,13
	411:15	510:20,23		327:16,18

328:9	351:20,23	420:8	318:17	461:7,16,2
332:19	352:6	444:19	334:22	3
338:10	375:4,5	511:21	338:6,20	462:11,12
344:6	377:21	judgmental	349:23	463:23
369:21	379:4,11,1	291:19	351:14	467:23
372:18,21	7,20	500:10,16	356:24	474:25
373:18	384:18	judgmentally	357:9	477:10,20
382:20	409:11,16,	386:19	360:11	480:20,21
388:14	20,24	judgments	361:23	482:12
401:6,10	410:7,10,1	272:22	362:7,12,1	483:4
472:18	4,18,22,24	274:11,15	6 363:9,24	485:16
476:20	411:2,6,13	281:8	364:4,6	488:6,9
495:9	,16,22,25	Judy 255:23	369:1	489:17
504:17	412:12	July 369:3	375:25	490:24
Joanne's	421:11,17,	387:20	381:24	491:10
268:8	20,23	432:13,16	382:1,5,6,	492:18
323:9	478:23	441:19	8,9,10,23	493:7,15
344:15,16	479:1,10,1	451:21	383:6,11,1	494:6,10
359:19	3 480:3	501:19	4,16,17,18	498:25
418:22	485:8,15,2	502:18	,23 384:23	501:15,17,
job 269:16	2 486:6,21	July/July	385:16,17,	21,22
432:21,22	487:2	387:19	18	503:1
436:23,25	511:25	jump 330:18	386:9,10,1	Keeyask/
437:1	joint 263:15	471:25	4,21,22	Conawapa
444:13	402:2	jumped 416:2	387:7,9,14	427:11
455:11	jointly	June 387:19	388:20	494:10
457:19	451:15	462:5	392:6	Keeyask/gas
507:18	Josee 255:11	June/July	396:20	344:14
jobs 429:14	365:14	369:2	402:1	361:18
453:24	366:8,10,2	jurisdiction	407:24	427:11
510:18	1,25	341:11	408:12,25	Ken 256:6
John	512:25	jurisdiction	409:3,5	259:15
256:10,12,	journals	s 412:3	414:13,25	260:5,11,1
25 271:3,7	337:3	justified	416:4,5,6,	2
272:5,11,1	Ju 316:12	488:4	10,13,17	264:16,17,
5 273:4	401:3	keeya 383:18	417:4,14,1	18 270:19
274:6	judged	Keeyask	6	446:19
282:20,21	320:17	258:11	423:10,22	Ken's 260:6
283:13	judging	298:19	425:13	Kettle
284:7,24	377:13	299:24,25	426:8	417:19,20,
302:16,17,	judgment	300:14,23	430:14	21
24 303:2	271:10,12,	308:5,20	431:21	key 284:9
304:10,16,	20 272:2	309:22	432:1,9,19	338:5
22 306:21	316:5	310:6	433:5	340:20
311:6,11	322:13	311:22	435:12	350:25
316:11,19	377:7,9,11		436:4	359:16
317:2,9,20	,17,19		440:10	360:3
,22	378:10		443:2	422:18
318:1,6,9	388:15		445:22	434:2
322:16	400:10		453:12,24	436:19
327:5,6			454:2,24	456:8
350:23			455:8,15	
			459:14	
			460:12,22	

461:22	348:23,24	440:10	397:23	429:4
475:7,10	437:1	467:4	398:4	500:6
479:18	438:17	507:1	407:17	leave 384:1
Keyes 257:17	439:1	Larry 255:9	410:13	leg 405:10
killing	440:13	last 260:14	411:1,12	legacy
403:10	456:5,14,1	261:1	425:18	261:18
Kinder	9	275:25	427:8	262:3
257:21	457:6,7,12	284:8	428:4	270:19
kinds 288:11	,23,25	300:19	453:13	legislation
375:16	458:1	326:14	494:18	501:2
376:4	459:10	327:6	501:16	Lemoine
394:10	460:24	347:19	507:11	255:11
404:17	463:5,11	348:6	latest	366:10,21,
405:22	465:22,23	349:5	301:19,24	25
knew 419:8	466:8	355:9	489:18	laugh
442:7	475:7,8,15	366:1	laughter	306:2
455:19,25	,16,17,25	368:1	Lauren	lend 335:25
456:22	477:12,25	369:20	257:12	less 259:10
Knight 256:9	478:2,4	401:4	Lavigne	286:5
325:12	479:5,14,2	417:13,20	513:20	288:4
434:15	2	418:1	laws 501:8	291:7
knowledge	480:2,7,8	424:6	lawyers	294:19
260:16	486:2,19	431:6	329:22	316:7
447:22	512:6	449:2	415:8	324:11
450:9	laid 375:14	464:18,19	lead 353:3	346:18
knowledgeabl	lake 430:23	484:13	learn 461:20	374:10,13
e 330:21	land 439:19	487:16	learned	400:3
known 470:24	large 279:4	488:8	432:23	417:21
Koschik	301:13	489:2,11,1	433:7	503:14
255:7	336:12	510:8	450:19	512:10
Kuczyk	341:24	513:5	451:12	lesser
255:19	355:17	lastly 368:7	461:22	437:22
kudos 503:16	380:14	last-minute	473:4	lesson 433:7
Kurt 255:6	397:25	365:2	476:2,7	lessons
kV	413:1	late 259:5	learning	450:19
262:8,17,1	458:24	262:6	263:22	462:9
8 380:23	502:12	323:9	462:9	473:3
381:1,4	largely	365:4	least	476:2,7
394:16	404:22	396:19	260:2,20	let's 268:25
397:23	440:18	416:5	270:3	269:5
398:5	459:6	425:7	305:14,18	314:10
<hr/>	475:18	488:12	357:5	327:19,20
<hr/>	larger 374:1	later 263:8	359:9	365:18
<hr/>	380:13	265:2	371:21	367:3
L	398:22	348:21	386:19	387:19
La 256:10,11	441:13	370:8	398:7	404:22
257:15	457:18	377:12	405:10	407:8
labour	485:4	381:18	419:18	416:10
287:23	488:1	388:8		422:19
	largest	393:17,25		425:11
	437:25	395:15		426:7

431:10	liabilities	385:17	284:25	354:5,15,1
434:21	333:8	389:22,23	285:24	8,20,24
463:25	licensing	390:2	309:2	355:20,24
467:12	440:12	392:3	317:4	356:4,6,9,
469:7		393:11	319:21	12,20
471:7,16	lied 492:21	394:6,8,20	320:10	357:25
497:23	life 270:23	395:7,10,1	323:23	358:21
letter	277:17	9,20 396:6	329:18,22	359:14
329:24	349:21	397:16,22,	341:3	360:1,7
330:13		23	343:1	361:3
level 266:11	lifespan	398:3,5,9,	361:4	363:5,21
272:17	262:2	13,19	365:9,22	364:16,22,
309:13,15,	lift 424:11	399:20	385:14	23,25
24	lighter	400:1	399:15	365:3,6
312:13,15	344:13	405:1,4,23	401:7	367:13
315:19	likelihood	419:17	416:5	385:14
318:2,25	279:13	420:2	418:24	426:21
349:18	282:1,2,3	426:5,25	419:15	427:17
358:8	362:22	433:19	426:22	476:20
359:7,22	477:4,6	445:15	435:21	504:23
367:25	488:11	458:9,10,2	438:7	LLC 257:18
378:2	likely	1 472:9,10	446:19	Lloyd 255:19
388:14	271:18	480:23	448:2	load
406:1	286:5	512:5	455:19	296:13,18,
427:22	291:7,10	linear	461:10	20,23
442:21,24	292:21	492:22	472:22	317:14,15
443:5	477:5	lines 298:20	479:6,25	318:3
444:1	488:10,13	374:19	508:17	319:9,17,1
449:8	Limestone	426:8	Liz 255:24	9 321:10
451:14	452:9	445:12	327:22	324:3,10
482:11	limitations	list 297:6	328:5	361:15
494:12	316:6	298:24	330:15,20	371:3,5,6
495:3	limited	299:3	331:4,7,18	383:4
496:23,24	307:5	491:5	333:17	396:20,25
497:8,10	431:23	495:15	334:1,6,14	409:23
498:18,25	438:3	497:24	,17,20	410:9,13
levels 266:1	line	499:24	335:1,7	416:24
302:11,13	262:17,19	500:4	337:25	419:6
304:3	280:24	listed	338:25	423:17
307:4	295:6	436:20	340:3,6,8,	429:8
308:21	298:20	440:7	11,14,16	500:24
310:7	339:6,8,14	listing	342:12	501:6
312:4	,15,18	430:24	343:21	509:2,6,7,
318:19,22	340:5	literally	346:20,24	13
327:1	355:7	307:6	347:2,8,10	loaded 421:6
353:21	374:15,16,	little	,20,22	loaders
357:4,21	20,22	259:23	348:16	437:8
363:25	377:13,14	260:3,15	349:6,16	loads 320:3
364:2	380:22,24,	263:3	350:4,10,1	324:23
370:24	25 381:1,5	264:21	2,16	local 502:3
415:21		275:2	351:3,22	507:1
434:4			352:4,10	
			353:7,18	

510:21	316:16	477:3,19,2	510:17	270:13
locations	323:7	2	machinery	273:13
412:9	330:20	478:7,8,18	437:7	274:3
logical	348:7,9	479:4	macro-	431:1
383:8	367:24	480:20	environmen	452:4
Lois 255:20	368:5	481:7,16	tal 258:13	475:16
296:13	369:9	484:11	492:9,13	manageable
303:16	372:22	486:12	493:21	427:19,22
307:2	375:19	lower 270:17	498:9	management
long 262:2	385:19	300:25	madly 340:18	368:1
267:25	398:4	315:1	magnitude	426:12
270:18	399:3	317:15	266:18	432:25
303:23	404:2,6,7	318:3	Magnus-	433:15,21
363:9,17	417:11	324:3	Johnston	441:13
416:8	420:17	357:3,13	257:4	444:24
427:14	445:21	360:12	main 296:11	446:2,15
458:12	447:11	418:4	297:11,15,	449:23
longer	451:12	427:14	23 298:2	451:20,23
268:19	452:17	450:3	398:11	452:21
333:19	490:19	479:4	459:24	453:3
457:18	492:15	488:15,20	462:20	454:20
long-term	494:23	507:11	463:13	456:14
261:10	504:23	511:23	467:2	457:5
262:10,22	506:14	lowering	468:5	463:9,10
263:17	509:9	313:10,11	497:14	464:16
264:5	lots 392:5	lowers 315:4	mainly 512:7	473:12
270:21	397:13,14	lowest	maintain	483:13,18,
363:23	399:1	345:19,21	341:21	21
392:4	417:10,25	357:11	353:15	485:9,11
422:9	418:1,3	363:10,16	maintenance	486:11,17,
424:3	492:25	428:25	326:1	22,24
428:25	493:3	481:16	333:6	487:10,18
429:2	low 261:19	484:11	major 277:11	manager
loo 266:21	269:25	lows 288:16	283:8	265:15
311:1	276:21	335:13	330:3	330:16,17
lose 329:10	279:21	483:8	349:7,14	331:8
421:2	280:3,25	lump 409:4	389:5	416:7
loss 396:6	281:2,3,16	lunch	395:18	431:21
509:2	,25 282:1	364:11,24,	433:11	487:7
losses 412:8	284:13	25	455:1,2	488:4
lot	292:7,17,2	365:3,5,11	459:1	493:13,14
266:13,24	5 293:2	,15 366:16	476:16	managers
267:3	319:9,17	367:2,10	501:10	330:23
268:7,8	320:2	lunchtime	509:7	managing
269:8,24	324:3,10,2	365:16	majority	269:18
272:3	3 355:8	<hr/>	440:20	430:10
273:11,22	390:11,12	<hr/>	man 456:14	431:1
277:7	398:3	ma 430:6	manage 264:8	manger
301:15	413:10	509:4		431:18
	419:20			Mani 503:18
	444:17			
	449:20			
	476:22			

manifest	Manitobans	452:20	442:3,6	312:21
261:18	373:11	457:25	447:6	324:11
Manitoba	429:7,10,1	458:20	453:4,5	341:2
254:3,8,21	3 507:13	473:7	465:18	405:7
255:13	510:2	markets	466:16	411:25
256:2,19,2	Manitoba's	273:19	485:11,12	416:11
1 260:6	263:21	marks 359:19	487:19,25	450:2
261:20	manner	Marla 255:16	495:4	478:21
262:13	352:12	330:6	502:7	meant 384:19
293:7	manually	512:24	maybe 265:9	425:3
296:20	337:17	Marv 508:21	270:16	441:12
303:14	manufacturer	511:13	277:23	457:13
319:19	s 438:4	Marv's	280:21	466:5
321:10	map 413:22	511:15	286:13,19	483:17
324:5,8,11	maps 412:6	Mary 257:15	301:10	487:5,14
331:23	413:21	match 473:9	305:5	498:22
335:20	414:7	material	327:14	measure
341:1,6	March 461:4	323:7	375:18	272:12
346:22	469:1	325:21	399:13	measured
361:9,11	Marci 257:13	437:1,8	405:2,20,2	492:21
363:16	marginal	441:21,24,	1,22,23	measures
368:25	318:24	25 442:2,6	406:16	390:15
373:1,8,25	325:16	492:25	411:25	mechanical
376:10	marginally	493:3	420:7	438:2
392:20,23	315:9	494:3,5	421:11	mechanisms
393:1,18	mark 407:12	499:2	434:16	264:7
396:25	marked	511:1	464:24	mechanistic
402:2	458:17,21	materials	492:16	343:7
412:7,21	market	348:14	511:24	352:21
413:22	287:22	437:9	mean 261:23	medium 355:4
414:2,3	303:15	438:18	271:14	363:12
415:12	307:14	439:2,3	272:6	364:2
419:20	324:24	458:24	291:5,15	427:13
421:15	362:8	matrix 500:8	313:12	507:8,13
429:14	398:10,14,	matter	315:2	medium-term
440:19	22 420:25	328:11	322:25	505:1
441:15	424:9	422:20	324:4,7	meet 336:16
446:2,6,17	436:24	may 268:5	346:12	390:16
449:9	454:14	272:22	348:25	401:17
453:1	455:2	287:16	355:16	410:13
459:12	470:5	305:5	356:10	meeting
465:17,24	504:17	340:24,25	379:8	402:3
466:5	506:5	347:24	383:19	408:8,22
487:7	marketplace	352:8	389:22	410:9
490:14	432:22	362:22	394:7	423:17
497:18	436:25	365:22	407:21	501:8
500:1,3	447:12	374:22	421:19	meetings
501:2		391:20	422:17	365:14,17
505:17			446:8	
508:16			448:10	
509:4,21			470:23	
510:12			means 289:11	
511:22				

366:22,23, 24 378:24 513:3 mega-project 457:24 megawatt 297:4 369:4,8,21 ,23,25 380:22,25 385:19 396:18 397:1 399:7 404:20 419:16 420:5 422:7,9 423:7 424:7 502:1 503:11 megawatts 338:8 369:10 372:1 380:23 397:11 408:12 417:21 419:19,24 423:11 503:21 509:12 Meghan 256:22 Mel 412:6 Melissa 257:8 memory 406:21 men 421:9 mental 368:15 mention 397:19 424:2 443:16 452:7	484:13 494:15 498:23 mentioned 260:23 263:19,20 269:23 270:19 280:22 293:15 297:9 302:9 307:2 331:8 332:20 347:13 360:7 424:1,6 476:13 483:2,20 486:13 494:16 mentioning 387:5 Menzies 256:22 mercury 494:11 meth 482:19 method 270:24 methodologie s 445:20 448:8 methodology 271:9 293:9 349:19 351:4 436:22 442:16 445:16,18, 23 447:9 448:3 465:18 482:19 metres 439:19 metrics	359:16 360:3 Meyers 257:17 M-hm 321:7 324:13,17 349:6 351:22 502:13 MHUB 486:22 mic 393:21 450:21 mid 503:1 Miles 256:2 403:23 413:19 Miller 257:3 314:24,25 315:7,15 316:4 324:2,10,1 4,18,25 390:23,24 391:5,13 414:10,17, 21 million 309:3,14 312:6 316:24 373:22 387:21,25 401:21 403:3 405:7 407:11 461:6,7,15 481:6,16 millions 299:19 419:11 Min 284:2 mineral 459:1 minimal 284:2 minimum 381:1,3	407:20 408:9,22 Minneapolis 262:9 Minnesota 297:5 369:5 398:11,12 412:8,19 413:8 424:9 minor 329:19 minus 308:4,12 401:21 481:22 minute 327:21 431:8,9 minutes 259:4 277:22 336:21,22 365:12 385:13 492:3 508:5 MIPUG 257:6 misheard 276:19 MISO 292:11 509:5 miss 337:5 missed 486:1 487:2 missing 330:1 369:12 mitigate 463:12 mitigated 457:8 mitigation 463:12 475:6 506:14 mitigative	390:15 mix 282:23,24 283:14,15 mixed 329:22 425:4 MMF 257:10 MNP 256:14 model 269:4 335:15,17, 21,24 336:4,8,9, 18,24 337:1,9,11 399:22 400:1 444:11,12 474:9 508:11 509:23 modelled 317:10,13 457:9 modelling 323:2 336:12 models 267:10 337:15 449:15 505:20,21 modern 451:12 modifies 472:22 modify 263:2,13 264:9 modifying 475:22 moisture 441:24 moment 409:1 money 370:16 380:9 420:8 454:19
--	---	---	--	--

459:5	299:8	477:14	452:14	375:19
463:20	302:4	478:11	narrow	440:3
monies	307:18	480:14	317:16,18	486:15
481:10	308:8,15	482:1	narrowed	necessary
Monte 443:13	311:18	484:3	317:3	264:10
509:3	317:6	485:19	326:20	266:14
month 455:11	318:11	492:7	327:15	301:23
monthly	319:6	495:1,6	narrowest	381:3
337:10	326:10	496:5,18	359:9	negative
months	331:16	497:12,20	National	362:22
303:18	337:23	498:1,13,2	369:18	506:12
372:9	338:23	0	nations	511:16
morning	342:10	504:8,13,2	429:11	negligible
260:12	343:19	0	467:25	312:10
263:24	357:23	505:7,15,2	natural	negotiate
265:14	358:19	5 506:8,23	276:5,24	423:13
275:14	359:12,24	507:25	277:5,8	negotiating
276:1	360:5	moving	278:23	399:6,23
278:4	361:1	280:10	279:22	422:13
331:8	363:3,19	302:21	280:19	467:25
368:15,16	368:11	326:17	282:4,23,2	negotiations
372:23	371:18	337:20,25	5	371:8
377:19	372:15	430:1	283:6,9,16	400:23
446:20	384:3	454:9	371:22	406:3
472:19	385:9	MP 372:5	459:2	422:5,8
Morrison	388:11	408:24	506:20	467:5
255:20	390:4,19	multi 275:7	Naturally	468:3
256:16	400:13	multiple	329:13	neighbouring
257:21	401:1	275:7	nature	412:2
mortar	410:4	453:25	259:7,8	neither
466:15	418:12	495:25	262:1	510:4
mostly	424:24	499:3,5	268:22	Nelson 418:4
412:18	426:15	504:4	273:7	net 276:12
507:2	428:13,20	508:8,9,22	335:22	278:14
motions	429:24	509:22	415:17	289:14
303:12	430:19	multiply	ne 312:10	299:19
MOU 422:5,7	432:6	345:12	Neal 257:15	300:3
mouth 317:12	435:6	multi-staged	nearly 384:7	307:25
move 279:24	438:10	495:10	401:21	308:3,5
309:6	439:22	multitude	479:23	309:3
390:17	440:23	455:12	512:12	312:16
424:22	441:5	mutually	NEB 262:8	315:18,23
437:8,10	442:11	398:6	369:12,16	316:2
MOVED 275:22	444:21	myself 265:4	necessarily	319:1
278:1	453:8,15	397:21	261:23	320:12,25
285:15	455:5	<hr/>	278:6	324:3,19
294:1	456:16	N	342:18	353:10,20,
298:12	458:5	Nalcor	343:5	22 355:15
	459:20	451:16		356:8
	460:6			
	461:18			
	463:17			
	473:19			
	476:9,24			

360:22,23	343:24	10 325:16	494:4	418:8
362:3,8	344:10	384:16,20,	496:1	425:4
363:25	none 302:24	21 469:10	498:5,17	449:24
364:2	330:2,3	NPVs	499:2	464:3
NFAT 260:24	376:2	313:17,21	500:2	465:1,6
297:11,23	426:8,9	384:18	occur 302:2	469:9
333:21	nonrenewable	NSP	415:12	489:7
337:13	429:17	423:4,5,12	501:16	499:6
370:4	nor 415:16	nuclear	occurrence	oil 459:1
379:1	493:8	500:24	279:13	okay 259:3
414:23	510:5	numerically	477:4,7	264:17,18
415:7	normal 442:3	480:5	occurs	265:8
429:22	470:5	509:22	362:20	267:20
433:9	normally	numerous	452:25	268:9,25
466:18	334:1	430:25	486:7	272:5
476:12,18	350:5	474:19,20	o'clock	273:12
480:18	443:18		263:24	280:8
484:9,25	Norris	<hr/>	odd 262:12	281:17,24
493:5,10,1	257:17	<hr/> O <hr/>	397:2	282:18
7	North 305:20	O&M	odds 365:9	283:11
NFATs 415:12	403:22	325:15,17,	offered	286:12
Nicole 256:5	404:2	25	259:15	287:14
282:19	414:4,6	326:2,4,7	283:17	288:17,24
283:11	429:12	oath 264:13	offhand	289:1,24
night 275:25	456:3	objective	407:10	290:4,13
nine 293:16	northern	260:20	509:11	291:12,17,
300:15,23	452:14	392:1,2	office	21
494:16	463:5	501:3	440:13	292:4,14
nine-eight	note 332:11	observations	offload	293:8,12,2
360:18	339:16	350:25	392:3	4
ninety	344:12	354:25	off-peak	296:3,5,6
270:23	486:9	363:6	397:11	298:9
312:3,17	nothing	obvious	507:16	302:6
320:14	411:18	340:25	offsetting	307:1,20
346:12	noticed	467:8	500:2	311:3,4,16
357:7	321:11	obviously	offshore	314:9,12,2
ninety-seven	382:4	259:21	500:2	3 315:15
405:8	402:3	261:20	oh 265:9	318:9,13
ninety-six	November	329:3	285:2,10	320:17
300:5,17	334:3	343:6	286:14	321:24
301:4	np	355:1	288:21,24	322:6
313:23	255:7,13,1	361:18	291:9	323:21
317:24	7,18,19,20	367:23	294:4	324:3
318:7	,25	400:22	323:21	326:8,13
320:2,14	256:11,19	402:10	326:2	328:3
nobody 271:4	257:4,8,16	434:17	334:4	329:11
376:7	NPV	448:20	390:22	334:15,24
384:16	313:4,7,8,	461:5	406:22	335:13
nominal		468:1	410:2	340:10,13,
		493:6		15,17
				346:21
				347:1,6,9,
				21

350:7,22	one's 489:9	508:15	294:25	460:19
353:25	ongoing	OPG 451:17	302:21	461:10,15
354:23,24	388:3	opportunitie	325:18,19	outlier
356:5,11,1	467:16	s 261:15	350:15	305:19
5 365:1	online	opportunity	425:10	output
366:11,15	330:12	294:12	494:7	307:16
367:9	362:6,7	396:6	495:11,14,	outside
379:4,5,17	on-peak	399:1	15	275:9
,22 381:19	397:12	428:3	496:12,15,	322:18
395:23	404:16	opposed	22	346:11
396:10,13	Ontario	274:19	497:2,5,6,	361:9
406:24	263:1,3	310:21	15,23	452:10
407:1,23	452:12	322:2	500:23	468:6
410:14,15,	456:1	324:5	501:9,11,1	503:19
18	onto 337:25	398:25	4 502:1,21	overall
414:9,17,2	onward	465:24	503:2,4	303:19
1 415:19	333:16	511:8,17	orange 259:6	307:12
418:9	op 283:17	opt 394:4	order	312:19
421:9,16,2	open 275:18	optimality	312:21,23	316:7
5 424:5,22	Opening	283:17	313:17	326:16
431:16	258:4	optimi 420:3	336:16	351:12
448:23	260:11	optimization	341:20	355:25
465:10	opens 398:13	502:10,11,	organizing	356:2
468:16,24	operated	17,18	513:1	363:16
469:6,9	402:23	optimize	original	373:5,11,1
472:7	operates	336:15	307:24	2 415:6
473:3	260:8	404:16	393:13	424:12
485:22	operating	optimized	479:24	428:24
486:7	333:5	284:1,3	others 304:8	429:10
487:3	336:11	417:4	313:11	448:15
489:7,20,2	339:22	420:4	340:25	459:10
3 492:11	344:25	optimizing	384:1	490:15
504:2	350:6	501:22	399:10	overhead
509:19	356:13	510:18	405:18	348:7,18,2
512:19	392:22	option	507:3,10	3,24
old 349:15	395:20	371:23,24	otherwise	371:12
455:18	396:2,5	381:8	504:3	374:12
ones 279:9	397:4	394:6	510:25	399:4
299:22	416:18	395:24	Otter 398:12	401:8
305:7	operation	396:1	ourselves	428:23
338:5	325:25	413:9	394:2	overheads
343:11	operational	423:8	462:21	328:20
346:19	337:15	optionality	outage 509:7	368:21
357:5	510:11,18	381:2	outages	401:4
386:20	operations	394:4	395:19	overlap
415:3	332:21	395:24	outcome	316:16
489:18		397:15,17	430:25	overly
496:16		options	outlet	291:18
497:7,17,2				overnight
4 503:10				
506:2				
507:20				

433:18	279:15	315:11	393:2	465:13
overrun	285:11	346:19	399:11,12,	466:11
443:22	322:22	385:5	13 400:2,4	pay 380:15
overstated	328:22	446:1	405:6,9,10	454:3
404:3	329:14	particularly	425:9,23	456:22
overview	358:1	330:25	426:4,10,1	paying
368:24	485:9	357:20	1,17,18	324:11
384:12	pages 254:23	377:5	427:2,9,25	354:11,13
441:1	496:22	390:11	428:16	390:25
owner 391:22	paid 393:8	400:20	430:7	391:1
399:21	panel 263:16	404:14	pathways	payment
440:1	402:2,5,6	425:7	382:15,16	339:14
446:3	paragraph	429:11	383:21	467:13
447:2	384:11	458:2	385:12,13	payments
owners	parallel	494:10	388:22,23	467:11
399:25	502:24	498:25	389:1	pays 380:15
452:18	parallels	506:3	400:18,19	Peaco 256:11
ownership	402:4	partner	414:24	peak 296:14
400:3	445:18	507:2,3,4	426:13,20	427:18
	parameters	partners	428:8,24	peaky 416:23
	472:25	373:25	Patrick	Pelino
<hr/>	479:18	402:2	257:7	256:16
p.m 367:7	498:10	partnership	277:19,21	Penny 257:17
431:13,14	502:25	466:19	278:3,25	people
513:11	pardon	467:3	279:10,19	260:25
P10 357:6	280:25	470:10,16	280:1,5,8,	261:4,21
477:22,25	413:1	past 268:18	12,16	264:22
P30 444:1	416:1	271:17,18	284:24	265:1
P50 441:16	438:15	294:14	pattern	266:4
443:17,19	452:23	432:23	386:24	303:25
444:1	458:10	436:23,25	Patti 255:15	329:10
449:18	490:4	442:22	294:5,6	330:14,23
450:2,16	Park 256:16	443:7	305:24,25	331:2
451:9	257:21	444:13,19	325:2,9	365:16,20,
478:1,3	partial	473:15	330:6	24 366:7
479:3,4,9	304:4	487:17	415:9,19	367:12
480:1	partially	490:23	450:21	369:3
488:16	391:15	512:19	512:24	374:20
P90 479:23	455:23	path 263:6	Paul 257:19	398:24
480:6,8	partic 463:5	274:9	PAUSE 271:1	399:23
pa 442:22	participate	325:3	275:12	403:9
page 256:7	263:20	398:19	284:21	420:5
258:2	particular	462:3	297:18	432:11
259:23	263:6	pathway	310:1	451:12,17
265:14,15	266:6	374:15	313:1	455:12,13
271:6,11	267:19	385:15,16	330:9	457:18
272:10,14,	295:15	386:4	356:18	463:3
23 273:5	302:14	388:7	364:13,18	469:18
274:22		389:10,20	366:13,18	488:21
		390:6	434:12	
		392:20,25	444:5	

491:2	percentage	384:25	392:9	469:2
492:22	289:6	447:10	393:14	placing
494:12	350:3,5	personnel	398:3	439:1
502:4	percentages	449:9	444:17	plan 254:10
503:17,19	307:10	466:6	picked 345:1	262:22
508:16	483:3,5	perspective	346:8	263:5
per 289:18	percentile	260:24	384:22	264:7
294:9	319:19	301:25	393:1	283:1,2,20
304:2	344:19	309:20	496:14	284:1
353:9	perfect	311:13	picking	298:21,24
359:6	400:8	318:19	391:25	299:2,4,24
373:8	perform	379:6	392:16	300:5,16,2
437:10	336:6,13	398:15,23	picks	3 301:3
439:19,20	perhaps	502:10	392:20,23,	303:23
496:1	294:8	511:8,9	24	304:7,8,25
percent	304:25	pertinent	picture	305:10
270:15	408:2	384:11	373:5,20	306:11
272:1	445:6	pessimistic	374:2,6	308:4,6,20
284:12	494:13	393:23	403:11	,22
286:2	period	Peter 257:3	431:3	309:22,23
288:4,5	277:15	314:24	438:19	311:22
289:2,4,8,	301:17	315:7,15	454:22	312:1,10,1
10,18,25	307:10	316:4	piece 283:22	1,14,16
290:1	336:18	324:2,10,1	318:14	314:9,10,1
292:7,8,20	337:21	4,18,25	339:15	1
300:22	342:15,17	325:2	374:8	315:11,12,
321:10	344:2	390:23,24	379:20	17,20,22
322:1	347:5,7	391:5,13	487:21	316:2,7
345:4,5,12	351:9,16,2	404:11	Piesold	318:21,23,
,13,14,17,	1	414:10,17,	256:9	25
25	353:4,9,15	21 415:10	325:12	319:3,4,14
346:1,3,4,	358:25	417:18	434:15	,15,16
5,13	359:4	Peters 255:2	pile 452:9	320:19,25
357:13,21	360:10,16	phase 435:24	Pilek 255:25	321:6,8,11
358:8,10,1	364:1	philosophica	pink 357:10	,16 323:6
1,13	375:10	lly 386:5	pipeline	327:9
359:4,6,7,	393:10	phonetic	371:4	328:16
22	396:7,21	399:9	506:21	329:6,7
360:12,20	397:9	401:24	placed	335:3
392:21	402:22	457:21	314:8	336:19
393:1,2,6	403:1	physically	pla	338:6,12
395:7	410:11	306:18	plac	344:14,16,
411:20,24	459:4	377:4	placed	22
417:22,23	periods	pic 373:5	284:12	350:18,20
438:16	361:21	pick	506:4	353:23
443:20,21,	362:21	259:11,16	placers	354:17
22 450:2,3	458:12	328:6	438:24	355:5
454:2	persist	365:17	places	356:25
460:24	459:13		368:23	357:3,12,1
461:1	person		403:25	3,17
481:23			412:7	358:16
511:10				359:5,7,8
				360:10

361:18,19	337:15	6	please 265:8	401:14
362:14,15,	394:1	363:9,13,2	328:4	404:5
23,25	423:14	3	431:17	422:24
363:15	434:21	364:2,3,6	plot 278:11	433:15,17
366:6	468:2	375:15	328:22	434:10,16
368:2	492:14	376:2,12,1	343:23	435:9,13
373:7,17,1	503:5,6	4 377:2,3	344:6	436:11,12
9 380:12	plans 258:8	381:22,24	346:11	438:16
382:4	276:13	382:21	358:1	439:25
383:19	277:6,7,9	383:24	plots	440:16
384:7	292:9	385:22	359:19,20	441:1,7
385:23	295:2,11,1	386:2,3	plotted	442:4
386:3,10,1	5,18	388:17,18	291:8	444:16
7	298:15,17,	389:5	329:1	449:8,11,1
387:7,13,1	24	400:9	plotting	8 452:6
4,18	299:3,19	401:5	345:25	454:12,13,
388:1,2,4,	301:1	402:19	plunge 431:8	17
8 389:20	302:11,12,	406:20	plus 370:1	460:17,20,
390:9	14,24	408:17	387:21	21,23,25
400:7	304:6	419:17	446:18	463:25
401:14,22	306:8,14,2	420:3	467:3,20	464:16,24
402:12,22	4 309:4,16	425:20	468:8	468:14,18,
405:6,11,1	311:14	495:12,16	478:3	23 470:6
6,17	312:22,23,	496:2,16	481:23	473:11
407:22	24	502:20	492:25	477:9,24
408:11	313:10,14,	509:2,14	point 279:2	478:1
415:25	15	plant	293:16	479:13
420:19	314:5,14,1	286:2,6	295:15	481:6
423:10	6	287:9	298:1,2,3	484:11
425:12	315:14,18,	396:19	299:21	489:9
428:1,18	25 320:4	416:23	301:12	490:9
429:20	326:19,25	435:12	302:9,18	496:21
448:15	328:25	452:8	305:15	500:25
507:10	331:6	plants	315:2,8	501:1
509:15,17,	332:4,14	286:1,4	316:8	503:13
18 511:16	333:3,9	287:19,20	322:10	504:6,17
plane 500:20	338:1,2,4	300:2	327:6	505:2
planned	341:7	338:21	342:3,4,22	507:7,13,1
302:25	342:8	351:14,17	,23	5,22
416:4	343:8	506:17	346:4,6,22	508:15
planning	344:4	platform	351:8,25	511:3,5
258:6	350:21	335:24	353:2,14	512:10
265:12,16	351:10,14	play 377:19	355:18	Pointe
296:7,10,1	352:22,25	378:10	360:17,18,	447:16
2,18	354:4	players	20 373:20	pointed
319:11	355:2,4	384:10	376:8	339:13
323:12	356:22	399:18	377:6,8	359:18
326:22	357:1,4,9	400:4	382:7	points 274:7
330:16	358:9	402:8	385:12	280:23,24
331:9	359:10	424:10	389:15	281:5
333:19	360:11,24	474:20	396:17	290:17,21
336:10	361:16			291:22
	362:5,12,1			

328:25	415:1	398:12,25	300:4,16	331:10
345:25	421:8	422:23	301:2	337:11,12
346:3	425:19	423:6	304:7	370:19
358:12	possibility	452:12	306:11	prepare
373:16	323:16	482:6	308:4,22	438:25
380:4	386:11,15	502:20	309:23	prepared
432:19	392:14	powers 503:6	312:1,10,1	264:12
461:22	400:5	PPA 392:4	5 315:22	276:7,8
475:7	415:5	PPAs 393:9	316:2	404:4
policies	426:6	practice	318:20	preparing
331:22	possible	352:11,20	319:3,15	329:13
430:12	266:20	434:6	320:24	present
policy 266:9	283:3	442:16	321:15	264:4
430:12	306:18	practices	327:9	275:10
441:16	377:4	331:22	338:6	276:12
443:17	381:23	335:19	344:16	278:14
487:18,21	392:3	451:16	350:18,19	289:15
popping	404:4	473:12	356:25	299:19
286:17	469:4	pre 264:6	357:3,12	300:4
por 310:8,22	possibly	339:2	358:15	307:25
Portage	376:15	344:16	359:5,8	308:3,5
254:20	497:18	470:10	360:10	309:4
portfolio	post-2030	preceding	361:18	312:17
283:18	353:3	390:23	362:14,25	315:18,23
310:22	post-'35	precent	363:15	316:2
413:6,10	427:13	346:18	373:17	319:1
502:12,18	Potamac	preclude	384:7	320:12,25
portion	256:13	391:21	387:13	324:3,19
266:17	potential	393:16	388:1,7	327:22,23
287:19	268:9	preconstruct	390:9	328:5
339:7	303:15,16	ion 467:10	400:19	355:15
340:16	305:18	470:10	405:16	356:8
348:23	307:14	predicated	407:22	421:18
392:17,21	341:22	283:2	408:11	426:21
portraying	357:15	prefer 369:3	428:17	431:19
310:8	376:10	preferable	499:15	488:22
position	381:15,16	312:20	507:9	492:14
331:2	potentially	503:14	511:13,16	511:14
379:14	378:9	preference	pre-hearing	presentation
380:6	power 257:18	370:7	303:13	258:7,9,10
452:3	258:6	preferences	preliminary	,12,14
positive	265:12	503:9	305:18	259:12
312:17	290:24,25	preferred	premiere	265:13
315:23	297:5	254:10	475:9	272:9
363:1	324:16	264:6	premise	275:15
511:17	325:18	298:21	375:9	323:22
possibilitie	333:5	299:4	premium	327:3
s 386:18	361:8,14		267:5	331:6
387:4,6	369:5		268:2	344:7,15,1
	388:3		270:15	7 358:2,22
			preparation	359:19
				364:10

365:25	284:24	437:14	509:1	419:3
366:1	300:24			420:1,9
367:17	314:25	primary	probabilitie	423:21
368:4,16	315:12	306:10	s 270:2	425:25
372:25	321:5	374:5	276:3,14	426:5,6
432:2,15,1	342:21	436:15	278:6,11,1	428:10
6,18	358:4	509:1,2	2,17,18	450:16,20
449:22	376:18	principle	279:17	488:3
492:3,10	380:5	437:17,21,	280:7,15	501:6
presentation	410:2	24	284:8	problem
s 265:4	431:19	438:8,15	285:13,20	267:6,15
359:21	459:9	440:20	289:13,16	268:17
442:22	483:5	446:22	291:25	409:10
476:20	pri 279:24	447:15	293:3,5,7,	416:9,11,2
492:13	price	451:4	17	1
presented	276:5,6	principles	probability	problems
322:19	277:5	335:19	269:1	416:22
357:5	280:20	341:5,14	270:1	procedures
367:13	285:4,20	429:19	271:13	337:17
372:18,19	287:22	437:14,22	276:17	proceed
382:20	292:10,13,	438:14	278:16,24	262:23
401:10	15	496:3	279:5	263:6
418:22	297:14,21	512:14,16	281:25	370:9
432:15,16	332:19	prior 415:24	282:4,8	proceeding
472:19	424:12,15,	private	286:2,3,4,	369:13
504:18,23	16 439:19	373:1,24	6 287:2	379:7
presenting	447:20,22	374:3	288:1,2,3,	381:24
259:19	448:2	511:8	9	process
303:21	prices	privilege	289:17,21,	260:18,25
348:20	276:25	432:9	25 290:5	261:3
366:2	278:22,23	pro 284:8	292:20	263:10
president	279:21,22,	329:23	345:7,13,1	264:1,5
259:15,17	24 283:17	331:23	4,15,20	266:17
260:6	285:11	332:12	346:3,4,6	270:9
pressuring	289:3	333:6	357:5,21	274:9,10
503:22	292:6,11	335:14	358:8,12	277:1
presumably	297:10,14	344:9,23	359:7,22	278:19
381:25	334:16	358:12	443:20,21,	283:4
presume	338:16,17	377:6	22 450:6	304:12,21
415:2	345:10,13	400:8	485:23	323:2
491:4	371:2	506:3	486:5,12	334:8,11
pretty 261:1	390:11,12	prob 289:16	488:17	370:3,4,18
270:4	397:11	304:18	probably	372:10
305:15	430:11	426:3	263:25	378:16
307:12	452:15	probabil	268:4	379:1,2
326:15	pricing	269:1	270:3,10	403:16
329:18	267:10	probabilisti	288:6	415:22,24
503:12	primarily	c 269:20	304:8	423:15
previous	274:11	301:14,22	318:15	430:23
261:18	297:12	328:22	376:17	433:11
	326:20		377:7	434:5
	336:15		390:13	
			398:6	

435:19,22, 25 441:13 445:8 446:12 451:22 455:9,12 467:6,10,1 6 470:10,20 490:14 492:19 493:6 495:9,10,1 1 499:23 501:21 502:6 503:5,6 506:20,21 513:3 processed 470:17 processes 277:1 376:18 473:14 493:8 procure 448:9 procurement 474:21 produce 279:1,2 443:13 produced 441:8 produces 316:6 351:25 product 442:21 448:24 462:18 474:17 production 413:1 437:3 506:20 productive 458:1	productivity 446:8 457:13 458:2 475:17,24 profile 273:14 295:22 321:11 506:4 programs 303:19 510:22,23 project 266:11 269:7 274:4 288:1 315:5 378:7 416:6 431:21 433:6 434:18,19, 23 435:10,23 436:7 439:4 440:9 441:9 443:5,25 446:1,15 447:17 448:8 450:23 453:2 454:14 455:10,20 457:16,19 462:12,13 463:4 466:22 467:8 470:15,19 472:25 473:5,7,10 ,12,22,23 474:7,18,1 9,25 476:3 482:11 485:13 487:6,7,9,	14 488:4 489:11,14, 24 490:17 491:11 493:12 projected 331:23 332:12 360:15 363:10,13, 15,25 509:20 projecting 341:4 343:11 347:12 projects 260:8 265:21 266:9 267:23 287:24 288:3 348:4,10 349:8,14 373:2 432:23 433:6 440:15 443:7 447:16 452:13,16 454:6 456:1,3,11 458:2 461:1,24 463:2 470:13 474:24 476:4 493:4 510:9 project's 268:18 project-specific 442:19 443:8 502:17 prone 288:7 proposing	262:19 protect 370:22 387:18,22 388:2,5 425:16 protecting 387:15 protection 387:25 prove 376:22 377:16 proven 262:13 provide 277:12 283:6 343:7 360:1 380:10 401:19 402:11 418:2,4 480:12 487:11 498:25 510:24 provided 339:24 355:8 360:22 446:19 451:4 460:15,16 provides 336:12 361:6 482:19 providing 274:10 342:19 380:8 province 256:19 328:11 373:10,21, 24 374:25 378:3,4,5, 11 380:15	415:12,14 429:3 505:11,13, 23 511:4,7 provincial 373:2,4,20 375:8,17 378:17,18, 23 380:3 429:17 496:2 508:11 Provincially 429:9 proxy 320:18 391:24 pu 343:16 PUB 255:2,3,4 260:19 347:19 370:8 445:6 494:21 public 254:3,19 262:21 343:16 369:22 384:14,15, 16,18,25 466:17 492:20 501:1 506:3 pull 277:24 367:20 400:16 503:17 pulling 351:18 365:8 401:8 pulverized 501:6 pump 439:13 446:9 purchase 263:3
--	--	--	--	--

333:5	435:15,19	448:5,22	330:13	raise 268:11
361:8	quantum	449:5	333:14	Ramage
purchased	454:1	450:19	385:2	255:15
274:1	456:20	464:25	471:14	294:5,6
purchases	quantums	466:25	499:9	305:25
273:23	406:16	469:14	508:7	325:2,9
333:5	quarter	478:24	509:20	415:9
361:15	365:18	480:10	quicker	ran 508:10
pure 376:24	367:3	481:3	504:3	range 269:9
380:1	question	483:11,16,	quickly	271:15
purely	263:25	21 485:9	281:7	275:9
472:23	265:23	499:6	340:2	281:25
500:15	276:18,19	502:7	350:2	286:22,24,
501:5	282:20	504:1	355:15	25 288:10
503:9	283:12	508:2	394:4	310:9
purpose	284:25	509:25	477:19	326:23
306:10	285:3	510:4,8,16	494:18	327:11
432:17	288:18,19,	questions	495:8	336:17
433:9	23 294:23	259:13,19	quilt 276:11	337:3
purposes	304:5	264:13,16	279:4	338:7
276:16	305:16,20	270:25	292:2	357:15,17
333:18,20,	306:22	271:5	293:16	358:10,13
21 338:5	310:18	275:19	294:24	376:15
347:13	316:14	277:20	295:12,25	416:18
349:18	320:7	282:20	quite	442:25
352:15	324:15	285:18	261:2,8	450:9,10
493:23	330:25	293:24	266:4	460:23
push 388:5	333:14	294:9,10	287:15	481:3,13
425:25	334:5	306:1	288:16	482:12
putting	349:4	310:5	293:22	484:21
371:14,16	371:16	325:6	299:16	485:4
384:9	377:18	327:3,18	300:16	494:6
416:10	378:15,20	330:18	305:19	496:11
446:4	379:23	331:3	316:3	497:3
487:23	381:22	346:14	325:24	498:17
	386:8	364:11,16	404:4,21	499:25
	388:9	365:2	406:13,21	ranges 270:2
	389:9	378:20	422:12	276:9,14,2
	393:20	380:20	457:12	1
	404:10	414:11	470:11	301:14,21
qualitativel	406:7	416:8	471:14,15	302:1
y 386:19	407:12,19	424:22	500:23	481:21
quality	412:1,5	431:6	509:12	482:9,22,2
443:10	414:20	449:24	quotations	3 483:8
463:3	416:2	473:24	437:21	ranging
473:12	421:12,13	489:6,9	438:1	360:20
quantified	422:2	492:1	440:21	rank 295:20
381:16	424:5	508:13,14,		345:19
398:21	427:20	19 509:20		ranking
457:8	435:2,4	512:18		289:8
quantities	436:10	513:5	ra 355:1	312:24
	445:3,25	quick		
	446:17	327:5,6		

315:25	484:17,24	478:9	402:5,7	448:21,25
320:21,24	488:22,23	481:14	431:7	449:1
326:18,25	507:9,12	505:1	462:5	483:17
rate 259:22	510:2	509:7	real 297:23	reason 266:6
265:17,20,	511:10,23	rate-setting	333:11	301:13
24	rate-based	351:5	341:16	389:16
266:14,15,	341:10	rather	361:7	468:5
22,23	ratepayer	270:13	394:22	511:13
267:1,4	355:22	297:2	412:1	reasonable
268:11	ratepayers	299:15	511:10	310:9
269:5,15	324:5,9,11	329:11	realign	341:15,19,
270:11,17,	350:15	339:4	261:16	21,25
20	509:21	393:18	Realisticall	477:4,6
285:5,12	rates 259:24	397:11	y 369:2	reasons
297:24	261:19	429:16	376:2	413:11
299:21	265:19,21	498:24	reality	416:15
300:8,9,10	266:8,10	503:9	309:1	462:25
,13,21,22	267:16	rating	385:25	503:3
301:4,6	280:2,3	345:16	realize	rebar 438:24
326:21	285:23	378:23	325:15	458:11
336:23	325:1	429:3	381:22	recalculated
340:21	332:3,10	511:25	457:2	335:10
341:6,10,1	335:9	ratings	realized	recall
3,15,24	336:16	331:1	414:19	266:12
342:13	338:19	332:7	really 262:4	286:10
343:10,14,	340:21,22	ratio	263:5,9	349:8,17
17	341:4,12	342:2,3,4,	267:2	402:16
345:3,4,16	342:23	24 351:7	268:6,16,2	472:19
346:10,23	343:2,4,24	353:16	1 272:16	recent 456:9
347:3,14,1	344:11,25	rationale	293:20	recessing
6 350:5	346:3,8,18	323:13	294:7,13,1	327:25
351:6,11	347:11,23	ratios	6,19 310:4	367:6
352:13	348:23,24	353:4,5	311:14,15	431:13
353:14	349:22	raw 269:3	317:9	recession
354:9,10,1	350:3	458:24	319:10	458:20,22
2	351:7,19	472:23	323:19	459:5,9
355:1,10,1	352:12,17,	re 254:8	331:2	recognize
5,17,25	23	261:16	365:24	267:2
356:21,24	354:21,22	455:8	371:14	268:3,20
357:2	355:3,8,10	456:9	372:13	270:8,18
358:2,5,6,	357:11,15,	479:20	374:20	283:17
10,12,15,2	18 359:2,3	react 462:23	383:9	287:9
4	360:9	readdress	385:5	294:11
360:15,16,	363:11,16	261:16	395:2	299:23
19	380:15	426:21	399:11,12	300:3
363:7,13	400:22	428:25	408:2	301:15
378:12	421:2	430:16	424:19	400:10
380:10	426:21	433:24,25	434:1	403:13
420:25	428:25	453:22	435:9,24	452:3
427:4,7,8,	430:16	reading	436:3	
12	433:24,25	264:12	444:18	
463:19,21	453:22	265:1		
464:5,6		ready 329:21		

505:13	re-estimate	Reference	regulation	relativities
506:11,18	455:11	401:13	418:2,4	353:16
recognized	reevaluate	referenced	regulations	relaxed
260:19	263:4	286:25	501:9	259:7,8
263:17	Reeves	339:19	regulator	reliability
266:16	257:12	425:2	369:18	262:15
287:11	Ref/Ref/Ref	references	regulatory	428:5
288:14	278:14	318:2	331:9	429:6
recognizing	345:9	referencing	370:18	505:2,5
269:17	406:10	330:14	372:9,12	507:21
430:2	488:19,24	referred	423:15	508:13,24
505:12	511:12	385:14	reinforcing	reliable
recommendati	Ref/Ref/Res	440:1	435:15	305:22
on 262:23	406:10	referring	439:4	relying
370:7	refer 466:24	354:3	reinvestment	271:17
recommendati	reference	451:1	273:16	remain
ons 370:4	276:21	465:16	related	271:18
372:12	280:25	refined	263:3	remains
recommended	281:15,25	419:14	318:14	326:19,25
453:4,11	292:8,17,2	reflect	336:4	363:1
485:12	0,23 296:7	283:5	348:7	REMARKS
486:2	297:10	349:9	349:4	260:11
reconfigured	315:19	reflected	361:13	remember
495:24	316:22	275:25	362:3,8	262:7
record 263:2	319:24	297:3	428:6	264:13
348:2	326:16	298:7	450:18	328:19
recurring	327:13	319:9	466:19	397:24
273:16	328:21	342:1	500:17	411:9
red 295:14	335:13	reflecting	relationship	417:12
339:8	345:10,11	291:24	337:5	419:13
344:12	357:13	reflects	relationship	470:15
458:9	359:17,20	299:25	s	477:23
redo 301:23	360:2,3,14	354:6	271:17,18	509:11
reduce	373:12	regard	278:21,22	remind 452:6
260:21	401:12,15	510:14	335:23	reminder
273:25	407:4,6	regarding	relative	372:19
424:14	429:22	373:7	302:10	remote 440:9
502:2	449:20	regardless	315:7	452:14
reduced	466:17	265:25	321:14,15	458:2
362:25	476:22	335:2	359:10	remove 333:2
493:24	477:4,19	355:5	481:23	renewable
reduction	478:1,7,9,	regime 341:2	relatively	261:19
296:23	17 480:20	regular	336:18	413:8
320:3	481:19,24	341:15	341:11	429:16
reductions	484:11,16	regulated	351:16	renewal
361:7,10,1	485:7	341:1	355:11	459:6
4	494:19	Reference/	419:20	rental
	496:1		446:11	
	505:22		471:10	
	511:7			

379:24	479:20	477:12	455:18	434:21
rentals	reproduces	478:1,2,4	respond	460:9
333:5	358:22	479:5,14,2	264:3	478:15
361:10	require	3	286:20	481:4
repeat	325:5	480:2,7,8	response	484:6
264:16	422:15	481:11	405:22	488:22
279:15	453:1	483:13,18,	responses	resume
501:20	required	22	492:24	275:15
510:15	273:15	484:17,25	responsibili	resuming
repeating	283:6	485:11	ty 265:17	328:1
277:14	339:21	486:3,11,1	465:24,25	367:7
280:23	355:2,4	487:11,19	475:18	431:14
replace	358:3	reserves	responsible	retain
333:2	363:8	432:25	331:10,13	475:24
390:15	371:15	453:10	rest 328:6	retained
replaced	401:20	454:21	449:9	341:19
340:8	440:2,4	464:16	462:13	353:10,20
replacement	454:21	485:9	restarted	360:23
447:17	474:23	486:17	367:10	362:12,23,
report	486:22	resource	restri	24 364:5
329:21	requirement	257:19,20	416:17	427:16
403:17	283:20	258:6	restricted	retaining
413:21	331:25	265:12	389:24	463:4
494:17	336:16	276:24	416:17	466:6,8
496:11	343:14	282:23,24	restricting	retenting
reports	351:18	283:8,21	416:14	475:11
305:20	352:1	302:21	result	retention
450:24	413:6	308:22	296:22	457:13
represent	415:13	333:19	314:19	475:8
262:3	requirements	410:21	319:1	return
346:2	332:1	412:6,20,2	322:14	285:9,11
representati	343:12	5 413:16	343:1	341:11
on 344:8	401:18	414:3,5	361:13	returning
representati	408:9	422:17	362:22	342:14
ons 332:14	423:16	429:16,17	459:8	revamped
representati	440:12	496:12,15	474:8	368:16
ve 376:14	487:24	502:20	resulted	revenue
383:2	res 292:5	resources	319:14	267:24
400:5,9	488:1	282:25	resulting	268:1,3
represented	reserve	297:7,8	312:8	269:12
312:2	433:16,21	306:24	459:10	324:14
342:1	441:3	402:22	results	331:25
represents	444:25	413:24	303:21	332:14
344:18	449:23	422:12	309:10	336:16
457:6	451:20,23	463:1	341:8	339:9
477:3,5	452:22	respect	346:14	343:12,14
reproduce	456:14	292:6	353:13	351:18
	457:5,6,8	348:3	432:14	352:1
	458:8	respectively		356:1,3,13
	459:17			
	460:24			

362:3,9	322:6,9	367:17	RLI 378:7	463:14,19,24
revenues	346:15,16,21	368:1	road 370:24	464:7,13,18,23
268:13	347:1,6,9,18,21	380:17,18	376:1,5,16	465:6,10
333:4,8	354:1,7,16,19,23	396:22	381:7	471:14
338:15	381:20	426:12	382:7	role 457:21
352:1	382:3	430:22	394:7	roll 449:9
361:8,23,25	383:13	432:24	399:17	rolled
5 362:1	406:8,12,18,24	441:2,9,13,17	405:24	284:15
reverse	407:1,3,6,15,18,19	442:14	406:4,6	348:10
324:19	408:5,16,21	443:10	419:25	room 261:7
review	1 409:2	444:24	428:4	262:21
260:25	Rick's 320:7	447:2,20,21	491:13	293:20
263:16	Riel 257:13	1 454:16	Robert	402:8,9
265:16	rig 433:19	456:20	256:13	404:6
343:15,16	right-hand	457:1,4,7,24	292:5,6,14,18,22	484:18
468:7	right-of-way	465:19	293:4,8,12	503:19
489:13	381:5	473:6	robust	roughly
490:24	rigorous	511:24,25	266:25	353:5,8,11,17
496:11	379:9	risk-	362:17	374:23
reviewed	433:20	adjusted	364:7	440:16
282:22	rigour 267:8	265:20	rock 437:8	461:1
447:18	445:21	266:7	Roger 255:8	481:18,19,22
451:5	risk 258:10	267:4,15	281:6,14,17,21	Round 334:5
reviewing	259:24	270:11	282:6,11,15,18	ru 431:11
466:18	266:1,11,16,19	risk-free	294:22	rules 341:17
468:9	267:5,18	433:16	295:3,9,13,16,19	run 294:24
469:18	268:1,2,3,7,16,19,20,22	riskless	296:1,3,5	336:21,22
revised	269:3,4,6,17,18	269:14	328:19	338:13
313:21	270:8,13,14	risks 264:8	333:13,23	368:15
335:11	273:7,12,14	274:17	334:4,12,15,18,24	414:14
349:9	274:8	302:1	335:6	416:20,24
revisited	277:14	302:1	340:1,4,7,10,13,15	417:1,23
451:19	279:22	336:2	350:1,7,11,13,22	427:14
Rick	327:11	341:23	355:14,21	449:14
257:11,16	332:4,6	364:9	356:2,5,7,11,15	running
285:9,10,17	338:14	424:14	393:21	323:9
7 286:12	343:21	430:8,9,25	394:3,22,25	327:20
287:14	357:19	442:17,18,19,20	5	365:3
288:17,19,22,25	361:5	443:6,8,12	395:1,5,10,23	367:11
289:20,24	363:23	444:11	396:10,13	430:2,4
290:4,8,11,13,16,20,23		445:2	450:1,5,11,18	431:11
291:2,6,10,12,15,21		446:12		465:2
313:3,6,9,16,20,25		447:13		runs 326:8
314:3,7,14,23		448:20		336:11
321:25		474:7		350:25
		477:2		
		risky 267:20		
		River 296:25		
		398:12		

Russ 256:15	261:9	335:4,7,12	501:4,14	395:18
449:6	264:4	338:13	502:21	398:2
508:3,6	Saudi 412:17	341:8	screening	467:14,15
509:19	Saunders	343:9	302:19	section
510:1,7,17	257:10	344:23	338:3	322:2
	savings	345:19	493:22	397:24
	307:12	353:5	495:11	414:8
<hr/> S <hr/>	462:24	377:5	496:8,23	secure
Sabine	saw 272:7	454:20	497:10	475:17
256:14	276:12	456:24,25	498:18	secured
381:14,19	299:11	460:2	499:13,22	262:23
499:8,10	315:12	480:18	scroll	security
500:10,13,	319:12	484:9	438:20	428:5
15,19	358:4	509:1	scrunch	429:6
safe 500:22	scale 289:9	schedule	365:22	505:3,5
sale	395:2	259:10	366:4	507:21
369:5,10,2	scatter	340:2	S-curve	seeing
2,23,25	328:22	453:20	290:14	290:16
372:5,6	scenar	457:14,15,	345:24	308:21
387:14	281:10	21	477:23	310:20
389:3	scenario	474:7,19,2	S-curves	312:14
390:2,7	284:15	2 475:23	275:1	320:16
391:18	294:24	490:16	277:22,23	321:15
392:13	296:7	scheduled	279:1	428:16
399:12	305:1	491:24	316:15	507:8,14
420:16	333:10	scheduling	SD 512:14	seek 305:14
421:1	345:9	490:13	se 265:24	336:14
422:7,9	350:17	Schick	294:9	seeking
423:5,8,14	357:14	431:21	304:2	336:23
,20 426:24	359:17,20	scope 322:18	373:8	368:25
427:25	360:3	435:11,23	399:24	369:7
428:8,17	381:23	442:21	sec 421:10	370:2
sales 297:6	392:15	455:1,10,2	second	371:11
324:6,20,2	401:13	0 461:13	260:13	seemed 276:1
1,22 389:5	409:12,17	468:6	288:23	321:6
396:6	434:5	476:16	300:6	383:8
420:24	456:25	Scott 255:13	306:7,14	418:7
425:13	scenarios	259:16	310:18	seems 382:9
426:9	276:13	263:19	329:7	420:4
sample	281:7,12	264:17	367:15	491:6
443:15	287:3	scrambling	374:8	508:14
Sarah 257:17	289:23	329:15	382:10	seen 294:15
Saskatchewan	292:2	scrap 323:12	398:5	342:20
422:10,21,	293:18	screen	404:12	372:17
23 423:3	295:18,20	293:21	second-last	387:8
SaskPower	304:24	443:15	420:21	418:24
421:9	328:15	495:15	secondly	sees 507:18
422:3,6	332:15,17	497:22	371:25	select
sat 262:21	333:10	screened	388:19	
satisfied	334:23			

361:17	379:25	323:14	eight	497:24
selected	461:13	372:23	277:17	500:4
298:16	470:14	sessions	seventy-five	505:1
302:11	separately	367:14	357:6	shortage
selection	276:8	sets 303:19	423:9	459:10
270:1	281:7	306:18,19	seventy-six	shortages
sell 324:16	293:3	467:3	496:22	396:24
392:7	separation	setting	several	402:17
sellers	350:17,19	340:21	262:20	Shortly
399:24	357:1	341:6,14	286:1	262:25
sen 271:23	September	342:13	389:13	short-term
319:9	254:22	351:7	Shaffer	509:7
sending	sequence	431:9	508:21	showed
330:12	383:10,18	seven 281:5	shale 390:14	282:23
senior	401:17	292:2	share 393:14	307:25
259:15	411:1,9	299:24	467:3	486:25
260:6	sequences	300:24	sharing	showing
sense 266:5	265:25	320:13	467:18,19,	268:8
272:17	383:11,12	336:21	22	313:23,25
275:2	sequencing	360:21	469:8,11	314:4
310:10,15,	436:22	381:10	sharp 389:14	315:20
21 319:15	490:22	394:5,16,2	sheet 297:4	318:14
378:5	Sequentially	0 408:14	329:24	338:1
382:23	331:18,19	420:11	339:22	351:10
384:24	series	435:12	354:6	402:4
388:5,20	441:23	496:15	363:25	shown 300:1
389:11,21	serious	seven-fifty	she's	316:21
390:13	422:12	389:18,21	330:15,18	343:25
400:9	serve 283:20	404:14	373:14	403:12
412:9	396:25	421:4	shift 299:1	460:20
469:17	served 297:7	509:18	320:8	483:8
470:16	service	seven-	343:3	shows 292:1
500:1,3,7	341:2,13	seventy-	351:5	300:19
503:23,24	349:20	one 309:11	shifted	301:20
sensitivitie	351:15,16	seven-thirty	298:6	309:17
s 306:23	369:22	309:12	308:25	326:2
322:21	395:21	seven-	shifts	355:3
405:13	418:2,5	thirty-	308:20	358:2,23
sensitivity	426:6	four	455:2	359:9
301:10	433:23	308:1,13	short 262:15	413:23,25
319:9,17,2	453:18	seven-	327:20	458:8
0 323:6	454:18	twenty-	335:16	460:10
418:24	461:8	eight	336:18	483:2,6
separate	471:17	308:12	343:2	si 389:23
276:21,23,	481:13	seventy	351:9,16	sic 475:11
25 277:2	482:25	268:13	367:11	494:3
281:8	484:8	309:11	403:1	sideways
323:14,16	session	seventy-	495:15	295:5
338:13				

signed 369:12	simple 275:10	oriented 506:19	299:8	455:5
signif 362:24	283:25	sites 463:6	302:4	456:16
significance 277:4	341:11	site-	307:1,2,18	458:5,8
342:18	381:11	specific	,22	459:20
significant 277:6,9	401:18	506:19	308:8,15	460:6
300:11	442:23	sitting	311:18	461:18
351:11	503:11	263:23	315:12	463:15,17
373:5	simple-cycle	330:17	316:22	473:19
380:9	284:2	402:5	317:6	476:9,24
456:4	382:24	416:7	318:11	477:14
457:12	402:11	situation	319:6	478:11,14,
470:11	simply	286:8	321:5	21,24
486:14	407:20	398:6	326:10,14	480:14,17
489:10,19	433:24	406:10,13	327:2	482:1,3,5
508:15	471:21	424:13	331:16,19	483:5,9
510:9	simulates	six 312:4,18	337:23,25	484:3,13
significant1	335:18	408:11,12	338:23,25	485:19
y 272:19	simulation	440:6	342:10	492:7
303:20	443:13	455:11	343:19	495:1,6
317:16	509:3	sixteen	357:23	496:5,18
327:15	Sinclair	300:5,17	358:5,19,2	497:12,20
362:25	256:13	301:3	1	498:1,13,2
silvery	292:5,6,14	320:2,14	359:12,14,	0
357:11	,18,22	496:14	24 360:5	501:13,14
simi 322:14	293:4,8,12	six-two	361:1,4	504:8,13,2
similar	Singh 255:5	460:14	363:3,19,2	0
262:18	single	sixty	1 368:11	505:7,15,2
299:11	287:12	300:15,23	371:18	5 506:8,23
311:21	330:24	384:24	372:15	507:25
312:8	448:2	sixty-two	384:3	sliders
322:14	454:13	301:7	385:9	280:10
338:9	467:4	size 435:14	388:11	slides
355:12	507:1	437:10	390:4,19	264:25
360:2	single-cycle	457:16	397:20	278:20
361:15	283:14	501:15	400:13	308:11
456:5	414:11	sizing	401:1	363:6
similarity	sinking	501:18	410:4	375:20
316:19	339:14	skilled	418:12,14	434:8
similarly	340:9	459:10	424:24	441:2
299:2	sit 263:4	slide 264:25	426:15,18	453:13
386:20	site	265:6	428:13,20	454:24
387:13	440:11,13	268:8	429:24	slight
493:4	462:7	275:22	430:19	484:16
Simonsen	466:5,7,9	278:1	432:6	slightly
255:6	491:13,14	285:15	435:3,6	450:14
	502:10	294:1	437:15	481:9,10
	site-	298:12,18	438:10,12	507:9
			439:22	small 287:8
			440:23	309:3
			441:5	372:3
			442:11	406:21
			444:21	438:5
			453:8,15	
			454:9	

471:10	somebody	504:2	spaces 339:8	468:17
491:14	329:20	509:24	span 453:25	470:24
smaller	392:16	512:17	speak 370:20	480:24
497:23	393:16	sort 260:2	379:14	486:6
503:4	434:22	266:2,5	475:12	spent-to-
smart 384:15	somehow	268:20	484:19	date
smoothing	290:11	269:3,14	speakers	484:21
359:3	someone	270:6	264:24	spillway
snap 417:1	295:25	271:21,22	speaking	447:17
social	391:24	273:6	288:2	spin 260:20
495:17,23	393:21	286:17	339:1	spread
497:9	464:25	306:6,8	specialist	384:23
501:3	sometime	318:14	510:5	481:7
503:3,8	333:24	320:7,18	specialized	spreadsheets
504:5	394:7	335:25	336:9	336:3
506:25	somewhat	341:14	Species	squeeze
508:21	412:22	352:17	430:22	365:15,25
511:3,9	492:4	367:20	specific	418:25
512:9	509:16	373:24	333:3	431:22
socially	somewhere	377:22	334:21	squeezed
501:7	279:10,20	382:19	433:17	368:9
502:3	280:1	387:8	452:25	378:11
societal	325:21	399:2	480:7	stack 295:19
504:17	346:10	414:24	502:10	stacked
506:4	348:14	420:19	specifically	295:4
511:5,8	376:16	423:4	392:19	staff 263:24
512:9	482:12	426:12	424:2	293:16
socioeconomi	sophisticate	445:24	speculate	331:9
c 366:2	d 270:10	466:20	415:10	463:5,7,8
368:8	sorry 285:10	471:21	speculating	466:7
429:10	286:14	488:15	415:16	491:15
492:14	288:17,25	499:14,24	speed 413:25	510:4
493:10,22	323:21,24	sorting	492:12,13	stage
498:9	325:23	305:11	508:2	435:21,22
500:5	327:2	sorts 260:14	spend 370:16	436:2,3,4
505:23	340:19	415:1	425:6	495:17
511:7	366:20	sound 385:19	447:11	499:23
Socio-	367:10	473:14,23	453:1	staged 503:5
Economic	390:22	474:22	485:24	stages
258:13	394:24	sounds 480:7	487:8	495:18
492:9	397:20	source	488:3	staging
sods 365:9	406:7	371:22	498:7	490:13,22
software	414:15	388:4	spent 372:21	stakeholder-
336:10	425:4	south 412:17	441:15	engaged
solely	426:17	414:4,7	452:25	502:6
490:14	445:6	Southall	454:19	standard
solid 341:9	471:12	255:3	461:4	413:6
458:9	478:25	Southern	467:15	
	487:2	414:2		
	490:18			
	499:6,7,8			

483:20,24 504:11	401:14 492:19	432:22 452:15	456:7,18 479:17,18	411:10,11, 17 412:23 421:20 487:17
standards 348:9 413:10 473:14	starts 291:18 297:5 424:8	staying 447:11	strict 428:10	subjective 500:9,11
standing 423:5	state 446:13,21	stays 370:1 steel 435:15 439:4	strictly 401:9 strikes 375:6	subjectivity 267:3,13
start 260:24 296:9 306:11 308:17 332:25 350:17 351:17 356:25 365:18 369:1,24 375:7 382:23,24, 25 386:21 397:22 409:5 422:3 425:12 434:15 436:4 458:18 461:24 462:1,3 495:13 499:24	stated 442:17 statement 277:3 339:11 344:25 350:6 356:13 statements 331:24 332:12 333:7 337:7 339:5,13,2 2 340:18 342:6 344:10,24 states 324:6 399:19 station 262:24 263:18 394:13,17 435:14 436:17 448:13 460:18,20 462:4 466:16 491:19 stations 445:9 446:18 statisticall y 272:19 288:2,5 statistics 443:7 444:8,14 stay 308:23 367:24	step 291:17,20 299:12,13 395:3 433:12 434:1,2 435:9 441:13 444:24 454:22 steps 433:12 459:24 Stevens 257:18 stimulus 459:5 507:19 stop 387:4 421:9 stopped 418:7 stops 423:11 story 487:12 strategic 265:16 397:14 398:18 strategies 430:15 strategy 429:18 448:25 473:5,10,2 3 474:17 475:6,15 stream 267:24 268:3 324:15 stress	string 394:5 stringing 397:3 strong 421:8 strongest 363:24 structure 341:21 342:1 424:17 438:25 453:3 structured 375:25 struggle 493:5 494:1 studied 443:3 studies 370:18 419:18 studying 420:6 stuff 372:22 379:3 412:19 493:3,19 498:24 504:24 510:14 sturgeon 430:23 style 299:14 subcontracts 446:3 subject 343:15	submission 297:11,23 298:2 321:18,20 329:14 331:12 368:23 371:13 379:10 392:20 401:9 419:1 425:6,22 460:10 469:12 474:14 478:14,19 483:11 493:5,11 496:8 497:3,8,15 506:16 submissions 492:23 509:10 subsequent 387:1 substantial 283:9 440:8 445:2 509:15 success 473:8,22 474:24 476:7 successful 463:2 sudden 341:24 suffice

498:7	457:25	429:18	tails 346:5	450:22
sufficient	497:2	496:3	taking 269:3	451:21
341:21	supply-type	Sven 255:4	368:17	495:9
409:25	438:3	switch	396:6	496:25
suggest	support	351:7,10	414:23	499:3
270:3	401:20	394:20	489:25	501:25
suggests	402:11,25	395:13	505:12	504:24
305:19	403:6	426:4	talk 259:23	505:10
suite 338:1	429:2	switchover	283:24	512:13
sum 409:4	431:21	351:20	301:9	talking
summar	439:8,11	352:8	332:8	265:4,6
390:21	supporting	system	369:9	322:9
summarize	325:21	336:11	374:20,21	325:16,17
313:4	supposed	417:25	380:19	338:10
344:9	265:7	418:1	382:15	365:23
384:5	493:22	482:6	387:1	367:19
496:9	sure 260:21	509:4,5	391:12,16	374:10,16,
498:8	266:4,19	systemic	400:7	23 381:18
summarized	271:6	442:18,20	404:5	391:4
318:15	280:9	443:6	425:21,22	393:25
477:17	284:10	444:11	432:9	395:22
summarizes	287:15		441:2	404:13
359:16	289:1,9		465:17,22	409:13
360:14	325:20	<hr/>	482:21	411:17
summarizing	341:5	<hr/>	489:2,5	424:3
420:20	346:17	table 258:1	494:20	429:13
summary	365:21	293:20	496:13	445:7
363:6,22	368:6	322:22	497:1	448:12
368:24	372:9	354:8	501:23	465:16
372:20	406:18	384:10	502:19	472:24
388:14	411:20	391:14	503:17	505:19
400:17	435:1	396:1	506:15	513:6
454:11	447:24	399:11	talked 260:3	talks 435:21
459:23	452:15,19	415:4	296:13	482:16
511:12	462:21	424:4	303:16	496:9
sunk 470:24	474:15	460:9	316:20	tamper
superior	482:25	482:25	337:20	511:14
269:21	483:10,16	484:6	365:14	target
supplied	484:6	497:15,25	369:6,20,2	351:24,25
311:10	490:24	498:3,4,16	1 384:6	358:4
suppliers	502:8	501:13	385:22	targeted
475:3,5	surplus	511:2,3	394:10	459:6
supplies	420:25	tables	399:16	targets
283:2	surpluses	277:23	418:15	341:17
supply	398:16	296:15	419:15	342:2
310:22	surprised	326:5	420:15,16,	tax 379:25
	384:22	384:11	17,22	380:1
	surrounding	Tail 398:12	422:4	413:2
	262:16,18	tailrace	425:14	taxes 512:5
	Susan 257:20	435:17	426:19,22	
	sustainable		427:17	
			430:11	

TCPL 371:6	415:7	415:11	442:7	that'll
team 330:22	452:1	429:21	456:18	274:2
463:3	461:8	433:10	479:17	304:10,11
473:16	463:25	436:11	testa 477:2	329:25
474:25	464:16,24	437:12	tested	that's 265:7
475:2	490:9	439:2,16	403:15	268:15,23
493:24	tend 335:25	440:16	456:7	270:23
teams 463:3	337:6	442:13	476:21	271:19,24
technical	341:13	443:8	477:2	274:2,25
254:11	352:16	445:22	479:18	275:5,8
260:13,16	502:14	446:4,21,2	testimony	276:17
294:8,21	tending	2 447:21	380:4	277:11
339:4,23	374:21	453:17	488:8	279:14
385:6	tends 347:3	455:20	testing	281:5,22
431:20	ten-eighty-	456:12	303:4	286:17
432:13	three	458:7	tests 476:18	288:5,25
451:21	309:19	461:9,10	text-based	290:22,25
489:2	ten-two	462:14	337:16	291:13
493:3	460:13	463:1,7	Tha 402:12	292:8,10
495:16,18	ter 262:2	464:4	thank	293:10
498:10	term 267:25	465:2	264:11,17	294:20
500:1	270:19	466:17	282:18	295:11
501:19	290:18	473:9,21	285:17	297:3
technique	297:4	475:6,7,11	296:5	298:4
437:17,18	355:4,10	477:1,2,20	304:22	304:4
438:8,14	362:2	,21 478:5	331:7	308:12
444:15	363:9,12,1	480:16,17,	335:6	310:18,23
450:10,11	7 364:2	25 481:21	340:15	311:3
techniques	412:18	482:15	350:22	312:2
437:12,20	417:13	483:6,7	353:25	313:5,22
440:17	427:13	484:5,14	356:15	314:17
447:1	507:9,13	487:5	367:4	315:10
475:20	terms 262:14	488:23	375:4	317:22,23
technique's	269:18,20	489:11,12,	379:21	321:12,21
450:14	277:4	13,23	395:24	322:4,12
technologies	280:18	490:12,15,	396:13	323:15,25
284:14	285:6	21,25	431:5	325:20
286:22	290:24	491:9,19	465:11	329:7
403:17,19	294:9,10	494:19	492:2	330:14
413:21	304:24	496:1	512:17	335:16
495:13,14	305:19	501:9	513:8	339:9
technology	333:11	505:22	thanks	342:15
286:23	341:4	508:24	293:13	345:15,21
287:1	342:13,20	511:6	321:24	347:10
496:11	348:19	513:3,7	327:23	349:4
ten 277:22	354:2	Terry 256:2	354:23	351:3,5,13
327:21	357:18	403:21,23	381:19	,24 352:10
346:11	361:7	411:8,9	432:3,8	356:7
354:13	373:12	412:21	452:5	360:14
372:8	389:24	413:19		362:5
		471:25		364:9
		test 307:15		366:6
		441:23		368:2,20

369:10,11, 15 370:15 371:10 374:2 375:13 377:9,11,1 2 378:14,19 379:17,25 380:1,18,1 9 382:11 386:1 387:17,25 390:11 392:11 393:20 399:14 401:15,17 402:12 403:10,11, 15 405:3,12 406:5,6,9 412:23 413:16,17 414:7 415:9,24 416:19 417:1,13,2 4 418:2 419:9,13 422:4 423:2 424:18 425:4,20 426:6 427:7,9 430:10 432:15 437:18 440:25 441:12 442:8 444:2,16,1 8 447:4,24 448:13,15 461:3 464:5,13,1 4,24 465:23 467:24 469:11,19 471:19 475:12	479:24,25 482:25 483:15 484:17 487:14 490:18,22 491:12,24 493:7 494:4 497:1 499:1 501:7 503:25 505:12,22 509:9 510:3 themselves 282:10 302:13 413:18 506:17 there'd 287:8 therefore 267:20 274:24 313:11 448:19 459:17 there'll 439:13 there's 261:15 266:10 267:3 268:1,7 271:13,14, 19 272:7,8,11 ,12,17 273:11,21 275:4 277:24 279:11 281:19 283:8,9 284:18 285:7 289:7 291:6 297:3 301:18	307:4 310:4 311:9 315:23 318:23 323:22 325:4 328:17 329:3,18 330:6 341:16 342:18 343:4 344:22 364:10 365:10,14, 20 368:5 370:25 375:9,14 376:9 380:4 381:12 383:14,15, 23 386:6 387:16 389:4,14 392:5 393:19 394:22 395:2 397:13 398:18 399:1 404:2,6,12 405:18 406:7 413:11 417:7,11,1 8,22,25 418:3 425:19 430:8,22 432:14 433:11 434:17 436:2,7,8, 12 437:1,2 438:3 439:12 440:6,8 442:15 443:20,21 445:17,18, 21 447:17	450:9 452:17 453:25 456:2 457:24 458:20 459:9 461:9,10,1 1,14 462:24 467:12,18 470:4 474:19 478:7 481:6,10,1 3,15 484:16,21 485:3 486:14 489:10 490:8 491:16 499:22 502:9,11,1 7 506:14 507:16 510:8,23 512:22,23 513:3 thermal 276:20 281:23 325:18 333:4 338:21 361:11 503:21 they'd 406:17 472:13 they'll 269:8 273:22 415:15 422:6 447:9 459:14 they're 261:5 272:20,24 273:9 274:18	276:8,25 282:6,7,11 290:20 291:7,8 292:12 303:18 306:8 318:23 322:11 325:15 332:12 343:24,25 353:7 360:20 361:21 390:25 399:21 402:9 413:14 415:13 422:12 423:19 424:4 427:13,14 433:16 440:3,4 443:12 445:16,21 463:2 466:22 468:16,17 470:24,25 472:2,11 476:21 480:3,4 486:4,5 497:16,25 505:12 507:3,19,2 3 they've 274:18 459:15 thick 284:25 third 380:2 419:16 420:15 440:16 454:19 thirdly 371:25 413:3
--	---	--	---	--

467:18	422:15	5 273:4	touch 394:10	264:12
thirteen	424:8,17	274:6	432:22	265:1
320:14	425:13,24	377:21	433:5	transcripts
thirty	426:3,8	379:4,11,1	436:17	265:1
262:12	427:12,15	7,20	447:12	transfer
273:20	tie-line	409:11,16,	448:24	493:10
274:1	369:7,8	20,24	449:19,21	512:4
299:3	385:17,18	410:7,10,1	452:11	transferred
377:2	389:2	4,18,22,24	461:21	493:17
395:14	422:25	411:2,6,13	501:18	transfers
396:3	423:1,2	,16,22,25	touched	373:3,4,9,
397:4	424:7	412:12	438:7	21,23
thirty-five	427:25	421:11,17,	442:21	374:25
333:20	tie-lines	20,23	510:20,23	375:1,8,17
thirty-six	369:19	427:20	touching	384:8
320:13	tier 475:3	485:8,15,2	435:20	429:9
this/depends	tight 355:12	2	436:1	505:10
427:1	tile 369:5	486:6,21,2	towards	511:20
tho 424:21	timelines	2 487:2	341:19	512:4
471:9,10	366:5	512:1	353:11	translates
Thomson	today 259:7	tool 269:22	364:1	384:25
255:13	261:19,20,	314:22	449:22	488:6
260:23	24 262:19	339:7	towers 381:6	transmission
thorough	263:12	382:18,19	394:15	369:11
415:3	273:18	475:2	town 491:14	390:7,24
502:6	285:1,22	497:10	traded	391:1,11,2
thoughts	322:18,19,	topic 294:18	274:17	0,23,25
316:12	24 323:13	topics 294:4	tradeoff	392:1,9,15
thousand	325:13	top-tier	274:15	,17,21
314:9	331:2	475:4	417:7	393:7,8,15
329:14	332:8	total	tradeoffs	394:13
405:8	344:5	373:19,23	272:12,13	398:10
threshold	355:23	378:17	274:12,16	399:6,18,2
407:21	360:25	395:17	trades	0,21,25
thresholds	379:21	396:11	459:11	400:1
408:22	385:14	460:13	traditional	419:17,22
threw 503:3	420:17	467:15	474:12	420:5
throughout	432:11	468:17	traditionall	422:10
283:8	435:20	470:23	y 266:7	430:15
335:3	452:1	472:8	train 316:12	445:12,15
401:16	458:20	480:24	trained	460:19
434:7	465:4	481:12	473:16	461:9,11,1
459:13	480:11	485:3	tran 393:7	5 493:4,8
thrown 415:4	492:3	totally	transactions	509:8
thus 327:13	today's	314:8	335:18,22	treat 348:4
tie 385:16	432:17	379:25	transcript	treated
	Todd 256:12	397:21	258:16	270:8
	270:25	totals		348:8,13,1
	271:3,7	339:16,17		8
	272:5,11,1			349:13,15

treating 285:4	trying 271:15	507:20	414:3	433:22
treatment 276:2,3	314:17	510:22	449:24	441:9,12
tree 383:21	317:11	twenty-eight 300:24	482:20	445:1
388:9	344:20	twenty-five 263:8	TyPlan 256:15	451:13
425:2	353:13,14	300:18	449:7	454:17
trends 459:10	367:20	301:5	508:3	456:13
tried 267:7	374:7	357:6	typos 329:18	509:6
361:17	375:2,7	twenty-nine 312:2	Tyson 256:15	underlying 268:16
376:13,23	384:17	twenty-one 300:18	449:6	276:2,7
383:1	480:6	301:5	508:3,6	278:13,15
404:19	T-shirts 259:6	342:15	509:19	279:9
425:8	turbine 287:12	twenty-seven 280:23,24	510:1,7,17	292:16
497:17	414:14	281:5,11	<hr/> U <hr/>	320:7
498:8	438:2	290:5,17	ultimate 377:19	335:10
tries 386:4	491:20	293:18	499:14	348:17
482:4	503:11	328:14,25	ultimately 272:21	underneath 281:18
504:5	turbines 283:14,15	329:3	274:14	underrun 443:21
trouble 285:24	383:7	336:22	376:16	understa 270:7
trucks 437:8	401:19	338:12	377:16	understand 265:5
true 276:24	402:11	344:9,23	392:6,7	269:21
301:1	414:11	twenty-three 492:2	471:11	270:7
399:14	442:24	twice 270:4	495:4,12,2	273:6,8
425:20	503:22	364:21	1	274:18
427:9	506:16	Twins 286:19	496:14,15	285:19
430:10	turn 263:20	two-fifty 389:20	500:3	289:1
truly 340:19	turns 370:25	405:17	501:10	302:17,18
try 271:23	turquoise 344:14	421:5	un 341:23	310:14
272:24	twelve 309:18	509:16	467:23	311:4
283:5	417:19	type 272:2	uncertain 268:12	317:11
291:18	twenty 261:21	274:2	uncertaintie s 452:2	346:17
316:12	273:20	299:11	uncertainty 267:25	348:5
348:4	281:4	437:7	268:10	354:13
365:17	292:1	438:5	269:7	375:20,21
367:21	297:16	455:3	273:21	404:25
372:20	307:8	466:3	284:16	407:8
375:21	332:25	486:10	301:16	446:24
376:15	333:19	types 267:18	326:23	465:11
380:5	336:20	276:24	338:4,9,11	466:14
386:5	342:14,17	378:13	344:7	481:2
387:3	411:4	typically 267:22	357:18	509:25
431:22	429:6		359:9	understandab le 384:18
438:13	501:20		397:2	understandin g
449:4			404:3	289:4,5,10
450:20				290:1
498:11				

408:2	unless	343:16	278:14	377:3
447:12	346:11	391:19,22	299:19	387:5
472:16	488:4	392:8	307:25	388:6
understands	unlike	398:14	315:24	418:18
384:16	452:24	434:7	320:12	445:12
understood	471:14	466:18	398:17	451:15,17
284:10	update	476:6	460:4	467:17,23
377:25	349:14	utilize	464:11	472:25
undertake	updated	494:22	478:18	503:18
335:3	303:19		480:17,18	504:10
undertaken	332:19	<hr/>	484:9	510:21
301:22	334:16	valuable	valuing	vary 287:24
311:21	464:20	397:10	270:21	338:15
undertaking	updating	value 263:17	variability	343:11
310:19	330:12	264:5	268:9	vast 429:5
undertook	upfront	289:15	273:25	vendor
301:13	358:17	300:4	343:2,4	440:21
underway	upgrade	308:3,5	variable	verbatim
491:16	394:6	309:4,15	278:6	368:23
492:19	395:21	312:17,18,19	285:4,5	version
unduly	396:4	315:4,18,21	337:6	330:12
341:24	398:13	1 316:2,7	348:3,12,19,25	334:9,10
uneconomic	upgraded	319:1	variables	508:2
403:2	380:24	321:1	270:1	versus
unfold	upgrading	324:3,19	278:7,21	259:24
261:14	397:16	327:10,14	279:1,5	283:15
386:1	Upon 259:1	355:15	280:25	286:1
unfolds	327:25	356:8	288:8	351:24
263:11	328:1	387:8	335:23	353:23
unfortunatel	367:6,7	397:1	388:6	374:15,19
y 339:3,4	431:13,14	398:16,18,22	400:11	403:5
unique	513:11	406:12,15,19	variance	417:9
336:25	upper 414:5	424:18,20	434:3	426:18
uniquely	usage 482:16	438:1	variation	499:15
286:23	US-Canadian	443:11,17	352:23	via 256:25
uniqueness	338:19	444:15,17	353:3	257:15,16,
287:1,4	useful 305:3	449:18	varied 279:2	17,18,19,2
unit 416:11	330:4	450:16	283:16	0,21
417:20	401:6	460:20	338:18,19	282:21
418:1	usually	477:22,25	varies 290:6	283:13
435:12	325:15	478:3,17	variety	viable
439:19	337:18	479:23	491:2	306:14
460:11,12	347:4	480:1	various	vice 259:15
units 417:19	utilities	481:9,20	330:2	260:6
Unix 336:11	254:3,19	484:23	332:4	view 341:25
	262:21	486:4	353:5	373:20
	267:11	values	355:11	400:17
		275:10	368:23	428:10
		276:12		470:7

477:10	379:24	450:6	294:3,17,1	414:5
500:25	417:1,6,23	weightings	9	418:14
501:1	water-	282:8	297:21,22,	424:18
503:14	related	292:3	25 298:1,4	429:13,16
504:6,17	500:17	345:6	299:18	430:2,4
505:2	waving	500:8	300:11	431:10
507:7,13,1	401:24	welcome	304:7,9	436:3
5,22	ways 382:14	259:3	305:10,25	437:6
511:4,5	419:24	260:12	307:1	438:22
512:10	437:14	we'll	309:10	440:4
Vince 488:7	465:18,23	269:12,13,	311:1	443:2,4
virtually	467:17	21	318:3	452:2,18,1
368:22	weather	270:7,12	321:15	9
372:25	443:10	301:10	322:13	462:5,9,16
416:16	we'd 270:10	304:20	323:5,8,12	,17,18
visited	305:13	327:21	325:2,3,17	463:7,10,1
451:16	365:15	330:11	327:18	1 465:2
volume	383:16	365:21	328:4	467:24
439:20	388:2	377:12	329:2,9	468:2,7,9
	438:23	379:14	331:1,12	471:15
	456:22	392:7	332:21,22	475:13,18,
	510:24	400:10	334:7,10	21 476:3,4
wait 329:11	Wednesday	406:1,3	336:17	481:22
walk 434:4,9	303:13	408:13	341:5	482:12,14
436:21	week 329:23	419:3,5,7	343:22	483:6
477:19	339:25	422:1	345:23,24	484:9
478:20	416:25	435:2	346:13	488:2
walked	weekend	437:5,8,15	347:4,11	491:12,13,
459:23	513:9	439:6	349:1	14
walking	weekends	441:21,22	352:11,20	492:11,19
299:16	329:17	442:4,8	353:22	494:19,24
459:24	weeks 416:24	444:17	365:4,13,2	504:25
484:6	weighed	450:19	5	507:8
Wally 255:7	474:6	475:4	368:4,6,19	Wesley
wandering	weighing	476:11	369:2,7	257:18
409:9	500:16	513:6	370:2,14	Western
Warden 488:7	weight	we're	371:8,11	459:3
wasn't 280:9	291:23	259:4,10,2	374:6	wet 442:3
286:19,20	weighted	2	376:6,11,1	wetter
293:20	279:12	262:15,19	9,25 378:2	442:3,6
328:20	285:12	263:2	382:15,22	we've 259:6
403:7,21	290:9,17,2	265:20,21	387:3	260:16
492:14	0 297:23	266:8,18	389:4	270:6,9
499:11	weighting	267:17,22,	391:12	272:22
502:5	282:3	23 268:25	392:7,25	275:7
water 333:5	292:1	269:5	395:21	284:18
343:13	345:15	271:12,14,	397:21	300:8
361:10		16 274:12	399:7	301:21
375:16		275:9	400:3	308:25
		286:18	403:6,14	309:5,6
		287:9,10,1	404:1,4	318:15
		1 292:19	405:25	320:17
			409:13,20	
			411:10	

326:14,15, 23,24 330:15,22 332:18 333:1,20 335:5,8 337:20 339:4 342:12,16 344:8 349:17 351:4 355:9 360:22 361:4 369:9 376:17,23 378:20 379:23 385:13,22 393:22 394:9 401:5 402:4 403:13,20 418:15 419:16 420:15,23 423:22,23 424:16 425:13 426:8 430:4,7,11 431:17 432:23 443:3 444:11,12 446:17,23 447:16,18 449:2,19 451:10 452:11 454:23 458:17 459:1,17,2 3 460:2 461:22 463:4 475:3 476:12 483:20 489:3 491:3 492:12,17,	18 493:3 494:2,22 496:25 501:2 503:18 504:10 505:10 wha 310:11,18 whatever 379:15 380:12 386:23 389:16 413:10 422:19 466:16 471:8 487:24 494:11 what-if 336:13 whereas 287:25 whether 265:24 271:25 274:8 280:9 309:5 310:5 312:9 316:5 321:21 322:17,23 323:13 338:8 349:12 355:5 370:22,23 378:4 380:12 411:9 429:13 448:25 474:2,3 495:22 499:12 whisker 275:2 whiskers	316:20 whoa 493:20 whole 275:7,9 287:3 304:12 320:8 330:22 368:18 370:25 393:24 400:24 401:16 403:11 418:17 446:5 456:21 474:6 493:19 494:6 498:11 506:5,20 511:4 who's 330:18 379:1 490:14 wi 417:16 wide 269:8,9 353:3 497:3 wider 416:18 widest 357:17 wife 411:16 William 257:2 Williams 256:21 284:23 285:2 304:23,24 305:12,13 win 410:8 wind 276:20 281:23,24 282:4,25 283:3,7,16 ,21 284:5	286:1,3 287:5,12,1 9 325:18 370:24 376:5 386:14,23 387:2 401:5,16,2 1 402:12,14, 21,25 403:2,5,7, 10,14,18,2 2 404:1,3,7, 9,12,18,21 405:2,4,14 ,21 406:2 408:3 409:12,14, 19,20,22,2 4 410:9 411:11 412:3,6,8, 10,13,18,2 0,24 413:5,15,1 8,20,22,24 ,25 414:3,5 415:4 417:15 442:24 445:19 466:15 500:2 503:7 wind/gas 283:1,20 284:1 329:6 409:15 windup 485:9 Winnipeg 254:21 winnowed 502:1 Wisconsin 369:22 398:9,14 413:8	424:8 withstand 341:22 witness 508:23 witnesses 259:20 260:1 Wojczynski 254:14 255:14 286:15 293:14 397:19 451:7 467:1 487:15 wondering 321:12 499:11 work 260:9 303:25 304:9 340:2 366:6,8 376:2 383:16 435:11 437:4,11 438:1,5 439:7,8,11 440:3,5 446:23 448:1 451:5 452:24 457:11 462:3,6,11 ,20 473:13 474:11,21 475:3,22 476:3 490:23 491:13,15, 18,19,20 494:23 497:4 workable 287:3 workers
--	---	---	---	---

491:15	385:17,19	yellow	265:5	401:15
working	387:14	339:15	299:2,17	zero-five
261:1	389:3	yesterday	323:20	298:1
303:18	390:2,7,24	259:17,18	339:16	299:21
329:15	391:3,18,2	260:4,23	375:10	zone 482:14
353:22	0,23	263:20	403:17	
399:10	392:13,14	264:16	447:7	
415:20	393:13	265:23	454:6	
418:7	399:5,12,2	266:3	476:18	
446:23	0 420:16	268:24	491:5	
462:16	426:24	269:23	young 262:7	
475:19	427:24	272:7	youth 394:13	
476:4	428:8,17	273:2	you've	
works 340:14	wrap 365:7	275:17	284:11,12,	
451:6	492:3	277:4,10	15 285:19	
workshop	513:6	278:5	288:8,9	
451:18	wrapped	280:22	294:18	
512:21	347:22	282:22	302:18	
workshops	writing	284:24	303:6,7	
513:7	493:5	296:13	316:13	
world 261:14	wrong 298:9	297:9	317:10,12,	
263:11	330:1	302:9	13 322:7	
406:2	380:18	303:16	340:17	
world-class	Wuskwatim	307:3	342:5	
463:9	263:18	318:1	371:5	
475:1	266:12	322:20	372:17	
worldwide	349:24	327:8	383:9	
458:23	416:13,16	344:5	387:8	
worry 403:5	432:24	368:14	394:17	
worse 426:7	438:20	372:19	395:19	
worst	447:14	377:22,24	398:24	
328:13,17	450:7,17	380:11	399:12	
329:4,5,6,	451:1,9,10	399:15	402:10	
7	452:7	420:23	404:15	
worst-case	455:22	492:21	405:22	
294:24	456:6	501:24,25	413:7	
295:20	457:10,11	yesterday's	415:4	
worsts	458:18	275:17	416:25	
328:18	461:21,22	yet 305:7	418:24	
worth 277:14	473:4	323:9	420:10	
280:22	476:3	334:9,25	426:24	
worthwhile	476:3	349:23	427:6	
324:5	495:22	369:16	430:6	
388:4	503:1	371:5	463:25	
WPS 369:10	X	423:18	464:1	
372:6	Xcel 398:11	425:25	490:16	
374:16	Y	493:2	493:23	
	ye 310:25	yields	510:14	
	317:24	307:11	Z	
		319:20	zero 270:22	
		you'll 261:3		