



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re:

MANITOBA HYDRO
NEEDS FOR AND ALTERNATIVES TO
REVIEW OF MANITOBA HYDRO'S
PREFERRED DEVELOPMENT PLAN

Regis Gosselin	- Chairperson
Marilyn Kapitany	- Board Member
Larry Soldier	- Board Member
Richard Bel	- Board Member
Hugh Grant	- Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
April 3, 2014
Pages 5055 to 5219

1 APPEARANCES

2 Bob Peters (np)) Board Counsel

3 Sven Hombach

4

5 Patti Ramage (np)) Manitoba Hydro

6 Marla Boyd)

7 Douglas Bedford (np))

8

9 Byron Williams) CAC

10

11 William Gange) GAC

12 Peter Miller)

13

14 Antoine Hacault) MIPUG

15

16 George Orle) MKO

17 Michael Anderson (np))

18

19 Jessica Saunders (np)) MMF

20 Corey Shefman)

21

22 Christian Monnin) IEC

23 Michael Weinstein)

24

25

1	TABLE OF CONTENTS	
2		Page No.
3	List Exhibits	5058
4	List of Undertakings	5059
5		
6	IEC ELENCHUS PANEL:	
7	RUSS HOULDIN, Sworn (Qual.)	
8	JOHN TODD, Affirmed (Qual.)	
9		
10	Continued Cross-examination by Mr. William Gange	5062
11	Cross-examination by Mr. Antoine Hacault	5089
12	Cross-examination by Ms. Marla Boyd	5117
13	Cross-examination by Mr. Swen Hombach	5147
14	Continued Cross-examination by Ms. Marla Boyd	5205
15		
16		
17	Certificate of Transcript	5219
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	PUB-62	Excerpts from the Climate Change and	
4		Emissions Reduction Act and the	
5		regulation dealing with the shutdown	
6		and continued operation of	
7		coal plants	5061
8	PUB-64	Consensus population forecast 2014	
9		versus 2013	5061
10	MH-158	Book of documents	5117
11	ERA-7	Excerpts from report	5146
12	ERA-8	Complete report	5146
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	LIST OF UNDERTAKINGS		
2	NO.	DESCRIPTION	PAGE NO.
3	94	Elenchus to provide a summary of	
4		grid parity literature and links to	
5		those literatures	5147
6	95	Elenchus to identify cross-elasticities	
7		between the differential between	
8		electricity and gas prices	5175
9	96	Elenchus to provide high-level	
10		written description as to practical	
11		analytical difference between	
12		evaluating a DSM measure based on	
13		Manitoba Hydro's approach versus the	
14		Integrated Resource Plan approach based	
15		on the new information in the	
16		presentation slides.	5203
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:01 a.m.

2

3 THE CHAIRPERSON: If people could
4 position themselves to start this morning it would be
5 much appreciated. We have a tight schedule today, so.

6

7 (BRIEF PAUSE)

8

9 THE CHAIRPERSON: Good morning. I
10 believe that everybody is in position to start the
11 proceeding, so I'll turn the microphone over to you,
12 Mr. Hombach.

13 MR. SVEN HOMBACH: Yes, good morning,
14 Mr. Chairman. Good morning, members of the panel.
15 Today we're here for the continued cross-examination of
16 Elenchus. And Mr. Gange still has some remaining
17 questions.

18 Before we get there though, I do have an
19 administrative matter to speak to. I would like to
20 introduce two (2) PUB exhibits that have been
21 previously circulated but not yet referred to on the
22 record. I'll anticipate that I will do so. The first
23 is PUB Exhibit 62. These are excerpts from the Climate
24 Change and Emissions Reduction Act, as well as the
25 regulation dealing with the shutdown of coal plants and

1 the continued operation of coal plants.

2

3 --- EXHIBIT NO. PUB-62: Excerpts from the Climate
4 Change and Emissions
5 Reduction Act and the
6 regulation dealing with the
7 shutdown and continued
8 operation of coal plants

9

10 MR. SVEN HOMBACH: The second exhibit
11 is PUB Exhibit 64 labelled, "Consensus population
12 forecast 2014 versus 2013." Both of them have been
13 circulated by email. And I'll be happy to circulate
14 paper versions during the break if necessary, including
15 the ones needed for the PUB file.

16

17 --- EXHIBIT NO. PUB-64: Consensus population
18 forecast 2014 versus 2013

19

20 MR. SVEN HOMBACH: I'm advised that
21 Manitoba Hydro does not have any undertakings to speak
22 to at this point, although Mr. Williams has an issue to
23 address.

24 MR. BYRON WILLIAMS: My Friend sounds
25 very depressed when I raise my arm. But I just -- a

1 very -- I just wanted to note that our client, Ms.
2 Desorcy, is here today, along with Mr. Dave Mouland,
3 who will -- you'll be hearing a bit later in the
4 hearing. So I just welcome them.

5 MR. SVEN HOMBACH: Thank you. In that
6 case, Mr. Chairman, I suggest we turn it over to Mr.
7 Gange.

8 THE CHAIRPERSON: Mr. Gange, good
9 morning.

10

11 IEC ELENCHUS PANEL RESUMED:

12

13 RUSS HOULDIN, Previously Sworn

14 JOHN TODD, Previously Affirmed

15

16 CONTINUED CROSS-EXAMINATION BY MR. WILLIAM GANGE:

17 MR. WILLIAM GANGE: Thank you, Mr.
18 Chair. Good morning, panel. Good morning, Mr. Todd
19 and Mr. Houldin. Mr. Houldin, when -- the mercy rule
20 was invoked last night and we ended. I -- I want you
21 to turn to page 12 of your report, which is Exhibit
22 2.2. And -- and, Diane, if you could go down a bit,
23 and then a bit more. Yes, right there. Thank you.

24 This Section 3.3 is dealing with the
25 potential of Manitoba Hydro's DSA -- DSM programs to

1 defer future capacity. You're aware, sir, that Mr.
2 Dunsky's review of this is that -- his conclusion is
3 that in fact if -- if DSM were to be introduced at a
4 higher level than the original plan of Manitoba Hydro,
5 that in fact Keeyask could be delayed -- could be
6 deferred for a considerable period of time.

7 You're aware of that, sir?

8 MR. RUSS HOULDIN: Yes.

9 MR. WILLIAM GANGE: And although you
10 hadn't considered this in -- in this report, you're
11 aware, sir, that -- that Manitoba Hydro has -- has
12 revised its DSM forecast and -- and those forecasts
13 would acknowledge that -- that the Keeyask dam could be
14 deferred for up to six (6) or seven (7) years.

15 Is that correct, sir?

16 MR. RUSS HOULDIN: I was given that
17 information yesterday, and I have an undertaking to --
18 to review that.

19 MR. WILLIAM GANGE: Yes. And -- and in
20 fairness, I'm -- I'm not going to go much further than
21 -- than that. But the -- your point in here was that -
22 - at lines 20 through 24, that -- the comment that you
23 make is that:

24 "The main economic benefit from
25 increasing DSM arises not from

1 increased DSM deferring generation,
2 but from increased DSM increasing the
3 level of exports."

4 What did you mean by that?

5 MR. RUSS HOULDIN: Well, I could be
6 wrong, but my understanding was exac -- is exactly
7 that, that the -- if it turns out that DSM programs
8 exceed their targets and load is lower, then that will
9 create a greater surplus for Manitoba Hydro to export.
10 I -- I may -- I may have stretched the point by saying
11 the 'main economic benefit'. I'm sort of straying out
12 of my remit a bit there.

13 MR. JOHN TODD: Perhaps if I add
14 something, it will help with, I think, what has been a
15 misunderstanding around the evidence. The -- the
16 multiples referred to in the -- line 16 to 19, in the
17 original plan there's a sensitivity analysis saying,
18 What if DSM is at one point five (1.5) or at four (4)?

19 With DSM, we cannot just say we're going
20 to do four (4) times as much DSM and it immediately
21 becomes a dependable resource. You have to have a
22 credible way to get that DSM. And until you have a
23 credible DSM plan to do it, it's not the least bit a
24 dependable resource.

25 So as a scenario, all we're saying is

1 you can't defer Keeyask as a result of setting an
2 arbitrary target for DSM. If you say you're going to
3 build a dam, you can build a dam. If you say you're
4 going to build a gas fired generating station, you know
5 you can build it. You don't know that you can do four
6 (4) times DSM without developing a plan for it.

7 So all we're trying to say is you cannot
8 just say -- like a decision from the Board couldn't
9 just say, Make your target four (4) times higher and we
10 can defer to Keeyask. You can say, Go back and try to
11 find a plan to do four (4) times the DSM. If you can
12 come back with a plan that's credible, then maybe you
13 can defer Keeyask, but it'll probably take a couple
14 years to come up with that plan. And by then, you're
15 probably past the point of being able to defer Keeyask.

16 If -- if you're bringing forward a plan
17 that was credible for giving you four (4) times DSM, so
18 you could consider it dependable, then you could do a
19 deferral. So the consequence is that if you set a
20 target of four (4) times DSM, you cannot consider it
21 dependable at the time. If in fact you achieve it, you
22 will have less domestic demand. Therefore, you have
23 more exports, because your generation capacity is
24 given. And therefore, you'll have increased export
25 revenue.

1 Okay?

2 MR. WILLIAM GANGE: And -- and, Mr.
3 Todd, thank you for that. I -- I think I understand
4 the point that you're making. And -- and, sir, I'm not
5 sure -- Mr. Simonsen, the Power Smart Plan, what
6 exhibit was that? I'm sorry, I didn't mark it.

7

8 (BRIEF PAUSE)

9

10 MR. KURT SIMONSEN: One fifty-three.

11

12 CONTINUED BY MR. WILLIAM GANGE:

13 MR. WILLIAM GANGE: Thank you. And,
14 Mr. Todd, this -- this -- the Power Smart Plan, Exhibit
15 153 of Manitoba Hydro, was -- was just provided to us,
16 I believe, on -- perhaps yesterday. So obviously you -
17 - you didn't have a chance to take that into account at
18 the time that this report was being made.

19 But have you had a chance to look at
20 that at all?

21 MR. JOHN TODD: It is dated March 28th.
22 We received it on Tuesday, I think, so very -- yes,
23 we've looked at it. We've looked at it. We are not in
24 a position to say this is -- creates dependable DSM.
25 Put it that way.

1 MR. WILLIAM GANGE: Okay. Thank you.

2 And if you look on the screen, we have page 4 of that
3 document. And Manitoba Hydro has indicated that
4 electric DSM represents 4 percent of the estimated load
5 forecast by 2016/2017.

6 Is that the type of plan that you would
7 expect in order to -- for it to fall into dependable?

8 MR. JOHN TODD: There are -- there are
9 two (2) aspects to dependability Mr. Houldin was
10 speaking to yesterday. One (1) aspect is: Can you
11 actually get programs to a scale that meets your
12 target? Which I've just referred to.

13 MR. WILLIAM GANGE: Yes.

14 MR. JOHN TODD: The other aspect that
15 Mr. Houldin was raising around the -- the Cheshire Cat
16 concept was that all measures of DSM results are
17 estimates. And we have to be confident that those
18 estimates are accurate.

19 Because they're estimates, they could be
20 high, they could be low. And we have to gain
21 experience with programs and with measurement of those
22 programs before we can be confident that the EM&V
23 examinations of it are producing numbers that are real,
24 we can actually count on as equivalent to generation.

25 So this kind of approach -- this kind of

1 approach, it's -- it's -- looks like it's consistent
2 with standard practice. It looks like it's programs
3 that are -- should deliver the results. But it would
4 be -- in our view, it's prudent that if you really need
5 that capacity in order to have dependable energy, that
6 you want to approach it a bit cautiously to make sure
7 that your net demand is growing as expected, given the
8 DSM plan.

9 And the Cheshire Cat analogy is saying
10 that you can never be sure what you're getting in DSM
11 from direct observation -- because all you can observe
12 is the net demand, which is the gross load minus the
13 DSM. And my part of the work is the load forecast.

14 There's uncertainty around what your
15 load forecast is, and you don't even know if your pre-
16 DSM load forecast is accurate, has been accurate, when
17 you've got DSM, because you've got something which is
18 net -- is -- is the gross minus -- minus DSM as a net,
19 you know what the net number is. But you don't know
20 whether your load forecast was high and your DSM was
21 high, or your load forecast was low and your DSM was
22 low. Both of those would give you the same net.

23 So all we're saying is that there's some
24 uncertainty around this which -- which requires some
25 caution. We will get improved understanding of what

1 you're achieving with DSM as time goes by. When
2 programs are in place, we've got to be sure that you're
3 getting the participation levels you need and that your
4 measurement is accurate.

5 So we're just saying that initially you
6 want to approach your DSM results with a bit of
7 caution, particularly when you're ratcheting up a lot.
8 And that's fine as long as you've got adequate
9 reserves.

10 And with the Company going toward 20
11 percent reserves, the historical average, and 12
12 percent's the target, in that scenario it's probably
13 okay to say, We're going to count the DSM savings as --
14 as dependable because if you're off, you've got a good
15 cushion of protection.

16 So, you know, given all that context in
17 this scenario, probably you can put all the pieces
18 together and say there's a target, it's a plan that
19 Manitoba Hydro is putting forward, they believe in,
20 they say they can do it. A review -- a quick review
21 says it's standard practice. It's probably credible,
22 so we'll probably get those results. And if we're a
23 little bit off, we have enough reserve to protect us.
24 So let's take it and run with it.

25 MR. WILLIAM GANGE: But, Mr. Todd,

1 Manitoba Hydro has been doing demand-side management
2 programs for an awfully long time. And my client's
3 analysis of it, and -- and the experts employed have
4 come to the conclusion that, in fact, the history that
5 -- that you just talked about is already present so
6 that it's not a question for them of waiting to
7 determine whether DSM programs can be initiated and
8 carried through by Manitoba Hydro.

9 The history says that they have been and
10 they will continue to be. But the -- the disconnect
11 that I've got with your answer is, sir, that -- that
12 you're talking about looking into the future, and my --
13 my -- our experts are saying, No, you've already got
14 that track record.

15 Did -- did Elenchus undertake a review
16 to determine whether the -- the estimates being made by
17 Manitoba Hydro could be relied upon?

18 MR. JOHN TODD: That'S -- that's where
19 the Cheshire Cat comment comes in that says, We are
20 cautious about saying that the numbers are as precise
21 of what you're being delivered as corresponding
22 gigawatt hour numbers for a gas fired plant or a
23 hydroelectric dam.

24 That being said, we are at the same time
25 saying, Do as much DSM as is economic. Take these

1 plans. Run with it. Produce the results. Even though
2 it's imprecise, that doesn't mean you don't do it.
3 It's just like you -- you can build -- you can put in
4 solar and wind. You don't know exactly what you're
5 going to get out of them, but you've got a pretty good
6 idea and you can say it's economic, so you build those
7 generating facilities.

8 The same thing here. We're not saying,
9 Defer doing DSM. In fact we're saying, if anything,
10 Push for more. There's probably more that's economic.

11 MR. WILLIAM GANGE: Yes. Okay.

12 MR. JOHN TODD: And try to get as much
13 as you can. And the worst thing that can happen with -
14 - with great success is you have more exports to
15 generate revenue. That's not a bad thing. So the --
16 the -- all we're doing is saying, Until you're
17 confident that you're not going to have capacity
18 problems or energy problems in the future, you don't
19 defer plants based on a plan which is -- is not 100
20 percent dependable. That's sort of the engineering
21 concept, okay.

22 So if you're referring to, Do the DSM,
23 we're not talking about delay. The issue of
24 uncertainty plays into how much do you use the DSM
25 anticipated results to defer a Keeyask. And I think

1 the economics of deferral essentially says, If you
2 defer, you get less export revenue, and it may actually
3 not be economic to defer, particularly given the amount
4 that is -- is sunk cost, to make Keeyask economic in
5 the first case. I mean, what they've invested in
6 Keeyask plus the -- the transmission lines.

7 Deferral isn't necessarily economic. I
8 think the evidence, though it's outside of our turf, is
9 suggesting that as long as the export price is up
10 there, is adequate, deferral would cost the Company
11 money in net present value terms.

12 MR. WILLIAM GANGE: Sir, one of the
13 recommendations that Elenchus has made is for Manitoba
14 Hydro to revert to its previous practice of integrated
15 resource planning.

16 That's -- that's a fundamental part of
17 your report, would it not be, Mr. Houldin...?

18 MR. RUSS HOULDIN: I wouldn't call it
19 fundamental. I -- I would say it's a suggestion. I --
20 I think I understand why Manitoba Hydro has moved away
21 from IRP, but I -- I put it forward as a suggestion
22 that they -- that they might consider going back to it
23 in -- in the future.

24 MR. WILLIAM GANGE: I see. Okay. I --
25 I did take it as fundamental because it -- the point is

1 made in several parts of your report and -- and seems
2 to be one of the main recommendations that you make in
3 your report.

4 Did I -- did I overstate -- or did I
5 take it as -- as being more than what you meant it to
6 be?

7 MR. RUSS HOULDIN: Well, we tried to be
8 a little careful with the language. This may be just
9 pure semantics, but these are what we think of as
10 suggestions, not recommendations. In my mind, a
11 recommendation is -- is a sort of stronger term.

12 MR. WILLIAM GANGE: Okay. I've got
13 your point. But, sir, in doing integrated resource
14 planning one would expect that there would be -- that -
15 - that DSM would be taken into account as part of the
16 analysis?

17 MR. RUSS HOULDIN: Yes, that's right.
18 I -- I don't know if we need to go to the -- the slide,
19 but if you -- you remember I -- I showed a slide
20 yesterday that contrasted my version, at least, of
21 Manitoba Hydro's overall scheme for developing the
22 resource plan versus my depiction of IRP.

23 And the fundamental difference was that
24 in IRP you consider all of the options, supply and
25 demand, and subject them to the same criteria. And in

1 particular, you apply non-economic -- all -- you apply
2 all the factors. You apply the even -- environmental
3 factors as well as the economic ones.

4 MR. WILLIAM GANGE: If -- if you -- we
5 can go to Elenchus 2-2 and page 15.

6 MR. RUSS HOULDIN: Sorry, what page was
7 that?

8 MR. WILLIAM GANGE: It's on the screen
9 now, sir, page 15.

10 MR. RUSS HOULDIN: Fifteen. Okay.

11 MR. WILLIAM GANGE: And -- and this is
12 one of the points where you do make the suggestion of a
13 return to the integrated resource planning, correct,
14 sir?

15 MR. RUSS HOULDIN: Well, the thrust of
16 this is not that. The thrust of this is the -- is a
17 different suggestion.

18 MR. WILLIAM GANGE: Okay, if we look at
19 line 7 to 12.

20 MR. RUSS HOULDIN: Oh, I'm sorry, I
21 flipped down to the bottom of the page, sorry.

22 MR. WILLIAM GANGE: I'm looking at
23 lines 7 to 12 --

24 MR. RUSS HOULDIN: Okay.

25 MR. WILLIAM GANGE: -- where it says:

1 "However, in Elenchus's view, the
2 overall coherence and robustness of
3 Manitoba Hydro's resource plan may be
4 improved by a return to IRP.
5 Elenchus further suggests that an IRP
6 approach to which is added an
7 explicit recognition of the
8 statistical nature of expected DSM
9 contributions would be an optimal way
10 of addressing the uncertainties of
11 DSM.

12 The main way in which this
13 recognition may be incorporated into
14 planning is by the treatment of DSM
15 as akin to dispatchable intermittent
16 generation."

17 Now -- and again -- okay, so this one is
18 bolded. What does it mean to say an explicit
19 recognition of the statistical nature of expected DSM
20 contributions?

21 What -- what are you -- what -- what
22 point are you trying to make there, Mr. Houldin?

23 MR. RUSS HOULDIN: The point I'm -- I'm
24 trying to make, and I -- I apologize, I could have been
25 clearer in my presentation yesterday, that the -- the

1 real essence of the suggestion here to Manitoba Hydro
2 is -- is not to consider, as I believe they do today,
3 DSM to be 100 percent dependable.

4 So that's really -- the nub of this is
5 really saying don't consider it to be a hundred -- a
6 hundred percent dependable. Think of it more like wind
7 power, where you have a nameplate capacity of the
8 output but you know that you're not going to get that
9 at all times, to make that your approach to -- to DSM.

10 MR. WILLIAM GANGE: And again, maybe
11 I'm going to go back over something that I didn't
12 understand yesterday, and I -- I don't understand it
13 again. I understand how wind power can be considered
14 to be intermittent because sometimes the wind blows
15 here and sometimes the wind doesn't.

16 But with respect to DSM, once -- once
17 it's introduced, it's there. Once you've got a better
18 functioning refrigerator, that load is reduced.

19 MR. RUSS HOULDIN: No, but --

20 MR. WILLIAM GANGE: How -- how is it
21 comparable to intermittent generation?

22 MR. RUSS HOULDIN: Well, no, I think
23 this is a good -- a good point you raised. It -- it
24 would appear to be that on the surface but it's not.
25 Because what you've got is tens of thousands of

1 refrigerators, which are assumed to have an average
2 value of kilowatt hours per refrigerator reduction in
3 the previous sets of refrigerators. But if you look at
4 any individual refrigerator, they won't perform to that
5 average demand. So you have a statistical variation
6 across the refrigerators.

7 So that -- so in effect you do have the
8 equivalent of intermittency from -- so literally from,
9 you know, dispatch period to dispatch period, which at
10 the end of the day is what the Manitob -- Manitoba
11 Hydro system operator has to face, you can't rely on
12 the amount that was targeted in the DSM plan. It will
13 be some other number just as it would be for wind.

14 I think Mr. Todd has a -- a point to
15 make too.

16 MR. JOHN TODD: I want to jump in with
17 a slightly different analogy, because clearly we're
18 having difficulty conveying this point. With
19 dispatchable intermittent generation, you have a meter
20 on the wind farm or on the solar farm. So while on a
21 forecasting basis you don't know what you're going to
22 get out of them, you do know precisely how many
23 kilowatt hours they generate and in which hours and so
24 on.

25 DSM, I'll take a different analogy. If

1 you -- if you say it's similar to an unmetered load,
2 with an unmetered load you have streetlights where you
3 can do a calculation of how much power they're going to
4 use, what the load is going to be, but they're not
5 individually metered. In fact, the mass of them aren't
6 metered. And you take other loads, like equipment on -
7 - that -- used by cable TV in their distribution, their
8 distribution of the cable TV -- of the cable network,
9 you don't actually know how much power they're using.
10 You have an estimate of it.

11 And when we're doing load forecasting,
12 you do it by -- by class. You know how much the total
13 load is of the system. You know how much -- because
14 it's metered; you know how much it is that the
15 industrial customers use, and the residential customers
16 use, and so on. There's some imprecision in that
17 because meters can be imperfect.

18 You estimate losses, and then you have
19 residual. And you try to reconcile sort of what's
20 unaccounted for and you attribute to unmetered load and
21 other losses. And you rationalize that against the
22 engineering estimates for how much that unmetered load
23 should be using.

24 And the same thing here. We in effect
25 have engineering estimates of DSM, but we don't have

1 the DSM metered so that you can say the fridges across
2 the whole system have actually used 'X' number of
3 kilowatt hours less. You're estimating that.

4 So what we're trying to say here is that
5 there's a statistical nature because you're doing some
6 engineering analysis, you're doing an EMV approach,
7 which looks at participation rates, and if it's light
8 bulbs, how many people take out their efficient light
9 bulbs and put incandescent lights back in because they
10 actually like the light better, like my wife. Certain
11 places we cannot use compact fluorescents.

12 And so there's all sorts of things that
13 make our engineering estimates imprecise. With
14 experience you try to get a better handle on it, but
15 you will never know exactly what it is, and you'll
16 never achieve the actual engineering estimates -- or --
17 or the engineering calculations of what you should be
18 saving, because there's human behaviour differences.

19 Sometimes the lighting is different, so
20 people leave the lights on longer when they're using
21 efficient light bulbs. You're not picking that up.
22 You're estimating that behaviour. And as a result,
23 there's a statistical nature and you have an expected
24 value, and one of the concerns is do you end up with
25 processes of estimating that are biased? That either,

1 you know, look at it and say, We really like DSM and
2 we're going to be really go -- go -- really favourable
3 for it and -- and push to over estimate or are we
4 actually being -- taking the sort of the 50/50 approach
5 and being as accurate as possible.

6 And, so -- so that's all we're saying,
7 is that you go in. You've got to be very, very careful
8 when you're looking at your estimates of DSM to make
9 sure that you're delivering the results that you've
10 anticipated. We think that Manitoba Hydro is doing a
11 good job of that.

12 You can't simply discount the
13 anticipated savings for no good reason. We accept the
14 numbers. You treat it as dependable, but you all --
15 you have to monitor and watch carefully and make sure
16 you're getting the results you want. And, in part,
17 it's like the unmetered load, Does it all reconcile at
18 the end?

19 When you look at your estimated load
20 growth and you look at your usage over a period of,
21 say, four (4) or five (5) years, and you've got an
22 estimated DSM, do the numbers add up correctly? Or do
23 they give you a hint that, wait a second now, if load
24 is growing the way we thought and we're getting as much
25 DSM as we thought, our net value, the actually observed

1 consumption should be lower or higher.

2 And that will feed back to improving
3 your -- your estimates as statistical nature. And
4 that's the analogy to dispatchable if you -- you learn
5 from experience, and you learn what to count on. You
6 know, is it 100 percent dependable relative to the
7 estimates? Or in fact, are we doing better than the
8 estimates? Are we doing worse than the estimates.

9 MR. WILLIAM GANGE: Mr. Todd, isn't --
10 isn't that uncertainty at the heart of everything in a
11 hydroelectric system? And what I mean by that is that
12 if you have a gas system, and you know that you can run
13 that -- that turbine for this many hours, and you can
14 produce exactly this many gigawatts of power but in a
15 hydroelectric system everything is uncertain.

16 You -- you can know what the capacity
17 is, that you've got this many dams, but we will never
18 know in April how much water there is in September.
19 Isn't that true, sir?

20 MR. JOHN TODD: Absolutely, and we've
21 got it now. Thank you. That's a good analogy, too,
22 because for a hydro resource we have forecasts of what
23 will be generated but it fluctuates with -- with
24 different water conditions --

25 MR. WILLIAM GANGE: Can I interrupt you

1 there, sir, 'cause I want to take you -- take you to
2 Manitoba Hydro 95, page 18. I think that'll come up on
3 the screen.

4 MR. JOHN TODD: While that's com --
5 coming up, I'm just saying that's why there's reserve
6 margin in there, in part. You want to have -- you
7 accommodate that uncertainty. And you do that with
8 everything where there's uncertainty.

9 MR. WILLIAM GANGE: So this map or,
10 pardon me, this graph that's presented by Manitoba
11 Hydro isn't -- isn't exactly on point but -- but I
12 think it's illustrative in that here's the export
13 revenues. So -- and -- and there can only be export if
14 there's enough power to -- to ship out elsewhere.

15 But in -- in every year one never knows
16 how much power is going to be generated. Correct, sir?

17 MR. JOHN TODD: Correct.

18 MR. WILLIAM GANGE: And, so -- so I --
19 I guess then it comes back for me, as I listen to you,
20 there's -- there's such emphasis in this report Exhibit
21 2.2 on the uncertainty of DSM but the uncertainty of
22 DSM is just part of the uncertainty of the whole
23 hydroelectric system, isn't it?

24 It -- it's no greater than -- than the
25 uncertainty of how much power is going to be generated

1 in a year.

2 MR. JOHN TODD: Absolutely. We're --
3 we're agreeing.

4 MR. WILLIAM GANGE: Okay.

5 MR. JOHN TODD: We're on the same
6 track.

7 MR. WILLIAM GANGE: Good, thank you.

8

9 (BRIEF PAUSE)

10

11 MR. WILLIAM GANGE: Thank you, Mr.
12 Todd, Mr. Houldin. With -- with that last answer, the
13 fact that we're in agreement on something, it's -- it's
14 always delightful. So thank you very much for your
15 patience with me. I appreciate it.

16 And that, Mr. Chair, concludes my
17 questions for this panel.

18 THE CHAIRPERSON: I, on the other hand,
19 still have questions on this issue. I just want to
20 make sure that I'm understanding adequately what you
21 have been expressing, and specifically I think you are
22 -- you are cautioning us about expecting that a plan to
23 generate four (4) times DSM may actually be realized.

24 MR. JOHN TODD: Yes. Without looking
25 at the plan, you don't just say, We're going to do four

1 (4) times the DSM. We need to plan to do it.

2 THE CHAIRPERSON: And you're also
3 saying I think that, with experience, having
4 implemented a plan, you are in a position to -- to put
5 more reliance on its ability to generate savings.

6 MR. JOHN TODD: Yes. To some extent,
7 you can base it on experience in other jurisdictions,
8 but to some extent, you want your own experience as
9 well 'cause each jurisdiction is a bit different. Each
10 company delivering the programs is different.

11 To some extent, DSM is a marketing
12 program, and as every company knows, you never know how
13 good your marketing program's going to be until after
14 the fact.

15 THE CHAIRPERSON: But you are saying --
16 suggesting that DSM can be incorporated in an IRP that
17 involves generation -- that includes generation. So in
18 other words, it -- it's given equal weighting to a
19 generation option in an IRP program.

20 MR. JOHN TODD: Yes. What -- the
21 practical application is you treat it the same as long
22 as you are confident that you can depend on that DSM.
23 I -- you know, I think what we're saying is that you
24 may have -- when you go -- when Manitoba Hydro goes
25 through the study, there is an engineering concept of

1 how much DSM you can have, and there's achievable and
2 market potential and so on.

3 So there's an attempt to deal with this
4 uncertainty to say, Here's what we think is realizable
5 in the marketplace. And what is realizable, what is
6 credibly and carefully calculated as being realizable
7 in the mark -- mark -- in the marketplace is something
8 that you can treat as dependable.

9 Now, as with water flows, when you say
10 it's dependable, the caution is that doesn't make it
11 100 percent dependable just because you've done some
12 analysis and forecasts of how your DSM programs will
13 deliver, which is why you have a reserve margin.

14 So you wouldn't want to run -- you
15 wouldn't want to run your system really tight five (5)
16 years from now based on a DSM plan that says -- based
17 on an aggressive DSM plan that says, you'll have
18 sufficient power to keep the lights on.

19 But as long as you've got your total
20 planning in place with an adequate reserve margin and
21 sufficient DSM, sufficient new generation that the --
22 the package gives you dependable flows and sufficient
23 reserves for the uncertainty, then you've got a plan
24 you can go forward with.

25 Is that --

1 THE CHAIRPERSON: It does, but -- but
2 it does suggest in a system with lots of DSM that you'd
3 have to have a higher reserve capacity.

4 MR. JOHN TODD: Yes. I think what
5 we're saying -- well, there's a combination of things.
6 If -- if you are conservative in estimating the
7 benefits of DSM, so if you were to look at your DSM
8 savings that you're building into your forecast in
9 Manitoba and compared to other jurisdictions and
10 compared to experience, you -- you're confident that
11 the estimates you're making will at least be achieved,
12 then you may not require as much reserve margin if you
13 are being more aggressive.

14 So, for example, if you were to wrench -
15 - increase your DSM target by a multiple of four (4),
16 I'd consider that aggressive. And that would be less
17 dependable than if you increase your target by -- from
18 one (1) -- you know, initial target to one point five
19 (1.5).

20 So the -- I -- I think what you're
21 saying is the more aggressive you're being on DSM,
22 perhaps the more reserve you -- you'd have to have.
23 And part of reserve is, Do you have the ability to
24 respond to under performance in DSM by bringing in
25 alternative sources or doing something else.

1 THE CHAIRPERSON: Now, we've been
2 talking about generation and DSM, but the -- it seems
3 to me that it also -- if you follow that one through,
4 you know, assuming that you are expecting a certain
5 level of DSM and as a consequence you provide long-term
6 contracts for selling power to the US, I mean, that to
7 me is a clear example where, even though you may have
8 decided to build generation, you should be cautious
9 about relying on DSM as a basis for signing additional
10 export contracts to the US market?

11 MR. JOHN TODD: Domestic load plus firm
12 exports determines the amount of dependable energy you
13 need, absolutely. And so you -- you could not -- you -
14 - you wouldn't write contracts based on anything that
15 is -- that you're not a hundred percent confident in.
16 That's what the dependable power concept is, right.
17 We're -- we're certain we'll get this.

18 Now, there's always risks. A plant
19 could fail and all those plans about dependable energy
20 goes out the window, so nothing is guaranteed in the
21 world, but, yes. And I think the point is being pushed
22 too far in terms of what we're saying. We're try --
23 we're trying to give some insight into the
24 uncertainties around DSM.

25 This is not an attack on DSM. This is

1 not saying you shouldn't consider it dependable. This
2 is not saying that you shouldn't be doing it. It's an
3 important and economic resource to be relied on, and we
4 build it into the forecast.

5 When the caution comes from part of the
6 evidence talks about alternative scenarios for DSM, and
7 certainly in the original evidence which we'll be
8 writing about, without any plan -- without seeing plan
9 to achieve higher DSM, there are scenarios being run at
10 one and a half (1 1/2), two (2), three (3), four (4)
11 times DSM.

12 What we're trying to say is you can't
13 just take those numbers and say, Oh, we will do four
14 (4) times the amount of DSM. That's -- that's --
15 that's the limit to what we're trying to say, okay.
16 There's -- it's not an attack on DSM. It's an attack
17 on saying, I like four (4) times DSM, so we'll use that
18 in our plan. And Manitoba Hydro wasn't trying to do
19 that.

20 But the way the numbers were coming out,
21 it was a temptation, I think to -- it could be a
22 temptation to simply say, Four (4) times DSM looks
23 good, so why don't we do that and delay Keeyask. And
24 we're saying that's just a hypothetical scenario.

25

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: Thank you. Me.

4 Hacaault, s'il vous plait.

5 MR. ANTOINE HACAULT: Merci, Me.

6 President.

7

8 CROSS-EXAMINATION BY MR. ANTOINE HACAULT:

9 MR. ANTOINE HACAULT: The first area
10 I'll deal with very briefly, and it's just getting a
11 clarification of the nature of information that was
12 provided, it's a very short subject. It's for Mr.
13 Houldin. It's with respect to the Curtailable Rate
14 Program.

15 My understanding, sir, is that in
16 writing your report you weren't provided with the full
17 contractual details of the Curtailable Program signed
18 on by customers.

19 Is that correct?

20 MR. RUSS HOULDIN: That's correct. I -
21 - I wasn't given that kind of information, yeah.

22 MR. ANTOINE HACAULT: So just to break
23 that -- that down a little bit, for example, you might
24 -- you wouldn't know for each of the different programs
25 minimum notice to curtail, correct?

1 MR. RUSS HOULDIN: That's correct, yes.

2 MR. ANTOINE HACAULT: And you wouldn't
3 know the maximum duration per curtailment under the
4 different options, correct?

5 MR. RUSS HOULDIN: Correct.

6 MR. ANTOINE HACAULT: And you also
7 wouldn't have known, in writing the report, the maximum
8 daily hours of curtailment under each program?

9 MR. RUSS HOULDIN: Correct.

10 MR. ANTOINE HACAULT: You wouldn't know
11 the maximum number of curtailments per year under each
12 option?

13 MR. RUSS HOULDIN: Correct.

14 MR. ANTOINE HACAULT: And finally, you
15 wouldn't know the maximum amou -- amount of hours per
16 curt -- curtailment, correct?

17 MR. RUSS HOULDIN: Correct, yes.

18 MR. ANTOINE HACAULT: Thank you very
19 much. The next subject I'll be moving into relates to
20 Elenchus Exhibit number 3. It probably is Mr. Todd
21 that will answer most of the questions, but both of you
22 feel free.

23 The first subject matter, and it's dealt
24 with at various places in the report, that I want to
25 deal with is forecast accuracy and the probabilities

1 that Hydro uses that flow through the models.

2 Now, are we both on the same page that
3 Manitoba Hydro tries to seek an accuracy on a ten (10)
4 year metric of about 10 percent in variance from the
5 forec -- the base forecast?

6 MR. JOHN TODD: Yes.

7 MR. ANTOINE HACAULT: Do you believe
8 that that's a reasonable target, sir?

9 MR. JOHN TODD: Yes.

10 MR. ANTOINE HACAULT: And you base that
11 on comparing what other utilities are able to achieve,
12 and I would say as much as possible, to similar
13 utilities with -- with some hydraulic base?

14 MR. JOHN TODD: I don't think the
15 hydraulic base is relevant in the load forecast side,
16 forecast to forecast, but -- given our forecasting for
17 other distributors. But more, jurisdiction load is a
18 bit different. Looking at their methodology and as you
19 say, critiquing the methodology, I wouldn't -- I
20 wouldn't come in with promises of doing much better.
21 Therefore, I consider what they're doing is reasonable.

22 MR. ANTOINE HACAULT: So does it follow
23 logically if we're testing stress tests, that it makes
24 sense to use what can be achieved practically?

25 MR. JOHN TODD: Yes, we always know

1 forecasts will be wrong. And what you're actually
2 measuring with accuracy, to me, is not how good is the
3 load forecast given what we know today. What you're
4 measuring is how much does the world change in unexp --
5 unexpected ways. And that -- the 1 percent per year is
6 a rough and ready measure of how much things may be
7 different than we expect as the world unfolds.

8 MR. ANTOINE HACAULT: Yes, and you
9 weren't part of that -- or part of this section of the
10 hearing, but in MIPUG-20-2 -- could you pull that up,
11 please, Diana, at page 19?

12 This is part of an analysis of some of
13 the forecasting confidence points that varied over the
14 years. I -- I suggest that you might have an
15 opportunity to look at the graphs and this last night.

16 Did you have an opportunity, sir?

17 MR. JOHN TODD: Yes, I did.

18 MR. ANTOINE HACAULT: Okay. And in
19 your report, you talk about Manitoba Hydro in previous
20 methodology using various confidence levels categorized
21 as indicated at the top of this table, correct?

22 MR. JOHN TODD: Yes.

23 MR. ANTOINE HACAULT: And with respect
24 to the certainty metrics, if we go to the bottom of the
25 table and look at -- at -- the middle has a heading on

1 the left-hand side, "2013/2014 Forecast."

2 Do you see that, sir?

3 MR. JOHN TODD: Yes, that's the bottom
4 half of the table we're referring to.

5 MR. ANTOINE HACAULT: Yes. And if we
6 look at the ten (10) year metric that we see going
7 across the table, if we forecast -- and we look at the
8 stress testing, what's being put in the model is not a
9 10 percent parameter but around a 5.4 percent
10 parameter.

11 Is that consistent with your own
12 analysis, sir?

13 MR. JOHN TODD: Yes, I did not verify
14 numbers, but I did note a consistency -- a smaller
15 variance. Yes, so I accept that.

16 MR. ANTOINE HACAULT: And even with
17 respect to the -- if we go out another twenty (20)
18 years, taking into account your, let's say, caveat that
19 we really don't know how the world is going to change
20 in the next twenty (20) years, we see that the model is
21 not being stress tested according to Manitoba Hydro's
22 actual experience.

23 It's still below the ten (10) year
24 metric of 10 percent, correct?

25 MR. JOHN TODD: Yes.

1 MR. ANTOINE HACAULT: So, sir, we had
2 asked with respect to the 2013/2014 forecast to also
3 provide further detail to see when we might reach that
4 10 percent metric looking at the probabilities and
5 what's being put into the model for economic and
6 financial forecasting. And that's Manitoba Hydro
7 Exhibit 103. If that can be brought up please, Diana.

8 And the first page of that table, if we
9 do a ten (10) year metric, unfortunately it's not
10 highlighted on this table, that will be the year 20 --
11 we can pick 2023/2024. If we have the base estimate of
12 29,000 gigawatts, there should be, if we have a 10
13 percent metric, roughly about 3,000 gigawatts
14 difference at the 5 percent probability point, and 95
15 percent probability point if we were, in fact, trying
16 to mimic what Hydro's metric is. But there isn't,
17 correct?

18 If we subtract in the 5 percent
19 probability point, the number twenty-nine thousand
20 (29,000), and subtract from that the twenty-six
21 thousand nine hundred (26,900), which is very close to
22 twenty-seven (27), there's only about a 2,000 gigawatt
23 change, or twenty-one hundred (2,100), correct?

24 MR. JOHN TODD: Yes. I think what
25 you're saying is for the ten (10) years if we take a 10

1 percent above or below, what probability measures does
2 -- does that correspond to?

3 MR. ANTOINE HACAULT: Yes.

4 MR. JOHN TODD: And based on the
5 standard deviations calculations of Manitoba Hydro,
6 that 10 percent would be achieved through a five (5)
7 and ninety-five (95) as opposed to a ten (10) and
8 ninety (90) as the -- as the test.

9 MR. ANTOINE HACAULT: Yeah. So what
10 I'm trying to understand is what kind of probability
11 metric would we need to match approximately Hydro's
12 real experience? We know Hydro is trying to achieve a
13 10 percent accuracy, but they've inputted 90 percent
14 and 10 percent into their models. That, we saw, was
15 about five point four (5.4).

16 It doesn't come close to -- it's quite
17 optimistic compared to their metric, correct?

18

19 (BRIEF PAUSE)

20

21 MR. JOHN TODD: To answer this
22 question, it might be helpful to turn to our evidence.

23 MR. ANTOINE HACAULT: Around page
24 30/31?

25 MR. JOHN TODD: And at -- which show

1 some tables at page 35.

2 MR. ANTOINE HACAULT: Thirty-five (35),
3 okay.

4

5 (BRIEF PAUSE)

6

7 MR. JOHN TODD: And just to explain my
8 understanding of what Hydro is doing, it's important to
9 draw a distinction between the target they refer to,
10 which is the outer bound versus the average
11 performance. When they talk about using a
12 probabilistic approach, the probabilistic approach is
13 saying, What was the average performance in the past,
14 not, What's sort of the maximum range that we used as a
15 target in the past? They're different, okay?

16 So when they're saying that we want to
17 be within 5 percent on five (5) year ahead forecast,
18 and this top graph is the five (5) year ahead forecast,
19 what they're saying is, We want to be within 5 percent
20 or less, right? We could be right on, we could be 1
21 percent off. But they want to stay within the 5
22 percent range, above or below.

23 Experience, as you can see, fluctuates
24 up and down. Some years we're hitting that 5 percent
25 range, and some years -- or in the five (5) year ahead

1 forecast we're essentially right on. Therefore, when
2 you do a probabilistic analysis, you're saying, What
3 was our average performance in the past, in essence.

4 And the average performance is always
5 going to be -- you'd expect to be -- would be less than
6 the target. So what Manitoba Hydro has done is
7 consistent with -- to me, is consistent with their --
8 their practices, the difference between a target and
9 past experience, which does not answer the question of
10 what's the appropriate probability range to use.

11 So when they define a probability range
12 based on past experience, they're not basing it on
13 their target, which is the extreme, right? What
14 they're saying is, We want to be 80 percent confidence
15 that we've got the range of outcomes covered, and we're
16 ignoring the 10 percent tails at either end.

17 A different approach would be say, We
18 want to be 90 percent confident, and we're going to
19 leave out a 5 percent tail on each end. That would be
20 a more -- you could have more confidence that your
21 forecast will lie within that range. You can now be 90
22 percent sure rather than 80 percent sure. So that's a
23 fair point.

24 What's the right number? Hard to tell.
25 What -- what they've done in the past is they did

1 multiple scenarios. So it would be reasonable and be
2 interesting information, perhaps useful information, to
3 have the 50 percent, 10 percent, 5 percent, or perhaps
4 5 percent and 2 1/2 percent -- sorry, 10 percent and 2
5 1/2 percent, and then 90 and 97 1/2 percent, for
6 example.

7 That would give you a better sense of
8 the range and how extreme things can go to run through
9 the rest of your financial models.

10 MR. ANTOINE HACAULT: And is that why
11 you were suggesting that the -- the old methodology was
12 useful information which would allow better stress
13 testing, sir?

14 MR. JOHN TODD: Yes, and that's why we
15 suggested in effect each -- that -- that the 10
16 percent, the 90 percent to us is a scenario. And we've
17 suggested five (5) scenarios because what you want is -
18 - medium-high means, okay, you're probably going to be
19 there, but it's a bit of a stress test to go on to a
20 more extreme circumstance.

21 So perhaps you could turn those five (5)
22 scenarios into the mid-range, the 50 percent, the ten
23 (10) and the ninety (90), and the two and a half (2
24 1/2) and the ninety-seven and a half (97 1/2).

25 MR. ANTOINE HACAULT: And that's

1 certainly -- if we go back to Exhibit 103 from the
2 second page of that exhibit, when you've mentioned the
3 2 1/2 and 97 1/2 percentage point -- and I'm -- I'm not
4 going to go through the actual experience.

5 But looking at the line 2023, if we have
6 the base forecast of 29,000 gigawatts again, if we look
7 at the 2 1/2 percent probability, we're about twenty-
8 five hundred (2,500) off from the base, which is still
9 not quite 10 percent. It still doesn't match the
10 target. And in fact, in real life, they hadn't
11 achieved the target for ,I think it was, four (4) or
12 five (5) years during the twenty (20) year time period,
13 that 10 percent target.

14 Do you recall reading some of that?

15 MR. JOHN TODD: Yes. I mean, they
16 don't always achieve the target. And there's some
17 cyclicalities in this so that when you look at a period
18 when you've got an extreme circumstance like the 2008
19 financial crisis, it throws things off. And the way
20 your modelling works, that -- that throwing it off is
21 going to affect your forecasts for a number of years,
22 the accuracy of your past forecasts, that is.

23 So in effect, the ten (10) years prior
24 to 2008 and less all would have their accuracy affected
25 on the -- on the ten (10) year accuracy perspective by

1 that severe and unexpected event.

2 MR. ANTOINE HACAULT: So the cyclical
3 nature of the forecasting, we get a better idea that
4 matches closer to what happened in reality for the last
5 twenty (20) years if we used a metric that's closer to
6 the 2 1/2 percent and 97.5 percent.

7 Is that -- am I understanding you
8 correctly?

9 MR. JOHN TODD: Well, it's the
10 cyclicality of the error, not the cyclicalitiness
11 (phonetic) of the forecast because your forecast --
12 your forecast going forward can adapt. So you have a
13 2008. Your base point goes down for all your future
14 forecasts, but all your past ten (10) year forecasts
15 are all going to be off for 2008 and 2009 and --

16 MR. ANTOINE HACAULT: Understood. Now,
17 with respect to the -- those forecasts, my
18 understanding is that Elenchus basically tracked them
19 from 1987 and -- correct? That was at page 37 of your
20 report?

21 MR. JOHN TODD: Yes.

22 MR. ANTOINE HACAULT: And it noted
23 that, at times, those ten (10) year forecasts were
24 actually underestimates?

25 MR. JOHN TODD: Yes.

1 MR. ANTOINE HACAULT: And for the last
2 bit, they -- Manitoba Hydro had overestimated and, in
3 part, in fairness, probably was related to the change
4 in economy that we saw in 2008 and 2009, correct?

5 MR. JOHN TODD: Yes.

6 MR. ANTOINE HACAULT: Now, the one (1)
7 thing that I'd like -- I also asked you to perhaps look
8 last night, sir, was Exhibit 9 -- MIPUG Exhibit 9 at
9 page 'D', as in Donald, 10. And this is a really,
10 really busy graph. It kind of built on in previous
11 pages. but there's a couple points that I want to draw
12 your attention to, sir.

13 The black line going through all these
14 coloured lines was the actual weather adjusted net firm
15 energy in gigawatts.

16 Do you understand the graph that way,
17 sir?

18 MR. JOHN TODD: Yes.

19 MR. ANTOINE HACAULT: And if we see how
20 it tracks, we can see that there was a green line at
21 one point in time, and that was the 2005/2006 load
22 forecast, which is actually below -- and there's a
23 couple more of them that were actually below what
24 Manitoba Hydro experienced as load growth, correct?

25 MR. JOHN TODD: Yes.

1 MR. ANTOINE HACAULT: And next we can
2 see after the actuals a bunch of coloured lines, but
3 some of them are black dotted lines. The one with the
4 longer dashes, which is darker, my understanding is
5 that that's the reference. Below that, Diana. That
6 one, yeah.

7 That would be the first NFAT load
8 forecast which was a bit higher than the dotted line
9 immediately under it, which is the revision to the load
10 forecast.

11 Is that also consistent with your
12 understanding, sir, that the new load forecast was
13 lower?

14 MR. JOHN TODD: Yes.

15 MR. ANTOINE HACAULT: And that's what
16 we're using kind of as a reference best estimate guess
17 going forward. Is that consistent with your
18 understanding?

19 MR. JOHN TODD: Yes.

20 MR. ANTOINE HACAULT: Now, my question
21 is -- we see on both sides of that some smaller dotted
22 lines. And we've just gone through the 10 percent/90
23 percent probability bandwidth. So those lines would
24 represent those probabilities that's referenced in the
25 graph.

1 Sir, do you see that at the bottom, the
2 very bottom of the graph, 10 percent probability point
3 and 90 percent probability point?

4 MR. JOHN TODD: Yes, and I'm -- I think
5 those are on the original forecast?

6 MR. ANTOINE HACAULT: Yes.

7 MR. JOHN TODD: Yeah.

8 MR. ANTOINE HACAULT: So am I correct
9 to understand that this cone would actually be wider if
10 it wished to express the 2.5 percent and 97.5 percent
11 uncertainty, which matches more with Hydro's actual
12 experience?

13 MR. JOHN TODD: The -- the cone would
14 be wider if you wanted to have a larger confidence
15 interval, the range between the bottom and the top.

16 MR. ANTOINE HACAULT: And my suggestion
17 to you, building up on the numbers that I showed you,
18 sir, is if we wanted to achieve the same confidence
19 level that Manitoba Hydro hopes to achieve in its ten
20 (10) year metric, which is a 10 percent confidence, in
21 the range, we'd have a wider cone, correct?

22

23 (BRIEF PAUSE)

24

25 MR. JOHN TODD: If you're taking a -- a

1 range which is equivalent to the target as -- as
2 opposed to the rese -- as -- as opposed to the past
3 experience on average, yes, you would have a wider
4 cone.

5 MR. ANTOINE HACAULT: Okay. I guess I
6 may have to actually go back to -- to the --

7 MR. JOHN TODD: To that --

8 MR. ANTOINE HACAULT: -- graphs,
9 because the -- I appreciate you, sir, if you wanted the
10 target, but the -- the graphs, and we went through this
11 with the Board, we actually saw four (4) or five (5)
12 years out of the twenty (20) years where the 10 percent
13 target was not met. It -- the range was actually wider
14 than 10 percent.

15 MR. JOHN TODD: Yes, and I'm not -- I'm
16 being a little bit semantic with you. I'm not
17 disagreeing with the wider range. In fact, that's our
18 recommendation that we should be using more extreme
19 tests and that would be consistent with the
20 recommendation and the evidence.

21 MR. ANTOINE HACAULT: Okay. Now,
22 there's one (1) final line which goes down and this
23 fits in fairly nicely with -- with your testimony. We
24 don't know how wide the cone would be with a 2 1/2
25 percent and 97 1/2 percent. I guess we can plot it now

1 that we've got this new information in Exhibit 103.

2 We see that the final line with the
3 dashes and the dots, which are the lowest load, on the
4 bottom left-hand side of the graph it indicates that
5 that's four (4) time DSM.

6 Do you see that, sir?

7 MR. JOHN TODD: Yes.

8 MR. ANTOINE HACAULT: So keeping in
9 mind your caveat that four (4) times DSM might not be
10 achievable, because we don't actually have a plan in
11 front of us to show well how are we doing to get there,
12 would it be appropriate to use that as a stress test?

13 And if the plans did well with that kind
14 of low load for growth -- growth it would give us a
15 pretty good idea of how the plans are fairing, even
16 with that kind of DSM -- and that theoretical DSM and
17 that theoretical reduction in load?

18 MR. JOHN TODD: Certainly to the extent
19 that four (4) times DSM is not out of the question.
20 It's -- it's useful information to see what the
21 implication of that would be.

22 MR. ANTOINE HACAULT: So I understand
23 your que -- your answer to be, Yes. It provides us a
24 useful metric because we don't know exactly where that
25 reference line is going to go. You explained that.

1 There's a whole bunch of un -- sudden and unpredicted
2 events that may happen.

3 But the thing we do want to make sure we
4 have in this hearing, I would suggest, sir, is that
5 we've got our cone wide enough so that we can look at,
6 for example, Plan 14 and say, If the world changes, and
7 this is our world, we're not expecting it, is it going
8 to be really bad news for Manitobans or is it still
9 pretty much okay.

10 Is that a fair way to proceed, sir?

11 MR. JOHN TODD: Yes. Anything that is
12 being considered that may be part of the plan. And as
13 I understand it, the 4 percent -- or sorry, four (4)
14 times DSM is on the table as something being
15 considered, you should understand the implications of
16 that.

17 Is it something that's significant? Is
18 it -- would that, if achieved, change the required
19 timing of the -- the Development Plan, the -- the
20 elements of it, or would it actually move you to a
21 different Development Plan. That's obviously important
22 information to the extent the four (4) times DSM is on
23 the table.

24 MR. ANTOINE HACAULT: Thank you. The -
25 -there's a couple short other areas that I'd like to

1 deal with, sir, and the first one that you identified
2 is, "System flexibility."

3 MR. JOHN TODD: Yes.

4 MR. ANTOINE HACAULT: And that's
5 discussed in various parts of your report. My
6 understanding of your message is that it's important to
7 have enough flexibility in the system to accommodate
8 load growth, and that might include major new
9 industrials, correct?

10 MR. JOHN TODD: Correct. The
11 flexibility includes things you can do in the future,
12 as well as what you have in place.

13 MR. ANTOINE HACAULT: So you'd
14 mentioned in your testimony, sir, that one (1) of the
15 potential new entrants, or some of the potential new
16 entrants would be the pipelines, correct?

17 MR. JOHN TODD: Yes. The TCL pipeline.

18 MR. ANTOINE HACAULT: Did you
19 investigate, or have you seen on the record Manitoba
20 Hydro's estimate of the new load that this would add to
21 the system?

22 MR. JOHN TODD: The information is the
23 record. I don't recall the number but, yes, it's --
24 it's there. I assumed that that number is correct. I
25 have not investigated it in the sense of verifying it,

1 but I have -- I am aware of some of the plans around
2 the -- the pipeline, and it's an oil pipeline partly
3 conversioned from natural gas. It makes sense to me,
4 put it that way.

5 MR. ANTOINE HACAULT: And based on your
6 knowledge of the system as presently designed, it would
7 be able to accommodate that new load.

8 And may I suggest to you, even choosing
9 any of the plans in front of this Board, that load
10 could be accommodated?

11 MR. JOHN TODD: Yes. We've been
12 looking at reserve capacity, and we see the reserves
13 there versus the 12 percent target, which I think was
14 approved by the Board a number of years ago. Without
15 going below the 12 percent, the new loads could be
16 accommodated. If it going by -- below the 12 percent
17 reserve, you'd be able to accommodate the new loads.

18 MR. ANTOINE HACAULT: Now, there was
19 also some discussion when talking about major customers
20 that there was a perception, and I think it was Dr. --
21 or I'm going to say Mr. Houldin who had talked about
22 this, that industrials may be inclined not to advise
23 Manitoba Hydro of potential load reduction or
24 shutdowns.

25 MR. JOHN TODD: I think it was my

1 comment actually but --

2 MR. ANTOINE HACAULT: Okay.

3 MR. JOHN TODD: -- yes.

4 MR. ANTOINE HACAULT: And, sir, my
5 understanding is that Mr. Friesen of Hydro is
6 responsible for those top consumers.

7 Did you ask Mr. Friesen whether or not
8 over the last twenty (20) years he's had any instances
9 where the top consumers weren't forthright with
10 Manitoba Hydro under their confidentiality agreements?

11 MR. JOHN TODD: No, I didn't, and I
12 would also emphasize that those comments were based on
13 my experience with what other clients have said.
14 Manitoba Hydro is not my client. We haven't had those
15 discussions. I haven't done their load forecasting.
16 So that was not a comment on the MIPUG members, per se.
17 Frankly, it was a comment on what the experience has
18 been in other jurisdictions.

19 MR. ANTOINE HACAULT: Okay. And I
20 would suggest to you, given the very confidential
21 nature which has been discussed in prior testimony
22 here, Mr. Friesen actually explaining that some of the
23 representatives of Hydro had to be different for the
24 consumers -- or the big customers.

25 That those customers have a very good

1 relationship with Manitoba Hydro, and have been
2 providing it with the best information they have about
3 their business plans.

4 You don't have anything to suggest
5 otherwise, sir?

6 MR. JOHN TODD: No. On that basis, I
7 would laud both Manitoba Hydro and the MIPUG members
8 for being more forthright than is common across Canada.

9

10 (BRIEF PAUSE)

11

12 MR. ANTOINE HACAULT: Now, the last
13 point that I just want to have a brief discussion with
14 you on is your advice in your presentation and in your
15 report with respect to how to deal with risk and
16 building major new infrastructure.

17 The presentation, as you started, sir,
18 recorded I think quite accurately that Manitoba Hydro
19 is planning on new generation not solely on the basis
20 of need of Manitobans, but based on opportunities that
21 they see arising in the export market.

22 Is that fair, sir?

23 MR. JOHN TODD: Yes. I would
24 characterize the plan as being building what will
25 become, after the existing contracts, merchant

1 generation, which is building for export revenues.

2 MR. ANTOINE HACAULT: And am I correct
3 in your -- in my understanding, sir, that given a host
4 of reasons explained in your report including
5 uncertainty about technology, grid parity, things of
6 that nature, that your view is that it's prudent to be
7 a bit more careful about how we look at advancing
8 Conawapa and making a decision on Conawapa at this
9 point?

10 MR. JOHN TODD: Perhaps I've been
11 around too long, but I'm a great believer in mitigating
12 risk. And there's significant risk and uncertainty
13 there.

14 The quantification of is important to
15 determine how much mitigation is necessary, and that's
16 in coming parts of IEC evidence. It's not within our
17 mandate to follow that through to quantify the risk in
18 dollar terms.

19 MR. ANTOINE HACAULT: And if we look at
20 Manitoba Hydro Exhibit 104-8, we don't -- this is a
21 revised table, economic table, that Manitoba Hydro
22 provided. And you had a fairly lengthy discussion with
23 Mr. Williams as to grid parity, and that grid parity
24 and other items might result, based on your binder of
25 documents, in lower energy prices.

1 Do you recall that discussion?

2 MR. JOHN TODD: Yes.

3 MR. ANTOINE HACAULT: So that -- am I
4 correct in understanding that one (1) of the things
5 that you're suggesting this Board pay attention to, and
6 we don't have all the financial information yet, but
7 with respect to the economic information, they should
8 pay attention to the risk of low energy prices and how
9 the plans are faring under low energy prices.

10 Is that fair, sir?

11 MR. JOHN TODD: Yes. In looking at the
12 quilt, just to confirm, I think what you're saying is
13 that it's actually laid out quite nicely if you're
14 thinking about energy prices because energy prices are
15 the first item there.

16 So the top third of the quilt is low
17 prices, the middle third is the reference price, the
18 bottom third is high prices. As you would expect, all
19 plans go from lighter red to green as you go from lower
20 prices to higher prices. This is -- a big part of this
21 plan is exporting power, so higher prices make
22 everything better.

23 When you look at 14, K19/C25 at 750
24 megawatts, low prices you see dominantly red unless you
25 get into a low-discount rate and low capital cost. And

1 it's predominantly red in that low energy price part of
2 the quilt, moving to -- everything's profitable when
3 you have high export prices. And I must -- just to
4 make sure the panel's completely clear on where --
5 where I've come from on this, on one level, the load
6 forecast doesn't matter. It doesn't matter because the
7 only difference in load forecast is how much you
8 export.

9 If the load forecast is domestic load,
10 the load is lower than expected, you increase exports.
11 If your exports are profitable, that's probably a good
12 thing. If your domestic load is high, you're going to
13 lose money because you have less exports at a high
14 price.

15 At a low price your plans depend upon
16 exports. And if you have low demand, then it matters.
17 If your alternative -- if low demand, such as grid
18 parity, flat growth, were to come to pass, yes, you'll
19 be exporting your power, but you'll be exporting it at
20 a low price. And that's exactly what we see here. The
21 quilt underlines that comment. A low price makes the
22 plans -- and all the way across makes the plans less
23 economic.

24 And the larger the capital investment,
25 the bigger the problem you have with low prices.

1 That's a risk that you may want to mitigate.

2 MR. ANTOINE HACAULT: And so am I
3 correct in suggesting to you, sir -- or is it fair to
4 suggest to you, rather, that if we're building for
5 opportunity as opposed to strictly for Manitoba need,
6 that there might be a different perspective that needs
7 to be taken with respect to risk and risk mitigation?

8 MR. JOHN TODD: And that's outside the
9 scope of load forecasting evidence. But from a broader
10 perspective, what I do, I'd say, yes, the greater the
11 risk, the more you need to consider mitigation.

12 MR. ANTOINE HACAULT: Thank you, sir.
13 Members of the panel, those were my questions. And I'm
14 proud to tell Mr. Hombach that I was under my hour
15 estimate. And thank you very much, Mr. Houldin and Mr.
16 Todd.

17 MR. SVEN HOMBACH: And I will concede
18 that point on the record, Mr. Hacault.

19 THE CHAIRPERSON: Just to make sure
20 that we complete the discussion we've just heard,
21 Conawapa, you indicated the importance of mitigation.

22 But that could include signing firm
23 export contracts with counterparties in the US,
24 couldn't it?

25 MR. JOHN TODD: The firm export

1 contracts give you a firm price for the duration of a
2 contract. One of the -- now, again, we're going a
3 little bit beyond my mandate, but it's logical
4 questions to follow.

5 Looking in the longer term, if you
6 assume that at the termination of existing contracts
7 that there will be new firm contracts at a similar
8 price -- that's an assumption; it's not a fact -- and
9 low price -- a period of low price would affect firm
10 contracts as well as spot prices.

11 So to me, in looking at a low price
12 scenario you're saying that once the existing contracts
13 expire, there will be a new firm price. I'm sure
14 you've got evidence on the record around that. That
15 new firm price may be lower than the existing firm
16 price. In the scenarios, when I talk about low price
17 scenarios, that would affect both firm and -- and non-
18 firm prices.

19 So signing contracts or planning to sign
20 firm contracts does not mitigate the risk. Having a
21 firm contract that goes out forty (40) or fifty (50)
22 years would mitigate that risk.

23 MR. SVEN HOMBACH: Mr. Chairman, I was
24 advised earlier that neither of the MMF nor MKO have
25 any questions for this panel. I'd just like them to

1 confirm this, not having had the opportunity to listen
2 to the testimony this morning.

3 MR. GEORGE ORLE: On behalf of MKO,
4 yes, that is correct, no questions.

5 MR. COREY SHEFMAN: On behalf of the
6 MMF, any questions that we did have were already asked.
7 Thank you.

8 MR. SVEN HOMBACH: That only leaves two
9 (2) remaining parties to cross-examine: Manitoba Hydro
10 and myself. I note that it is almost 10:30, Mr.
11 Chairman, so this might be an opportune time to take a
12 break.

13 THE CHAIRPERSON: I agree with you, Mr.
14 Hombach. Thank you.

15

16 (BRIEF PAUSE)

17

18 THE CHAIRPERSON: Ten (10) minutes.

19

20 --- Upon recessing at 10:24 a.m.

21 --- Upon resuming at 10:41 a.m.

22

23 THE CHAIRPERSON: I believe that
24 everyone's in position. So we would prepare to resume
25 proceedings. So, Ms. Boyd, please.

1 MS. MARLA BOYD: Thank you. Can you
2 hear me okay? We have a very small book of documents
3 that's been circulated, and I hope its size will
4 indicate that I'm hoping to make this short and
5 painless for everyone. I believe the next Manitoba
6 Hydro exhibit is 158.

7 Is that right?

8 MR. KURT SIMONSEN: That's correct.

9 MS. MARLA BOYD: Thank you.

10

11 --- EXHIBIT NO. MH-158: Book of documents

12

13 CROSS-EXAMINATION BY MS. MARLA BOYD:

14 MS. MARLA BOYD: Good morning,
15 gentlemen. My questions are for both or either of you.
16 So feel free to chime in as you -- as you see fit. I
17 want to start just with a couple of clarification
18 items.

19 In the response to PUB/ERA-9, which,
20 Diana, maybe if you could bring that up for me? It's
21 PUB Exhibit 41, page 34. PUB Exhibit 41, page 34.
22 It's PUB/ER -- Elenchus number 9. I was calling it
23 ERA.

24

25 (BRIEF PAUSE)

1 MS. MARLA BOYD: There we go. This is
2 the IR that we looked for yesterday, you'll recall. In
3 the -- the beginning of this response, you say:

4 "Manitoba Hydro suggests that it
5 expects 10 percent of residential
6 customers will switch to space --
7 electric space heat."

8 Are you aware that that's in reference
9 to a scenario analysis that was referenced on page 54
10 of the 2013 load forecast?

11

12 (BRIEF PAUSE)

13

14 MR. JOHN TODD: I recall that
15 discussion. I think that perhaps initially we thought
16 that was your expectation.

17 MS. MARLA BOYD: And you understand now
18 that that's a reference to a scenario rather than the
19 projections in the 2013 load forecast?

20 MR. JOHN TODD: Perhaps the wording, I
21 think, was -- I think we had read some wording which
22 said, This trend is driving growth. So maybe it wasn't
23 that exact number, but my understanding was that the
24 evidence stated that switching is a driver of growth.

25 MS. MARLA BOYD: And you understand

1 that now to be a sensitivity, that the forecast does
2 not expect 10 percent of residential customers to
3 switch to space -- electric space heat?

4 MR. JOHN TODD: I went through this a
5 couple months ago in doing the IR response, but let me
6 put it this way: subject to check, yes.

7 MS. MARLA BOYD: Thank you.

8 MR. JOHN TODD: I'll go back and review
9 my thoughts on that.

10 MS. MARLA BOYD: All right. Thanks.

11 MR. JOHN TODD: Okay.

12 MS. MARLA BOYD: The other item not...

13

14 (BRIEF PAUSE)

15

16 MS. MARLA BOYD: I picked the wrong
17 chair in the middle of two (2) mics, I guess. Is that
18 better?

19 As a minor clarification, yesterday you
20 mentioned that customers had a choice between forced
21 air gas furnaces and electric baseboard heaters.

22 Do you recall that?

23 MR. JOHN TODD: Yes, I recall saying
24 that.

25 MS. MARLA BOYD: And are you aware that

1 in Manitoba the most -- more common installation for
2 electric heat involves central forced air furnaces?

3 MR. JOHN TODD: Yes, I was too quick in
4 responding just off general experience.

5 MS. MARLA BOYD: Thank you. So some of
6 the benefits you described of central heating are
7 available regardless of fuel choice?

8 MR. JOHN TODD: Yes.

9 MS. MARLA BOYD: I want to just look
10 for a minute at your response to PUB/Elenchus number 6,
11 which is page 1 of the book of documents if you want to
12 refer to it. You note in that response that there's a
13 downward trend in immigration numbers in 2012 and 2013?

14 MR. JOHN TODD: Yes.

15 MS. MARLA BOYD: And you indicate that
16 -- it's on line 21 and 22, that it's not an empirical
17 study but it shows that a slowing down of migration is
18 expected by Citizenship and Immigration Canada. Do you
19 see that?

20 MR. JOHN TODD: In the short term at
21 least, yes.

22 MS. MARLA BOYD: Do you have any
23 document in which they make such a statement, or are
24 you just concluding that based on the short-run
25 information there?

1 MR. JOHN TODD: Just based on the
2 information provided.

3 MS. MARLA BOYD: Would that kind of
4 trend also be consistent with a cap being placed on
5 Manitoba's Provincial Nominee Program?

6 MR. JOHN TODD: Yes. I mean, clearly
7 these trends are driven largely by policy -- or not
8 largely. Certain policy has an input to these -- to
9 these factors, and certainly we cannot predict policy
10 in the future.

11 MS. MARLA BOYD: And are you able to
12 comment on what impact the July to September 2013 job
13 action by Canadian Professional Association of Foreign
14 Service Officers tend to have on immigration numbers
15 during 2013?

16 MR. JOHN TODD: No.

17 MS. MARLA BOYD: Is it possible that
18 that could account for part of the 2013 decline?

19 MR. JOHN TODD: Certainly possible.

20 MS. MARLA BOYD: Are you aware that
21 Manitoba Hydro -- sorry, that Manitoba's immigration
22 numbers for the post strike third quarter of 2013 were
23 actually higher than the same period in 2012?

24 MR. JOHN TODD: Sorry, you were
25 speaking quickly. I caught -- I missed part of that.

1 MS. MARLA BOYD: Yes, I was asking if
2 you're aware that the Manitoba immigration numbers for
3 the post strike third quarter of 2013 were actually
4 higher than the same period in 2012.

5 MR. JOHN TODD: Not specifically, no.

6 MS. MARLA BOYD: So your evidence
7 references the first two (2) quarters in 2013, and you
8 haven't reviewed it since then?

9 MR. JOHN TODD: That's correct.

10 MS. MARLA BOYD: On page 10 of your
11 report, I think it begins at the bottom of page 9, you
12 disagree with Manitoba Hydro for forecasting the number
13 of people per residential customers that will remain
14 constant.

15 MR. JOHN TODD: Yes.

16 MS. MARLA BOYD: Your evidence is that
17 the number has actually been declining and has now
18 began to trend upwards?

19 MR. JOHN TODD: Yes. And it almost --
20 I'd almost say you should retract the word 'criticism'.
21 We comment on. You know, is -- is it flat? That's a
22 very simple assumption. Those kinds of comments feed
23 into the sensitivity analysis more than saying it's the
24 wrong assumption. One could argue for
25 increasing/decreasing flat, so I'm not saying it's a

1 bad assumption but it probably isn't going to be flat.

2 MS. MARLA BOYD: Well, yesterday when
3 you looked at Manitoba Hydro's rebuttal evidence you
4 referred to page 9, and the charts that were on -- on
5 that page. I think it's coming up.

6 MR. JOHN TODD: Yes.

7 MS. MARLA BOYD: And you commented on
8 what I think you described as an error in our -- our
9 evidence, where the scale of the graph was such that it
10 showed a linear regression in one (1) case and not in
11 another.

12 MR. JOHN TODD: I did not refer to it
13 as an error. I referred to it as putting these graphs
14 together, if you didn't look carefully at the scales
15 one could misinterpret the message. I was just making
16 sure that people looked at the scale and so it wasn't
17 misinterpreted.

18 MS. MARLA BOYD: And your evidence was
19 if the graphs was replotted using the same scale as the
20 graph on the lower part of the page, that the trend
21 line would be essentially flat. Is that right?

22 MR. JOHN TODD: Yes. If you look at
23 the lower graph, yeah, there's a -- you can see a
24 slight decline. There might be a similar slight
25 increase using the other graph. The assumption of flat

1 would be roughly perhaps the average of the two (2).

2 MS. MARLA BOYD: So you'd essentially
3 be dis -- be agreeing with Manitoba Hydro that the
4 relationship between population of residential
5 customers shows no strong upward or downward bias?

6 MR. JOHN TODD: We can agree, yes.

7 MS. MARLA BOYD: Thank you. I'm a bit
8 like some of the other lawyers in the room, fast and
9 perhaps mumbling.

10 MR. JOHN TODD: We now have adequate
11 time, so there's no --

12 MS. MARLA BOYD: Yes, I'm not in a
13 rush. The other issue that you raised yesterday at
14 page 4813 of the transcript was the issue of a 2008
15 recession and the subsequent changes in the North
16 American economy.

17 Are you able to comment on how
18 Manitoba's experience compared with that of Canada and
19 the US?

20 MR. JOHN TODD: It would be -- to
21 start, Canada and the US were quite different in terms
22 of the impact. Canada had a much lesser impact. I
23 have not looked specifically at the impact on the
24 Manitoba economy in any sort of detail, but between
25 looking at Canada and a little bit of regional

1 consequences and, should we say, the consequences for
2 Manitoba Hydro, it looks reasonably consistent with the
3 rest of Canada, which is must less of an impact than in
4 the United States, for example. But other than that,
5 that's as far as I could go.

6 MS. MARLA BOYD: So you aren't -- you
7 haven't looked at and aren't able to identify any key
8 factors that would indicate that the recession caused
9 any permanent structural changes in Manitoba?

10 MR. JOHN TODD: We don't know that yet.

11 MS. MARLA BOYD: I want to turn to the
12 forecasts and your -- your comments on the forecast.

13 MR. JOHN TODD: I just add -- just add,
14 a closer analysis would also not tell you that. I
15 mean, we -- it would be harder to predict what the
16 long-term structural impact will be in Manitoba than it
17 would be for Canada as a whole. And economists --
18 analysts are still trying to figure that out and are
19 guessing in both directions in -- for Canada as a
20 whole. So I have no doubt that there would be dispute
21 and unclear conclusions for Manitoba.

22 MS. MARLA BOYD: Thanks for that.
23 Turning to forecast by sector, page 16 of your
24 evidence, you note that the residential load forecast
25 results have not been the cause of significant error.

1 Is that right?

2 MR. JOHN TODD: Correct.

3 MS. MARLA BOYD: And you also conclude
4 that the general service mass market forecast has, in
5 recent experience, not been subject to significant
6 error?

7 MR. JOHN TODD: Correct.

8 MS. MARLA BOYD: And the area of
9 concern that's focussed on in your report is the top
10 consumers. Is that fair?

11 MR. JOHN TODD: That's the greatest
12 source of historic uncertainty.

13 MS. MARLA BOYD: And you describe that
14 as a consistent over-forecasting of load.

15 Do you recall that?

16 MR. JOHN TODD: I think I specified a
17 time period in there. No, it wasn't consistently over-
18 forecasting, but within the recent years it was
19 consistent over-forecasting. But that, of course,
20 relates to the lagged effect that I was referring to
21 earlier today.

22 MS. MARLA BOYD: I'm sorry, the what
23 effect?

24 MR. JOHN TODD: The lagged effect of
25 the years.

1 MS. MARLA BOYD: You actually referred
2 to the past five (5) years in your evidence, do you
3 recall?

4 MR. JOHN TODD: Yes.

5 MS. MARLA BOYD: So that's the period
6 from 2008/'09 to 2012/'13?

7 MR. JOHN TODD: Precisely.

8 MS. MARLA BOYD: And that would also be
9 the time that we're talking about where the country
10 experienced a major recession?

11 MR. JOHN TODD: Yes.

12 MS. MARLA BOYD: And are you aware of
13 the evidence of Manitoba Hydro, that periods of
14 recession tend to result in over-forecasts and periods
15 of growth tend to result in under-forecasts?

16 MR. JOHN TODD: Yes, and I agree. And
17 that's why my comments were around the possibility, not
18 a guarantee, a possibility that there has been a
19 structural change in the way our economy's growing.
20 And that's the debate going on right now, is have we
21 gone into a new era of lower growth. And, essentially,
22 Manitoba Hydro is accepting the view that this is a
23 temporary -- just part of the usual cycles and
24 everything will be going back to normal in the long
25 run.

1 I'm cautious about that because that's
2 what Ontario and Ontario Hydro and people were saying
3 in 1990 in Ontario. Ontario has gone through
4 structural change, and we saw a permanent change in --
5 particularly around industrial activity, that our
6 industrial loads shifted permanently in Ontario.

7 I'm not predicting the same for
8 Manitoba. I'm not -- that's not my mandate, to project
9 your future economy, but I'm saying that those kinds of
10 shifts are possible. That's the thrust of the
11 evidence.

12 MS. MARLA BOYD: Understood. Thanks.
13 You also say in your response to MIPUG/Elenchus number
14 1 that Manitoba Hydro has as good a handle on short-
15 term forecast of these -- being top consumers -- as can
16 be expected.

17 Is that correct?

18 MR. JOHN TODD: Based on discussions
19 with Manitoba Hydro in the constrained pseudo
20 Information Request process, I'm convinced that, yes,
21 you do know your top consumers and you probably have as
22 good a handle as I could get if I was doing the job.

23 MS. MARLA BOYD: I think I'll take that
24 as high praise, thanks.

25 So with respect to the top consumers,

1 would you agree it's appropriate to have some component
2 in the load forecast to capture some -- an anticipated
3 future growth?

4 MR. JOHN TODD: In a scenario analysis,
5 one of those scenarios, you certainly capture load
6 growth.

7 MS. MARLA BOYD: What about in the
8 forecast itself?

9 MR. JOHN TODD: As a short-term
10 forecast, there is more information that would point in
11 the direction of increases -- for example, the pipeline
12 -- than there is of any closures. I don't know your
13 industrial -- your top consumers in detail. But in the
14 absence of any additional information, certainly
15 there's more information pointing up than down in the -
16 - say, the next five (5) years.

17 I do -- at the same time, I -- as I've
18 expressed, I do have concerns that the sensitivity
19 analysis which says one (1) more top consumer or one
20 (1) less top consumer may not capture the range of
21 possibilities over the next ten (10) to twenty (20)
22 years, which comes back to -- the key thrust is: What
23 are the risks that we need to consider and mitigate?

24 MS. MARLA BOYD: And are you aware that
25 the actual average growth for this sector over the past

1 twenty (20) years is 92 gigawatt hours per year?

2 MR. JOHN TODD: Yes. I think I went
3 through those numbers yesterday. I rounded down to
4 ninety (90).

5 MS. MARLA BOYD: Will you accept my 92
6 gigawatt hours per year?

7 MR. JOHN TODD: Yeah. That's more --
8 more precise. Precise is good. And I believe in your
9 forecast it's -- a hundred --

10 MS. MARLA BOYD: Yes.

11 MR. JOHN TODD: -- is the assumption
12 going forward, which is a little higher than your past
13 history.

14 MS. MARLA BOYD: That's right. And for
15 the purposes of a base forecast, would you accept that
16 that's reasonable?

17 MR. JOHN TODD: I always like round
18 numbers, so yes.

19 MS. MARLA BOYD: With respect to the
20 issue of grid parity, is it fair to define that at the
21 point -- as the point at which the alternative
22 generation sources have become economic?

23 MR. JOHN TODD: Yes. And to define
24 that, that's economic -- when you're talking about
25 versus the utility. It's economic in comparison to the

1 full cost recovery of grid power.

2 MS. MARLA BOYD: I was going to word it
3 that capital and operating costs of the alternative
4 would be equal to the cost of the hydroelectric supply.

5 Would you agree with that?

6

7 (BRIEF PAUSE)

8

9 MR. JOHN TODD: Price is not
10 necessarily the same as capital and operating costs
11 except in a cost-of-service environment. And the rest
12 of the world is not in a cost-of-service environment,
13 so it's -- you know, there's pricing strategies,
14 there's subsidy programs, you know, government programs
15 for a variety of reasons if what a customer is going to
16 have to pay for the alternatives to grid power is
17 equivalent to what they have to pay for grid power.

18 All those factors taken into account,
19 then you've got good parity.

20 MS. MARLA BOYD: I should have been
21 more specific. I did intend it to mean the customer's
22 capital and operating costs compared to the cost of a
23 hydroelectric supply.

24 MR. JOHN TODD: Right, which may be --
25 and the customer's capital and operating costs could

1 actually be charged on a monthly basis or something
2 else if a service provider is doing it with financing.

3 And there are co-ops that have been
4 around for many years, for example, that -- that do the
5 financing to bring in renewable energy on a small scale
6 and so that the actual customer pays a fixed price over
7 ten (10) years, rather than the capital costs and
8 operating costs.

9 MS. MARLA BOYD: Your experience with
10 markets would suggest that there won't be a sudden
11 wholesale change whereby all customers leave the grid,
12 correct?

13 MR. JOHN TODD: 'Sudden' being within a
14 couple of years. The change we're talking about is
15 over five (5) years, maybe decades, rather than year to
16 year.

17 MS. MARLA BOYD: And that -- that's
18 because the -- for the customer, the benefits of
19 leaving need to outweigh the cost of acquiring and
20 operating the new generation source?

21 MR. JOHN TODD: No, that's because
22 every customer's different and people react
23 differently. If, universally, alternatives were
24 cheaper than grid power, it would still take time for
25 people to switch. People have busy lives. They don't

1 all switch as something is economic.

2 MS. MARLA BOYD: So they -- they have
3 to weigh the opportunities competing for their dollars?

4 MR. JOHN TODD: Yeah. For example, the
5 -- the common expectation would be if somebody is
6 building a -- a new development, a new industrial
7 complex, he's going to look at alternatives and they're
8 going to adopt the least-cost alternative. Somebody
9 who's renovating is going to be looking at least-cost
10 alternatives. If you're not in that mode, very few
11 people will actually implement a lower-cost alternative
12 on a retrofit basis unless the saving is very
13 significant.

14 Often, with -- with renewables, for
15 example, you talk about a -- a two (2) year payback.
16 It's a very high threshold for making a capital
17 investment to retrofit.

18 MS. MARLA BOYD: You've mentioned a
19 couple of times in your evidence and in your testimony
20 the move to the competitive industry by the telecom
21 industry. And you discussed the fact that that move
22 away from a -- a monopoly commenced in the 1980s or
23 1990s.

24 Is that right?

25 MR. JOHN TODD: In the 1990s, yes.

1 MS. MARLA BOYD: So that was about
2 twenty-five (25) years ago?

3 MR. JOHN TODD: Yes.

4 MS. MARLA BOYD: And today we have a
5 competitive market for telephones and we still have a
6 significant number of customers that have landlines in
7 their homes and their businesses, correct?

8 MR. JOHN TODD: Yes, us -- us old folks
9 have landlines and our children have cell phones.

10 MS. MARLA BOYD: I guess I'm old. Have
11 you reviewed the details of the Level 2 DSM that's
12 included in the analysis provided by Manitoba Hydro in
13 Exhibit 104?

14 MR. RUSS HOULDIN: Not -- not in any
15 great detail, no.

16 MS. MARLA BOYD: Are you aware that
17 Level 2 DSM includes consideration of low displacement?

18 MR. RUSS HOULDIN: No, I don't -- I
19 think you've just made me aware of that.

20 MS. MARLA BOYD: Okay. Fair enough.
21 That would be one (1) means by which Manitoba Hydro
22 could account for some customer self-generation.

23 Is that fair?

24 MR. RUSS HOULDIN: Yes. Yeah, that
25 would certainly be one -- one (1) means of the load

1 displacement.

2 MS. MARLA BOYD: Mr. Todd, you
3 commented yesterday on the sensitivity stress test that
4 Manitoba Hydro performed in Chapter 10 of its
5 submission, regarding the impact of low load growth on
6 economics, the Preferred Plan, and related plans.

7 Do you recall that?

8 MR. JOHN TODD: Yes.

9 MS. MARLA BOYD: Your evidence
10 suggested that Manitoba Hydro needs to consider more
11 extreme possibilities in the load growth scenarios?

12 MR. JOHN TODD: More extreme
13 possibilities, in my view, are possible and should be
14 considered.

15 MS. MARLA BOYD: Could I ask you to
16 turn to page 3 of the book of documents, which is
17 Exhibit 14, Chapter 10, of Manitoba Hydro's submission.

18

19 (BRIEF PAUSE)

20

21 MS. MARLA BOYD: And I just want to
22 walk through a few of the numbers with you if you'll
23 bear with me. Looking at the 2028/'29 year, can you
24 confirm that the load growth has been reduced between
25 the 2012 base forecast and the 2012 low load forecast

1 by 2,118 gigawatt hours? I'm sorry, '27/'28.

2

3 (BRIEF PAUSE)

4

5 MS. MARLA BOYD: We've gone from a
6 deficit of seventeen twelve (1,712) to a -- in the low
7 load a surplus of two seventy-two (272)?

8 MR. JOHN TODD: Where are we?

9 MS. MARLA BOYD: You know what, I think
10 --

11 MR. JOHN TODD: I'm missing --

12 MS. MARLA BOYD: -- Mr. Wojczynski is
13 misleading me. I'm looking at the surplus deficit in
14 2028/'29.

15 MR. JOHN TODD: '28/'29, yeah.

16 MS. MARLA BOYD: Which is a deficit of
17 2,197 gigawatt hours?

18 MR. JOHN TODD: Yes, that's in the 12 -
19 - 2012 load forecast, right. Okay. I'm with you.

20 MS. MARLA BOYD: That's right. And
21 when we look at the '27 -- sorry, 2012 low load
22 forecast the deficit is 79 gigawatt hours?

23 MR. JOHN TODD: You know, the 10th
24 percentile you're referring to there, yes. Okay. Yes.
25 Yes. Yes. Okay.

1 MS. MARLA BOYD: So the difference
2 there is 2,118 gigawatt hours?

3 MR. JOHN TODD: Yes, good arithmetic.

4 MS. MARLA BOYD: Lawyers doing math
5 again. And then if we turn to the next page which is
6 from -- again, from Exhibit Manitoba Hydro 14.

7 This is from the 2013 load forecast?

8 MR. JOHN TODD: Yes.

9 MS. MARLA BOYD: And I'll just take you
10 down to '28/'29 again.

11 MR. JOHN TODD: Yes.

12 MS. MARLA BOYD: That indicates a
13 difference of 1,012 gigawatt hours of reduction between
14 the 2012 and 2013 load forecast?

15 MR. JOHN TODD: It's a change in the
16 forecast, yes.

17 MS. MARLA BOYD: Yes. And if you look
18 at the '27/'28 year it's a reduction of 968 gigawatt
19 hours?

20 MR. JOHN TODD: Yes.

21 MS. MARLA BOYD: And the next page in
22 our book of documents is from Manitoba Hydro Exhibit 85
23 -- sorry, 89.

24

25 (BRIEF PAUSE)

1 MS. MARLA BOYD: Would you agree with
2 me, subject to check, that the -- the new DSM Level 3
3 is equal to approximately four-and-a-half (4 1/2) or
4 five (5) times the previous level of DSM? That's
5 comparing the seven seventy-three (773) to the thirty-
6 five forty-six (3,546)?

7 MR. JOHN TODD: Yes.

8 MS. MARLA BOYD: And would you agree,
9 again subject to check if you prefer, that the total
10 reduction in comparing the 2012 evaluations and the
11 2013 evaluations is 3,741 gigawatt hours for the year
12 '27/'28?

13 MR. JOHN TODD: I'll accept that,
14 subject to check.

15 MS. MARLA BOYD: And if we roll that
16 all together, can you confirm that the DSM Level 3
17 evaluation is approaching double the energy reduction
18 associated with a low load growth scenario? In other
19 words, the thirty-seven forty-one (3,741) is 177
20 percent of the twenty-one eighteen (2,118).

21 MR. JOHN TODD: Yes, relative to the
22 10th percentile low load growth scenario.

23

24 (BRIEF PAUSE)

25

1 MS. MARLA BOYD: Thank you, gentlemen.

2 Thank you, Mr. Chair. That concludes our questions.

3 THE CHAIRPERSON: Thank you, Ms. Boyd.

4 Before we -- before we -- before I turn the microphone
5 over to Mr. -- to Mr. Hombach, I just wanted to have a
6 discussion around grid parity with you again because
7 you raised the issue now, and I want to put a little
8 more meat on that bone.

9 Beyond what was contained in the -- in
10 the speech from the -- from the Ontario official, have
11 you got anything else that you can point to in terms of
12 documents that the panel might be able to read that
13 explore that subject more deeply?

14 MR. JOHN TODD: As an undertaking, I
15 can provide you with either a thick binder or a list of
16 website -- web links to a number of reports, some of
17 which are academic, some of which are agencies that say
18 -- have had staff collecting this information and the
19 direction is from credible sources, like not every
20 newspaper clipping. So it's all studies and so on.

21 In addition there's a few links which --
22 which talk about the technologies which may lead to --
23 to grid parity; that's more speculative. I referred to
24 one (1) yesterday in the direct evidence. So, yes, I
25 can do that and as -- as much as you want.

1 Which way would you like it?

2 THE CHAIRPERSON: I think a link would
3 be fine. If you could send us some links, and what you
4 perceive to be the more credible ones and the ones that
5 are based on some research, that would be quite useful.

6 But can you tell us, Does those include
7 some idea of what -- at what price level that that
8 might occur?

9 MR. JOHN TODD: Yes. Most of the work
10 that's been done is in the US, and there is some
11 articles that talk about where grid parity will come
12 first because it talks about the -- the grid price in
13 different jurisdictions. And it talks about -- and the
14 grid parity tends to be a relatively consistent price
15 across the country. So parity is reached at different
16 times, usually based on the utility price not on the --
17 the cost alternatives.

18 There are articles that cover that. And
19 what I'm going to suggest is I will provide you our
20 summary of the evidence, it's about five (5) or six (6)
21 pages, summary -- a summary of what's out there as
22 studies, and it would -- and a set of links so you can
23 read -- which you can read at your leisure.

24 THE CHAIRPERSON: But following that
25 through, the extent to which Manitoba Hydro's price is

1 lower than the grid parity price, that would mean
2 Manitoba Hydro will -- will be less impacted than would
3 be the case for a region where the prevailing price is
4 higher than the grid parity price. Would -- would
5 that...

6 MR. JOHN TODD: What the -- what the
7 literature is saying is that essentially the grid price
8 is tending, if anywhere, slightly up. There are some
9 counteracting forces, like Smart Grid, that may be
10 getting greater efficiency out of the grid but that may
11 have some downward pressure on the price of -- of grid
12 power.

13 But in general it's sort of seen --
14 being seen as being flatter up whereas the cost of the
15 alternatives is coming down. So you can think of it as
16 -- as a graph where -- simplistically think of it as
17 different jurisdictions have a price of grid power at
18 different levels.

19 As the price of alternatives come down
20 over time, they will hit the grid parity level in
21 different jurisdictions at different points in time.
22 As you are well aware, there's many jurisdictions where
23 there are incentives related to renewable generation
24 and so on. In -- in some cases those incentives relate
25 to going off grid.

1 So that reduces the price in those
2 jurisdictions of the alternatives to grid power. And
3 therefore, the crossing point is hit even earlier. So,
4 for example, there's a -- a recent study out of
5 California which is talking about, for certain
6 technologies that are subsidized, that there was a
7 decline in grid parity with a subsidy. But the amount
8 of subsidy required is -- is disappearing.

9 And in fact...

10

11 (BRIEF PAUSE)

12

13 MR. JOHN TODD: The California study
14 that I think CAC circulated, is that on the record?
15 Sorry?

16 MR. BYRON WILLIAMS: I believe it may
17 be CAC Exhibit 45-10. We only put in an excerpt, so
18 I'm not sure which pages.

19 MR. JOHN TODD: Ah, okay.

20

21 (BRIEF PAUSE)

22

23 MR. JOHN TODD: Interestingly, when
24 that was circulated, I reviewed it in advance and I
25 anticipated different pages as being used. There is a

1 section in there on -- on self-generation. So this is
2 California. And I'm just recalling...

3

4 (BRIEF PAUSE)

5

6 MR. JOHN TODD: Perhaps you can throw
7 this on the screen. I think you see, you've got sort
8 of a scan process.

9

10 (BRIEF PAUSE)

11

12 MR. JOHN TODD: So this is an
13 illustration looking at PV solar insulation costs and
14 subsidies. And you'll see the top part of the graph is
15 looking at residential, the bottom part non-
16 residential. It's got a median project cost and a
17 median project subsidy. And you can see there -- and
18 this is history, of course.

19 You can see there that there's a trend
20 of declining median project costs in both residential
21 and non-residential. And as a result, the median
22 project subsidy is declining. It is still above zero.
23 But if you extrapolate those lines that you -- you
24 would say were not too many years away from the median
25 project subsidy hitting zero.

1 And one of the points they make in the
2 discussion is that there are already places where,
3 aside from the median, the actual project subsidy for
4 some projects has reached the point where it's economic
5 without a subsidy, which is grid parity and that as the
6 years go by, the -- the median will hit that point
7 where no subsidy is required very soon, is the way it
8 appears. And as we go out more and more years, go out
9 a decade, that median project subsidy line will become
10 below the zero point, which means it's economically
11 beneficial.

12 So just through a -- a simple
13 extrapolation we can say you will reach grid parity,
14 and it's becoming increasingly economic every year to
15 install PV. Similar lines can be drawn for -- for
16 other alternative technologies. And this is part of a
17 discussion of what they refer to as self-generation
18 forecasts, which is self-generation being going off
19 grid.

20 Now, it -- there are -- there are some
21 solar installations which are simply an alternative to
22 generation and are actually feeding into the grid.

23 Similarly, in terms of micro-grids, like
24 small-scale localized grids, there are two (2) types.
25 One type is going off grid. The other type is actually

1 a micro-grid that -- that is interconnected and feeds
2 into the grid. Sometimes what you've got is -- is --
3 they're being paid for the power they put in the grid
4 and paying for power coming off.

5 A key -- in -- in my reading, a key
6 aspect of the going off grid is that you need storage
7 as well as generation so that you can match your
8 consumption to -- you've got power when you need it.

9 And so a big part of going off grid is
10 actually the future of storage costs, which is where I
11 referred to the fuel cell option as a -- as an off-grid
12 technology because a fuel cell does not require
13 storage. It has its storage 'cause it responds to
14 demand by producing more power when it's needed, and
15 it's using in a sense -- well, basically natural gas
16 would -- could be a fuel for a fuel cell operation.

17 MR. SVEN HOMBACH: Mr. Todd, if I can
18 interject. Would it be possible to make the document
19 that you're showing to the panel an exhibit so that the
20 parties can follow it if they're reading the
21 transcript?

22 MR. JOHN TODD: Absolutely. And should
23 the full document be made an exhibit so people can read
24 the text around the diagram, as well?

25 MR. SVEN HOMBACH: I will leave that up

1 to you and your counsel, but I would ask that if you're
2 specifically referring to excerpts on the record, that
3 at minimum those would be made an exhibit.

4 MR. JOHN TODD: And I think -- well,
5 obviously we have a full copy. Yes, we'll make that
6 available, and --

7 MR. CHRISTIAN MONNIN: I -- I wouldn't
8 mind earning my keep a little bit here. It is 175
9 pages. We have no problems producing it as the next
10 exhibit. I think for the benefit of the transcript,
11 however, we'll mark this document as Elenchus number 7.

12 MR. KURT SIMONSEN: Correct.

13

14 --- EXHIBIT NO. ERA-7: Excerpts from report

15

16 MR. CHRISTIAN MONNIN: And we can then
17 mark the whole document as Elenchus number 8, and we'll
18 provide that tomorrow morning.

19

20 --- EXHIBIT NO. ERA-8: Complete report

21

22 MR. SVEN HOMBACH: Thank you, and good
23 morning. Mr. Todd, before I get started there is one
24 (1) other administrative matter. The court reporter
25 has asked that we clarify the undertaking that you gave

1 to the Chairman earlier.

2 And if I have it correctly it was an
3 undertaking to provide the Board with a summary of grid
4 parity literature as well as links to those
5 literatures.

6 MR. JOHN TODD: Correct.

7

8 --- UNDERTAKING NO. 94: Elenchus to provide a
9 summary of grid parity
10 literature and links to
11 those literatures. And
12 consult with other IECs
13 responsible for the future
14 price at MISO and try to
15 get some input from them as
16 to what would be an
17 appropriate assumption
18 around the longer-term
19 pricing under a sort of
20 zero growth continentally
21 scenario

22

23 CROSS-EXAMINATION BY MR. SVEN HOMBACH:

24 MR. SVEN HOMBACH: Now --

25 MR. JOHN TODD: It is -- it is a

1 summary of selected items from the literature. The
2 literature is vast.

3 MR. SVEN HOMBACH: You noticed that I
4 avoid the -- using the word 'exhaustive', but I'll
5 accept that clarification.

6 MR. JOHN TODD: Exhausting.

7 MR. SVEN HOMBACH: Mr. Todd, you're
8 aware that the time frame for analytical purposes on
9 the NFAT is seventy-eight (78) years, correct?

10 MR. JOHN TODD: Yes.

11 MR. SVEN HOMBACH: And as a more well-
12 read man that I, actually Mr. Ryall sitting next to me
13 recently told me, just to put this in perspective, the
14 time between man's first flight and the time when man
15 landed on the man was only sixty-six (66) years, so
16 twelve (12) years less than that point.

17 You're prepared to agree with my very
18 basic lawyer math?

19 MR. JOHN TODD: Yes, I have great faith
20 in your support there.

21 MR. SVEN HOMBACH: So conceptually
22 then, the -- the short- to medium-term risk that this
23 panel has to consider can be very different in nature
24 than the long-term risk, looking out over the seventy-
25 eight (78) year time frame, correct?

1 MR. JOHN TODD: Yes.

2 MR. SVEN HOMBACH: And having had the
3 benefit of your evidence now, is it fair to
4 characterize your view as the biggest short-term risk
5 being the unpredictability of top consumer growth?

6 MR. JOHN TODD: Yes.

7 MR. SVEN HOMBACH: And the biggest
8 long-term risk would be the risk of structural changes,
9 the known unknown, that cannot currently be predicted?

10 MR. JOHN TODD: Yes.

11 MR. SVEN HOMBACH: So to put that risk
12 into perspective and to establish some sort of a
13 material threshold, are you prepared to accept, subject
14 to check, that one (1) year of load growth equals about
15 413 gigawatt hours in Manitoba?

16 MR. JOHN TODD: At the present time,
17 yes.

18 MR. SVEN HOMBACH: And in contrast, the
19 annual dependable energy from Keeyask would be about
20 3,000 gigawatt hours per year?

21 MR. JOHN TODD: Yes.

22 MR. SVEN HOMBACH: And Mr. Hacault
23 previously put a document up on the record. It's
24 Manitoba Hydro Exhibit 106. And Ms. Villegas had asked
25 that we put it up on the record again.

1 (BRIEF PAUSE)

2

3 MR. SVEN HOMBACH: Sorry, Exhibit 103.

4 Exhibit 103 was the table that shows the 5 percent
5 probability and the 95 percent probability with respect
6 to load forecasts. And let's just look at the bottom
7 of that chart for a moment, 2032/2033.

8 MR. JOHN TODD: Yes.

9 MR. SVEN HOMBACH: Again, by my very
10 simple math, the difference between the 5 percent
11 probability and the 95 percent probability is about
12 6,000 gigawatt hours, correct?

13 MR. JOHN TODD: Yes. A little lower,
14 yeah.

15 MR. SVEN HOMBACH: And just looking at
16 ten (10) years out, and since this chart only goes to
17 2032/'33, let's just pick 2022/'23, and there the
18 difference is about 4,000 gigawatt hours per year?

19 MR. JOHN TODD: Yes.

20 MR. SVEN HOMBACH: But if I heard you
21 correctly, your concern is that these probability
22 distributions might have a much longer tail if you
23 cannot currently fully understand or predict.

24 Is that fair?

25 MR. JOHN TODD: The probability

1 perspective is using past history to say, Here's the
2 probability of a certain cone of error and our
3 confidence interval. That approach inherently assumes
4 that the future will be the -- essentially the same or
5 similar to the past, and that rules out the impact of
6 structural changes.

7 MR. SVEN HOMBACH: And yesterday you
8 had suggested an alternative scenario that Manitoba
9 Hydro should analyze. But I'm -- I'm just wondering if
10 you can narrow yourself down on -- on where you see a
11 threshold of materiality for actually being concerned
12 in the long run.

13 Is a 6,000 gigawatt hour per year a
14 variation of concern to you in the long term?

15 MR. JOHN TODD: It is not the variation
16 in the load forecast that concerns me, and I don't
17 think that should concern the panel. It's the
18 financial consequences of that. And so the level of
19 deviation or error in the load forecast that is of
20 concern is the load forecast that creates financial
21 difficulties.

22 As I've said, as -- and -- and that's a
23 combination of the load and the export price. So you
24 have to look at those two (2) together to identify
25 those risks. So, no, I cannot give you a -- a load

1 variation that triggers in itself a concern.

2 MR. SVEN HOMBACH: Because that's just
3 one isolated variable among export prices --

4 MR. JOHN TODD: It's --

5 MR. SVEN HOMBACH: -- and financial
6 concerns.

7 MR. JOHN TODD: What this analysis
8 cares about is the financial consequences, and it's a
9 driver of the financial consequences.

10 MR. SVEN HOMBACH: Let's go to Manitoba
11 Hydro Exhibit 156 for a moment.

12

13 (BRIEF PAUSE)

14

15 MR. SVEN HOMBACH: You recall the
16 discussion surrounding this scenario yesterday, Mr.
17 Todd? And Manitoba Hydro gave some evidence on a
18 scenario that assumed flat load growth in Manitoba, a
19 750 megawatt line being constructed, Keeyask, and
20 existing and new contracts being extended into the
21 future.

22 And then Manitoba Hydro was discussing
23 the NPV that would result?

24 MR. JOHN TODD: Yes.

25 MR. SVEN HOMBACH: But if I heard you

1 correctly yesterday, sir, your concern was that if you
2 had flat load growth in Manitoba due to grid parity,
3 for example, there likely would be a similar effect in
4 the United States. Do I have that right?

5 MR. JOHN TODD: Yes, as I was
6 discussing with the panel a few minutes ago, grid
7 parity -- if the cause of no load grow -- no load
8 growth is grid parity, that is a continental, if not
9 worldwide, phenomenon.

10 MR. SVEN HOMBACH: So just to think
11 about this at a high conceptual level right now and in
12 terms of Manitoba Hydro's exports, there's two (2)
13 types of exports.

14 There's the firm contracts and there's
15 exports at opportunity prices?

16 MR. JOHN TODD: Correct.

17 MR. SVEN HOMBACH: If you're assuming
18 flat load in the United States, opportunity prices
19 presumably would be impacted by the lack of load growth
20 in the States?

21 MR. JOHN TODD: Yes. The -- many US
22 jurisdictions will hit grid parity before Manitoba
23 Hydro would because their prices are higher. Their
24 grid power prices are higher. So it would be a
25 phenomenon which would be larger in the US. And the

1 effect of a system with built supply and declining
2 demand is prices go down.

3 MR. SVEN HOMBACH: Okay. And to extend
4 that line of thinking to the firm price contracts,
5 these are not contracts that are in perpetuity?

6 MR. JOHN TODD: Correct.

7 MR. SVEN HOMBACH: Would you expect
8 that there also would be a trickle-down effect to the
9 ability to either obtain new firm price contracts or to
10 obtain favourable pricing under those firm contracts if
11 opportunity prices were affected?

12 MR. JOHN TODD: Exactly. The -- when
13 lower prices mean lower firm prices at the time of
14 renewing contracts or, in fact, if there is a firm -- a
15 firm contract with Manitoba Hydro for other utilities
16 in the States is a last resort. They're going to use
17 their own resources first.

18 So if in a world of flat or declining
19 demand they have adequate resources, they will not be
20 looking to Manitoba Hydro for new firm contracts. So,
21 yes, there's a possibility of challenges in -- in
22 obtaining new firm contracts except at a very low price
23 that is low enough for the counterparty to actually
24 stop operating their own capacity. But certainly you
25 would have a lower -- you would expect to have a lower

1 contract price for firm power as well as opportunity
2 sales.

3 MR. SVEN HOMBACH: Okay. Ms. Villegas,
4 does the Board have an electronic version of
5 yesterday's transcript that we could put up on the
6 screen? Could we go to page 5,006 of the transcript,
7 please?

8

9 (BRIEF PAUSE)

10

11 MR. SVEN HOMBACH: Let's scroll down to
12 page -- sorry, to line 12 through 18. Just to recap,
13 Mr. Todd, that was the evidence by Manitoba Hydro
14 yesterday. It's Mr. Wojczynski speaking, and he's
15 providing a description of that scenario that we walked
16 through. And that scenario assumes that uncommitted
17 dependable contracts, meaning future firm price
18 contracts, are sold at forecast prices rather than
19 recently negotiated prices.

20 So -- so that particular scenario
21 discussed yesterday assumes that you can renew firm
22 contracts at future opportunity prices projected by
23 Manitoba Hydro's six (6) forecasters.

24 Is that the way you interpret it, as
25 well?

1 MR. JOHN TODD: I -- it's unclear
2 whether the forecast price being referred to is the
3 future price of opportunity sales of the future
4 forecast for firm contracts.

5 MR. SVEN HOMBACH: So assuming it is
6 opportunity sales, would that meet your qualifications
7 for a scenario that Hydro should analyze, assuming that
8 you can get firm contracts renewed at future
9 opportunity prices? Or let me -- perhaps let me
10 explain where I'm going.

11 If you're assuming flat load growth in
12 the States, presumably you're assuming that the six (6)
13 forecasters might be wrong because they also have not
14 taken structural effects into account?

15 MR. JOHN TODD: Correct.

16 MR. SVEN HOMBACH: Where would that
17 leave your recommendation for running a new scenario
18 that assumes flat load growth in the States?

19 MR. JOHN TODD: That concern is why as
20 part of the undertaking I indicated that I would
21 consult with the other IECs as appropriate, in
22 particular those responsible for the price -- future
23 price at MISO who I think were on the stand earlier
24 this week, and try to get some input from them as to
25 what would be an appropriate assumption around the

1 longer-term pricing under a sort of zero growth
2 continentally scenario. That was my intention.

3 MR. SVEN HOMBACH: So as part of your
4 undertaking then you will give some thought to both the
5 firm export component and the opportunity export
6 component?

7 MR. JOHN TODD: I will as of now. But
8 when I say, "I will give some thought," I do not have
9 the expertise to talk about what the price --

10 MR. SVEN HOMBACH: Right.

11 MR. JOHN TODD: -- would be under that
12 scenario. So I will give some thought in the sense of
13 speaking to the other -- the relevant IECs --

14 MR. SVEN HOMBACH: You'll consider the
15 issue, and then just take it into account in your
16 discussion.

17 MR. JOHN TODD: Provide that as IEC
18 evidence, or an IEC suggestion. So it will be an IEC
19 undertaking response, not a John Todd or Elenchus
20 response.

21 MR. CHRISTIAN MONNIN: Mr. Hombach,
22 this -- that isn't a new undertaking? It's just
23 building upon the original undertaking?

24 MR. SVEN HOMBACH: That's the way I
25 would interpret it as well, Mr. Monnin.

1

2 CONTINUED BY MR. SVEN HOMBACH:

3

MR. SVEN HOMBACH: Now, Mr. Todd, in
4 terms of the load forecast you raised some very high
5 level issues yesterday like, for example, the
6 known/unknown. And you also raised some specific
7 concerns that you referred to as details yesterday.
8 You recall that phraseology?

9

MR. JOHN TODD: Yes.

10

MR. SVEN HOMBACH: And I very briefly
11 want to take you through some of those details just to
12 see where they fall in terms of the threshold of
13 materiality for NFAT purposes as opposed to, let's say,
14 a General Rate Application.

15

And a good starting point for that would
16 be the population forecasts. Now, earlier this morning
17 I referred to a new PUB exhibit, PUB Number 64, and I'd
18 ask that be put up on screen.

19

Mr. Todd, I'm -- I'm not sure if you're
20 aware of that but Board counsel actually requested by
21 way of undertaking that Manitoba Hydro file the most
22 recent population forecasts available.

23

MR. JOHN TODD: I was not aware of that
24 but I am now.

25

MR. SVEN HOMBACH: And I can indicate

1 to you those were filed as Manitoba Hydro Exhibit 93.
2 And what you're looking at in front of you is a Board
3 advisor prepared chart that juxtaposes the population
4 growth assumed in the NFAT with the population growth
5 based on the newest forecast filed by Manitoba Hydro as
6 Exhibit MH-93.

7 And you can see that, going out to 2034,
8 there's a bout a thirty-four thousand three hundred
9 (34,300) person difference.

10 You're prepared to accept that, subject
11 to check?

12 MR. JOHN TODD: Yes. And if I'm
13 understanding it correctly, what was built into the
14 NFAT Application was the red line, the 2013 line, and
15 the update is the 2014 line which is not built into the
16 analysis.

17 MR. SVEN HOMBACH: Correct. And
18 looking at the grey chart on the bottom right, that
19 attempts to carry it through and translate that into a
20 change in the annual load. And what you can see is the
21 population number has been reduced.

22 Manitoba Hydro's average household size
23 and average customer demand has been taken into
24 account, and based on that we've established a total
25 reduction of about 197 gigawatt hours?

1 MR. JOHN TODD: I'll accept that,
2 subject to check.

3 MR. SVEN HOMBACH: Okay. And I
4 appreciate Manitoba Hydro has not seen this chart, so
5 Manitoba Hydro may disagree with those numbers. But --

6 MR. JOHN TODD: Then I'll accept
7 subject to Manitoba Hydro's check.

8 MR. SVEN HOMBACH: But -- but assuming
9 that we're looking at about 200 gigawatt hours per
10 year, would you consider that to be a material issue of
11 concern for the NFAT?

12 MR. JOHN TODD: Yes. And the important
13 element here is that is a change in what should be used
14 as the base case forecast, and it's a significant
15 change over the timeframe of the -- of the Development
16 Plan. And, of course, the load forecast only goes out
17 twenty (20) years. The analysis is going out much
18 further.

19 So if you continue to extrapolate that
20 differential it would be of -- even more significant as
21 you go out through the rest of the term of the
22 analysis.

23 MR. SVEN HOMBACH: And it's your
24 concern that if you get a different 2034 starting
25 point, that might just change it even further over the

1 seven (7), eight (8) year timeframe?

2 MR. JOHN TODD: Yes. It means in 2044
3 and '54 and '64 this projection would suggest, as a
4 base case, you're going to have much lower population,
5 therefore, much lower residential demand. And, of
6 course, a lower residential demand flows through to a
7 lower commercial demand because they are related,
8 right. The -- the mass market builds on the
9 residential. The only one that's really dealing from
10 that is the industrial.

11 MR. SVEN HOMBACH: Now, you also raised
12 issues of household size. And My Friend, Ms. Boyd,
13 took you through the regressions in Manitoba Hydro's
14 rebuttal earlier this morning.

15 You recall that?

16 MR. JOHN TODD: Yes.

17 MR. SVEN HOMBACH: Let's go to PUB
18 Exhibit 58-2, page 13. Have you had an opportunity to
19 see this chart at all?

20 MR. JOHN TODD: I -- this precise one?
21 I don't think so.

22 MR. SVEN HOMBACH: Okay.

23 MR. JOHN TODD: I've seen similar ones,
24 but it's --

25 MR. SVEN HOMBACH: This is a Board

1 advisor prepared chart that I took Manitoba Hydro
2 through. And that just assumes a recalculation of
3 demand based on an increased household size of two
4 point nine three (2.93) compared to the two point seven
5 seven (2.77) that we just discussed.

6 And Manitoba Hydro did not fully accept
7 those numbers. I'm -- I'm just putting it to you to
8 determine the sensitivity and the impact of changes in
9 household size. And let's scroll down to the bottom of
10 that document.

11 You see that, by our math, the change in
12 annual consumption going from two point seven seven
13 (2.77) to two point nine three (2.93) would be about
14 126 gigawatt hours per year.

15 Are you prepared to accept that math,
16 subject to check?

17 MR. JOHN TODD: Yes.

18 MR. SVEN HOMBACH: Again, would you
19 consider that to be a material issue for NFAT purposes
20 or is that below the threshold of materiality?

21 MR. JOHN TODD: It's material but let
22 me add -- add a context. What we have in this process
23 is many, many variables that go into the analysis and,
24 if not, most of those variables have been changing
25 through this process. If it were not for the time

1 constraint and this were a conventional proceeding --
2 more conventional proceeding, we'd probably be saying
3 re-file everything that's the base case with the -- the
4 latest numbers that we see as the base case.

5 So when you talk about something
6 material, in itself, even if it's not material, when
7 you put all the changes together, much -- a bunch of
8 small changes can add up to one (1) big change.

9 So I'm a little uncomfortable saying
10 it's material or not material because something that
11 seems immaterial in isolation may actually be material
12 when you add it to all the other changes because many
13 of these changes may be pushing in the same direction.

14 MR. SVEN HOMBACH: The German saying
15 for that, Mr. Todd, is Kleinvieh macht auch MistApril
16 3, 2014, which means small animals produce manure, as
17 well. And see I did get my farm -- I did get my farm -
18 - I did get my farm reference in.

19 MR. JOHN TODD: And I've spent some
20 time on --

21 THE CHAIRPERSON: I think you should
22 spell that --

23 MR. JOHN TODD: -- on chicken prices
24 and have gone to chicken farm, and, yeah, the -- the
25 small animals do produce as much manure as a cow.

1 CONTINUED BY MR. SVEN HOMBACH:

2 MR. SVEN HOMBACH: I will not take you
3 through those subjects today, rest assured. So let's
4 spend a moment on the -- the heating and cooling
5 adjustment, Mr. Todd, and let's go to PUB Exhibit 41.
6 And go to page 37 of that document.

7 That's the response that you provided by
8 way of an Information Request from the PUB. And in
9 your report you discuss some of the issues you took
10 with Hydro's sensitivity coefficients for heating
11 adjustment and cooling adjustment.

12 And just to explain the chart that we're
13 looking at, the blue line is the fairly steady heating
14 adjustment. The red line is the cooling adjustment
15 where there's a lot of variation over the past twenty
16 (20) years.

17 Do you see that?

18 MR. JOHN TODD: Yes.

19 MR. SVEN HOMBACH: And you'd expressed
20 some concern with the -- the methodology. And you, in
21 fact, suggested we should perhaps look over a longer
22 time frame than two (2) years?

23 MR. JOHN TODD: Yes.

24 MR. SVEN HOMBACH: Let's go to Manitoba
25 Hydro Exhibit 106.

1 (BRIEF PAUSE)

2

3 MR. SVEN HOMBACH: I appreciate you may
4 not have seen this before either, but I put the
5 question to Manitoba Hydro on -- on what the average
6 range of the adjustment for cooling would be and
7 Manitoba Hydro indicated it was about 99 gigawatt hours
8 a year. So 100 gigawatt hours give or take.

9 Again, in terms of a threshold of
10 materiality, where do you see that fit?

11

12 (BRIEF PAUSE)

13

14 MR. JOHN TODD: Because we're looking
15 over longer term the bouncing around, if you want, of
16 the degree-day adjustment should kind of average out
17 and shouldn't in itself be a concern. But I would flip
18 back to the cumulative effect of small impacts. It --
19 it may be that -- well, con -- conceptually, any errors
20 in your adjustment to degree-day cooling or heating
21 should have no impact.

22 My one (1) concern is if you take the
23 last two (2) years of experience and use a -- a
24 volatile number to plug it into the base case going
25 forward and it -- it could tilt the line in terms of

1 your base case, volume and growth, which flips back to
2 the earlier chart you -- you showed us.

3 MR. SVEN HOMBACH: But overall, this is
4 more of a procedural concern than an outcome based
5 concern?

6 MR. JOHN TODD: Yeah. You'd want to
7 check the sensitivity and make sure that the changes
8 from year to year are not skewing the base case load
9 line twenty (20) years down the line. And I still have
10 that concern that it may actually be doing that if
11 you're using a -- a weather adjustment for the last --
12 the -- just based on the last couple of years of data,
13 because that could lead to a -- an unstable weather
14 correction.

15 And a different -- a different weather
16 adjustment is going to give you a different starting
17 point. And if you're looking over a small number of
18 years it could give you a -- give you a different slop
19 of the line. And therefore, when you -- you go out
20 it's -- it's different.

21 The fact that it's volatile, if you
22 weather adjust using different weather adjustments over
23 the past several years, if you're talking about a -- a
24 ten (10) year time line, it -- it should sort of cancel
25 out and you end up with the regression line being not

1 significantly affected. But I can't guarantee that.

2 MR. SVEN HOMBACH: So all -- overall,
3 the issues we just discussed range between about 100
4 and 200 gigawatt hours per year. And let's contrast
5 that with the concern you raised about price elasticity
6 in -- in the long-term. And again, let's go to PUB
7 Exhibit 58-2.

8

9 (BRIEF PAUSE)

10

11 MR. SVEN HOMBACH: And I apologize to
12 Ms. Villegas for making her work very hard this
13 morning. And let's go to page 92 of that document.

14 Have you seen that chart before, Mr.
15 Todd? And again, I appreciate you may not have. This
16 was just put into evidence during the examination of
17 the Manitoba Hydro panel on load forecast.

18 MR. JOHN TODD: The -- the content
19 rings a bell. This diagram does not.

20 MR. SVEN HOMBACH: Right. What this is
21 is a chart that shows the projected escalation and the
22 average annual cost to heat a home that's heated with
23 electricity over time, based on Manitoba Hydro's 3.95
24 percent rate increase projections compared to the cost
25 of heating a home with gas based on AECO futures and an

1 escalation rate determined by ACF, who used to be a
2 consultant to Manitoba Hydro over time.

3 And Manitoba Hydro agreed that,
4 generally, this is in the ballpark and there is going
5 to be a further growth in the relative costs between
6 electric heat and gas heat over time.

7 MR. JOHN TODD: That's the forecast,
8 yes.

9 MR. SVEN HOMBACH: And you don't have
10 any reasons to disagree with the trend that shown on
11 this document?

12 MR. JOHN TODD: Again, I'm a strong
13 believer in how much confidence do you have in numbers.
14 I would just want to point out in that vein that the --
15 because Manitoba Hydro's rates are based on cost-of-
16 service calculation, not supply and demand. You're
17 probably going to come in close to that and it's going
18 to be driven by things like variations in the cost of
19 new plants.

20 And of course that will be driven in
21 part by what you actually do in terms of export
22 revenue, if you do better or worse, which is a market-
23 driven differential, and as well as water flow
24 differential.

25 For gas, I look back -- I do a lot of

1 work in that area. I look back over the projections on
2 gas prices going back from 2000, looking forward to
3 what we were expecting in 2005 and what the forecast
4 was in 2010 and 2014. There's much greater volatility
5 in the forward-looking forecast of gas prices.

6 So, yes, this is the consensus, sort of
7 in line with the consensus right now. It could look
8 very different a couple of years from now. Shale gas,
9 we know in the past -- I mean, shale gas has totally
10 transformed our expectation around gas prices.

11 An environmental problem with shale gas
12 that causes political intervention that cuts shale gas,
13 for example, would have a huge impact on the gas price.

14 MR. SVEN HOMBACH: So again, that's a
15 risk that you would call the known unknown. You can't
16 have full faith in the projections.

17 Let's go to the next page for a moment.
18 That's a very similar chart dealing with the cost of
19 water heating. And I assume your comments equally
20 apply to -- to the trend for water heat as they apply
21 to the trend for space heat costs.

22 MR. JOHN TODD: Yes.

23 MR. SVEN HOMBACH: Now, you tried to
24 draw the distinction yesterday between own-price
25 electricity and cross-price electricity, and --

1 elasticity. And I believe you said own-price
2 elasticity -- elasticity, that would be the price
3 elasticity related to the cost of electricity?

4 MR. JOHN TODD: Yes. It is the impact
5 on the quantity demand or consumption in response to
6 the electricity price, as opposed to the price of an
7 alternative energy source.

8 MR. SVEN HOMBACH: And cross-
9 elasticity, that would be the price, let's say, of gas
10 compared to the price of electricity?

11 MR. JOHN TODD: Well, the elasticity is
12 the impact of dema -- on demand of a price. So it
13 would be the impact of -- the price of natural gas on
14 electricity demand --

15 MR. SVEN HOMBACH: Right.

16 MR. JOHN TODD: -- would be cross-
17 elasticity.

18 MR. SVEN HOMBACH: So what we're
19 looking here with these two (2) charts that I just put
20 to you is a combination of both, correct?

21 You're looking at increasing electricity
22 prices, and you're looking at a diverging trend between
23 the electricity price and the gas price.

24 MR. JOHN TODD: Yes.

25 MR. SVEN HOMBACH: In your view, is

1 there any way to come up with a reasonable estimate on
2 the impact on future Manitoba load growth off these
3 trends?

4 MR. JOHN TODD: It would be appropriate
5 to use an own-price elasticity from observation in
6 other jurisdictions, presumably as similar as you can.
7 Since we do not have a history in Manitoba to go on to
8 come up with elasticity, to use elas -- an elasticity
9 estimate that is more realistic than zero and build
10 that into -- to the modelling and elasticities being --
11 being brought into play now. So you definitely want to
12 make sure that's included.

13 And, secondly, with the expected
14 differential between electricity and gas, yes, you
15 could look at that on the basis of driving on
16 conversion or adoption of gas for new construction.

17 The caution that I -- I advanced
18 yesterday was that the experience in other
19 jurisdictions are typically based on an electric
20 utility and a competitive gas alternative, which I know
21 from companies I work with, when you see a differential
22 such as we have here in 2014 versus 2008, the amount
23 that -- that a gas utility would spend on marketing
24 where the price differential is very small, such as
25 2008, would be peanuts 'cause they're not going to be

1 successful when there's not a price differential, with
2 the kind of differential you see in 2014 the would out
3 -- be out there with some very big savings estimates
4 based on current prices, and be very aggressively going
5 after customers.

6 We see that in particular with -- with
7 retailers, for example. I can just tell by what's
8 coming through my door and over the phone. When the
9 price differential is -- is large, you get retailers
10 coming and saying, You know, switch and buy my product.

11 MR. SVEN HOMBACH: So cross-elasticity
12 then isn't just the price of an alternative; it's also
13 how that alternative is marketed?

14 MR. JOHN TODD: Yes. The cross -- the
15 -- what you observe is driven by not just the price
16 differential but what's done with that price
17 differential. Now, in -- in most jurisdictions where
18 you have -- have competitive entities, you assume the
19 market works and that the competitors exploit price
20 differentials and therefore in markets that are
21 similar, in terms of -- of true competitors, you'd
22 expect to see a fairly consistent response.

23 The caution here is that you need to
24 make sure that there are -- that the same level of
25 aggression is being adopted in Manitoba if you're

1 trying to -- if you expect to get the same kind of
2 price response.

3 MR. SVEN HOMBACH: So in terms of
4 determining a worst-scenario based on elasticity, how
5 would you go about finding a comparable jurisdiction?

6 And specifically, would you just be
7 looking at a jurisdiction that has a private gas
8 utility and prices about twice as high as Manitoba
9 Hydro's?

10 MR. JOHN TODD: Yes. And this kind of
11 differential is -- is fairly common. So, I -- I mean,
12 I'm not sure what the numbers are in Ontario but, you
13 know, Ontario prices have been going up. Gas prices
14 are low. The -- in Ontario the -- the supply of gas is
15 -- is quite good, so we have a very liquid market. The
16 -- the Don Hub (phonetic) is extremely good pricing, so
17 we're seeing excellent gas prices relative to the
18 prices.

19 MR. SVEN HOMBACH: Are you aware of any
20 formulas for elasticity used by other jurisdictions,
21 including Ontario?

22 MR. JOHN TODD: It's not so much the
23 formula as what is, you know, the elasticity number.
24 But I don't have them in my head but, you know, they're
25 -- they're out there being -- being used. So with a

1 bit of research, we could come up with them.

2 MR. SVEN HOMBACH: If you have access
3 to them, perhaps I can ask for an undertaking to just
4 provide a summary of the numbers that are used.

5 MR. JOHN TODD: Okay. So that would be
6 an undertaking to identify cross-elasticities between
7 the differential between electricity and gas prices --

8 MR. SVEN HOMBACH: Correct

9 MR. JOHN TODD: -- or -- or cost. In
10 this case is water heating. Space heating, of course,
11 is a bigger use. So --

12 MR. SVEN HOMBACH: But I -- I'd like to
13 keep it a bit broader than that, Mr. Todd, just because
14 --

15 MR. JOHN TODD: Electricity --

16 MR. SVEN HOMBACH: -- sitting here you
17 presumably don't know how the number is being phrased,
18 whether it's simply based on the price differential or
19 on the heating cost differential.

20 MR. JOHN TODD: Okay. So electricity
21 consumption versus gas price.

22 MR. SVEN HOMBACH: Yes.

23 MR. JOHN TODD: Okay.

24 MR. CHRISTIAN MONNIN: So we've --
25 we've come to a line on that undertaking?

1 --- UNDERTAKING NO. 95: Elenchus to identify cross-
2 elasticities between the
3 differential between
4 electricity and gas prices
5

6 THE CHAIRPERSON: Mr. Todd, just a
7 question in relation to your earlier testimony about,
8 you know, Manitoba Hydro should be out there knocking
9 on doors and marketing gas heating.

10 Are there any clients of yours, or
11 anybody in Ontario that you know of, that is both an
12 electricity producer and a gas distributor?
13

14 (BRIEF PAUSE)
15

16 MR. JOHN TODD: There are -- in Ontario
17 we have many electricity distributors, about seventy-
18 five (75), that are municipal electric distributors.
19 And there are a couple of those municipalities have
20 their own gas utilities. Kitchener has a gas utility
21 as well as electric utility, and Kingston, for example.
22 And I believe Kingston Utility -- or Utilities Kingston
23 operates both the gas and electricity.

24 So they would be kind of a co-owner, but
25 other than that -- and that's very small scale. That's

1 serving one (1) community. But other than that -- and
2 you look across the country, there is no where else
3 where it's jointly owned. It used to be in -- in
4 British Columbia, but that's going back before it was -
5 - NBC Gas was split off from BC Hydro, but that's even
6 before my time regulations, twenty-five (25), thirty
7 (30) years ago.

8 So -- so basically we have lim -- very
9 limited experience with that.

10 THE CHAIRPERSON: I'm asking the
11 question because, you know, Manitoba Hydro has told us
12 in testimony before this panel that -- or maybe --
13 maybe it's in an earlier application, frankly.

14 But the point is that they -- they --
15 their stance is to be indifferent relative to the
16 customer's choice between electricity and gas.

17 MR. JOHN TODD: Right.

18 THE CHAIRPERSON: And I don't
19 understand why. I mean, it -- it would be like going -
20 - going to a bank and the bank would be encouraging you
21 to lock in your mortgage rate. They don't do that.
22 They simply say: These are the true product offerings.
23 You decide. You're a big boy, you decide.

24 So why would you advocate now that
25 Manitoba Hydro should be out there knocking on doors to

1 -- to make a choice between gas and electricity when if
2 -- if something goes wrong here, the client will say,
3 Well, Manitoba Hydro, you told me that I was going to
4 be getting a cheaper price here and look what happened
5 to me. I made the wrong decision. You're responsible
6 for the decision I made.

7 So why -- why would you then go say
8 Manitoba Hydro should be out there touting the
9 difference between the two (2) and saying, you know...

10 MR. JOHN TODD: First of all, it was
11 not my intent to advocate that they should. I was
12 pointing out -- the discussion came -- arose from the
13 comments around growing penetration in the electricity
14 side, or the way the load forecast was -- was done and
15 referring to Manitoba as 'unique'. I was pointing out
16 that the unique characteristic that affects the choice
17 between gas and electricity is that it's owned by one
18 (1) utility.

19 Because they are agnostic, that means
20 that, say, there's more power to the incumbent. You
21 know, few -- fewer people are going to -- going to
22 switch. And in addition, the -- it appears that --
23 that developers are not incented.

24 For developers, there's -- there's -- as
25 I mentioned yesterday, there's new development and

1 there's conversions. For new development, the capital
2 cost of building a gas heated house is higher than the
3 capital cost of building an electrically heated house,
4 in general. I mean, I looked at the details here and
5 it's a bit different. That's the general rule of
6 thumb.

7 Therefore, developers on a pure cost
8 basis prefer to build -- build an electric heated house.
9 Part of this concept -- the concept -- part of this concept
10 is split incentives. From a builder's perspective,
11 they want electricity, even when over life cycle gas is
12 going to be less expensive for the customer.

13 So from an economic -- from an economic
14 perspective you can argue they should be building gas
15 heated houses because it's going to be less expensive
16 for the homeowner, even taking into the -- the account
17 that they actually have to pay higher capital costs --
18 high -- a higher initial cost for the house because it
19 includes a more expensive heating system.

20 And that's why in other jurisdictions
21 there's not -- they're not agnostic between the two
22 (2). There's actually gas utilities going out and
23 providing incentives. Now -- so what's that mean for
24 Manitoba? It would be -- we're not going to reverse
25 the decision of years ago, that proceeding of the --

1 the acquisition of -- of Centra by Manitoba Hydro.

2 But it would be -- it would be a
3 reasonable policy for -- to remove that -- it's a
4 conflict. I mean, I -- you're -- what you're saying is
5 there's a conflict. And it would almost be
6 inappropriate for Manitoba Hydro, as the owner of both,
7 to come in and advocate one over the other without very
8 good policy grounds because, yes, the price of natural
9 gas could change and you could steer people to natural
10 gas and in ten (10) years from now they're paying more.

11 But if there were a separation of
12 responsibility, this is where you get into -- sometimes
13 you have models of ring fencing around different parts
14 of an operation of a company so that they will behave
15 as being competitive with each other in order to get
16 around the inherent, in a sense, market interference,
17 which what we've got is a structure that impedes the
18 normal competitive behaviour between gas and electric
19 companies.

20 Alternatively, you -- you take a model
21 and say, We need to be more proactive about the
22 information. So this kind of diagram, what's going
23 forward in the future is a view of the future. And the
24 -- Manitoba Hydro, without specifically recommending
25 something, could be more in the face of customers with

1 the information.

2

3 CONTINUED BY MR. SVEN HOMBACH:

4 MR. SVEN HOMBACH: Mr. Chairman, I will
5 only be twenty (20) more minutes. It's currently
6 twelve o'clock. But since there is a chance that we
7 may not need the afternoon session, may I just
8 continue?

9 Mr. Todd, let's try to -- to put some
10 numbers to the -- the comments that you just made to
11 the Chairman about the impact of switching. And a good
12 opportunity to do that is by looking at Manitoba
13 Hydro's fuel switching initiative.

14 Are you familiar with that program?

15 MR. JOHN TODD: Familiar may be
16 overstating it, but I'm aware of it, yes.

17 MR. SVEN HOMBACH: And it's my
18 understanding, and I'm hoping that Manitoba Hydro will
19 correct me if I'm wrong, that that is a program
20 directed to what Manitoba Hydro calls the southern gas
21 area to dissuade electric heating in new construction
22 or in retrofits.

23 And if we can go to Manitoba Hydro
24 Exhibit 122 for a moment.

25

1 (BRIEF PAUSE)

2

3 MR. SVEN HOMBACH: Sorry, Exhibit 122,
4 not 121.

5

6 (BRIEF PAUSE)

7

8 MR. SVEN HOMBACH: What I'm showing you
9 here, Mr. Todd, is an undertaking response from
10 Manitoba Hydro to a question I asked of the Hydro panel
11 that said, if you assumed that that initiative was a
12 hundred percent successful, just -- really just an
13 intellectual exercise --

14 MR. JOHN TODD: Yes.

15 MR. SVEN HOMBACH: -- it would have an
16 impact of about 903 gigawatt hours, according to
17 Hydro's response.

18 So compared to the other issues that you
19 took with Manitoba Hydro's methodology that we
20 discussed, is it fair to say that this would be about
21 an order of magnitude higher?

22 MR. JOHN TODD: Yes. And my
23 understanding is we're talking about one region of the
24 -- of the province.

25 MR. SVEN HOMBACH: The -- the southern

1 gas region only.

2 MR. JOHN TODD: So that also -- of
3 course, if you extended it to everywhere where there's
4 gas and if you looked at the potential for system
5 expansion, it could be much greater.

6 MR. SVEN HOMBACH: Right. And even if
7 you took people switching for price reasons, that's not
8 part of this consideration either?

9 MR. JOHN TODD: That's correct. This
10 is new build. This is not switching for existing
11 homes, as I understand it.

12 MR. SVEN HOMBACH: So -- so in your
13 view then with respect to residential demand, is the
14 choice between electricity and gas the single biggest
15 impact factor, or is there something else I'm missing?

16 MR. JOHN TODD: It is probably the
17 biggest known known, because basically we know what the
18 impact potentially could be. And we're not guessing at
19 what may happen through technological development in
20 the future, so this is, in a sense, an opportunity that
21 is sitting on the table to be exploited aggressively.

22 And the main constraint is, as the --
23 the Chair raised: What is it appropriate for Manitoba
24 Hydro to do in terms of steering customers one (1) way
25 versus the other? But, barring that consideration,

1 it's the biggest opportunity.

2 So, for example, to me, a utility such
3 as Manitoba Hydro that has both electricity and gas,
4 the focus of Manitoba Hydro, as a Crown corporation in
5 particular, is on serving the customer as cost
6 effectively as possible. Part of that would be making
7 sure the customer is choosing -- making the right fuel
8 choice.

9 And following through that logic, the
10 way to be the best -- provide the best service to
11 customers would be to say, We want to do everything we
12 can to keep people's energy bills down. The way to
13 keep their energy bills down, which is the sum of
14 electricity and gas, is to make sure that -- that we
15 help them adopt the -- the least expensive fuel.

16 And I think that in discussion with
17 people at Manitoba Hydro, they understand that and they
18 appreciate that and -- and believe in that.

19 But at the same time, looking at
20 marketing materials and so on, because of this need to
21 be agnostic, they are not achieving the kind of results
22 with economic fuel switching and economic penetration
23 rates that I believe would be achieved in a competitive
24 marketplace.

25 MR. SVEN HOMBACH: So then let's turn

1 to what you identified as the biggest impact short-term
2 factor, the top consumer load. And I'd like to turn
3 your attention back to PUB Exhibit 58-2. And let's go
4 to page 52 of the document.

5 Mr. Todd, that's an excerpt from the
6 2013 load forecast. And just to recap your earlier
7 evidence, I believe My Friend Ms. Boyd indicated that
8 top consumer growth over the past twenty (20) years has
9 been an average of 92 gigawatt hours.

10 You'd recall that comment?

11 MR. JOHN TODD: yes.

12 MR. SVEN HOMBACH: And for the future,
13 Manitoba Hydro is assuming a potential large industrial
14 load, or PLIL, or 100 gigawatt hours --

15 MR. JOHN TODD: Yes.

16 MR. SVEN HOMBACH: -- which is an
17 approximation of the growth over the past twenty (20)
18 years. If we look at this chart in front of you,
19 approximately one-third down the page you see something
20 called a ten (10) year weather-adjusted average growth.

21 Do you see that, left column?

22 MR. JOHN TODD: I see weather adjusted
23 below the 2012/2013, and then --

24 MR. SVEN HOMBACH: Right underneath
25 that, ten (10) year weather-adjusted average growth.

1 MR. JOHN TODD: Yes. Yes, yes. Got
2 it.

3 MR. SVEN HOMBACH: And if you go to the
4 right, to the top consumers, you'll see that over the
5 past ten (10) years that growth has actually only been
6 about 28 gigawatt hours per year.

7 MR. JOHN TODD: Yes, and Manitoba
8 Hydro's response is, if you look at the ten (10) years,
9 you're in effect giving greater weight to the 2008
10 events.

11 MR. SVEN HOMBACH: Well -- and your
12 comment yesterday was the distinction between assuming
13 that everything is back to normal or assuming that
14 there's been a fundamental shift.

15 So if there was a fundamental shift,
16 would the concern be that perhaps the twenty-eight (28)
17 would be a more reasonable approximation? Or where do
18 you see the potential worst-case scenario for top
19 consumers?

20 MR. JOHN TODD: Yes, and that's why in
21 the Elenchus evidence we emphasi -- we -- well, we note
22 the ten (10) year experience, which is much less
23 optimistic than the twenty (20) year average
24 experience.

25 MR. SVEN HOMBACH: But is that

1 something else you would characterize as a
2 known/unknown? You can't know whether there's been a
3 reset or whether things will return back to normal?

4 MR. JOHN TODD: On -- on issues like
5 this, it's -- it's a struggle in judgment to say,
6 Should we adjust our base case, or should we deal with
7 that through the sensitivity analysis?

8 Given my view of the world, which is I -
9 - I'm -- I buy into the concept that the future is
10 different. I mean, tho -- those -- I find that story
11 more credible than the rosy-eyed view I think is there
12 that says, It's going to be back to our wonderful
13 growth rates of post second World War.

14 So I would say as a base case that
15 something more like thirty (30) would -- would be a
16 more likely base case scenario, and that the higher,
17 the hundred (100), should be done through some of your
18 sensitivity analysis, or alternative growth.

19 Another view, which is a legitimate
20 argument, would be use hundred (100) as the base case
21 and the lower growth, thirty (30), should be an
22 alternative scenario. You can't ignore the possibility
23 that things haven't changed in the -- that much -- much
24 slower top consumer load growth is more likely.

25 The problem is in top consumer you don't

1 get a hundred (100), or twenty (20), or thirty (30) per
2 year. What you get is occasionally you have a large
3 industrial top consumer comes into the marketplace, and
4 sometimes they leave. We're dealing with a very small
5 number of -- of consumers. And, so inherently it will
6 be very volatile. It -- so the number will not be a
7 hundred (100). It will not be twenty-eight (28).

8 What is the best -- best view for a base
9 case? Twenty-eight (28) would be more conservative in
10 the sense of being -- expecting low growth, and the
11 whole concept of that estimate of an annual change in
12 consumer growth is to say, In the long run we believe
13 it's going to average out to something like that to get
14 to the right point twenty (20) years down the road.

15 Twenty (20) years down the road times a
16 hundred (100) is -- you take the hundred (100) times
17 twenty (20) is -- is two thousand (2,000). You take
18 that twenty-eight (28) -- say thirty (30) times twenty
19 (20) years which means it's six hundred (600). You
20 know, a significant difference.

21 MR. SVEN HOMBACH: So keeping in mind
22 the 5th and 95th percentiles that I already took you
23 to, and the 6,000 gigawatt hour variation assuming no
24 fundamental structural changes, you mentioned earlier
25 today that you were -- and I think I'm quoting you,

1 "A great believer in mitigation."

2 Do you recall that?

3 MR. JOHN TODD: Yes.

4 MR. SVEN HOMBACH: In practice then,
5 how would you mitigate against these known/unknown
6 risk? Is it just a matter of building shorter term
7 projects so that your capital is bound, let's say, only
8 for twenty-five (25) years rather than seventy-eight
9 (78) to a hundred and twenty-five (125)?

10 MR. JOHN TODD: There are a number of
11 things you can do to mitigate against the risk. As a
12 generalization, a shareholder-owned company recognizing
13 the uncertainty in risk around top consumers would have
14 a policy that we assume no addition of top consumers in
15 terms of our building of supply.

16 And when a top -- new top consumer comes
17 in and wants some -- wants to be served they have to
18 sign a contract, and we will provide the facilities to
19 meet their needs then. And there's no commitment, no
20 obligation to serve a top consumer until they sign a
21 contract. And if that means they have to wait 'cause
22 they haven't given enough warning that would be fine.
23 And that's the way a private sector companies that I
24 see across the country deal with that high risk top
25 consumer end of the spectrum.

1 The other way they mitigate risk around
2 long-term issues of -- like structural change is
3 through the discount rate. Essentially you're saying,
4 I'm not going to give much weight to the distant
5 future, and a higher discount rate does that. Again, a
6 private -- clearly a private sector company would be
7 using a much higher discount rate than is being used
8 here, but again I'm going outside my mandate and you'll
9 be hearing from others -- other IECs on that point.

10 MR. SVEN HOMBACH: How many private
11 sector companies have you seen building hydro dams
12 recently?

13 MR. JOHN TODD: I've dealt with a
14 couple of very small private sector companies that have
15 built run-of-the-river dams. Usually with a contract
16 with somebody like the OPA or -- or a utility that will
17 pay a guaranteed price for the power. So they can do a
18 financial analysis that they can go to the bank with
19 and get the money. But it's --

20 MR. SVEN HOMBACH: So in terms of
21 waiting for a committed load, one (1) of the risks
22 would be that there's just a long lead time to bring
23 any Hydro developments online, especially the larger
24 projects?

25 MR. JOHN TODD: Given -- given my long

1 history here, which goes back to 1990 in the first
2 Conawapa hearing, what I find particularly interesting
3 is in 1990 what was being -- being brought forward to
4 the Board was a contract that over the life of the
5 contract would fully pay for Conawapa.

6 And if my memory is correct going back
7 that many years, the characterization was we -- we
8 build the dam, we build the interconnection, we have
9 the contract. At the end of the contract in twenty
10 (20) years we have a free dam. There's no risk except
11 a failure of Ontario to -- to fulfill the contract.

12 Ontario pulled out of it and paid all
13 the costs that had been incurred by Ontar -- by
14 Manitoba Hydro. Again, no risk around -- around that.

15 We're talking about a very different
16 concept of Conawapa now -- now where the initial term
17 is similar. We have -- we have some firm contracts
18 that will pay for a portion of the cost. But after
19 those firm contracts run out what we have is,
20 essentially, a merchant generation plant that may be
21 contracting for firm power sales, may not be. But it's
22 a merchant plant, which we expect to be able to operate
23 for the remainder of the seventy-eight (78) year period
24 at whatever price the market will bear.

25 MR. SVEN HOMBACH: Okay. Mr. Houldin,

1 let's turn to you for a moment. You've had the
2 opportunity now to hear about some of the -- the recent
3 evidence that Manitoba Hydro has filed that's going to
4 form the subject of your undertaking. So I -- I won't
5 spend a lot of time to go into details with you.

6 But I would like to refer you for a
7 moment to Manitoba Hydro's rebuttal evidence; that's
8 Manitoba Hydro Exhibit 85, page 28. And let's go to
9 the bottom of that page.

10 Do you see there, Mr. Houldin, that
11 there's a description of the three (3) DSM levels that
12 were discussed yesterday?

13 MR. RUSS HOULDIN: Yes.

14 MR. SVEN HOMBACH: And you see at line
15 27 the description for Level 2 DSM?

16 MR. RUSS HOULDIN: Yes.

17 MR. SVEN HOMBACH: And halfway through
18 line 29 there's a description that states that:

19 "Level 2 DSM initiatives include
20 conservation rates, load
21 displacement, and fuel switching."

22 Do you see that?

23 MR. RUSS HOULDIN: Yes.

24 MR. SVEN HOMBACH: Now, conversation
25 rates, that's what's also known as an inverted tail

1 block rate, is it not?

2 MR. RUSS HOULDIN: Oh, I -- I don't
3 know.

4 MR. SVEN HOMBACH: Generally?

5 MR. RUSS HOULDIN: It's not -- I'm not
6 -- I'm not familiar with Manitoba Hydro's rate
7 structure.

8 MR. SVEN HOMBACH: But you were -- what
9 would you consider to be a conservation rate?

10 MR. RUSS HOULDIN: I'm familiar with
11 the general -- the general concept. I just -- I'm just
12 alerting you to the fact -- I -- I don't -- I haven't
13 familiarized myself with Manitoba Hydro's rate
14 structure. So I'm not... I mean, I accept the idea of
15 a -- of a conservation rate being you pay more as -- as
16 your consumption rises. Ontario has -- has had that
17 for -- for years.

18 MR. SVEN HOMBACH: So these three (3)
19 items taken together: conservation rates, load
20 displacement, and -- and fuel switching, none of those
21 are what you'd classically consider energy efficiency
22 measures, are they?

23 MR. RUSS HOULDIN: That's -- that's
24 correct, yes.

25 MR. SVEN HOMBACH: So in terms of your

1 comments on the deferral potential for Keeyask, the
2 fact that there's some non-traditional measures lumped
3 in here, that would presumably affect your comments?

4 MR. RUSS HOULDIN: Yes.

5 MR. SVEN HOMBACH: Okay.

6

7 (BRIEF PAUSE)

8

9 MR. SVEN HOMBACH: And let's just go to
10 Manitoba Hydro Exhibit 95 for a moment, slide 4. Mr.
11 Houldin, that is the slide that Manitoba Hydro put on
12 the record that shows the need for new dependable
13 energy and the need for winter peak capacity with the
14 DSM Levels 1, 2, and 3, plus a further assumption as to
15 whether or not there will be new top consumer pipeline
16 load.

17 Do you see that?

18 MR. RUSS HOULDIN: Yes.

19 MR. SVEN HOMBACH: So as part of your
20 undertaking and re-advising the Board, you'll take
21 these scenarios into consideration?

22 MR. RUSS HOULDIN: Yes, that's --
23 that's my understanding of the undertaking, yes.

24 MR. SVEN HOMBACH: Thank you then.
25 Just the last topic that --

1 THE COURT REPORTER: Excuse me, is this
2 a new undertaking?

3 MR. SVEN HOMBACH: It's not a new
4 undertaking. It's just an extension of an existing one
5 on the record. Thank you.

6
7 CONTINUED BY MR. SVEN HOMBACH:

8 MR. SVEN HOMBACH: The last topic I
9 briefly want to explore with you, Mr. Houldin, is this
10 recommendation that Manitoba Hydro consider DSM as part
11 of an integrated resource plan, or IRP. And perhaps we
12 can go to your PowerPoint presentation for a moment and
13 bring that up on screen, slide 8.

14 MR. RUSS HOULDIN: Yes.

15 MR. SVEN HOMBACH: That's the chart you
16 referred us yesterday that just shows procedurally how
17 a DSM evaluation works in the IRP context and
18 procedurally how Manitoba Hydro does it right now?

19 MR. RUSS HOULDIN: Yes.

20 MR. SVEN HOMBACH: And if I understand
21 the IRP correctly, it basically means you give equal
22 weight to DSM as a resource. You -- you evaluate it
23 against new generation on an equal footing?

24 MR. RUSS HOULDIN: Correct.

25 MR. SVEN HOMBACH: And what I'm

1 interested in, Mr. Houldin, is how that actually
2 changes the analytics that you're conducting. And to
3 illustrate this, let's go to Manitoba Hydro Exhibit 87
4 for a moment, page 69.

5

6 (BRIEF PAUSE)

7

8 MR. SVEN HOMBACH: I assume you haven't
9 had an opportunity to -- to review this slide before,
10 Mr. Houldin?

11 MR. RUSS HOULDIN: It -- it's -- I'm
12 not sure of this particular presentation, but this --
13 this diagram I've -- is -- is in the -- is in the --
14 the original NFAT business case.

15 MR. SVEN HOMBACH: Yeah.

16 MR. RUSS HOULDIN: So I'm quite
17 familiar with this -- with this chart, yes.

18 MR. SVEN HOMBACH: What this shows is
19 the current levelized utility cost, or LUC, of a bunch
20 of Manitoba Hydro DSM programs. And if we can go to, I
21 believe, the previous page for a moment.

22 Manitoba Hydro was on record indicating
23 that the average levelized utility cost for DSM
24 currently is about two point four (2.4) cents per
25 kilowatt hour?

1 MR. RUSS HOULDIN: Yeah.

2 MR. SVEN HOMBACH: Do you agree with
3 that number?

4 MR. RUSS HOULDIN: Yes. Well, no, I'm
5 not -- I -- I agree, yes.

6 MR. SVEN HOMBACH: And -- and that
7 compares to a levelized utility cost for Keeyask of
8 more -- I believe, more than six (6) cents per kilowatt
9 hour?

10 MR. RUSS HOULDIN: Yes.

11 MR. SVEN HOMBACH: Now, let's go to
12 page 60 of this presentation. I -- I take it you're
13 familiar with the various tests that are applied to
14 DSM, like the total resource cost test, for example, or
15 SCT, the societal cost test?

16 MR. RUSS HOULDIN: Yes, I am.

17 MR. SVEN HOMBACH: Right. And Manitoba
18 Hydro in this presentation identified both the total
19 resource cost test, or TRC, or if we can go to page 61,
20 the next page, for a moment, a modified total resource
21 cost test that includes measurable non-energy benefits?

22 MR. RUSS HOULDIN: Yes.

23 MR. SVEN HOMBACH: Have you -- have you
24 seen this slide before?

25 MR. RUSS HOULDIN: Yes.

1 MR. SVEN HOMBACH: You're aware of this

2 --

3 MR. RUSS HOULDIN: Yes.

4 MR. SVEN HOMBACH: -- test that

5 Manitoba Hydro's using?

6 MR. RUSS HOULDIN: Yes.

7 MR. SVEN HOMBACH: So leaving aside the
8 procedural conceptual concerns, how would an IRP
9 process actually change the test that you're applying
10 and evaluating DSM, and then choosing which projects to
11 proceed with?

12 MR. RUSS HOULDIN: It would -- well, it
13 really does turn on the measurable non-energy benefits.
14 The -- indicated elsewhere that the -- Manitoba Hydro
15 uses this multiple accounts' approach. And to use a
16 fully integrated approach in -- in the IRP, you would
17 build that in some way into your -- into your -- your
18 criterion.

19 And so it would -- it would actually --
20 you need to drill down and -- and unpack what those --
21 how Manitoba Hydro intends to do the measurable non-
22 energy benefits.

23 MR. SVEN HOMBACH: So let's say
24 Manitoba Hydro wanted to use -- to evaluate a new DSM
25 measure --

1 MR. RUSS HOULDIN: Yeah.

2 MR. SVEN HOMBACH: -- and it had these
3 two (2) approaches available to it, its existing
4 approach where you've got the initial screening and
5 it's added in the Power Smart Plan and you assume that
6 it's going to reduce total load.

7 And -- and you accept the evidence
8 yesterday that Manitoba Hydro is primarily energy
9 constrained, not capacity constrained?

10 MR. RUSS HOULDIN: Well, let's -- I
11 mean, again my -- my interpretation of the energy
12 constrained is -- I regard that as an operational
13 issue, that in the long term if you don't have -- and
14 this may -- may be too simplistic thinking, if you
15 don't have capacity you can't have energy. And -- and,
16 I mean, the -- that's in -- in many ways the nub of
17 what is at the centre of this case: Should new
18 capacity be built?

19 MR. SVEN HOMBACH: So in terms of then
20 get -- getting back to these two (2) contrasting
21 approaches and taking a new measure and evaluating it,
22 how would the actual analysis of that specific measure
23 be different under Manitoba Hydro's approach and under
24 the IRP approach? If you're still using a modified
25 total research cost test.

1 MR. RUSS HOULDIN: Okay. I guess --
2 this is, you know, like new evidence from -- from
3 Manitoba Hydro. I was basing my comments on the NFAT
4 Business Plan. So --

5 MR. SVEN HOMBACH: Perhaps -- if it
6 makes sense, Mr. --

7 MR. RUSS HOULDIN: So I -- I guess if -
8 - where you're going is it might well be the -- using
9 this -- the modified test, they might -- they might
10 indeed amount to the same thing. I'm...

11 MR. SVEN HOMBACH: If it's something
12 you have to give some further thought to, perhaps I
13 could ask for an undertaking. Just to provide a brief
14 written, high level description on how the actual
15 analysis between those two (2) approaches would be
16 different in practice?

17 MR. RUSS HOULDIN: Yeah. I think that
18 would be quite appropriate, yes.

19 MR. JOHN TODD: Before doing the
20 undertaking, let me add. You're looking for a
21 difference between the two (2). Is it not -- your
22 question is: Is it not just the same thing? And
23 here's -- you know, a -- okay, sorry?

24 MR. SVEN HOMBACH: I'm looking for a
25 description of the actual difference in the analytic

1 approach as a practical matter between using Manitoba
2 Hydro's approach to evaluate DSM and using the
3 Integrated Research Plan approach to evaluate DSM.

4 MR. JOHN TODD: Okay. And what I'd
5 say, you know, the -- the key part to the response, and
6 Russ may say there's more to it than -- than I'm
7 getting, but what we're doing in this process is
8 looking at alternative development plans.

9 If you do IRP, under each scenario you
10 would be looking at what is the economic amount of DSM
11 in various resource planning with those alternative
12 development plans. So to take a simple example, the
13 value of DSM or the -- the benefit of doing some DSM
14 which accumulates over time is going to be greater if
15 your first generating station is fifteen (15) years out
16 than if it's five (5) years out.

17 What the -- this approach does is it
18 takes an analysis using an assumed cost threshold and
19 says, Here's the amount of DSM we're going to do. And
20 that becomes a fixed amount. That DSM plan, if you
21 want, is a fixed amount that you use in all cases. And
22 it's not sensitive to be in interplay with the
23 generation assets that you're looking at.

24 So if you have Keeyask and Conawapa,
25 you'd have a very different DSM plan than if you have

1 all gas.

2 MR. SVEN HOMBACH: So you're saying
3 with IRP you wouldn't assume that you want a fixed
4 level of DSM? You'd analyze how much DSM would be
5 economic to do compared to generation?

6 MR. JOHN TODD: It -- it is you're
7 looking at the DSM as a package, as an alternative
8 generation, and you're adjusting the DSM in response to
9 what generation mix, and therefore the DSM is not a
10 fixed amount.

11 MR. SVEN HOMBACH: Mr. Todd, if
12 acceptable to you and Mr. Houldin, I'd still like the
13 undertaking. I believe it would be helpful to the
14 panel to have a written description of the conceptual
15 difference.

16 MR. RUSS HOULDIN: Yes. Adding -- just
17 -- just to add one more comment. Again, if you go to -
18 - I don't know if you want to flip back to my slide
19 from yesterday -- yeah, there. Thank you. I've got a
20 note over asterisk, "As modified by judgment."

21 So one of the things I'll look at in the
22 undertaking is I don't know if Manitoba Hydro, in its -
23 - let's call it, its new approach, will still be
24 following that approach because it's very clear from
25 Power Smart that they regard all of the metrics as a

1 guideline, and they also look at other benefits, and
2 they also look at qualitative factors.

3 So I'll -- I'll have to see. And so
4 that's -- to me, that's a significant difference
5 between the diagram on the left and the diagram on the
6 right. The diagram on the right, you'd include all of
7 that as -- as part of the criteria for assessing all of
8 the alternatives, whether supply or demand.

9 And it's not clear to me at this -- this
10 moment that -- that that's how Manitoba Hydro intends
11 to proceed. But I -- I see where you're going, and --
12 and it could well be that, analytically, they do amount
13 to the same thing. I -- I --

14 MR. SVEN HOMBACH: So we'll leave it --

15 MR. RUSS HOULDIN: Yeah.

16 MR. SVEN HOMBACH: -- with the
17 undertaking and you'll get to the panel.

18 MR. RUSS HOULDIN: Yes.

19 MR. SVEN HOMBACH: Mr. Chairman, that
20 con --

21 COURT REPORTER: Mr. Hombach, please
22 can we have the undertaking clarified?

23 MR. SVEN HOMBACH: Yes. It is an
24 undertaking to provide a high-level written description
25 as to the practical analytical difference between

1 evaluating a DSM measure based on Manitoba Hydro's
2 approach and based on the Integrated Resource Plan
3 approach.

4 MR. RUSS HOULDIN: Again, this is on
5 the basis of the new information that's in the -- the
6 presentation slides.

7 MR. SVEN HOMBACH: Correct.

8 MR. RUSS HOULDIN: Yeah.

9

10 --- UNDERTAKING NO. 96: Elenchus to provide high-
11 level written description
12 as to practical analytical
13 difference between
14 evaluating a DSM measure
15 based on Manitoba Hydro's
16 approach versus the
17 Integrated Resource Plan
18 approach based on the new
19 information in the
20 presentation slides.

21

22 MR. SVEN HOMBACH: Okay. Thank you,
23 Mr. Chairman. That concludes my questions. Now, I'm
24 not sure if Manitoba Hydro is requesting to ask any
25 further questions of these witnesses.

1 MS. MARLA BOYD: I -- I believe I'm
2 going to need a minute or two (2) with my clients.
3 They've been looking at PUB Exhibit Number 64, and I
4 may have some questions that come out of it. So
5 perhaps we could stand down for a few minutes so I can
6 have an opportunity to consult with them.

7 Before I do that, Mr. Hacault has asked
8 me to put on the record that MIPUG has requested and
9 Manitoba Hydro has agreed to provide its backup
10 material for Manitoba Hydro Exhibit Number 156. So
11 just so that that's noted on the record. I can do that
12 at this point.

13 THE CHAIRPERSON: Okay. Let's do that,
14 please. Two (2) minutes.

15

16 --- Upon recessing at 12:31 p.m.

17 --- Upon resuming at 12:46 p.m.

18

19 THE CHAIRPERSON: I believe that
20 everyone's in position, so I'll turn the microphone
21 over to you, Ms. Boyd.

22 MS. MARLA BOYD: Thank you, Mr. Chair.
23 I'll confess we spent more time waiting for the
24 elevator than we did actually talking about this,
25 but...

1 CONTINUED CROSS-EXAMINATION BY MS. MARLA BOYD:

2 MS. MARLA BOYD: I just have a couple
3 of questions. First off, and so I don't forget, Mr.
4 Todd, in one (1) of your answers to Mr. Hombach you
5 made mention of the fact that you had reviewed Manitoba
6 Hydro's marketing materials.

7 Do you recall that?

8 MR. JOHN TODD: Not exhaustively, to
9 use his term, but yes, I've seen a -- a number of
10 pieces of marketing material including chart price
11 comparison charts.

12 MS. MARLA BOYD: Well, that was
13 precisely my -- my concern, was to want to know what it
14 was that you had reviewed in order to form the
15 conclusion that you didn't think we were doing the kind
16 of marketing you thought was appropriate?

17 MR. JOHN TODD: I don't think I said
18 you weren't doing the kind of marketing that was
19 appropriate. What I was saying was that it is -- what
20 you're doing is different than a gas -- a natural gas
21 utility in another jurisdiction; that is, number one,
22 separate from an electric utility, number two,
23 shareholder owned.

24 MS. MARLA BOYD: And did you review
25 anything other than what marketing material has been

1 filed on the record by Manitoba Hydro?

2 MR. JOHN TODD: Through this process,
3 as you know, there's been extensive debate about the
4 access to materials of the IEC. So yes, we did
5 receive, through private discussion and through -- and
6 as related to those private discussions certain other
7 materials which ultimately have not been on the record,
8 because it was not formal IR responses.

9 MS. MARLA BOYD: Do you mean private
10 discussions with Manitoba Hydro or someone else?

11 MR. JOHN TODD: With Manitoba Hydro.
12 So what -- what else we saw, I -- I have not done a
13 correlation between the materials that we were given
14 access to by Manitoba Hydro and what is officially on
15 the record. But unfortunately, it was not an IR
16 process. So everything received was not part of an IR
17 response, therefore, automatically on the record.

18 MS. MARLA BOYD: Thank you. If I could
19 ask you to turn to Exhibit PUB-64. Maybe we could have
20 that up on the screen, please? You're aware that this
21 is not created by Manitoba Hydro and that Manitoba
22 Hydro has not endorsed the information that's on here?

23 MR. JOHN TODD: Yes, I think that was
24 made clear the -- as we discussed it.

25 MS. MARLA BOYD: And are you also aware

1 that the update in the forecast inputs relates to a
2 revision made by Statistics Canada, which is the
3 subject of some considerable debate in Manitoba?

4 MR. JOHN TODD: I'm not aware of the
5 debate in Manitoba.

6 MS. MARLA BOYD: You're not familiar
7 with the suggestion by Manitoba Bureau of Statistics
8 that the numbers are -- are not correct?

9 MR. JOHN TODD: Oh, act -- yes, I
10 actually have read some stuff around -- around that if
11 that's what you mean by the cons -- considerable
12 discussion.

13 I would -- I would say from -- from my
14 experience, there are issues around population
15 statistics. In my very -- very early days I was doing
16 some econometrics with population statistics and
17 getting some very weird results and it was population
18 in -- I think it was the provinces or in mun --
19 municipalities.

20 Anyway, I -- I discovered that the
21 population estimates between census periods was driven
22 by who was -- who the politicians wanted to steer
23 payments toward, because population drove payments and
24 there was some -- you know, my econometric analysis was
25 completely thrown out the window because in certain

1 areas that were, shall we say favoured, population
2 increased until the next census and then dropped down.
3 In other areas population went up very slowly and then
4 jumped up at the next census.

5 So there is reason to have, I had hope
6 not through Stats Canada, there's always reason to look
7 at population statistics carefully, because it's not
8 based on a direct measure of population. It's based on
9 an estimate and estimates can be wrong. Personally, I
10 have a lot of confidence in Stats Canada, their
11 reliability, but Manitoba obviously has an interest in
12 making sure it's right. Making sure it's favourable.
13 So we do have some conflicting interest there.

14 MS. MARLA BOYD: Thank you. Now, in
15 order to determine its residential customer forecast,
16 Manitoba Hydro looks at two (2) variables. You
17 understand that?

18 MR. JOHN TODD: Yes.

19 MS. MARLA BOYD: And if I take you to
20 page 5 of your evidence, you've actually laid out the
21 formula for us.

22 MR. JOHN TODD: Yes.

23 MS. MARLA BOYD: So we take the
24 Manitoba Hydro population forecast and divide by the
25 number of people per household, correct?

1 MR. JOHN TODD: Yes.

2 MS. MARLA BOYD: And if you wanted to
3 make a calculation of the type that's in PUB Exhibit
4 64, you'd begin by looking at the change in population
5 in 2013? Is that fair?

6 MR. JOHN TODD: Yes. The change in
7 population is a start, yes.

8 MS. MARLA BOYD: And as you look at the
9 numbers, the difference between the red line and the
10 blue line above 2013 -- sorry...

11

12 (BRIEF PAUSE)

13

14 MS. MARLA BOYD: If you look at the
15 difference between the red line and the blue line,
16 there's a reduction of about seventeen thousand
17 (17,000) in population in the 2013 area, would you
18 agree with me?

19 MR. JOHN TODD: Yes.

20 MS. MARLA BOYD: And that drop is going
21 to cause us to recalculate the number of people per
22 household, isn't it?

23 MR. JOHN TODD: I would say may, not
24 will.

25 MS. MARLA BOYD: So if you look at page

1 6 of your evidence, sorry to bounce around, that's
2 where you've laid out the calculation that's been done
3 to-date? A little further down the page, please.

4 And that's where we get the 2012 people
5 per household of two point seven nine (2.79)? Do you
6 see that?

7 MR. JOHN TODD: Yes.

8 MS. MARLA BOYD: Not two point seven
9 seven (2.77) as is on the PUB Exhibit 64 but two point
10 seven nine (2.79)?

11 MR. JOHN TODD: Yes.

12 MS. MARLA BOYD: And would you accept
13 that if you recalculate those numbers based on the
14 updated blue line that that number now becomes
15 something in the order of two point seven three (2.73)
16 people per household?

17

18 (BRIEF PAUSE)

19

20 MR. JOHN TODD: You're -- okay, so
21 you're changing the 2012 Manitoba population per
22 residential customer. Can we flip back to -- okay, so
23 that -- yes, so that -- the update is the update in the
24 2012 population number, right?

25 MS. MARLA BOYD: Sorry, can we go back

1 to the other PUB Exhibit 64? Yeah, so we know the
2 number of households because that comes from our
3 billing system. So you take the population and divide
4 by number of customers, I believe it's called, or
5 households to arrive at the new number. Rather than
6 two point seven nine (2.79) people per household it
7 will be approximately two point seven three (2.73)
8 people per household based on the --

9 MR. JOHN TODD: So --

10 MS. MARLA BOYD: -- population.

11 MR. JOHN TODD: -- okay. What you're
12 saying is that -- this chart as -- as I read it starts
13 in 2013. You're saying the 2012 population number is
14 changed, as well?

15 MS. MARLA BOYD: No, I'm saying if you
16 take the 2013 blue line --

17 MR. JOHN TODD: Yes.

18 MS. MARLA BOYD: -- and divide by the
19 number of customers in the billing system you will
20 establish two point seven three (2.73) customers --
21 people per household. Customers.

22 MR. JOHN TODD: For 2013 it will be
23 different. The other chart, I think, was 2012.

24 MS. MARLA BOYD: Was 2012, yes.

25 MR. JOHN TODD: And which was the two

1 point seven nine (2.79). We didn't have 2013, the
2 chart, but --

3 MS. MARLA BOYD: Right.

4 MR. JOHN TODD: -- the concept --

5 MS. MARLA BOYD: Yeah.

6 MR. JOHN TODD: -- if you change the
7 population and keep the number of households the same,
8 yes, you'll get a different ratio.

9 MS. MARLA BOYD: So then when you move
10 to the other end of this graph, to the right-hand side
11 of the page, and you look at the change in the forecast
12 and divide by your new population per customer, the two
13 point seven three (2.73), you'll get a number other
14 than the eleven seven forty-six (11,746) that's there,
15 correct?

16 MR. JOHN TODD: If you assume the two
17 point seven three (2.73) throughout. I mean, here
18 we're having fun with figures --

19 MS. MARLA BOYD: Some of us are having
20 more fun than others.

21 MR. JOHN TODD: We're all trying to
22 make a point, right.

23 MS. MARLA BOYD: Right.

24 MR. JOHN TODD: So, yes. If -- if the
25 population numbers change and the number of households

1 doesn't, you're going to -- and the demand per
2 household is the same, you're going to have the same
3 number in the end.

4 MS. MARLA BOYD: And to --

5 MR. JOHN TODD: There's a lot of 'ifs'
6 there.

7 MS. MARLA BOYD: -- to do the
8 residential customer forecast that's exactly what we
9 need to do. We need to take the population forecast,
10 divide by the number of people per household in order
11 to establish the number of customers we expect we'll
12 have in the future.

13 MR. JOHN TODD: You change one (1)
14 variable and potentially the other variables change as
15 well. Like the number of people per household. So I -
16 - and when -- when you put that into projection, I
17 haven't looked at all the different moving parts, so I
18 think it's -- it's overly simplistic. You just say,
19 It's a wash.

20 MS. MARLA BOYD: Oh, I'm not suggesting
21 it's a wash.

22 MR. JOHN TODD: Okay. Well, that's --
23 that's what the initial statement was. If you take the
24 -- reduce the population and have the same number of
25 households and you -- and you -- you still -- and you

1 know how many customers there are, you're going to --
2 it's going to be a wash because you've got the same
3 number of customers. And if you got the same demand
4 for customer, it'll be the same demand.

5 So the implication of that is there's no
6 change when you change the population because it
7 cancels out. And I'm saying there are other moving
8 parts, so you can't conclude that. But I do agree it's
9 a complexity as a result of the change in population.

10

11 (BRIEF PAUSE)

12

13 MS. MARLA BOYD: If we determine from
14 our data that the number of people per household in
15 2013 is lower, it's two point seven three (2.73), that
16 will have an impact on the far end of the forecast,
17 correct?

18

19 (BRIEF PAUSE)

20

21 MR. JOHN TODD: It may if the forecast
22 is dependent upon that one (1) data point, but it's not
23 driven by one (1) data point. I mean, you go -- if you
24 go back to the charts on people per household you're
25 looking at a broader trend line. It's not -- you know,

1 it's not determined by one (1) data point. If you
2 change one (1) data point it doesn't change the
3 forecast, cancel things out.

4 Yes, it will change things. I agree.
5 I'm saying that it means you change the population, you
6 change the people per household, you want to look at it
7 again. All I'm saying is, number 1, it's a stretch to
8 say it cancels out, and you're saying you're not
9 suggesting that. It will change. How much it will
10 change and how much it changes the forecast twenty (20)
11 years hence I can't say at this point.

12 MS. MARLA BOYD: If you accept that
13 Stats Canada's numbers are correct and they -- they
14 have reduced our population in 2013 by seventeen
15 thousand (17,000), then you need to recalculate in
16 accordance with the formula that you've set out in your
17 evidence on page 5 to take the population forecast,
18 divide by the number of people per household, to arrive
19 at the residential customer forecast, correct?

20 MR. JOHN TODD: Yes.

21 MS. MARLA BOYD: And if the updated
22 data shows that the -- shows us that the people per
23 household is two point seven three (2.73) and you move
24 that to the far end of the forecast, that will mean
25 that you have a different number of customers?

1 MR. JOHN TODD: Let's go to where we
2 can agree to try to resolve this. The calculation
3 contained in the item we're looking at on the screen is
4 as simplistic as saying it's a wash. You have to
5 update your projection of the population per cust -- or
6 the population per household, or people per household,
7 as well, and, in effect, redo your projection on that
8 basis.

9 This assumes the two point seven seven
10 (2.77) doesn't change, and it may.

11 MS. MARLA BOYD: And, in fact, the --

12 MR. JOHN TODD: So you're suggesting
13 that it prob -- it probably would. If you -- your
14 starting point changes you'd probably end up with a
15 change, and I'll agree with that.

16 MS. MARLA BOYD: And if you assume with
17 me that the two point seven nine (2.79) becomes two
18 point seven three (2.73), that will have very little
19 affect on the number of customers at the end of the day
20 of you look at 2034, correct?

21 MR. JOHN TODD: And I cannot agree that
22 that change that you're putting -- that you're posing
23 to me in terms of the number of people per household
24 for the next twenty (20) years is correct. I can agree
25 that that would be correct for 2012. That does not

1 speak to what the projection is.

2 And if we go back to the people per
3 household trends we'd have to re-look at that given the
4 historic trend and where it's going to go and -- and
5 what do we -- do we think that based on that one (1)
6 change in data point do we actually believe that the
7 project of people per household is going to change.

8 It also says is Stats Canada wrong and
9 is your government right, in which case, the population
10 should be changed, or at least by not so much.

11 MS. MARLA BOYD: And I think what you
12 were agreeing with me on was that this depiction in
13 PUB-64 is as simplistic as the suggestion that I'm
14 making to you, that the number will be insignificant?

15 MR. JOHN TODD: Yes.

16 MS. MARLA BOYD: So when you suggested
17 to Mr. Hombach that in fact this would change the NFAT
18 analysis, you don't know that for sure? That's only
19 based on this simplistic assumption of one (1)
20 variable, correct?

21 MR. JOHN TODD: Yes.

22 MS. MARLA BOYD: Thank you. And thank
23 you. I have nothing further.

24 THE CHAIRPERSON: Thank you. I don't
25 know if there's any other business to attend to.

1 MS. MARLA BOYD: I have one (1)
2 question I could pose to the panel if I can be so bold.
3 There has been some discussion of a change in the
4 hearing times on Monday. And that will have impacts
5 for some of the Manitoba Hydro staff. So if the Board
6 would care to put its -- its thoughts in respect of the
7 hearing day on Monday on the record, that would be
8 helpful to us.

9 MR. SVEN HOMBACH: And, Ms. Boyd, the -
10 - the Board is still deliberating on that issue. We're
11 trying to see what accommodations, if any, can be made.
12 So we'll advise shortly and hopefully tomorrow we can
13 go on the record.

14 Mr. Chairman, just for the benefits of
15 the members of the public, there isn't a CSI session
16 for this particular witness panel. So that concludes
17 the testimony of Elenchus for today.

18 THE CHAIRPERSON: So with that, I think
19 that we've finish the business for today. So I would
20 like to thank the two (2) witnesses, Mr. Todd, Mr. --
21 I'm drawing a blank all of a sudden.

22 MR. RUSS HOULDIN: Houldin, yes.

23 THE CHAIRPERSON: Houldin, yes. Thank
24 you. I'd like to thank you for the -- the work you've
25 done so far and the work you are -- you are likely to

1 do after you leave here today. So -- and I want to
2 wish you a safe trip back to wherever destination you
3 are going -- are going to.

4 And so with that, thank you very much.

5

6 (PANEL STANDS DOWN)

7

8 --- Upon adjourning at 1:02 p.m.

9

10

11

12

13 Certified Correct,

14

15

16 _____

17 Cheryl Lavigne, Ms.

18

19

20

21

22

23

24

25

<u>1</u>	5098:3,4,1	11,746	1987 5100:19	2.5 5103:10
1 5067:10	5,23	5212:14	1990 5128:3	2.73 5210:15
5086:18	5099:9,13,	12 5062:21	5190:1,3	5211:7,20
5088:10	23,25	5069:11	1990s	5212:13,17
5092:5	5100:14,23	5074:19,23	5133:23,25	5214:15
5096:20	5101:9	5108:13,15		5215:23
5101:6	5102:22	,16		5216:18
5104:22	5103:2,20	5136:18	<u>2</u>	2.77
5107:14	5104:12,14	5148:16	2 5060:20	5162:5,13
5112:4	5116:18	5155:12	5067:9	5210:9
5120:11	5118:5	12:31	5088:10	5216:10
5123:10	5119:2	5204:16	5098:4,23	2.79
5128:14	5122:10	12:46	5099:3,7	5210:5,10
5129:19,20	5129:21	5204:17	5100:6	5211:6
5134:21,25	5132:7	121 5181:4	5104:24	5212:1
5139:24	5135:4,17	122 5180:24	5116:9	5216:17
5146:24	5150:16	5181:3	5119:17	2.93
5149:14	5166:24	125 5188:9	5122:7	5162:4,13
5163:8	5179:10	126 5162:14	5124:1	20 5063:22
5165:22	5184:20,25	13 5161:18	5133:15	5069:10
5176:1	5185:5,8,2	14 5106:6	5134:11,17	5093:17,20
5177:18	2	5112:23	5144:24	5094:10
5182:24	10:24	5135:17	5151:24	5099:12
5189:21	5116:20	5137:6	5153:12	5100:5
5193:14	10:30	15 5074:5,9	5164:22	5104:12
5205:4	5116:10	5200:15	5170:19	5109:8
5213:13	10:41	153 5066:15	5177:9	5129:21
5214:22,23	5116:21	156 5152:11	5178:22	5130:1
5215:1,2,7	100 5071:19	5204:10	5191:15,19	5160:17
5217:5,19	5076:3	158 5117:6	5193:14	5164:16
5218:1	5081:6	16 5064:16	5198:3,20	5166:9
1,012	5085:11	5125:23	5199:15,21	5180:5
5137:13	5165:8	17,000	5204:2,14	5184:8,17
1,712 5136:6	5167:3	5209:17	5208:16	5185:23
1.5 5064:18	5184:14	5215:15	5218:20	5187:1,14,
5086:19	5186:17,20	175 5146:8	2,000	15,17,19
1/2 5088:10	5187:1,7,1	177 5138:19	5094:22	5190:10
5098:4,5,2	6	18 5082:2	5187:17	5215:10
4 5099:3,7	103 5094:7	5155:12	2,100	5216:24
5100:6	5099:1	19 5064:16	5094:23	200 5160:9
5104:24,25	5105:1	5092:11	2,118 5136:1	5167:4
5138:3	5150:3,4	197 5159:25	5137:2	2000 5169:2
1:02 5219:8	104 5134:13	1980s	5138:20	2005 5169:3
10 5091:3,4	104-8	5133:22	2,197	2005/2006
5093:6,9,2	5111:20	19 5064:16	5136:17	5101:21
3,24	106 5149:24	5092:11	2,500 5099:8	2008
5094:4,9,1	5164:25	197 5159:25	2.2 5062:22	5099:18,24
2,25	10th 5136:23	1980s	5082:21	5100:13,15
5095:6,7,1	5138:22		2.4 5195:24	5101:4
3,14				
5097:16				

5124:14	5171:22	29 5191:18	5099:11	5059 5057:4
5171:22,25	5172:2	29,000	5104:11	5061
5185:9	2016/2017	5094:12,20	5105:5,9,1	5058:7,9
2008/'09	5067:5	5099:6	9	5062 5057:10
5127:6	2022/'23	<hr/>	5106:13,22	5089 5057:11
2009 5100:15	5150:17	3	5138:3	5117 5057:12
5101:4	2023 5099:5	<hr/>	5193:10	5058:10
2010 5169:4	2023/2024	3 5055:24	4,000	5146
2012 5120:13	5094:11	5088:10	5150:18	5058:11,12
5121:23	2028/'29	5090:20	40 5115:21	5147 5057:13
5122:4	5135:23	5135:16	400 5055:22	5059:5
5135:25	5136:14	5138:2,16	41 5117:21	5175 5059:8
5136:19,21	2032/2033	5163:16	5164:5	52 5184:4
5137:14	5150:7	5191:11	413 5149:15	5203 5059:16
5138:10	2032/'33	5192:18	45-10	5205 5057:14
5210:4,21,	5150:17	5193:14	5142:17	5219 5055:25
24	2034 5159:7	3,000	4813 5124:14	5057:17
5211:13,23	5160:24	5094:13	<hr/>	54 5118:9
,24	5216:20	5149:20	5	5161:3
5216:25	2044 5161:2	3,546 5138:6	5 5080:21	58-2 5161:18
2012/'13	21 5120:16	3,741	5085:15	5167:7
5127:6	22 5120:16	5138:11,19	5094:14,18	5184:3
2012/2013	2-2 5074:5	3.3 5062:24	5095:6	5th 5187:22
5184:23	24 5063:22	3.95 5167:23	5096:17,18	<hr/>
2013 5058:9	25 5134:2	30 5176:7	,19,21,24,	6
5061:12,18	5176:6	5186:15,21	25 5097:19	6 5063:14
5118:10,19	5188:8	5187:1,18	5098:3,4,1	5120:10
5120:13	26,900	30/31	7,21	5140:20
5121:12,15	5094:21	5095:24	5099:12	5155:23
,18,22	27 5094:22	330 5055:22	5104:11	5156:12
5122:3,7	5136:21	34 5117:21	5127:2	5196:8
5137:7,14	5191:15	34,300	5129:16	5210:1
5138:11	27/'28	5159:9	5132:15	6,000
5159:14	5136:1	35 5096:1,2	5138:4	5150:12
5184:6	5137:18	37 5100:19	5140:20	5151:13
5209:5,10,	5138:12	5164:6	5150:4,10	5187:23
17	272 5136:7	<hr/>	5200:16	60 5196:12
5211:13,16	28 5185:6,16	4 5064:18,20	5208:20	600 5187:19
,22 5212:1	5187:7,9,1	5065:6,9,1	5215:17	61 5196:19
5214:15	8 5191:8	1,17,20	5,006 5155:6	62 5060:23
5215:14	28/'29	5067:2,4	5.4 5093:9	64 5061:11
2013/2014	5136:15	5080:21	5095:15	5158:17
5093:1	5137:10	5083:23	50 5098:3,22	5161:3
5094:2	28th 5066:21	5084:1	5115:21	5204:3
2014 5055:24		5086:15	50/50 5080:4	
5058:8		5088:10,14	5055 5055:25	
5061:12,18		,17,22	5058 5057:3	
5159:15				
5163:16				
5169:4				

5209:4	5184:9	5080:13	accuracy	5176:2
5210:9	93 5159:1	5093:15	5090:25	5188:24
5211:1	94 5059:3	5130:5,15	5091:3	act 5058:4
66 5148:15	5147:8	5138:13	5092:2	5060:24
69 5195:4	95 5059:6	5148:5	5095:13	5061:5
	5082:2	5149:13	5099:22,24	5207:9
	5094:14	5159:10	,25	action
<u>7</u>	5095:7	5160:1,6	accurate	5121:13
7 5063:14	5150:5,11	5162:6,15	5067:18	activity
5074:19,23	5175:1	5192:14	5068:16	5128:5
5146:11	5193:10	5198:7	5069:4	actual
5161:1	95th 5187:22	5210:12	5080:5	5079:16
75 5175:18	96 5059:9	5215:12	accurately	5093:22
750 5112:23	5203:10	acceptable	5110:18	5099:4
5152:19	968 5137:18	5201:12	ACF 5168:1	5101:14
773 5138:5	97 5098:5,24	accepting	achievable	5103:11
78 5148:9,25	5099:3	5127:22	5085:1	5129:25
5188:9	5104:25	access	5105:10	5132:6
5190:23	97.5 5100:6	5174:2	achieve	5144:3
79 5136:22	5103:10	5206:4,14	5065:21	5198:22
	99 5165:7	accommodate	5079:16	5199:14,25
<u>8</u>	<u>A</u>	5082:7	5088:9	actually
8 5146:17	a.m 5060:1	5107:7	5091:11	5067:11,24
5161:1	5116:20,21	5108:7,17	5095:12	5072:2
5194:13	ability	accommodated	5099:16	5078:9
80	5084:5	5108:10,16	5103:18,19	5079:2,10
5097:14,22	5086:23	accommodatio	achieved	5080:4,25
85 5137:22	5154:9	ns 5218:11	5086:11	5083:23
5191:8	able 5065:15	accordance	5091:24	5092:1
87 5195:3	5091:11	5215:16	5095:6	5100:24
89 5137:23	5108:7,17	according	5099:11	5101:22,23
	5121:11	5106:18	5106:18	5103:9
<u>9</u>	5124:17	5183:23	5183:23	5104:6,11,
9 5101:8	5125:7	account	achieving	13 5105:10
5117:22	5139:12	5066:17	5069:1	5106:20
5122:11	5190:22	5073:15	5183:21	5109:1,22
5123:4	absence	5093:18	acknowledge	5112:13
9:01 5060:1	5129:14	5121:18	5063:13	5121:23
90 5095:8,13	absolutely	5131:18	acquiring	5122:3,17
5097:18,21	5081:20	5134:22	5132:19	5127:1
5098:5,16,	5083:2	5156:14	acquisition	5132:1
23 5103:3	5087:13	5157:15	5179:1	5133:11
5130:4	5145:22	5159:24	across	5144:22,25
903 5181:16	academic	5178:16	5077:6	5145:10
92 5130:1,5	5139:17	accounts	5079:1	5148:12
5167:13	accept	5197:15	5093:7	5151:11
		accumulates	5110:8	5154:23
		5200:14	5113:22	5158:20
			5140:15	5163:11
				5166:10
				5168:21
				5178:17,22

5185:5	5101:14	5193:3	agreements	5114:2
5195:1	5184:22	5216:19	5109:10	5158:24
5197:9,19	adjusting	affected	Ah 5142:19	5196:16
5204:24	5201:8	5099:24	ahead	American
5207:10	adjustment	5154:11	5096:17,18	5124:16
5208:20	5164:5,11,	5167:1	,25	among 5152:3
5217:6	14	affects	air 5119:21	amou 5090:15
actuals	5165:6,16,	5177:16	5120:2	amount
5102:2	20	Affirmed	akin 5075:15	5072:3
adapt	5166:11,16	5057:8	alerting	5077:12
5100:12	adjustments	5062:14	5192:12	5087:12
add 5064:13	5166:22	afternoon	allow	5088:14
5080:22	administrati	5180:7	5098:12	5090:15
5107:20	ve 5060:19	against	already	5142:7
5125:13	5146:24	5078:21	5070:5,13	5171:22
5162:22	adopt 5133:8	5188:5,11	5116:6	5199:10
5163:8,12	5183:15	5194:23	5144:2	5200:10,19
5199:20	adopted	agencies	5187:22	,20,21
5201:17	5172:25	5139:17	alternative	5201:10
added 5075:6	adoption	aggression	5086:25	5202:12
5198:5	5171:16	5172:25	5088:6	analogy
Adding	advance	aggressive	5113:17	5068:9
5201:16	5142:24	5085:17	5130:21	5077:17,25
addition	advanced	5086:13,16	5131:3	5081:4,21
5139:21	5171:17	,21	5133:8,11	analysis
5177:22	advancing	aggressively	5144:16,21	5064:17
5188:14	5111:7	5172:4	5151:8	5070:3
additional	advice	5182:21	5170:7	5073:16
5087:9	5110:14	agnostic	5171:20	5079:6
5129:14	advise	5177:19	5172:12,13	5085:12
address	5108:22	5178:21	5186:18,22	5092:12
5061:23	5218:12	5183:21	5200:8,11	5093:12
addressing	advised	ago 5108:14	5201:7	5097:2
5075:10	5061:20	5119:5	Alternativel	5118:9
adequate	5115:24	5134:2	y 5179:20	5122:23
5069:8	advisor	5153:6	alternatives	5125:14
5072:10	5159:3	5176:7	5055:8	5129:4,19
5085:20	5162:1	5178:25	5131:16	5134:12
5124:10	advocate	agreed	5132:23	5152:7
5154:19	5176:24	5168:3	5133:7,10	5159:16
adequately	5177:11	5204:9	5140:17	5160:17,22
5083:20	5179:7	agreeing	5141:15,19	5162:23
adjourning	AECO 5167:25	5083:3	5142:2	5186:7,18
5219:8	affect	5124:3	5202:8	5189:18
adjust	5099:21	5217:12	am 5100:7	5198:22
5166:22	5115:9,17	agreement	5103:8	5199:15
5186:6		5083:13	5108:1	5200:18
adjusted			5111:2	5207:24
			5112:3	5217:18
				analysts

5125:18	0,14,18	appears	appropriate	arm 5061:25
analytic	5091:7,10,	5144:8	5097:10	arose
5199:25	22	5177:22	5105:12	5177:12
analytical	5092:8,18,	application	5129:1	arrive
5059:11	23	5084:21	5147:17	5211:5
5148:8	5093:5,16	5158:14	5156:21,25	5215:18
5202:25	5094:1	5159:14	5171:4	articles
5203:12	5095:3,9,2	5176:13	5182:23	5140:11,18
analytically	3 5096:2	applied	5199:18	aside 5144:3
5202:12	5098:10,25	5196:13	5205:16,19	5197:7
analytics	5100:2,16,	apply	approved	aspect
5195:2	22	5074:1,2	5108:14	5067:10,14
analyze	5101:1,6,1	5169:20	approximatel	5145:6
5151:9	9	applying	y 5095:11	aspects
5156:7	5102:1,15,	5197:9	5138:3	5067:9
5201:4	20	appreciate	5184:19	assessing
Anderson	5103:6,8,1	5083:15	5211:7	5202:7
5056:17	6	5104:9	approximatio	assets
animals	5104:5,8,2	5160:4	n 5184:17	5200:23
5163:16,25	5105:8,22	5165:3	5185:17	associated
annual	5106:24	5167:15	April	5138:18
5149:19	5107:4,13,	5183:18	5055:24	Association
5159:20	18	appreciated	5081:18	5121:13
5162:12	5108:5,18	5060:5	arbitrary	assume
5167:22	5109:2,4,1	approach	5065:2	5115:6
5187:11	9 5110:12	5059:13,14	area 5089:9	5169:19
answer	5111:2,19	5067:25	5126:8	5172:18
5070:11	5112:3	5068:1,6	5169:1	5188:14
5083:12	5114:2,12	5069:6	5180:21	5195:8
5090:21	anybody	5075:6	5209:17	5198:5
5095:21	5175:11	5076:9	areas	5201:3
5097:9	anything	5079:6	5106:25	5212:16
5105:23	5071:9	5080:4	5208:1,3	5216:16
answers	5087:14	5096:12	aren't	assumed
5205:4	5106:11	5097:17	5078:5	5077:1
anticipate	5110:4	5151:3	5125:6,7	5107:24
5060:22	5139:11	5197:15,16	argue	5152:18
anticipated	5205:25	5198:4,23,	5122:24	5159:4
5071:25	Anyway	24	5178:14	5181:11
5080:10,13	5207:20	5200:1,2,3	argument	5200:18
5129:2	anywhere	,17	5186:20	assumes
5142:25	5141:8	5201:23,24	arises	5151:3
Antoine	apologize	5203:2,3,1	5063:25	5155:16,21
5056:14	5075:24	6,18	arising	5156:18
5057:11	5167:11	approaches	5110:21	5162:2
5089:5,8,9	appear	5198:3,21	arithmetic	5216:9
,22	5076:24	5199:15	5137:3	assuming
5090:2,6,1	APPEARANCES	approaching		5087:4
	5056:1	5138:17		

5153:17	5096:10,13	barring	basically	Bel 5055:16
5156:5,7,1	5097:3,4	5182:25	5100:18	believe
1,12	5104:3	base 5084:7	5145:15	5060:10
5160:8	5124:1	5091:5,10,	5176:8	5066:16
5184:13	5129:25	13,15	5182:17	5069:19
5185:12,13	5159:22,23	5094:11	5194:21	5076:2
5187:23	5165:5,16	5099:6,8	basing	5091:7
assumption	5167:22	5100:13	5097:12	5116:23
5115:8	5184:9,20,	5130:15	5199:3	5117:5
5122:22,24	25 5185:23	5135:25	basis	5130:8
5123:1,25	5187:13	5160:14	5077:21	5142:16
5130:11	5195:23	5161:4	5087:9	5170:1
5147:17	avoid 5148:4	5163:3,4	5110:6,19	5175:22
5156:25	aware	5165:24	5132:1	5183:18,23
5193:14	5063:1,7,1	5166:1,8	5133:12	5184:7
5217:19	1 5108:1	5186:6,14,	5171:15	5187:12
assured	5118:8	16,20	5178:8	5195:21
5164:3	5119:25	5187:8	5203:5	5196:8
asterisk	5121:20	baseboard	5216:8	5201:13
5201:20	5122:2	5119:21	BC 5176:5	5204:1,19
attack	5127:12	based	bear 5135:23	5211:4
5087:25	5129:24	5059:12,14	5190:24	5217:6
5088:16	5134:16,19	5071:19	become	believer
attempt	5141:22	5085:16	5110:25	5111:11
5085:3	5148:8	5087:14	5130:22	5168:13
attempts	5158:20,23	5095:4	5144:9	5188:1
5159:19	5173:19	5097:12	becomes	bell 5167:19
attend	5180:16	5108:5	5064:21	beneficial
5217:25	5197:1	5109:12	5200:20	5144:11
attention	5206:20,25	5110:20	5210:14	benefit
5101:12	5207:4	5111:24	5216:17	5063:24
5112:5,8	away 5072:20	5120:24	becoming	5064:11
5184:3	5133:22	5121:1	5144:14	5146:10
attribute	5143:24	5128:18	Bedford	5149:3
5078:20	awfully	5140:5,16	5056:7	5200:13
auch 5163:15	5070:2	5159:5,24	begin 5209:4	benefits
automaticall	<hr/>	5162:3	beginning	5086:7
y 5206:17	<hr/>	5166:4,12	5118:3	5120:6
available	backup	5167:23,25	begins	5132:18
5120:7	5204:9	5168:15	5122:11	5196:21
5146:6	bad 5071:15	5171:19	behalf	5197:13,22
5158:22	5106:8	5172:4	5116:3,5	5202:1
5198:3	5123:1	5173:4	behave	5218:14
Avenue	ballpark	5174:18	5179:14	best 5102:16
5055:22	5168:4	5203:1,2,1	behaviour	5110:2
average	bandwidth	5,18	5079:18,22	5183:10
5069:11	5102:23	5208:8	5179:18	5187:8
5077:1,5	bank 5176:20	5210:13	better	5076:17
	5189:18	5211:8		5079:10,14
		5217:5,19		
		basic		
		5148:18		

5081:7	5102:3	bounce	5161:12	5175:14
5091:20	blank	5210:1	5184:7	5181:1,6
5098:7,12	5218:21	bouncing	5204:1,21,	5193:7
5100:3	block 5192:1	5165:15	22	5195:6
5112:22	blows	bound	5205:1,2,1	5199:13
5119:18	5076:14	5096:10	2,24	5209:12
5168:22	blue 5164:13	5188:7	5206:9,18,	5210:18
beyond	5209:10,15	bout 5159:8	25 5207:6	5214:11,19
5115:3	5210:14	boy 5176:23	5208:14,19	briefly
5139:9	5211:16	Boyd 5056:6	,23	5089:10
bias 5124:5	Board	5057:12,14	5209:2,8,1	5158:10
biased	5055:3,14,	5116:25	4,20,25	5194:9
5079:25	15,16,17,2	5117:1,9,1	5210:8,12,	bring
bigger	1 5056:2	3,14	25	5117:20
5113:25	5065:8	5118:1,17,	5211:10,15	5132:5
5174:11	5104:11	25	,18,24	5189:22
biggest	5108:9,14	5119:7,10,	5212:3,5,9	5194:13
5149:4,7	5112:5	12,16,25	,19,23	bringing
5182:14,17	5147:3	5120:5,9,1	5213:4,7,2	5065:16
5183:1	5155:4	5,22	0 5214:13	5086:24
5184:1	5158:20	5121:3,11,	5215:12,21	British
billing	5159:2	17,20	5216:11,16	5176:4
5211:3,19	5161:25	5122:1,6,1	5217:11,16	broad
bills	5190:4	0,16	,22	er
5183:12,13	5193:20	5123:2,7,1	5218:1,9	5114:9
binder	5218:5,10	8	break	5174:13
5111:24	Bob 5056:2	5124:2,7,1	5061:14	5214:25
5139:15	bold 5218:2	2	5089:22	brought
bit	bolded	5125:6,11,	5116:12	5094:7
5062:3,22,	5075:18	22	brief 5060:7	5171:11
23	bone 5139:8	5126:3,8,1	5066:8	5190:3
5064:12,23	book 5058:10	3,22	5083:9	build
5068:6	5117:2,11	5127:1,5,8	5089:1	5065:3,4,5
5069:6,23	5120:11	,12	5095:19	5071:3,6
5084:9	5135:16	5128:12,23	5096:5	5087:8
5089:23	5137:22	5129:7,24	5103:23	5088:4
5091:18	bottom	5130:5,10,	5110:10,13	5171:9
5098:19	5074:21	14,19	5116:16	5178:8
5101:2	5092:24	5131:2,20	5117:25	5182:10
5102:8	5093:3	5132:9,17	5118:12	5190:8
5104:16	5103:1,2,1	5133:2,18	5119:14	5197:17
5111:7	5 5105:4	5134:1,4,1	5131:7	builder's
5115:3	5112:18	0,16,20	5135:19	5178:10
5124:7,25	5122:11	5135:2,9,1	5136:3	building
5146:8	5143:15	5,21	5137:25	5086:8
5174:1,13	5150:6	5136:5,9,1	5138:24	5103:17
5178:5	5159:18	2,16,20	5142:11,21	5110:16,24
black	5162:9	5137:1,4,9	5143:4,10	5111:1
5101:13	5191:9	,12,17,21	5150:1	5114:4
		5138:1,8,1	5152:13	5133:6
		5 5139:1,3	5165:1,12	5157:23
			5167:9	

5178:2,3,1 4 5188:6,15 5189:11 builds 5161:8 built 5101:10 5154:1 5159:13,15 5189:15 5198:18 bulbs 5079:8,9,2 1 bunch 5102:2 5106:1 5163:7 5195:19 Bureau 5207:7 business 5110:3 5195:14 5199:4 5217:25 5218:19 businesses 5134:7 busy 5101:10 5132:25 buy 5172:10 5186:9 Byron 5056:9 5061:24 5142:16 <hr/> C <hr/> cable 5078:7,8 CAC 5056:9 5142:14,17 calculated 5085:6 calculation 5078:3 5168:16	5209:3 5210:2 5216:2 calculations 5079:17 5095:5 California 5142:5,13 5143:2 Canada 5110:8 5120:18 5124:18,21 ,22,25 5125:3,17, 19 5207:2 5208:6,10 5217:8 Canada's 5215:13 Canadian 5121:13 cancel 5166:24 5215:3 cancels 5214:7 5215:8 cap 5121:4 capacity 5063:1 5065:23 5068:5 5071:17 5076:7 5081:16 5086:3 5108:12 5154:24 5193:13 5198:9,15, 18 capital 5112:25 5113:24 5131:3,10, 22,25 5132:7 5133:16	5178:1,3,1 7 5188:7 capture 5129:2,5,2 0 care 5218:6 careful 5073:8 5080:7 5111:7 carefully 5080:15 5085:6 5123:14 5208:7 cares 5152:8 carried 5070:8 carry 5159:19 case 5062:6 5072:5 5123:10 5141:3 5160:14 5161:4 5163:3,4 5165:24 5166:1,8 5174:10 5186:6,14, 16,20 5187:9 5195:14 5198:17 5217:9 cases 5141:24 5200:21 Cat 5067:15 5068:9 5070:19 categorized 5092:20 caught 5121:25 cause 5082:1 5084:9	5125:25 5145:13 5153:7 5171:25 5188:21 5209:21 caused 5125:8 causes 5169:12 caution 5068:25 5069:7 5085:10 5088:5 5171:17 5172:23 cautioning 5083:22 cautious 5070:20 5087:8 5128:1 cautiously 5068:6 caveat 5093:18 5105:9 cell 5134:9 5145:11,12 ,16 census 5207:21 5208:2,4 Centra 5179:1 central 5120:2,6 centre 5198:17 cents 5195:24 5196:8 certain 5079:10 5087:4,17 5121:8 5142:5	5151:2 5206:6 5207:25 certainly 5088:7 5099:1 5105:18 5121:9,19 5129:5,14 5134:25 5154:24 certainty 5092:24 Certificate 5057:17 Certified 5219:13 chair 5062:18 5083:16 5119:17 5139:2 5182:23 5204:22 Chairman 5060:14 5062:6 5115:23 5116:11 5147:1 5180:4,11 5202:19 5203:23 5218:14 Chairperson 5055:13 5060:3,9 5062:8 5083:18 5084:2,15 5086:1 5087:1 5089:3 5114:19 5116:13,18 ,23 5139:3 5140:2,24 5163:21 5175:6 5176:10,18 5204:13,19
---	--	---	--	--

5217:24	2,13	5159:11	5148:5	5061:1,8
5218:18,23	5166:7	5160:2,7	clarified	coefficients
challenges	5187:24	5162:16	5202:22	5164:10
5154:21	5195:2	5166:7	clarify	coherence
chance	5215:10	Cheryl	5146:25	5075:2
5066:17,19	5216:14	5219:17	class	collecting
5180:6	changing	Cheshire	5078:12	5139:18
change	5162:24	5067:15	classically	coloured
5058:3	5210:21	5068:9	5192:21	5101:14
5060:24	Chapter	5070:19	clear 5087:7	5102:2
5061:4	5135:4,17	chicken	5113:4	Columbia
5092:4	characterist	5163:23,24	5201:24	5176:4
5093:19	ic 5177:16	children	5202:9	column
5094:23	characteriza	5134:9	5206:24	5184:21
5101:3	tion	chime	clearer	com 5082:4
5106:18	5190:7	5117:16	5075:25	combination
5127:19	characterize	choice	clearly	5086:5
5128:4	5110:24	5119:20	5077:17	5151:23
5132:11,14	5149:4	5120:7	5121:6	5170:20
5137:15	5186:1	5176:16	5189:6	comes
5159:20	charged	5177:1,16	client	5070:19
5160:13,15	5132:1	5182:14	5062:1	5082:19
,25	chart	5183:8	5109:14	5088:5
5162:11	5150:7,16	choosing	5177:2	5129:22
5163:8	5159:3,18	5108:8	clients	5187:3
5179:9	5160:4	5183:7	5109:13	5188:16
5187:11	5161:19	5197:10	5175:10	5211:2
5189:2	5162:1	Christian	5204:2	coming
5197:9	5164:12	5056:22	client's	5082:5
5209:4,6	5166:2	5146:7,16	5070:2	5088:20
5212:6,11,	5167:14,21	5157:21	Climate	5111:16
25	5169:18	5174:24	5058:3	5123:5
5213:13,14	5184:18	circulate	5060:23	5141:15
5214:6,9	5194:15	5061:13	5061:3	5145:4
5215:2,4,5	5195:17	circulated	clipping	5172:8,10
,6,9,10	5205:10	5060:21	5139:20	commenced
5216:10,15	5211:12,23	5061:13	close	5133:22
,22	5212:2	5117:3	5094:21	commencing
5217:6,7,1	charts	5142:14,24	5095:16	5060:1
7 5218:3	5123:4	circumstance	5168:17	comment
changed	5170:19	5098:20	closer	5063:22
5186:23	5205:11	5099:18	5100:4,5	5070:19
5211:14	5214:24	Citizenship	5125:14	5109:1,16,
5217:10	cheaper	5120:18	closures	17 5113:21
changes	5177:4	clarificatio	5129:12	5121:12
5106:6	check 5119:6	n 5089:11	coal 5058:7	5122:21
5124:15	5138:2,9,1	5117:17	5060:25	5124:17
5125:9	4 5149:14	5119:19		5184:10
5149:8				
5151:6				
5162:8				
5163:7,8,1				

5185:12	5124:18	concede	5218:16	5208:13
5201:17	5131:22	5114:17	concluding	cons 5207:11
commented	5162:4	concept	5120:24	consensus
5123:7	5167:24	5067:16	conclusion	5058:8
5135:3	5170:10	5071:21	5063:2	5061:11,17
comments	5181:18	5084:25	5070:4	5169:6,7
5109:12	5201:5	5087:16	5205:15	consequence
5122:22	compares	5178:9	conclusions	5065:19
5125:12	5196:7	5186:9	5125:21	5087:5
5127:17	comparing	5187:11	conditions	consequences
5169:19	5091:11	5190:16	5081:24	5125:1
5177:13	5138:5,10	5192:11	conducting	5151:18
5180:10	comparison	5212:4	5195:2	5152:8,9
5193:1,3	5130:25	conceptual	cone	conservation
5199:3	5205:11	5153:11	5103:9,13,21	5191:20
commercial	competing	5197:8	5104:4,24	5192:9,15,19
5161:7	5133:3	5201:14	5106:5	conservative
commitment	competitive	conceptually	5151:2	5086:6
5188:19	5133:20	5148:21	confess	5187:9
committed	5134:5	5165:19	5204:23	consider
5189:21	5171:20	concern	confidence	5065:18,20
common	5172:18	5126:9	5092:13,20	5072:22
5110:8	5179:15,18	5150:21	5097:14,20	5073:24
5120:1	5183:23	5151:14,17,20	5103:14,18,20	5076:2,5
5133:5	competitors	5153:1	5151:3	5086:16
5173:11	5172:19,21	5156:19	5168:13	5088:1
community	complete	5160:11,24	5208:10	5091:21
5176:1	5058:12	5164:20	confident	5114:11
compact	5114:20	5165:17,22	5067:17,22	5129:23
5079:11	5146:20	5166:4,5,10	5071:17	5135:10
companies	completely	5167:5	5084:22	5148:23
5171:21	5113:4	5185:16	5086:10	5157:14
5179:19	5207:25	5205:13	5087:15	5160:10
5188:23	complex	concerned	5097:18	5162:19
5189:11,14	5133:7	5151:11	confidential	5192:9,21
company	complexity	concerns	5109:20	5194:10
5069:10	5214:9	5079:24	confidential	considerable
5072:10	component	5129:18	confidentiality	5063:6
5084:10,12	5129:1	5151:16	5109:10	5207:3,11
5179:14	5157:5,6	5152:6	confirm	consideration
5188:12	con 5165:19	5158:7	5112:12	n 5134:17
5189:6	5178:9	5197:8	5116:1	5182:8,25
comparable	5202:20	conclude	5135:24	5193:21
5076:21	Conawapa	5214:8	5138:16	considered
5173:5	5111:8	concludes	conflict	5063:10
compared	5114:21	5083:16	5179:4,5	5076:13
5086:9,10	5190:2,5,16	5139:2	conflicting	5106:12,15
5095:17	6 5200:24	5203:23		5135:14

consistency 5093:14	5185:4,19 5187:5 5188:13,14	,11	5165:6,20	5192:24 5194:24
consistent 5068:1 5093:11 5097:7 5102:11,17 5104:19 5121:4 5125:2 5126:14,19 5140:14 5172:22	consumption 5081:1 5145:8 5162:12 5170:5 5174:21 5192:16	contracting 5190:21	co-ops 5132:3	5203:7 5207:8 5208:25 5212:15 5214:17 5215:13,19 5216:20,24 ,25 5217:20 5219:13
consistently 5126:17	contained 5139:9 5216:3	contracts 5087:6,10, 14 5110:25 5114:23 5115:1,6,7 ,10,12,19, 20 5152:20 5153:14 5154:4,5,9 ,10,14,20, 22 5155:17,18 ,22 5156:4,8 5190:17,19	co-owner 5175:24 copy 5146:5 Corey 5056:20 5116:5 corporation 5183:4 correct 5063:15 5074:13 5082:16,17 5089:19,20 ,25 5090:1,4,5 ,9,13,16,1 7 5092:21 5093:24 5094:17,23 5095:17 5100:19 5101:4,24 5103:8,21 5107:9,10, 16,24 5111:2 5112:4 5114:3 5116:4 5117:8 5122:9 5126:2,7 5128:17 5132:12 5134:7 5146:12 5147:6 5148:9,25 5150:12 5153:16 5154:6 5156:15 5159:17 5170:20 5174:8 5180:19 5182:9 5190:6	correction 5166:14 correctly 5080:22 5100:8 5147:2 5150:21 5153:1 5159:13 5194:21 correlation 5206:13 correspond 5095:2 correspondin g 5070:21 cost 5072:4,10 5112:25 5131:1,4,2 2 5132:19 5140:17 5141:14 5143:16 5167:22,24 5168:18 5169:18 5170:3 5174:9,19 5178:2,3,7 ,18 5183:5 5190:18 5195:19,23 5196:7,14, 15,19,21 5198:25 5200:18 cost-of
constant 5122:14	content 5167:18 CONTENTS 5057:1	contractual 5089:17		
constrained 5128:19 5198:9,12	context 5069:16 5162:22 5194:17	contrast 5149:18 5167:4		
constraint 5163:1 5182:22	continental 5153:8	contrasted 5073:20		
constructed 5152:19	continentall y 5147:20 5157:2	contrasting 5198:20		
construction 5171:16 5180:21	continue 5070:10 5160:19 5180:8	contribution s 5075:9,20		
consult 5147:12 5156:21 5204:6	continued 5057:10,14 5058:6 5060:15 5061:1,7 5062:16 5066:12 5158:2 5164:1 5180:3 5194:7 5205:1	conventional 5163:1,2		
consultant 5168:2	contract 5115:2,21 5154:15 5155:1 5188:18,21 5189:15 5190:4,5,9	conversation 5191:24		
consumer 5129:19,20 5149:5 5184:2,8 5186:24,25 5187:3,12 5188:16,20 ,25 5193:15		conversion 5171:16		
consumers 5109:6,9,2 4 5126:10 5128:15,21 ,25 5129:13		conversioned 5108:3		
		conversions 5178:1		
		conveying 5077:18		
		convinced 5128:20		
		cooling 5164:4,11, 14		

5168:15	5160:16	es 5059:6	5069:15	ess
cost-of-	5161:6	5174:6	cust 5216:5	5100:10
service	5168:20	cross-	customer	cyclical
5131:11,12	5174:10	elasticity	5131:15	5099:17
costs	5182:3	5172:11	5132:6,18	5100:10
5131:3,10,	court	cross-	5134:22	<hr/>
22,25	5146:24	examinatio	5159:23	<hr/> D
5132:7,8	5194:1	n	5178:12	daily 5090:8
5143:13,20	5202:21	5057:10,11	5183:5,7	dam 5063:13
5145:10	cover	,12,13,14	5208:15	5065:3
5168:5	5140:18	5060:15	5210:22	5070:23
5169:21	covered	5062:16	5212:12	5190:8,10
5178:17	5097:15	5089:8	5213:8	dams 5081:17
5190:13	cow 5163:25	5117:13	5214:4	5189:11,15
counsel	create	5147:23	5215:19	darker
5056:2	5064:9	5205:1	customers	5102:4
5146:1	created	cross-	5078:15	dashes
5158:20	5206:21	examine	5089:18	5102:4
count	creates	5116:9	5108:19	5105:3
5067:24	5066:24	crossing	5109:24,25	data 5166:12
5069:13	5151:20	5142:3	5118:6	5214:14,22
5081:5	credible	cross-price	5119:2,20	,23
counteractin	5064:22,23	5169:25	5122:13	5215:1,2,2
g 5141:9	5065:12,17	Crown 5183:4	5124:5	2 5217:6
counterparti	5069:21	CSI 5218:15	5132:11	dated
es 5114:23	5139:19	cumulative	5134:6	5066:21
counterparty	5140:4	5165:18	5172:5	Dave 5062:2
5154:23	5186:11	current	5179:25	day 5077:10
country	credibly	5172:4	5182:24	5216:19
5127:9	5085:6	5195:19	5183:11	5218:7
5140:15	crisis	currently	5211:4,19,	days 5207:15
5176:2	5099:19	5149:9	20 5213:11	deal 5085:3
5188:24	criteria	5150:23	5214:1,3	5089:10
couple	5073:25	5180:5	5215:25	5090:25
5065:13	5202:7	5195:24	5216:19	5107:1
5101:11,23	criterion	curt 5090:16	customer's	5110:15
5106:25	5197:18	curtail	5131:21,25	5186:6
5117:17	criticism	5089:25	5132:22	5188:24
5119:5	5122:20	Curtailable	5176:16	dealing
5132:14	critiquing	5089:13,17	Customers	5058:5
5133:19	5091:19	curtailment	5211:21	5060:25
5166:12	cross	5090:3,8,1	cuts 5169:12	5061:6
5169:8	5170:8,16	6	cycle	5062:24
5175:19	5172:14	curtailments	5178:11	5161:9
5189:14	5175:1	5090:11	cycles	5169:18
5205:2	cross-	cushion	5100:2	5187:4
course	elasticiti		cyclicalitin	dealt
5126:19				
5143:18				

5090:23	5097:11	y 5067:9	5094:3	5195:13
5189:13	5130:20,23	dependable	5124:24	5202:5,6
debate	definitely	5064:21,24	5129:13	Diana
5127:20	5171:11	5065:18,21	5134:15	5092:11
5206:3	degree-day	5066:24	details	5094:7
5207:3,5	5165:16,20	5067:7	5089:17	5102:5
decade	delay	5068:5	5134:11	5117:20
5144:9	5071:23	5069:14	5158:7,11	Diane
decades	5088:23	5071:20	5178:4	5062:22
5132:15	delayed	5076:3,6	5191:5	difference
decide	5063:5	5080:14	determine	5059:11
5176:23	deliberating	5081:6	5070:7,16	5073:23
decided	5218:10	5085:8,10,11,22	5111:15	5094:14
5087:8	delightful	5086:17	5162:8	5097:8
decision	5083:14	5087:12,16,19 5088:1	5208:15	5113:7
5065:8	deliver	5149:19	5214:13	5137:1,13
5111:8	5068:3	5155:17	determined	5150:10,18
5177:5,6	5085:13	5193:12	5168:1	5159:9
5178:25	delivered	dependent	5215:1	5177:9
decline	5070:21	5214:22	determines	5187:20
5121:18	delivering	depiction	5087:12	5199:21,25
5123:24	5080:9	5073:22	determining	5201:15
5142:7	5084:10	5217:12	5173:4	5202:4,25
declining	dema 5170:12	depressed	developers	5203:13
5122:17	demand	5061:25	5177:23,24	5209:9,15
5143:20,22	5065:22	describe	5178:7	differences
5154:1,18	5068:7,12	5126:13	developing	5079:18
deeply	5073:25	described	5065:6	different
5139:13	5077:5	5120:6	5073:21	5074:17
defer 5063:1	5113:16,17	5123:8	development	5077:17,25
5065:1,10,13,15	5145:14	description	5055:10	5079:19
5071:9,19,25	5154:2,19	5058:2	5106:19,21	5081:24
5072:2,3	5159:23	5059:2,10	5133:6	5084:9,10
deferral	5161:5,6,7	5155:15	5160:15	5089:24
5065:19	5162:3	5191:11,15,18	5177:25	5090:4
5072:1,7,10 5193:1	5168:16	5199:14,25	5178:1	5091:18
deferred	5170:5,12,14 5182:13	5201:14	5182:19	5092:7
5063:6,14	5202:8	5202:24	5200:8,12	5096:15
deferring	5213:1	5203:11	developments	5097:17
5064:1	5214:3,4	designed	5189:23	5106:21
deficit	demand-side	5108:6	deviation	5109:23
5136:6,13,16,22	5070:1	Desorcy	5151:19	5114:6
define	depend	5062:2	deviations	5124:21
	5084:22	destination	5095:5	5132:22
	5113:15	5219:2	diagram	5140:13,15
	dependabilit	detail	5145:24	5141:17,18,21
			5167:19	5142:25
			5179:22	5148:23
				5160:24
				5166:15,16,18,20,22

5169:8	5168:10	dispatchable	5058:10	Dr 5108:20
5178:5	disagreeing	5075:15	5111:25	draw 5096:9
5179:13	5104:17	5077:19	5117:2,11	5101:11
5186:10	disappearing	5081:4	5120:11	5169:24
5190:15	5142:8	displacement	5135:16	drawing
5198:23	disconnect	5134:17	5137:22	5218:21
5199:16	5070:10	5135:1	5139:12	drawn
5200:25	discount	5191:21	dollar	5144:15
5205:20	5080:12	5192:20	5111:18	drill
5211:23	5189:3,5,7	dispute	dollars	5197:20
5212:8	discovered	5125:20	5133:3	driven
5213:17	5207:20	dissuade	domestic	5121:7
5215:25	discuss	5180:21	5065:22	5168:18,20
differential	5164:9	distant	5087:11	,23
5059:7	discussed	5189:4	5113:9,12	5172:15
5160:20	5107:5	distinction	dominantly	5207:21
5168:23,24	5109:21	5096:9	5112:24	5214:23
5171:14,21	5133:21	5169:24	Don 5173:16	driver
,24	5155:21	5185:12	Donald	5118:24
5172:1,2,9	5162:5	distribution	5101:9	5152:9
,16,17	5167:3	5078:7,8	done 5085:11	driving
5173:11	5181:20	distribution	5097:6,25	5118:22
5174:7,18,	5191:12	s 5150:22	5109:15	5171:15
19 5175:3	5206:24	distributor	5140:10	drop 5209:20
differential	discussing	5175:12	5172:16	dropped
s 5172:20	5152:22	distributors	5177:14	5208:2
differently	5153:6	5091:17	5186:17	drove
5132:23	discussion	5175:17,18	5206:12	5207:23
difficulties	5108:19	diverging	5210:2	DSA 5062:25
5151:21	5110:13	5170:22	5218:25	DSM 5059:12
difficulty	5111:22	divide	door 5172:8	5062:25
5077:18	5112:1	5208:24	doors 5175:9	5063:3,12,
direct	5114:20	5211:3,18	5176:25	25
5068:11	5118:15	5212:12	dots 5105:3	5064:1,2,7
5139:24	5139:6	5213:10	dotted	,18,19,20,
5208:8	5144:2,17	5215:18	5102:3,8,2	22,23
directed	5152:16	document	1	5065:2,6,1
5180:20	5157:16	5067:3	double	1,17,20
direction	5177:12	5120:23	5138:17	5066:24
5129:11	5183:16	5145:18,23	doubt	5067:4,16
5139:19	5206:5	5146:11,17	5125:20	5068:8,10,
5163:13	5207:12	5149:23	Douglas	13,16,17,1
directions	5218:3	5162:10	5056:7	8,20,21
5125:19	discussions	5164:6	downward	5069:1,6,1
dis 5124:3	5109:15	5167:13	5120:13	3
disagree	5128:18	5168:11	5124:5	5070:7,25
5122:12	5206:6,10	5184:4	5141:11	5071:9,22,
5160:5	dispatch	documents		24 5073:15
	5077:9			

5075:8,11, 14,19	5167:16	economists	,9,11,17	5075:5
5076:3,9,1 6	<hr/> E <hr/>	5125:17	5171:5,8	5090:20
5077:12,25	earlier	economy	5173:4,20, 23	5100:18
5078:25	5115:24	5101:4	elasticity	5117:22
5079:1	5126:21	5124:16,24	5170:2	5146:11,17
5080:1,8,2 2,25	5142:3	5128:9	electric	5147:8
5082:21,22	5147:1	economy's	5067:4	5157:19
5083:23	5156:23	5127:19	5118:7	5175:1
5084:1,11, 16,22	5158:16	effect	5119:3,21	5185:21
5085:1,12, 16,17,21	5161:14	5077:7	5120:2	5203:10
5086:2,7,1 5,21,24	5166:2	5078:24	5168:6	5218:17
5087:2,5,9 ,24,25	5175:7	5098:15	5171:19	Elenchus's
5088:6,9,1 1,14,16,17 ,22	5176:13	5099:23	5175:18,21	5075:1
5105:5,9,1 6,19	5184:6	5126:20,23 ,24 5153:3	5178:8	elevator
5106:14,22	5187:24	5154:1,8	5179:18	5204:24
5134:11,17	early	5165:18	5180:21	eleven
5138:2,4,1 6	5207:15	5185:9	5205:22	5212:14
5191:11,15 ,19	earning	5216:7	electrically	else 5086:25
5193:14	5146:8	effectively	5178:3	5132:2
5194:10,17 ,22	eco 5178:13	5183:6	electricity	5139:11
5195:20,23	econometric	effects	5059:8	5176:2
5196:14	5207:24	5156:14	5167:23	5182:15
5197:10,24	econometrics	efficiency	5169:25	5186:1
5200:2,3,1 0,13,19,20 ,25	5207:16	5141:10	5170:3,6,1 0,14,21,23	5206:10,12
5201:4,7,8 ,9	economic	5192:21	5171:14	elsewhere
5203:1,14	5063:24	efficient	5174:7,15, 20	5082:14
due 5153:2	5064:11	5079:8,21	5175:4,12, 17,23	5197:14
Dunsky's	5070:25	eight	5176:16	EM&V 5067:22
5063:2	5071:6,10	5148:25	5177:1,13, 17 5178:11	email
duration	5072:3,4,7	5161:1	5182:14	5061:13
5090:3	5074:3	eighteen	5183:3,14	Emissions
5115:1	5088:3	5138:20	electronic	5058:4
during	5094:5	either	5155:4	5060:24
5061:14	5111:21	5079:25	element	5061:4
5099:12	5112:7	5097:16	5160:13	emphasi
5121:15	5113:23	5117:15	elements	5185:21
	5130:22,24 ,25 5133:1	5139:15	5106:20	emphasis
	5144:4,14	5154:9	Elenchus	5082:20
	5178:13	5165:4	5057:6	emphasize
	5183:22	5182:8	5059:3,6,9	5109:12
	5200:10	elas 5171:8	5060:16	empirical
	5201:5	elasticities	5062:11	5120:16
	economically	5171:10	5070:15	employed
	5144:10	5175:2	5072:13	5070:3
	economics	elasticity	5074:5	EMV 5079:6
	5072:1	5167:5		encouraging
	5135:6	5170:1,2,3		5176:20

endorsed	5104:1	5114:15	5081:10,15	5081:14
5206:22	5131:17	5171:1,9	5082:8	5082:11
energy	era 5117:23	5187:11	5112:22	5105:24
5068:5	5127:21	5208:9	5127:24	5113:20
5071:18	ERA-7	estimated	5163:3	5154:12
5087:12,19	5058:11	5067:4	5183:11	5213:8
5101:15	5146:14	5080:19,22	5185:13	examination
5111:25	ERA-8	estimates	5206:16	5167:16
5112:8,9,1	5058:12	5067:17,18	everything's	examinations
4 5113:1	5146:20	,19	5113:2	5067:23
5132:5	error	5070:16	everywhere	example
5138:17	5100:10	5078:22,25	5182:3	5086:14
5149:19	5123:8,13	5079:13,16	evidence	5087:7
5170:7	5125:25	5080:8	5064:15	5089:23
5183:12,13	5126:6	5081:3,7,8	5072:8	5098:6
5192:21	5151:2,19	5086:11	5088:6,7	5106:6
5193:13	errors	5172:3	5095:22	5125:4
5197:22	5165:19	5207:21	5104:20	5129:11
5198:8,11,15	escalation	5208:9	5111:16	5132:4
engineering	5167:21	estimating	5114:9	5133:4,15
5071:20	5168:1	5079:3,22,25	5115:14	5142:4
5078:22,25	especially	5086:6	5118:24	5153:3
5079:6,13,16,17	5189:23	evaluate	5122:6,16	5158:5
5084:25	essence	5194:22	5123:3,9,1	5169:13
entities	5076:1	5197:24	8 5125:24	5172:7
5172:18	5097:3	5200:2,3	5127:2,13	5175:21
entrants	essentially	evaluating	5128:11	5183:2
5107:15,16	5072:1	5059:12	5133:19	5196:14
environment	5097:1	5197:10	5135:9	5200:12
5131:11,12	5123:21	5198:21	5139:24	exceed
environmenta	5124:2	5203:1,14	5140:20	5064:8
l 5074:2	5127:21	evaluation	5149:3	excellent
5169:11	5141:7	5138:17	5152:17	5173:17
equal	5151:4	5194:17	5155:13	except
5084:18	5189:3	evaluations	5157:18	5131:11
5131:4	5190:20	5138:10,11	5167:16	5154:22
5138:3	establish	event 5100:1	5185:21	5190:10
5194:21,23	5149:12	events	5191:3,7	excerpt
equally	5211:20	5106:2	5198:7	5142:17
5169:19	5213:11	5185:10	5199:2	5184:5
equals	established	everybody	5208:20	excerpts
5149:14	5159:24	5060:10	5210:1	5058:3,11
equipment	estimate	everyone	5215:17	5060:23
5078:6	5078:10,18	5117:5	exac 5064:6	5061:3
equivalent	5080:3	everyone's	exact	5146:2,14
5067:24	5094:11	5116:24	5118:23	Excuse
5077:8	5102:16	5204:20	exactly	5194:1
	5107:20	everything	5064:6	exercise
			5071:4	5181:13
			5079:15	

Exhausting 5148:6	existing 5110:25	5086:10	5072:2,9	n 5144:13
exhaustive 5148:4	5115:6,12, 15 5152:20	5093:22	5082:12,13	extreme 5097:13
exhaustively 5205:8	5182:10	5095:12	5087:10	5098:8,20
exhibit 5058:2	5194:4	5096:23	5110:21	5099:18
5060:23	5198:3	5097:9,12	5111:1	5104:18
5061:3,10, 11,17	expansion 5182:5	5099:4	5113:3,8	5135:11,12
5062:21	expect 5067:7	5103:12	5114:23,25	extremely 5173:16
5066:6,14	5073:14	5104:3	5151:23	
5082:20	5092:7	5109:13,17	5152:3	<hr/> F <hr/>
5090:20	5097:5	5120:4	5157:5	face 5077:11
5094:7	5112:18	5124:18	5168:21	5179:25
5099:1,2	5119:2	5126:5	exporting 5112:21	facilities 5071:7
5101:8	5154:7,25	5132:9	5113:19	5188:18
5105:1	5172:22	5165:23	exports 5064:3	fact 5063:3,5
5111:20	5173:1	5171:18	5065:23	5065:21
5117:6,11, 21 5134:13	5190:22	5176:9	5071:14	5070:4
5135:17	5213:11	5185:22,24	5087:12	5071:9
5137:6,22	expectation 5118:16	5207:14	5113:10,11 ,13,16	5078:5
5142:17	5133:5	experienced 5101:24	5153:12,13 ,15	5081:7
5145:19,23	5169:10	5127:10	express 5103:10	5083:13
5146:3,10, 14,20	expected 5068:7	expertise 5157:9	expressed 5129:18	5084:14
5149:24	5075:8,19	experts 5070:3,13	5164:19	5094:15
5150:3,4	5079:23	expire 5115:13	expressing 5083:21	5099:10
5152:11	5113:10	explain 5096:7	extend 5154:3	5104:17
5158:17	5120:18	5156:10	extended 5152:20	5115:8
5159:1,6	5128:16	5164:12	5182:3	5133:21
5161:18	5171:13	explained 5105:25	extension 5194:4	5142:9
5164:5,25	expecting 5083:22	5111:4	extensive 5206:3	5154:14
5167:7	5087:4	explaining 5109:22	extent 5084:6,8,1 1 5105:18	5164:21
5180:24	5106:7	explicit 5075:7,18	extrapolate 5143:23	5166:21
5181:3	5169:3	exploit 5172:19	extrapolatio 5160:19	5192:12
5184:3	5187:10	exploited 5182:21		5193:2
5191:8	expects 5118:5	explore 5139:13		5205:5
5193:10	expensive 5178:12,15 ,19	5194:9		5216:11
5195:3	5183:15	export 5064:9		5217:17
5204:3,10	experience 5067:21	5065:24		factor 5182:15
5206:19	5079:14			5184:2
5209:3	5081:5			factors 5074:2,3
5210:9	5084:3,7,8			5121:9
5211:1				5125:8
exhibits 5057:3				5131:18
5058:1				5202:2
5060:20				fail 5087:19
				failure

5190:11	5208:1	5173:5	,25	folks 5134:8
fair 5097:23	feed 5081:2	fine 5069:8	5098:17,21	footing
5106:10	5122:22	5140:3	5099:8,12	5194:23
5110:22	feeding	5188:22	5104:11	forced
5112:10	5144:22	finish	5127:2	5119:20
5114:3	5144:22	5218:19	5129:16	5120:2
5126:10	feeds 5145:1	fired 5065:4	5132:15	forces
5130:20	feel 5090:22	5070:22	5138:4,6	5141:9
5134:20,23	5117:16	firm 5087:11	5140:20	forec 5091:5
5149:3	fencing	5101:14	5175:18	forecast
5150:24	5179:13	5114:22,25	5200:16	5058:8
5181:20	fewer	5115:1,7,9	fixed 5132:6	5061:12,18
5209:5	5177:21	,13,15,17,	5200:20,21	5063:12
fairing	fifteen	18,20,21	5201:3,10	5067:5
5105:15	5074:10	5153:14	flat 5113:18	5068:13,15
fairly	5200:15	5154:4,9,1	5122:21,25	,16,20,21
5104:23	fifty	0,13,14,15	5123:1,21,	5086:8
5111:22	5115:21	,20,22	25 5152:18	5088:4
5164:13	fifty-three	5155:1,17,	5153:2,18	5090:25
5172:22	5066:10	21	5154:18	5091:5,15,
5173:11	figure	5156:4,8	5156:11,18	16 5092:3
fairness	5125:18	5157:5	flatter	5093:1,7
5063:20	figures	5190:17,19	5141:14	5094:2
5101:3	5212:18	,21	flexibility	5096:17,18
faith	file 5061:15	first	5107:2,7,1	5097:1,21
5148:19	5158:21	5060:22	1	5099:6
5169:16	filed	5072:5	flight	5100:11,12
fall 5067:7	5159:1,5	5089:9	5148:14	5101:22
5158:12	5191:3	5090:23	flip 5165:17	5102:8,10,
familiar	5206:1	5094:8	5201:18	12 5103:5
5180:14,15	final	5102:7	5210:22	5113:6,7,9
5192:6,10	5104:22	5107:1	flipped	5118:10,19
5195:17	5105:2	5112:15	5074:21	5119:1
5196:13	finally	5122:7	flips 5166:1	5125:12,23
5207:6	5090:14	5140:12	flow 5091:1	,24 5126:4
familiarized	financial	5148:14	5168:23	5128:15
5192:13	5094:6	5154:17	flows	5129:2,8,1
faring	5098:9	5177:10	5085:9,22	0
5112:9	5099:19	5190:1	5161:6	5130:9,15
farm 5077:20	5112:6	5200:15	fluctuates	5135:25
5163:17,18	5151:18,20	5205:3	5081:23	5136:19,22
,24	5152:5,8,9	fit 5117:16	5096:23	5137:7,14,
fast 5124:8	5189:18	5165:10	fluorescents	16
favourable	financing	fits 5104:23	5079:11	5151:16,19
5080:2	5132:2,5	five 5064:18	focus 5183:4	,20
5154:10	finding	5080:21	5126:9	5155:18
5208:12		5085:15		5156:2,4
favoured		5086:18		5158:4
		5095:6,15		5159:5
		5096:17,18		5160:14,16
				5167:17

5168:7	5173:20	front	5152:21	5171:14,16
5169:3,5	forthright	5105:11	5155:17,22	,20,23
5177:14	5109:9	5108:9	5156:3,8,2	5173:7,13,
5184:6	5110:8	5159:2	2 5171:2	14,17
5207:1	forty	5184:18	5179:23	5174:7,21
5208:15,24	5115:21	fuel 5120:7	5182:20	5175:4,9,1
5212:11	forty-one	5145:11,12	5184:12	2,20,23
5213:8,9	5138:19	,16	5186:9	5176:5,16
5214:16,21	forty-six	5180:13	5189:5	5177:1,17
5215:3,10,	5138:6	5183:7,15,	5213:12	5178:2,11,
17,19,24	5212:14	22 5191:21	futures	14,22
forecasters	forward	5192:20	5167:25	5179:9,10,
5155:23	5065:16	fulfill		18 5180:20
5156:13	5069:19	5190:11	<hr/>	5182:1,4,1
forecasting	5072:21	full 5089:16	G	4
5077:21	5085:24	5131:1	GAC 5056:11	5183:3,14
5078:11	5100:12	5145:23	gain 5067:20	5201:1
5091:16	5102:17	5146:5	Gange	5205:20
5092:13	5130:12	5169:16	5056:11	general
5094:6	5165:25	fully	5057:10	5120:4
5100:3	5169:2	5150:23	5060:16	5126:4
5109:15	5179:23	5162:6	5062:7,8,1	5141:13
5114:9	5190:3	5190:5	6,17	5158:14
5122:12	forward-	5197:16	5063:9,19	5178:4,5
5126:18	looking	fun	5066:2,12,	5192:11
forecasts	5169:5	5212:18,20	13	generalizati
5063:12	four-and-a-	functioning	5067:1,13	on 5188:12
5081:22	half	5076:18	5069:25	generally
5085:12	5138:3	fundamental	5071:11	5168:4
5092:1	frame	5072:16,19	5072:12,24	5192:4
5099:21,22	5148:8,25	,25	5073:12	generate
5100:14,17	5164:22	5073:23	5074:4,8,1	5071:15
,23	frankly	5185:14,15	1,18,22,25	5077:23
5125:12	5109:17	5187:24	5076:10,20	5083:23
5144:18	5176:13	furnaces	5081:9,25	5084:5
5150:6	free 5090:22	5119:21	5082:9,18	generated
5158:16,22	5117:16	5120:2	5083:4,7,1	5081:23
Foreign	5190:10	future	1	5082:16,25
5121:13	fridges	5063:1	gas 5059:8	generating
forget	5079:1	5070:12	5065:4	5065:4
5205:3	Friend	5071:18	5070:22	5071:7
form 5191:4	5061:24	5072:23	5081:12	5200:15
5205:14	5161:12	5100:13	5108:3	generation
formal	5184:7	5107:11	5119:21	5064:1
5206:8	Friesen	5121:10	5145:15	5065:23
formula	5109:5,7,2	5128:9	5167:25	5067:24
5173:23	2	5129:3	5168:6,25	5075:16
5208:21		5145:10	5169:2,5,8	5076:21
5215:16		5147:13	,9,10,11,1	5077:19
formulas		5151:4	2,13	5084:17,19
			5170:9,13,	5085:21
			23	

5087:2,8	5081:14	graphs	grounds	guessing
5110:19	5094:12,13	5092:15	5179:8	5125:19
5111:1	5099:6	5104:8,10	grow 5153:7	5182:18
5130:22	5101:15	5123:13,19	growing	guideline
5132:20	given	great	5068:7	5202:1
5141:23	5063:16	5071:14	5080:24	<hr/>
5144:22	5065:24	5111:11	5127:19	<hr/> H <hr/>
5145:7	5068:7	5134:15	5177:13	Hacault
5190:20	5069:16	5148:19	growth	5056:14
5194:23	5072:3	5188:1	5080:20	5057:11
5200:23	5084:18	greater	5101:24	5089:4,5,8
5201:5,8,9	5089:21	5064:9	5105:14	,9,22
gentlemen	5091:16	5082:24	5107:8	5090:2,6,1
5117:15	5092:3	5114:10	5113:18	0,14,18
5139:1	5109:20	5141:10	5118:22,24	5091:7,10,
George	5111:3	5169:4	5127:15,21	22
5056:16	5186:8	5182:5	5129:3,6,2	5092:8,18,
5116:3	5188:22	5185:9	5	23
German	5189:25	5200:14	5135:5,11,	5093:5,16
5163:14	5206:13	greatest	24	5094:1
getting	5217:3	5126:11	5138:18,22	5095:3,9,2
5068:10	gives	green	5147:20	3 5096:2
5069:3	5085:22	5101:20	5149:5,14	5098:10,25
5080:16,24	giving	5112:19	5152:18	5100:2,16,
5089:10	5065:17	grey 5159:18	5153:2,8,1	22
5141:10	5185:9	grid 5059:4	9	5101:1,6,1
5177:4	gone 5102:22	5111:5,23	5156:11,18	9
5198:20	5127:21	5113:17	5157:1	5102:1,15,
5200:7	5128:3	5130:20	5159:4	20
5207:17	5136:5	5131:1,16,	5166:1	5103:6,8,1
gigawatt	5163:24	17	5168:5	6
5070:22	Gosselin	5132:11,24	5171:2	5104:5,8,2
5094:22	5055:13	5139:6,23	5184:8,17,	1
5130:1,6	government	5140:11,12	20,25	5105:8,22
5136:1,17,	5131:14	,14	5185:5	5106:24
22	5217:9	5141:1,4,7	5186:13,18	5107:4,13,
5137:2,13,	Grant	,9,10,11,1	,21,24	18
18 5138:11	5055:17	7,20,25	5187:10,12	5108:5,18
5149:15,20	graph	5142:2,7	guarantee	5109:2,4,1
5150:12,18	5082:10	5144:5,13,	5127:18	9 5110:12
5151:13	5096:18	19,22,25	5167:1	5111:2,19
5159:25	5101:10,16	5145:2,3,6	guaranteed	5112:3
5160:9	5102:25	,9	5087:20	5114:2,12,
5162:14	5103:2	5147:3,9	5189:17	18 5149:22
5165:7,8	5105:4	5153:2,6,8	guess	5204:7
5167:4	5123:9,20,	,22,24	5082:19	half 5088:10
5181:16	23,25	grids	5102:16	5093:4
5184:9,14	5141:16	5144:24	5104:5,25	5098:23,24
5185:6	5143:14	gross	5119:17	halfway
5187:23	5212:10	5068:12,18	5134:10	5191:17
gigawatts			5199:1,7	hand 5083:18

handle 5079:14 5128:14,22	heart 5081:10	5158:4 5173:8	Hombach 5056:3	5182:6,12 5183:25
happen 5071:13 5106:2 5182:19	heat 5118:7 5119:3 5120:2 5167:22 5168:6 5169:20,21	5178:18 5188:24 5199:14 5203:10	5057:13 5060:12,13 5061:10,20 5062:5 5114:14,17 5115:23 5116:8,14 5139:5 5145:17,25 5146:22 5147:23,24 5148:3,7,1 1,21 5149:2,7,1 1,18,22 5150:3,9,1 5,20 5151:7 5152:2,5,1 0,15,25 5153:10,17 5154:3,7 5155:3,11 5156:5,16 5157:3,10, 14,21,24 5158:2,3,1 0,25 5159:17 5160:3,8,2 3 5161:11,17 ,22,25 5162:18 5163:14 5164:1,2,1 9,24 5165:3 5166:3 5167:2,11, 20 5168:9 5169:14,23 5170:8,15, 18,25 5172:11 5173:3,19 5174:2,8,1 2,16,22 5180:3,4,1 7 5181:3,8,1 5,25	5184:12,16 ,24 5185:3,11, 25 5187:21 5188:4 5189:10,20 5190:25 5191:14,17 ,24 5192:4,8,1 8,25 5193:5,9,1 9,24 5194:3,7,8 ,15,20,25 5195:8,15, 18 5196:2,6,1 1,17,23 5197:1,4,7 ,23 5198:2,19 5199:5,11, 24 5201:2,11 5202:14,16 ,19,21,23 5203:7,22 5205:4 5217:17 5218:9
happened 5100:4 5177:4	heated 5167:22 5178:2,3,8 ,15	higher 5063:4 5065:9 5081:1 5086:3 5088:9 5102:8 5112:20,21 5121:23 5122:4 5130:12 5141:4 5153:23,24 5178:2,17, 18 5181:21 5186:16 5189:5,7		
happy 5061:13	heaters 5119:21			
hard 5097:24 5167:12	heating 5120:6 5164:4,10, 13 5165:20 5167:25 5169:19 5174:10,19 5175:9 5178:19 5180:21	high-level 5059:9 5202:24		
harder 5125:15	HELD 5055:20			
haven't 5109:14,15 5122:8 5125:7 5186:23 5188:22 5192:12 5195:8 5213:17	help 5064:14 5183:15	highlighted 5094:10		
having 5077:18 5084:3 5115:20 5116:1 5149:2 5212:18,19	helpful 5095:22 5201:13 5218:8	hil 5178:8		
head 5173:24	hence 5215:11	hint 5080:23		
heading 5092:25	here's 5082:12 5085:4 5151:1 5199:23 5200:19	historic 5126:12 5217:4		
hear 5117:2 5191:2	he's 5109:8 5133:7 5155:14	historical 5069:11		
heard 5114:20 5150:20 5152:25	high 5067:20 5068:20,21 5112:18 5113:3,12, 13 5128:24 5133:16 5153:11	history 5070:4,9 5130:13 5143:18 5151:1 5171:7 5190:1		
hearing 5062:3,4 5092:10 5106:4 5189:9 5190:2 5218:4,7		hit 5141:20 5142:3 5144:6 5153:22		
		hitting 5096:24 5143:25		
				home 5167:22,25
				homeowner 5178:16
				homes 5134:7 5182:11
				hope 5117:3 5208:5
				hopefully 5218:12
				hopes 5103:19
				hoping 5117:4 5180:18
				host 5111:3
				Houldin

5057:7	5136:1,17, 22	5159:8	5141:2	Hydro's
5062:13,19		5181:12	5149:24	5055:9
5063:8,16	5137:2,13,	5186:17,20	5151:9	5059:13
5064:5	19 5138:11	5187:1,7,1	5152:11,17	5062:25
5067:9,15	5149:15,20	6,19	,22	5073:21
5072:17,18	5150:12,18	5188:9	5153:23	5075:3
5073:7,17	5159:25	hydraulic	5154:15,20	5093:21
5074:6,10, 15,20,24	5160:9	5091:13,15	5155:13	5094:16
5075:22,23	5162:14	hydro 5055:7	5156:7	5095:11
5076:19,22	5165:7,8	5056:5	5158:21	5103:11
5083:12	5167:4	5061:21	5159:1,5	5107:20
5089:13,20	5181:16	5063:4,11	5160:4,5	5123:3
5090:1,5,9 ,13,17	5184:9,14	5064:9	5162:1,6	5135:17
5108:21	5185:6	5066:15	5164:25	5140:25
5114:15	house	5067:3	5165:5,7	5153:12
5134:14,18 ,24	5178:2,3,8 ,18	5069:19	5167:17	5155:23
5190:25	household	5070:1,8,1 7	5168:2,3	5159:22
5191:10,13 ,16,23	5159:22	5072:14,20	5175:8	5160:7
5192:2,5,1 0,23	5161:12	5076:1	5176:5,11, 25	5161:13
5193:4,11, 18,22	5162:3,9	5077:11	5177:3,8	5164:10
5194:9,14, 19,24	5208:25	5080:10	5179:1,6,2 4	5167:23
5195:1,10, 11,16	5209:22	5081:22	5180:18,20 ,23	5168:15
5196:1,4,1 0,16,22,25	5210:5,16	5082:2,11	5181:10	5173:9
5197:3,6,1 2	5211:6,8,2 1	5084:24	5182:24	5180:13
5198:1,10	5213:2,10, 15	5088:18	5183:3,4,1 7 5184:13	5181:17,19
5199:1,7,1 7	5214:14,24	5091:1,3	5189:11,23	5185:8
5201:12,16	5215:6,18, 23	5092:19	5190:14	5191:7
5202:15,18	5216:6,23	5094:6	5191:3,8	5192:6,13
5203:4,8	5217:3,7	5095:5,12	5193:10,11	5197:5
5218:22,23	households	5096:8	5194:10,18	5198:23
hour 5070:22	5211:2,5	5097:6	5195:3,20, 22 5196:18	5200:2
5114:14	5212:7,25	5101:2,24	5197:14,21 ,24 5198:8	5203:1,15
5151:13	5213:25	5103:19	5199:3	5205:6
5187:23	houses	5108:23	5201:22	hypothetical
5195:25	5178:15	5109:5,10, 14,23	5202:10	5088:24
5196:9	Hub 5173:16	5110:1,7,1 8	5203:24	<hr/> I <hr/>
hours	huge 5169:13	5111:20,21	5204:9,10	I'd 5086:16
5077:2,23	Hugh 5055:17	5116:9	5206:1,10, 11,14,21,2 2	5101:7
5079:3	human	5117:6	5208:16,24	5106:25
5081:13	5079:18	5118:4	5218:5	5114:10
5090:8,15	hundred	5121:21	hydroelectri	5115:25
5130:1,6	5076:5,6	5122:12	c 5070:23	5122:20
	5087:15	5124:3	5081:11,15	5158:17
	5094:21,23	5125:2	5082:23	5174:12
	5099:8	5127:13,22	5131:4,23	5184:2
	5130:9	5128:2,14, 19		5200:4
		5134:12,21		5201:12
		5135:4,10		5218:24
		5137:6,22		idea 5071:6
				5100:3
				5105:15

5140:7	I'm 5061:20	5211:15	implications	including
5192:14	5063:20	5213:20	5106:15	5061:14
identified	5064:11	5214:7	importance	5111:4
5107:1	5066:4,6	5215:5,7	5114:21	5173:21
5184:1	5074:20,22	5217:13	important	5205:10
5196:18	5075:23	5218:21	5088:3	incorporated
identify	5076:11	immaterial	5096:8	5075:13
5059:6	5082:5	5163:11	5106:21	5084:16
5125:7	5083:20	immediately	5107:6	increase
5151:24	5095:10	5064:20	5111:14	5086:15,17
5174:6	5099:3	5102:9	5160:12	5113:10
5175:1	5103:4	immigration	imprecise	5123:25
IEC 5056:22	5104:15,16	5120:13,18	5071:2	5167:24
5057:6	5108:21	5121:14,21	5079:13	increased
5062:11	5111:11	5122:2	imprecision	5064:1,2
5111:16	5114:13	impact	5078:16	5065:24
5157:17,18	5115:13	5121:12	improved	5162:3
5206:4	5117:4	5124:22,23	5068:25	5208:2
IECs 5147:12	5122:25	5125:3,16	5075:4	increases
5156:21	5124:7,12	5135:5	improving	5129:11
5157:13	5126:22	5151:5	inappropriate	increasing
5189:9	5128:1,7,8	5162:8	5081:2	5063:25
ifs 5213:5	,9,20	5165:21	inappropriate	5064:2
ignore	5134:10	5169:13	e 5179:6	5170:21
5186:22	5136:1,11,	5170:4,12,	incandescent	increasing/
ignoring	13,19	13 5171:2	5079:9	decreasing
5097:16	5140:19	5180:11	incented	5122:25
I'll	5142:18	5181:16	5177:23	increasingly
5060:11,22	5143:2	5182:15,18	incentives	5144:14
5061:13	5151:9	5184:1	5141:23,24	incumbent
5077:25	5156:10	5214:16	5178:10,23	5177:20
5089:10	5158:19	impacted	inclined	incurred
5090:19	5159:12	5141:2	5108:22	5190:13
5119:8	5162:7	5153:19	include	indeed
5128:23	5163:9	impacts	5107:8	5199:10
5137:9	5168:12	5165:18	5114:22	indicate
5138:13	5173:12	5218:4	5140:6	5117:4
5148:4	5176:10	impedes	5191:19	5120:15
5160:1,6	5180:16,18	5179:17	5202:6	5125:8
5201:21	,19 5181:8	imperfect	included	5158:25
5202:3	5182:15	5078:17	5134:12	indicated
5204:20,23	5186:9	implement	5171:12	5067:3
5216:15	5187:25	5133:11	includes	5092:21
illustrate	5189:4,8	implemented	5084:17	5114:21
5195:3	5192:5,6,1	5084:4	5107:11	5156:20
illustration	0,11,14	implication	5134:17	5165:7
5143:13	5194:25	5105:21	5178:19	5184:7
illustrative	5195:11,16	5214:5	5196:21	5197:14
5082:12	5196:4			
	5199:10,24			
	5200:6			
	5203:23			
	5204:1			
	5207:4			

indicates 5105:4 5137:12	inherently 5151:3 5187:5	5200:3 5203:2,17	interval 5103:15 5151:3	5209:22 5218:15
indicating 5195:22	initial 5086:18 5178:18	intellectual 5181:13	intervention 5169:12	isolated 5152:3
indifferent 5176:15	5190:16 5198:4	intend 5131:21	introduce 5060:20	isolation 5163:11
individual 5077:4	5213:23	intends 5197:21 5202:10	introduced 5063:3 5076:17	issue 5061:22 5071:23 5083:19
individually 5078:5	initially 5069:5 5118:15	intent 5177:11	inverted 5191:25	5124:13,14 5130:20 5139:7
industrial 5078:15 5128:5,6 5129:13 5133:6 5161:10 5184:13 5187:3	initiated 5070:7	intention 5157:2	invested 5072:5	5157:15 5160:10 5162:19
industrials 5107:9 5108:22	initiative 5180:13 5181:11	interconnect ed 5145:1	investigate 5107:19	5198:13 5218:10
industry 5133:20,21	initiatives 5191:19	interconnect ion 5190:8	investigated 5107:25	issues 5158:5 5161:12 5164:9 5167:3 5181:18 5186:4 5189:2 5207:14
information 5059:15 5063:17 5089:11,21 5098:2,12 5105:1,20 5106:22 5107:22 5110:2 5112:6,7 5120:25 5121:2 5128:20 5129:10,14,15 5139:18 5164:8 5179:22 5180:1 5203:5,19 5206:22	input 5121:8 5147:15 5156:24	interest 5208:11,13	investment 5113:24 5133:17	item 5112:15 5119:12 5216:3
insight 5087:23	inputs 5207:1	interested 5195:1	invoked 5062:20	items 5111:24 5117:18 5148:1 5192:19
insignificant 5217:14	inputted 5095:13	interesting 5098:2 5190:2	involves 5084:17 5120:2	it'll 5065:13 5214:4
install 5144:15	insight 5087:23	Interestingl y 5142:23	IR 5118:2 5119:5 5206:8,15,16	it's 5064:23 5068:1,2,4 5069:12,18 ,21 5070:6 5071:2,3,6 5072:8,19 5074:8 5076:17,24 5078:1,14 5079:7 5080:17 5082:12,24
installation 5120:1	insignifican t 5217:14	interference 5179:16	IRP 5072:21 5073:22,24 5075:4,5 5084:16,19 5194:11,17,21 5197:8,16 5198:24 5200:9 5201:3	
installations 5144:21	install 5144:15	interject 5145:18	intermittenc y 5077:8	
instances 5109:8	installation 5120:1	intermittent 5075:15 5076:14,21 5077:19	isn't 5072:7 5081:9,10,19 5082:11,23 5094:16 5123:1 5157:22 5172:12	
insulation 5143:13	instances 5109:8	interplay 5200:22		
integrated 5059:14 5072:14 5073:13 5074:13 5194:11 5197:16	insulation 5143:13	interpret 5155:24 5157:25		
infrastructure 5110:16	integrated 5059:14 5072:14 5073:13 5074:13 5194:11 5197:16	interpretati on 5198:11		
inherent 5179:16		interrupt 5081:25		

5083:13	5179:3	5081:20	5130:2,7,1	5172:14
5084:18	5180:5,17	5082:4,17	1,17,23	5173:10,22
5085:10	5183:1	5083:2,5,2	5131:9,24	5174:5,9,1
5088:2,16	5186:5,12	4	5132:13,21	5,20,23
5089:10,12	5187:13,19	5084:6,20	5133:4,25	5175:16
,13	5189:19	5086:4	5134:3,8	5176:17
5090:23	5190:21	5087:11	5135:8,12	5177:10
5093:23	5192:5	5091:6,9,1	5136:8,11,	5180:15
5094:9	5194:3,4	4,25	15,18,23	5181:14,22
5095:16	5195:11	5092:17,22	5137:3,8,1	5182:2,9,1
5096:8	5198:5,6	5093:3,13,	1,15,20	6
5098:19	5199:11	25 5094:24	5138:7,13,	5184:11,15
5100:9	5200:16,22	5095:4,21,	21 5139:14	,22
5105:20	5201:24	25 5096:7	5140:9	5185:1,7,2
5107:6,23,	5202:9	5098:14	5141:6	0 5186:4
24 5108:2	5208:7,8,1	5099:15	5142:13,19	5188:3,10
5111:6,16	2 5211:4	5100:9,21,	,23	5189:13,25
5112:13	5213:18,19	25	5143:6,12	5199:19
5113:1	,21	5101:5,18,	5145:22	5200:4
5115:3,8	5214:2,8,1	25	5146:4	5201:6
5117:20,22	5,22,25	5102:14,19	5147:6,25	5205:8,17
5120:16	5215:1,7	5103:4,7,1	5148:6,10,	5206:2,11,
5122:23,25	5216:4	3,25	19	23
5123:5	5217:4	5104:7,15	5149:1,6,1	5207:4,9
5129:1	I've 5067:12	5105:7,18	0,16,21	5208:18,22
5130:9,25	5070:11	5106:11	5150:8,13,	5209:1,6,1
5131:13	5073:12	5107:3,10,	19,25	9,23
5133:16	5111:10	17,22	5151:15	5210:7,11,
5137:15,18	5113:5	5108:11,25	5152:4,7,2	20
5139:20	5129:17	5109:3,11	4	5211:9,11,
5140:20	5151:22	5110:6,23	5153:5,16,	17,22,25
5141:13	5161:23	5111:10	21	5212:4,6,1
5143:16	5163:19	5112:2,11	5154:6,12	6,21,24
5144:4,10,	5189:13	5114:8,25	5156:1,15,	5213:5,13,
14	5195:13	5118:14,20	19	22 5214:21
5145:14,15	5201:19	5119:4,8,1	5157:7,11,	5215:20
5149:23	5205:9	1,23	17,19	5216:1,12,
5151:17		5120:3,8,1	5158:9,23	21
5152:4,8		4,20	5159:12	5217:15,21
5155:14	<hr/> J <hr/>	5121:1,6,1	5160:1,6,1	jointly
5156:1	Jessica	6,19,24	2	5176:3
5157:22	5056:19	5122:5,9,1	5161:2,16,	judgment
5160:14,23	job 5080:11	5,19	20,23	5186:5
5161:24	5121:12	5123:6,12,	5162:17,21	5201:20
5162:21	5128:22	22	5163:19,23	
5163:6,10		5124:6,10,	5164:18,23	July 5121:12
5166:20,21	John 5057:8	20	5165:14	jump 5077:16
5168:17	5062:14	5125:10,13	5166:6	jumped
5172:12	5064:13	5126:2,7,1	5167:18	5208:4
5173:22	5066:21	1,16,24	5168:7,12	jurisdiction
5174:18	5067:8,14	5127:4,7,1	5169:22	5084:9
5176:3,13	5070:18	1,16	5170:4,11,	5091:17
5177:17	5071:12	5128:18	16,24	
5178:5,15	5077:16	5129:4,9	5171:4	

5173:5,7 5205:21 jurisdiction s 5084:7 5086:9 5109:18 5140:13 5141:17,21 ,22 5142:2 5153:22 5171:6,19 5172:17 5173:20 5178:20 juxtaposes 5159:3 <hr/> <div>K</div> <hr/> K19/C25 5112:23 Kapitany 5055:14 Keeyask 5063:5,13 5065:1,10, 13,15 5071:25 5072:4,6 5088:23 5149:19 5152:19 5193:1 5196:7 5200:24 key 5125:7 5129:22 5145:5 5200:5 kilowatt 5077:2,23 5079:3 5195:25 5196:8 kinds 5122:22 5128:9 Kingston 5175:21,22 Kitchener	5175:20 Kleinvieh 5163:15 knocking 5175:8 5176:25 knowledge 5108:6 known 5090:7 5149:9 5169:15 5182:17 5191:25 known/ unknown 5158:6 5186:2 5188:5 KURT 5066:10 5117:8 5146:12 <hr/> <div>L</div> <hr/> labelled 5061:11 lack 5153:19 lagged 5126:20,24 laid 5112:13 5208:20 5210:2 landed 5148:15 landlines 5134:6,9 language 5073:8 large 5172:9 5184:13 5187:2 largely 5121:7,8 larger 5103:14 5113:24 5153:25	5189:23 Larry 5055:15 last 5062:20 5083:12 5092:15 5100:4 5101:1,8 5109:8 5110:12 5154:16 5165:23 5166:11,12 5193:25 5194:8 later 5062:3 latest 5163:4 laud 5110:7 Lavigne 5219:17 lawyer 5148:18 lawyers 5124:8 5137:4 lead 5139:22 5166:13 5189:22 learn 5081:4,5 least 5064:23 5073:20 5086:11 5120:21 5183:15 5217:10 least-cost 5133:8,9 leave 5079:20 5097:19 5132:11 5145:25 5156:17 5187:4 5202:14	5219:1 leaves 5116:8 leaving 5132:19 5197:7 left-hand 5093:1 5105:4 legitimate 5186:19 leisure 5140:23 lengthy 5111:22 less 5065:22 5072:2 5079:3 5086:16 5096:20 5097:5 5099:24 5113:13,22 5125:3 5129:20 5141:2 5148:16 5178:12,15 5185:22 lesser 5124:22 let's 5069:24 5093:18 5150:6,17 5152:10 5155:11 5158:13 5161:17 5162:9 5164:3,5,2 4 5167:4,6,1 3 5169:17 5170:9 5180:9 5183:25 5184:3 5188:7 5191:1,8	5193:9 5195:3 5196:11 5197:23 5198:10 5201:23 5204:13 5216:1 level 5063:4 5064:3 5087:5 5103:19 5113:5 5134:11,17 5138:2,4,1 6 5140:7 5141:20 5151:18 5153:11 5158:5 5172:24 5191:15,19 5199:14 5201:4 5203:11 levelized 5195:19,23 5196:7 levels 5069:3 5092:20 5141:18 5191:11 5193:14 lie 5097:21 life 5099:10 5178:11 5190:4 light 5079:7,8,1 0,21 lighter 5112:19 lighting 5079:19 lights 5079:9,20 5085:18 likely
--	---	--	---	---

5153:3	5173:15	2	logically	5135:5,25
5186:16,24	list	5105:3,14,	5091:23	5136:6,21
5218:25	5057:3,4	17	long 5069:8	5138:18,22
lim 5176:8	5058:1	5107:8,20	5070:2	5154:22,23
limit	5059:1	5108:7,9,2	5072:9	5173:14
5088:15	5139:15	3 5109:15	5084:21	5187:10
limited	listen	5113:5,7,9	5085:19	low-discount
5176:9	5082:19	,10,12	5111:11	5112:25
line 5064:16	5116:1	5114:9	5127:24	lower 5064:8
5074:19	literally	5118:10,19	5151:12,14	5081:1
5099:5	5077:8	5125:24	5187:12	5102:13
5101:13,20	literature	5126:14	5189:22,25	5111:25
5102:8	5059:4	5129:2,5	5198:13	5112:19
5104:22	5141:7	5134:25	longer	5113:10
5105:2,25	5147:4,10	5135:5,11,	5079:20	5115:15
5120:16	5148:1,2	24,25	5102:4	5123:20,23
5123:21	literatures	5136:7,19,	5115:5	5127:21
5144:9	5059:5	21	5150:22	5141:1
5152:19	5147:5,11	5137:7,14	5164:21	5150:13
5154:4	little	5138:18,22	5165:15	5154:13,25
5155:12	5069:23	5149:14	longer-term	5161:4,5,6
5159:14,15	5073:8	5150:6	5147:18	,7 5186:21
5164:13,14	5089:23	5151:16,19	5157:1	5214:15
5165:25	5104:16	,20,23,25	long-term	lower-cost
5166:9,19,	5115:3	5152:18	5087:5	5133:11
24,25	5124:25	5153:2,7,1	5125:16	lowest
5169:7	5130:12	8,19	5148:24	5105:3
5174:25	5139:7	5156:11,18	5149:8	LUC 5195:19
5191:14,18	5146:8	5158:4	5167:6	lumped
5209:9,10,	5150:13	5159:20	5189:2	5193:2
15 5210:14	5163:9	5160:16	lose 5113:13	
5211:16	5210:3	5166:8	losses	<hr/> M <hr/>
5214:25	5216:18	5167:17	5078:18,21	macht
linear	lives	5171:2	lot 5069:7	5163:15
5123:10	5132:25	5177:14	5164:15	magnitude
lines	load 5064:8	5184:2,6,1	5168:25	5181:21
5063:22	5067:4	4 5186:24	5191:5	main 5063:24
5072:6	5068:12,13	5189:21	5208:10	5064:11
5074:23	,15,16,20,	5191:20	5213:5	5073:2
5101:14	21 5076:18	5192:19	lots 5086:2	5075:12
5102:2,3,2	5078:1,2,4	5193:16	low 5067:20	5182:22
2,23	,11,13,20,	5198:6	5068:21,22	major 5107:8
5143:23	22	loads 5078:6	5105:14	5108:19
5144:15	5080:17,19	5108:15,17	5112:8,9,1	5110:16
link 5140:2	,23	5128:6	6,24,25	5127:10
links 5059:4	5087:11	localized	5113:1,15,	man
5139:16,21	5091:15,17	5144:24	16,17,20,2	5148:12,14
5140:3,22	5092:3	lock 5176:21	1,25	,15
5147:4,10	5101:21,24	logic 5183:9	5115:9,11,	
liquid	5102:7,9,1	logical	16 5134:17	
		5115:3		

management	5122:2,12	22 5196:17	5172:19	0,16,20
5070:1	5123:3	5197:5,14,	5173:15	5135:2,9,1
	5124:3,24	21,24	5179:16	5,21
mandate	5125:2,9,1	5198:8,23	5190:24	5136:5,9,1
5111:17	6,21	5199:3		2,16,20
5115:3	5127:13,22	5200:1	marketed	5137:1,4,9
5128:8	5128:8,14,	5201:22	5172:13	,12,17,21
5189:8	19	5202:10	marketing	5138:1,8,1
Manitob	5134:12,21	5203:1,15,	5084:11,13	5 5139:1
5077:10	5135:4,10,	24	5171:23	5204:1,22
	17	5204:9,10	5175:9	5205:1,2,1
Manitoba	5137:6,22	5205:5	5183:20	2,24
5055:3,7,9	5140:25	5206:1,10,	5205:6,10,	5206:9,18,
,23 5056:5	5141:2	11,14,21	16,18,25	25 5207:6
5059:13	5149:15,24	5207:3,5,7		5208:14,19
5061:21	5151:8	5208:11,16	marketplace	,23
5062:25	5152:10,17	,24	5085:5,7	5209:2,8,1
5063:4,11	,18,22	5210:21	5183:24	4,20,25
5064:9	5153:2,12,	5218:5	5187:3	5210:8,12,
5066:15	22		markets	25
5067:3	5154:15,20	Manitobans	5132:10	5211:10,15
5069:19	5155:13,23	5106:8	5172:20	,18,24
5070:1,8,1	5158:21	5110:20		5212:3,5,9
7	5159:1,5,2		Marla 5056:6	,19,23
5072:13,20	2	Manitoba's	5057:12,14	5213:4,7,2
5073:21	5160:4,5,7	5121:5,21	5117:1,9,1	0 5214:13
5075:3	5161:13	5124:18	3,14	5215:12,21
5076:1	5162:1,6	man's	5118:1,17,	5216:11,16
5077:10	5164:24	5148:14	25	5217:11,16
5080:10	5165:5,7	manure	5119:7,10,	,22 5218:1
5082:2,10	5167:17,23	5163:16,25	12,16,25	
5084:24	5168:2,3,1	map 5082:9	5120:5,9,1	mass 5078:5
5086:9	5 5171:2,7		5,22	5126:4
5088:18	5172:25	March	5121:3,11,	5161:8
5091:3	5173:8	5066:21	17,20	
5092:19	5175:8		5122:1,6,1	match
5093:21	5176:11,25	margin	0,16	5095:11
5094:6	5177:3,8,1	5082:6	5123:2,7,1	5099:9
5095:5	5 5178:24	5085:13,20	8	5145:7
5097:6	5179:1,6,2	5086:12	5124:2,7,1	matches
5101:2,24	4		2	5100:4
5103:19	5180:12,18	Marilyn	5125:6,11,	5103:11
5107:19	,20,23	5055:14	22	
5108:23	5181:10,19	mark 5066:6	5126:3,8,1	material
5109:10,14	5182:23	5085:7	3,22	5149:13
5110:1,7,1	5183:3,4,1	5146:11,17	5127:1,5,8	5160:10
8	7 5184:13		,12	5162:19,21
5111:20,21	5185:7	market	5128:12,23	5163:6,10,
5114:5	5190:14	5085:2	5129:7,24	11 5204:10
5116:9	5191:3,7,8	5087:10	5130:5,10,	5205:10,25
5117:5	5192:6,13	5110:21	14,19	
5118:4	5193:10,11	5126:4	5131:2,20	materiality
5120:1	5194:10,18	5134:5	5132:9,17	5151:11
5121:21	5195:3,20,	5161:8	5133:2,18	5158:13
		5168:22	5134:1,4,1	5162:20

5165:10	5200:6	meant 5073:5	memory	5117:11
materials	5204:4	measurable	5190:6	MH-93 5159:6
5183:20	5209:23	5196:21	mention	Michael
5205:6	5214:21	5197:13,21	5205:5	5056:17,23
5206:4,7,1	5216:10	measure	mentioned	micro-grid
3	maybe	5059:12	5099:2	5145:1
math 5137:4	5065:12	5092:6	5107:14	micro-grids
5148:18	5076:10	5197:25	5119:20	5144:23
5150:10	5117:20	5198:21,22	5133:18	microphone
5162:11,15	5118:22	5203:1,14	5177:25	5060:11
matter	5132:15	5208:8	5187:24	5139:4
5060:19	5176:12,13	measurement	merchant	5204:20
5090:23	5206:19	5067:21	5110:25	mics 5119:17
5113:6	mean 5064:4	5069:4	5190:20,22	middle
5146:24	5071:2	measures	Merci 5089:5	5092:25
5188:6	5072:5	5067:16	mercy	5112:17
5200:1	5075:18	5095:1	5062:19	5119:17
matters	5081:11	5192:22	message	mid-range
5113:16	5087:6	5193:2	5107:6	5098:22
maximum	5099:15	measuring	5123:15	migration
5090:3,7,1	5121:6	5092:2,4	met 5104:13	5120:17
1,15	5125:15	meat 5139:8	meter	Miller
5096:14	5131:21	median	5077:19	5056:12
may 5064:10	5141:1	5143:16,17	metered	mimic
5072:2	5154:13	,20,21,24	5078:5,6,1	5094:16
5073:8	5169:9	5144:3,6,9	4 5079:1	mind 5073:10
5075:3,13	5173:11	medium-high	meters	5105:9
5083:23	5176:19	5098:18	5078:17	5146:8
5084:24	5178:4,23	medium-term	methodology	5187:21
5086:12	5179:4	5148:22	5091:18,19	minimum
5087:7	5186:10	meet 5156:6	5092:20	5089:25
5092:6	5192:14	5188:19	5098:11	5146:3
5104:6	5198:11,16	meets	5164:20	minor
5106:2,12	5206:9	5067:11	5181:19	5119:19
5108:8,22	5207:11	megawatt	metric	minus
5114:1	5212:17	5152:19	5091:4	5068:12,18
5115:15	5214:23	megawatts	5093:6,24	minute
5129:20	5215:24	5112:24	5094:4,9,1	5120:10
5131:24	meaning	Member	3,16	5204:2
5139:22	5155:17	5055:14,15	5095:11,17	minutes
5141:9,10	means	,16,17	5100:5	5116:18
5142:16	5098:18	members	5103:20	5153:6
5160:5	5134:21,25	5060:14	5105:24	5180:5
5163:11,13	5144:10	5109:16	metrics	5204:5,14
5165:3,19	5161:2	5110:7	5092:24	MIPUG
5166:10	5163:16	5114:13	5201:25	5056:14
5167:15	5177:19	5218:15	MH-158	
5180:7,15	5187:19		5058:10	
5182:19	5188:21			
5190:20,21	5194:21			
5198:14	5215:5			

5101:8	mode 5133:10	5119:5	narrow	5199:3
5109:16	model	morning	5151:10	5217:17
5110:7	5093:8,20	5060:4,9,1	natural	nicely
5204:8	5094:5	3,14	5108:3	5104:23
MIPUG/	5179:20	5062:9,18	5145:15	5112:13
Elenchus	modelling	5116:2	5170:13	night
5128:13	5099:20	5117:14	5179:8,9	5062:20
MIPUG-20-2	5171:10	5146:18,23	5205:20	5092:15
5092:10	models	5158:16	nature	5101:8
misinterpret	5091:1	5161:14	5075:8,19	nine 5094:21
5123:15	5095:14	5167:13	5079:5,23	5162:4,13
misinterpret	5098:9	mortgage	5081:3	5210:5,10
ed 5123:17	5179:13	5176:21	5089:11	5211:6
misleading	modified	Mouland	5100:3	5212:1
5136:13	5196:20	5062:2	5109:21	5216:17
MISO 5147:14	5198:24	move 5106:20	5111:6	ninety
5156:23	5199:9	5133:20,21	5148:23	5095:8
missed	5201:20	5212:9	NBC 5176:5	5098:23
5121:25	moment	5215:23	necessarily	5130:4
missing	5150:7	moved	5072:7	ninety-five
5136:11	5152:11	5072:20	5131:10	5095:7
5182:15	5164:4	moving	necessary	ninety-seven
MistApril	5169:17	5090:19	5061:14	5098:24
5163:15	5180:24	5113:2	5111:15	Nominee
misunderstan	5191:1,7	5213:17	negotiated	5121:5
ding	5193:10	5214:7	5155:19	non 5115:17
5064:15	5194:12	multiple	neither	5143:15
mitigate	5195:4,21	5086:15	5115:24	5197:21
5114:1	5196:20	5098:1	net	none 5192:20
5115:20,22	5202:10	5197:15	5068:7,12,	non-economic
5129:23	Monday	multiples	18,19,22	5074:1
5188:5,11	5218:4,7	5064:16	5072:11	non-energy
5189:1	money	mumbling	5080:25	5196:21
mitigating	5072:11	5124:9	5101:14	5197:13
5111:11	5113:13	mun 5207:18	network	non-
mitigation	5189:19	municipal	5078:8	residential
5111:15	monitor	5175:18	newest	l 5143:21
5114:7,11,	5080:15	municipaliti	5159:5	non-
21 5188:1	Monnin	es 5175:19	news 5106:8	traditiona
mix 5201:9	5056:22	5207:19	newspaper	l 5193:2
MKO 5056:16	5146:7,16	myself	5139:20	nor 5115:24
5115:24	5157:21,25	5116:10	NFAT 5102:7	normal
5116:3	5174:24	5192:13	5148:9	5127:24
MMF 5056:19	monopoly	<hr/>	5158:13	5179:18
5115:24	5133:22	<hr/>	5159:4,14	5185:13
5116:6	monthly	N	5160:11	5186:3
	5132:1	nameplate	5162:19	
	months	5076:7	5195:14	North

5124:15	5176:22	5213:22	5114:5	5189:9
note 5062:1	off-grid	old 5098:11	5116:1	5212:20
5093:14	5145:11	5134:8,10	5153:15,18	otherwise
5116:10	Officers	ones 5061:15	5154:11	5110:5
5120:12	5121:14	5074:3	5155:1,22	outcome
5125:24	official	5140:4	5156:3,6,9	5166:4
5185:21	5139:10	5161:23	5157:5	outcomes
5201:20	officially	one-third	5161:18	5097:15
noted	5206:14	5184:19	5180:12	outer
5100:22	Oh 5074:20	online	5182:20	5096:10
5204:11	5088:13	5189:23	5183:1	output
nothing	5192:2	Ontar	5191:2	5076:8
5087:20	5207:9	5190:13	5195:9	outside
5217:23	5213:20	Ontario	5204:6	5072:8
notice	oil 5108:2	5128:2,3,6	opposed	5114:8
5089:25	okay 5066:1	5139:10	5095:7	5189:8
noticed	5067:1	5173:12,13	5104:2	outweigh
5148:3	5069:13	,14,21	5114:5	5132:19
np	5071:11,21	5175:11,16	5158:13	overall
5056:2,5,7	5072:24	5190:11,12	5170:6	5073:21
,17,19	5073:12	5192:16	optimal	5075:2
NPV 5152:23	5074:10,18	OPA 5189:16	5075:9	5166:3
nub 5076:4	,24	operate	5095:17	5167:2
5198:16	5075:17	5190:22	5185:23	overestimate
	5083:4	operates	option	d 5101:2
	5088:15	5175:23	5084:19	over-
obligation	5092:18	operating	5090:12	forecastin
5188:20	5096:3,15	5131:3,10,	5145:11	g
observation	5098:18	22,25	options	5126:14,19
5068:11	5104:5,21	5132:8,20	5073:24	over-
5171:5	5106:9	5154:24	5090:4	forecasts
obtain	5109:2,19	operation	order 5067:7	5127:14
5154:9,10	5117:2	5058:6	5068:5	overly
obtaining	5119:11	5061:1,8	5179:15	5213:18
5154:22	5134:20	5145:16	5181:21	overstate
obviously	5136:19,24	5179:14	5205:14	5073:4
5066:16	,25	operational	5208:15	overstating
5106:21	5142:19	5198:12	5210:15	5180:16
5146:5	5154:3	operator	5213:10	owned 5176:3
5208:11	5155:3	5077:11	original	5177:17
occasionally	5160:3	opportune	5063:4	5205:23
5187:2	5161:22	5116:11	5064:17	owner 5179:6
occur 5140:8	5174:5,20,	opportunitie	5088:7	own-price
o'clock	23 5190:25	s 5110:20	5103:5	5169:24
5180:6	5193:5	5133:3	5157:23	5170:1
offerings	5200:4	opportunity	5195:14	5171:5
	5203:22	5092:15,16	Orle 5056:16	
	5204:13		5116:3	
	5210:20,22		others	
	5211:11			

P	5146:9	particular	5131:7	5182:7
p.m	paid 5145:3	5074:1	5135:19	5183:17
5204:16,17	5190:12	5155:20	5136:3	5208:25
5219:8	painless	5156:22	5137:25	5209:21
package	5117:5	5172:6	5138:24	5210:4,16
5085:22	panel 5057:6	5183:5	5142:11,21	5211:6,8,2
5201:7	5060:14	5195:12	5143:4,10	1
page 5057:2	5062:11,18	5218:16	5150:1	5213:10,15
5058:2	5083:17	particularly	5152:13	5214:14,24
5059:2	5114:13	5069:7	5155:9	5215:6,18,
5062:21	5115:25	5072:3	5165:1,12	22
5067:2	5139:12	5128:5	5167:9	5216:6,23
5074:5,6,9	5145:19	5190:2	5175:14	5217:2,7
,21 5082:2	5148:23	parties	5181:1,6	people's
5091:2	5151:17	5116:9	5193:7	5183:12
5092:11	5153:6	5145:20	5195:6	per 5077:2
5094:8	5167:17	partly	5209:12	5090:3,11,
5095:23	5176:12	5108:2	5210:18	15 5092:5
5096:1	5181:10	pass 5113:18	5214:11,19	5109:16
5099:2	5201:14	past 5065:15	pay 5112:5,8	5122:13
5100:19	5202:17	5096:13,15	5131:16,17	5130:1,6
5101:9	5218:2,16	5097:3,9,1	5178:17	5149:20
5117:21	5219:6	2,25	5189:17	5150:18
5118:9	panel's	5099:22	5190:5,18	5151:13
5120:11	5113:4	5100:14	5192:15	5160:9
5122:10,11	paper	5104:2	payback	5162:14
5123:4,5,2	5061:14	5127:2	5133:15	5167:4
0 5124:14	parameter	5129:25	paying	5185:6
5125:23	5093:9,10	5130:12	5145:4	5187:1
5135:16	pardon	5151:1,5	5179:10	5195:24
5137:5,21	5082:10	5164:15	payments	5196:8
5155:6,12	parity	5166:23	5207:23	5208:25
5161:18	5059:4	5169:9	pays 5132:6	5209:21
5164:6	5111:5,23	5184:8,17	peak 5193:13	5210:5,16,
5167:13	5113:18	5185:5	peanuts	21
5169:17	5130:20	patience	5171:25	5211:6,8,2
5184:4,19	5131:19	5083:15	penetration	1 5212:12
5191:8,9	5139:6,23	Patti 5056:5	5177:13	5213:1,10,
5195:4,21	5140:11,14	PAUSE 5060:7	5183:22	15
5196:12,19	,15	5066:8	people	5214:14,24
,20	5141:1,4,2	5083:9	5060:3	5215:6,18,
5208:20	0 5142:7	5089:1	5079:8,20	22
5209:25	5144:5,13	5095:19	5122:13	5216:5,6,2
5210:3	5147:4,9	5096:5	5123:16	3 5217:2,7
5212:11	5153:2,7,8	5103:23	5128:2	perceive
5215:17	,22	5110:10	5132:22,25	5140:4
pages	participatio	5116:16	5133:11	percent
5055:25	n 5069:3	5117:25	5145:23	5067:4
5101:11	5079:7	5118:12	5177:21	5069:11
5140:21		5119:14	5179:9	5071:20
5142:18,25				5076:3,6
				5081:6

5085:11	performed	5178:10,14	5066:5,14	5071:19
5087:15	5135:4	Peter	5067:6	5168:19
5091:4	perhaps	5056:12	5068:8	play 5171:11
5092:5	5064:13	Peters	5069:18	plays
5093:9,24	5066:16	5056:2	5071:19	5071:24
5094:4,13,	5086:22	phenomenon	5073:22	please
14,15,18	5098:2,3,2	5153:9,25	5075:3	5092:11
5095:1,6,1	1 5101:7	phone 5172:8	5077:12	5094:7
3,14	5111:10	phones	5083:22,25	5116:25
5096:17,19	5118:15,20	5134:9	5084:1,4	5155:7
,21,22,24	5124:1,9	phonetic	5085:16,17	5202:21
5097:14,16	5143:6	5100:11	,23	5204:14
,18,19,22	5156:9	5173:16	5088:8,18	5206:20
5098:3,4,5	5164:21	phrased	5105:10	5210:3
,16,22	5174:3	5174:17	5106:6,12,	
5099:7,9,1	5185:16	phraseology	19,21	PLIL 5184:14
3 5100:6	5194:11	5158:8	5110:24	plot 5104:25
5102:23	5199:5,12	pick 5094:11	5112:21	plug 5165:24
5103:2,3,1	5204:5	5150:17	5135:6	plus 5072:6
0,20	period	picked	5160:16	5087:11
5104:12,14	5063:6	5119:16	5194:11	5193:14
,25	5077:9	picking	5198:5	point
5106:13	5080:20	5079:21	5199:4	5061:22
5108:13,15	5099:12,17	pieces	5200:3,20,	5063:21
,16 5118:5	5115:9	5069:17	25	5064:10,18
5119:2	5121:23	5205:10	5203:2,17	5065:15
5138:20	5122:4	pipeline	planning	5066:4
5150:4,5,1	5126:17	5107:17	5072:15	5072:25
0,11	5127:5	5108:2	5073:14	5073:13
5167:24	5190:23	5129:11	5074:13	5075:22,23
5181:12	periods	5193:15	5075:14	5076:23
percent/90	5127:13,14	pipelines	5085:20	5077:14,18
5102:22	5207:21	5107:16	5110:19	5082:11
percentage	permanent	placed	5115:19	5086:18
5099:3	5125:9	5121:4	5200:11	5087:21
percentile	5128:4	places	plans 5071:1	5094:14,15
5136:24	permanently	5079:11	5087:19	,19
5138:22	5128:6	5090:24	5105:13,15	5095:15
percentiles	perpetuity	5144:2	5108:1,9	5097:23
5187:22	5154:5	plait 5089:4	5110:3	5099:3
percent's	person	plan 5055:10	5112:9,19	5100:13
5069:12	5159:9	5059:14	5113:15,22	5101:21
perception	Personally	5063:4	5135:6	5103:2,3
5108:20	5208:9	5064:17,23	5200:8,12	5110:13
perform	perspective	5065:6,11,	plant	5111:9
5077:4	5099:25	12,14,16	5070:22	5114:18
performance	5114:6,10		5087:18	5129:10
5086:24	5148:13		5190:20,22	5130:21
5096:11,13	5149:12		plants	5139:11
5097:3,4	5151:1		5058:7	5142:3
			5060:25	5144:4,6,1
			5061:1,8	

0 5148:16	,8,24	5108:23	praise	5082:10
5158:15	5209:4,7,1	5182:4	5128:24	presently
5160:25	7	5184:13	pre 5068:15	5108:6
5162:4,12,	5210:21,24	5185:18	precise	President
13 5166:17	5211:3,10,	5193:1	5070:20	5089:6
5168:14	13	potentially	5130:8	pressure
5176:14	5212:7,12,	5182:18	5161:20	5141:11
5187:14	25	5213:14	precisely	presumably
5189:9	5213:9,24	power	5077:22	5153:19
5195:24	5214:6,9	5066:5,14	5127:7	5156:12
5204:12	5215:5,14,	5076:7,13	5205:13	5171:6
5210:5,8,9	17	5078:3,9	predict	5174:17
,15	5216:5,6	5081:14	5121:9	5193:3
5211:6,7,2	5217:9	5082:14,16	5125:15	pretty
0	Portage	,25	5150:23	5071:5
5212:1,13,	5055:22	5085:18	predicted	5105:15
17,22	portion	5087:6,16	5149:9	5106:9
5214:15,22	5190:18	5112:21	predicting	prevailing
,23	pose 5218:2	5113:19	5128:7	5141:3
5215:1,2,1	posing	5131:1,16,	predominantl	previous
1,23	5216:22	17 5132:24	y 5113:1	5072:14
5216:9,14,	position	5141:12,17	prefer	5077:3
17,18	5060:4,10	5142:2	5138:9	5092:19
5217:6	5066:24	5145:3,4,8	5178:8	5101:10
pointing	5084:4	,14	Preferred	5138:4
5129:15	5116:24	5153:24	5055:10	5195:21
5177:12,15	5204:20	5155:1	5135:6	previously
points	possibilitie	5177:20	prepare	5060:21
5074:12	s 5129:21	5189:17	5116:24	5062:13,14
5092:13	5135:11,13	5190:21	prepared	5149:23
5101:11	possibility	5198:5	5148:17	price 5072:9
5141:21	5127:17,18	5201:25	5149:13	5112:17
5144:1	5154:21	PowerPoint	5159:3,10	5113:1,14,
policy	5186:22	5194:12	5162:1,15	15,20,21
5121:7,8,9	possible	practical	present	5115:1,8,9
5179:3,8	5080:5	5059:10	5070:5	,11,13,15,
5188:14	5091:12	5084:21	5072:11	16 5131:9
political	5121:17,19	5200:1	5149:16	5132:6
5169:12	5128:10	5202:25	presentation	5140:7,12,
politicians	5135:13	5203:12	5059:16	14,16,25
5207:22	5145:18	practically	5075:25	5141:1,3,4
population	5183:6	5091:24	5110:14,17	,7,11,17,1
5058:8	post 5121:22	practice	5194:12	9 5142:1
5061:11,17	5122:3	5068:2	5195:12	5147:14
5124:4	5186:13	5069:21	5196:12,18	5151:23
5158:16,22	potential	5072:14	5203:6,20	5154:4,9,2
5159:3,4,2	5062:25	5188:4	presented	2
1 5161:4	5085:2	5199:16		5155:1,17
5207:14,16	5107:15	practices		5156:2,3,2
,17,21,23		5097:8		2,23
5208:1,3,7				

5157:9	5188:23	5197:8	5067:11,21	5147:3,8
5167:5	5189:6,10,	procedurally	,22 5068:2	5157:17
5169:13	14	5194:16,18	5069:2	5174:4
5170:2,6,9	5206:5,6,9	proceed	5070:2,7	5183:10
,10,12,13,	proactive	5106:10	5084:10	5188:18
23 5171:24	5179:21	5197:11	5085:12	5199:13
5172:1,9,1	prob 5216:13	5202:11	5089:24	5202:24
2,15,16,19	probabilisti	proceeding	5131:14	5203:10
5173:2	c 5096:12	5060:11	5195:20	5204:9
5174:18,21	5097:2	5163:1,2	program's	provided
5177:4	probabilitie	5178:25	5084:13	5066:15
5179:8	s 5090:25	proceedings	project	5089:12,16
5182:7	5094:4	5116:25	5128:8	5111:22
5189:17	5102:24	process	5143:16,17	5121:2
5190:24	probability	5128:20	,20,22,25	5134:12
5205:10	5094:14,15	5143:8	5144:3,9	5164:7
prices	,19	5162:22,25	5217:7	provider
5059:8	5095:1,10	5197:9	projected	5132:2
5111:25	5097:10,11	5200:7	5155:22	provides
5112:8,9,1	5099:7	5206:2,16	5167:21	5105:23
4,17,18,20	5102:23	processes	projection	providing
,21,24	5103:2,3	5079:25	5161:3	5110:2
5113:3,25	5150:5,11,	produce	5213:16	5155:15
5115:10,18	21,25	5071:1	5216:5,7	5178:23
5152:3	5151:2	5081:14	5217:1	province
5153:15,18	probably	5163:16,25	projections	5181:24
,23,24	5065:13,15	producer	5118:19	provinces
5154:2,11,	5069:12,17	5175:12	5167:24	5207:18
13	,21,22	producing	5169:1,16	Provincial
5155:18,19	5071:10	5067:23	projects	5121:5
,22 5156:9	5090:20	5145:14	5144:4	prudent
5163:23	5098:18	5146:9	5188:7	5068:4
5169:2,5,1	5101:3	product	5189:24	5111:6
0 5170:22	5113:11	5172:10	5197:10	pseudo
5172:4	5123:1	5176:22	promises	5128:19
5173:8,13,	5128:21	Professional	5091:20	PUB
17,18	5163:2	5121:13	protect	5060:20,23
5174:7	5168:17	profitable	5069:23	5061:11,15
5175:4	5182:16	5113:2,11	protection	5117:21
pricing	5216:13,14	program	5069:15	5158:17
5131:13	problem	5084:12,19	proud	5161:17
5147:19	5113:25	5089:14,17	5114:14	5164:5,8
5154:10	5169:11	5090:8	provide	5167:6
5157:1	5186:25	5121:5	5059:3,9	5184:3
5173:16	problems	5180:14,19	5087:5	5204:3
primarily	5071:18	programs	5094:3	5209:3
5198:8	5146:9	5062:25	5139:15	5210:9
prior	procedural	5064:7	5140:19	5211:1
5099:23	5166:4		5146:18	PUB/Elenchus
5109:21				
private				
5173:7				

5120:10	5202:2	5110:18	5186:13	5106:8
PUB/ER	quantificati	5112:13	5191:20,25	5161:9
5117:22	on 5111:14	5124:21	5192:19	5181:12
PUB/ERA-9	quantify	5140:5	rather	5197:13
5117:19	5111:17	5173:15	5097:22	reason
PUB-62	quantity	5195:16	5114:4	5080:13
5058:3	5170:5	5199:18	5118:18	5208:5,6
5061:3	quarter	quoting	5132:7,15	reasonable
PUB-64	5121:22	5187:25	5155:18	5091:8,21
5058:8	5122:3	<hr/>	5188:8	5098:1
5061:17	quarters	R	5211:5	5130:16
5206:19	5122:7	raise	ratio 5212:8	5171:1
5217:13	que 5105:23	5061:25	rationalize	5179:3
public	question	raised	5078:21	5185:17
5055:3,21	5070:6	5076:23	Re 5055:7	reasonably
5218:15	5095:22	5124:13	reach 5094:3	5125:2
pull 5092:10	5097:9	5139:7	5144:13	reasons
pulled	5102:20	5158:4,6	reached	5111:4
5190:12	5105:19	5161:11	5140:15	5131:15
pure 5073:9	5165:5	5167:5	5144:4	5168:10
5178:7	5175:7	5182:23	react	5182:7
purposes	5176:11	raising	5132:22	rebuttal
5130:15	5181:10	5067:15	reading	5123:3
5148:8	5199:22	Ramage	5099:14	5161:14
5158:13	5218:2	5056:5	5145:5,20	5191:7
5162:19	questions	range	re-advicing	recalculate
push 5071:10	5060:17	5096:14,22	5193:20	5209:21
5080:3	5083:17,19	,25	ready 5092:6	5210:13
pushed	5090:21	5097:10,11	real 5067:23	5215:15
5087:21	5114:13	,15,21	5076:1	recalculation
pushing	5115:4,25	5098:8	5095:12	n 5162:2
5163:13	5116:4,6	5103:15,21	5099:10	recall
putting	5117:15	5104:1,13,	realistic	5099:14
5069:19	5139:2	17 5129:20	5171:9	5107:23
5123:13	5203:23,25	5165:6	reality	5112:1
5162:7	5204:4	5167:3	5100:4	5118:2,14
5216:22	5205:3	ratcheting	realizable	5119:22,23
PV 5143:13	quick	5069:7	5085:4,5,6	5126:15
5144:15	5069:20	rate 5089:13	realized	5127:3
<hr/>	5120:3	5112:25	5083:23	5135:7
Q	quickly	5158:14	really	5152:15
Qual	5121:25	5167:24	5068:4	5158:8
5057:7,8	quilt	5168:1	5076:4,5	5161:15
qualificatio	5112:12,16	5176:21	5080:1,2	5184:10
ns 5156:6	5113:2,21	5189:3,5,7	5085:15	5188:2
qualitative	quite	5192:1,6,9	5093:19	5205:7
	5095:16	,13,15	5101:9,10	recalling
	5099:9	rates 5079:7		5143:2
		5168:15		recap
		5183:23		

5155:12	5142:14	5105:25	Regis	5070:17
5184:6	5146:2	5112:17	5055:13	5088:3
receive	5149:23,25	5118:8,18	regression	re-look
5206:5	5193:12	5163:18	5123:10	5217:3
received	5194:5	referenced	5166:25	rely 5077:11
5066:22	5195:22	5102:24	regressions	relying
5206:16	5204:8,11	5118:9	5161:13	5087:9
recent	5206:1,7,1	references	regulation	remain
5126:5,18	5,17	5122:7	5058:5	5122:13
5142:4	5218:7,13	referred	5060:25	remainder
5158:22	recorded	5060:21	5061:6	5190:23
5191:2	5110:18	5064:16	regulations	remaining
recently	recovery	5067:12	5176:6	5060:16
5148:13	5131:1	5123:4,13	relate	5116:9
5155:19	red	5127:1	5141:24	remember
5189:12	5112:19,24	5139:23	related	5073:19
recessing	5113:1	5145:11	5101:3	remit
5116:20	5159:14	5156:2	5135:6	5064:12
5204:16	5164:14	5158:7,17	5141:23	remove
recession	5209:9,15	5194:16	5161:7	5179:3
5124:15	redo 5216:7	referring	5170:3	renew
5125:8	reduce	5071:22	5206:6	5155:21
5127:10,14	5198:6	5093:4	relates	renewable
recognition	5213:24	5126:20	5090:19	5132:5
5075:7,13,19	reduced	5136:24	5126:20	5141:23
recognizing	5076:18	5146:2	5207:1	renewables
5188:12	5135:24	5177:15	relation	5133:14
recommendati	5159:21	re-file	5175:7	renewed
on 5073:11	5215:14	5163:3	relationship	5156:8
5104:18,20	reduces	refrigerator	5110:1	renewing
5156:17	5142:1	5076:18	5124:4	5154:14
5194:10	reduction	5077:2,4	relative	renovating
recommendati	5058:4	refrigerator	5081:6	5133:9
ons	5060:24	s	5138:21	replotted
5072:13	5061:5	5077:1,3,6	5168:5	5123:19
5073:2,10	5077:2	regard	5173:17	report
recommending	5105:17	5198:12	5176:15	5058:11,12
5179:24	5108:23	5201:25	relatively	5062:21
reconcile	5137:13,18	regarding	5140:14	5063:10
5078:19	5138:10,17	5135:5	relevant	5066:18
5080:17	5159:25	regardless	5091:15	5072:17
record	5209:16	5120:7	5157:13	5073:1,3
5060:22	refer 5096:9	region	reliability	5082:20
5070:14	5120:12	5141:3	5208:11	5089:16
5107:19,23	5123:12	5181:23	reliance	5090:7,24
5114:18	5144:17	5182:1	5084:5	5092:19
5115:14	5191:6	regional	relied	
	reference	5124:25		
	5102:5,16			

5100:20	5086:3,12,	5094:2	5127:14,15	5070:15
5107:5	22,23	5100:17	5143:21	5119:8
5110:15	5108:12,17	5110:15	5152:23	5195:9
5111:4	reserves	5112:7	5214:9	5205:24
5122:11	5069:9,11	5114:7	results	reviewed
5126:9	5085:23	5128:25	5067:16	5122:8
5146:14,20	5108:12	5130:19	5068:3	5134:11
5164:9	reset 5186:3	5150:5	5069:6,22	5142:24
reporter	residential	5182:13	5071:1,25	5205:5,14
5146:24	5078:15	5218:6	5080:9,16	revised
5194:1	5118:5	respond	5125:25	5063:12
5202:21	5119:2	5086:24	5183:21	5111:21
reports	5122:13	responding	5207:17	revision
5139:16	5124:4	5120:4	resume	5102:9
represent	5125:24	responds	5116:24	5207:2
5102:24	5143:15,16	5145:13	RESUMED	Richard
representati	,20	response	5062:11	5055:16
ves	5161:5,6,9	5117:19	resuming	right-hand
5109:23	5182:13	5118:3	5116:21	5212:10
represents	5208:15	5119:5	5204:17	ring 5179:13
5067:4	5210:22	5120:10,12	retailers	rings
Request	5213:8	5128:13	5172:7,9	5167:19
5128:20	5215:19	5157:19,20	retract	rises
5164:8	residual	5164:7	5122:20	5192:16
requested	5078:19	5170:5	retrofit	risk 5110:15
5158:20	resolve	5172:22	5133:12,17	5111:12,17
5204:8	5216:2	5173:2	retrofits	5112:8
requesting	resort	5181:9,17	5180:22	5114:1,7,1
5203:24	5154:16	5185:8	return	1
require	resource	5200:5	5074:13	5115:20,22
5086:12	5059:14	5201:8	5075:4	5148:22,24
5145:12	5064:21,24	5206:17	5186:3	5149:4,8,1
required	5072:15	responses	revenue	1 5169:15
5106:18	5073:13,22	5206:8	5065:25	5188:6,11,
5142:8	5074:13	responsibili	5071:15	13,24
5144:7	5075:3	ty 5179:12	5072:2	5189:1
requires	5081:22	responsible	5168:22	5190:10,14
5068:24	5088:3	5109:6	revenues	risks
rese 5104:2	5194:11,22	5147:13	5082:13	5087:18
research	5196:14,19	5156:22	5111:1	5129:23
5140:5	,20	5177:5	reverse	5151:25
5174:1	5200:11	rest 5098:9	5178:24	5189:21
5198:25	5203:2,17	5125:3	revert	road
5200:3	resources	5131:11	5072:14	5187:14,15
reserve	5154:17,19	5160:21	review	robustness
5069:23	respect	5164:3	5055:9	5075:2
5082:5	5076:16	result	5063:2,18	roll 5138:15
5085:13,20	5089:13	5065:1	5069:20	
	5092:23	5079:22		
	5093:17	5111:24		

room 5124:8	0,23	scenario	second	sense
rosy-eyed	5193:4,18,	5064:25	5061:10	5091:24
5186:11	22	5069:12,17	5080:23	5098:7
rough 5092:6	5194:14,19	5088:24	5099:2	5107:25
	,24	5098:16	5186:13	5108:3
roughly	5195:11,16	5115:12		5145:15
5094:13	5196:1,4,1	5118:9,18	secondly	5157:12
5124:1	0,16,22,25	5129:4	5171:13	5179:16
round	5197:3,6,1	5138:18,22	section	5182:20
5130:17	2	5147:21	5062:24	5187:10
rounded	5198:1,10	5151:8	5092:9	5199:6
5130:3	5199:1,7,1	5152:16,18	5143:1	sensitive
rule 5062:19	7 5200:6	5155:15,16	sector	5200:22
5178:5	5201:16	,20	5125:23	sensitivity
rules 5151:5	5202:15,18	5156:7,17	5129:25	5064:17
	5203:4,8	5157:2,12	5188:23	5119:1
	5218:22	5185:18	5189:6,11,	5122:23
run 5069:24	Ryall	5186:16,22	14	5129:18
5071:1	5148:12	5200:9	seeing	5135:3
5081:12		scenarios	5088:8	5162:8
5085:14,15	<hr/> S <hr/>	5088:6,9	5173:17	5164:10
5088:9	safe 5219:2	5098:1,17,	seek 5091:3	5166:7
5098:8		22	seems 5073:1	5186:7,18
5127:25	sales 5155:2	5115:16,17	5087:2	separate
5151:12	5156:3,6	5129:5	5163:11	5205:22
5187:12	5190:21	5135:11	seen 5107:19	separation
5190:19	Saunders	5193:21	5141:13,14	5179:11
running	5056:19	schedule	5160:4	September
5156:17	saving	5060:5	5161:23	5081:18
run-of-the-	5079:18	scheme	5165:4	5121:12
river	5133:12	5073:21	5167:14	serve
5189:15	savings	scope 5114:9	5189:11	5188:20
rush 5124:13	5069:13	screen	5196:24	served
Russ 5057:7	5080:13	5067:2	5205:9	5188:17
5062:13	5084:5	5074:8	selected	service
5063:8,16	5086:8	5082:3	5148:1	5121:14
5064:5	5172:3	5143:7	self-	5126:4
5072:18	saw 5095:14	5155:6	generation	5132:2
5073:7,17	5101:4	5158:18	5134:22	5168:16
5074:6,10,	5104:11	5194:13	5143:1	5183:10
15,20,24	5128:4	5206:20	5144:17,18	serving
5075:23	5206:12	5216:3	selling	5176:1
5076:19,22	scale	screening	5087:6	5183:5
5089:20	5067:11	5198:4	semantic	session
5090:1,5,9	5123:9,16,	scroll	5104:16	5180:7
,13,17	19 5132:5	5155:11	semantics	5218:15
5134:14,18	5175:25	5162:9	5073:9	sets 5077:3
,24	scales	SCT 5196:15	send 5140:3	setting
5191:13,16	5123:14	se 5109:16		
,23	scan 5143:8			
5192:2,5,1				

5065:1	5056:20	5061:7	5150:10	5140:20
seven	5116:5	shutdowns	5200:12	5155:23
5063:14	shift	5108:24	simplistic	5156:12
5138:5	5185:14,15	sides	5198:14	5187:19
5161:1	shifted	5102:21	5213:18	5196:8
5162:4,5,1	5128:6	sign 5115:19	5216:4	sixty-six
2	shifts	5188:18,20	5217:13,19	5148:15
5210:5,8,9	5128:10	signed	simplistical	size 5117:3
,10,15	ship 5082:14	5089:17	ly 5141:16	5159:22
5211:6,7,2	short	significant	simply	5161:12
0	5089:12	5106:17	5080:12	5162:3,9
5212:1,13,	5106:25	5111:12	5088:22	skewing
14,17	5117:4	5125:25	5144:21	5166:8
5214:15	5120:20	5126:5	5174:18	slide
5215:23	5128:14	5133:13	5176:22	5073:18,19
5216:9,17,	5148:22	5134:6	single	5193:10,11
18	shorter	5160:14,20	5182:14	5194:13
seventeen	5188:6	5187:20	sir	5195:9
5136:6	shortly	5202:4	5063:1,7,1	5196:24
5209:16	5218:12	significantl	1,15	5201:18
5215:14	short-run	y 5167:1	5066:4	slides
seventy	5120:24	signing	5070:11	5059:16
5148:24	short-term	5087:9	5072:12	5203:6,20
5175:17	5129:9	5114:22	5073:13	slight
seventy-	5149:4	5115:19	5074:9,14	5123:24
eight	5184:1	s'il 5089:4	5081:19	slightly
5148:9	showed	similar	5082:1,16	5077:17
5188:8	5073:19	5078:1	5089:15	5141:8
5190:23	5103:17	5091:12	5091:8	slop 5166:18
seventy-	5123:10	5115:7	5092:16	slower
three	5166:2	5123:24	5093:2,12	5186:24
5138:5	showing	5144:15	5094:1	slowing
seventy-two	5145:19	5151:5	5098:13	5120:17
5136:7	5181:8	5153:3	5101:8,12,	slowly
several	shown	5161:23	17 5102:12	5208:3
5073:1	5168:10	5169:18	5103:1,18	small 5117:2
5166:23	shows	5171:6	5104:9	5132:5
severe	5120:17	5172:21	5105:6	5163:8,16,
5100:1	5124:5	5190:17	5106:4,10	25 5165:18
shale	5150:4	Similarly	5107:1,14	5166:17
5169:8,9,1	5167:21	5144:23	5109:4	5171:24
1,12	5193:12	Simonsen	5110:5,17,	5175:25
shareholder	5194:16	5066:5,10	22 5111:3	5187:4
5205:23	5195:18	5117:8	5112:10	5189:14
shareholder-	5215:22	5146:12	5114:3,12	
owned	shutdown	simple	5153:1	smaller
5188:12	5058:5	5122:22	sitting	5093:14
Shefman	5060:25	5144:12	5182:21	5102:21
			six 5063:14	small-scale

5144:24	5166:24	speech	5213:23	5135:3
Smart	5169:6	5139:10	states	stretch
5066:5,14	sorts	spell	5125:4	5215:7
5141:9	5079:12	5163:22	5153:4,18,	stretched
5198:5	sounds	spend 5164:4	20 5154:16	5064:10
5201:25	5061:24	5171:23	5156:12,18	strictly
societal	source	5191:5	5191:18	5114:5
5196:15	5126:12	spent	station	strike
solar 5071:4	5132:20	5163:19	5065:4	5121:22
5077:20	5170:7	5204:23	5200:15	5122:3
5143:13	sources	split 5176:5	statistical	strong
5144:21	5086:25	5178:10	5075:8,19	5124:5
sold 5155:18	5130:22	spot 5115:10	5077:5	5168:12
Soldier	5139:19	staff	5079:5,23	stronger
5055:15	southern	5081:3	5081:3	5073:11
solely	5180:20	5139:18	statistics	structural
5110:19	5181:25	5218:5	5207:2,7,1	5125:9,16
somebody	space	stance	5,16	5127:19
5133:5,8	5118:6,7	5176:15	5208:7	5128:4
5189:16	5119:3	stand	Stats	5149:8
someone	5169:21	5156:23	5208:6,10	5151:6
5206:10	5174:10	5204:5	5215:13	5156:14
sorry 5066:6	speak	standard	5217:8	5187:24
5074:6,20,	5060:19	5068:2	stay 5096:21	5189:2
21 5098:4	5061:21	5069:21	steady	structure
5106:13	5217:1	5095:5	5164:13	5179:17
5121:21,24	speaking	STANDS	steer 5179:9	5192:7,14
5126:22	5067:10	5219:6	5207:22	struggle
5136:1,21	5121:25	start	steering	5186:5
5137:23	5155:14	5060:4,10	5182:24	studies
5142:15	5157:13	5117:17	stop 5154:24	5139:20
5150:3	specific	5124:21	storage	5140:22
5155:12	5131:21	5209:7	5145:6,10,	stuff
5181:3	5158:6	started	13	5207:10
5199:23	5198:22	5110:17	story	subject
5209:10	specifically	5146:23	5186:10	5073:25
5210:1,25	5083:21	starting	strategies	5089:12
sort 5064:11	5122:5	5158:15	5131:13	5090:19,23
5071:20	5124:23	5160:24	straying	5119:6
5073:11	5146:2	5166:16	5064:11	5126:5
5078:19	5173:6	5216:14	streetlights	5138:2,9,1
5080:4	5179:24	starts	5078:2	4 5139:13
5096:14	specified	5211:12	stress	5149:13
5124:24	5126:16	stated	5091:23	5159:10
5141:13	spectrum	5118:24	5093:8,21	5160:2,7
5143:7	5188:25	statement	5098:12,19	5162:16
5147:19	speculative	5120:23	5105:12	5191:4
5149:12	5139:23			5207:3
5157:1				

subjects	5217:16	5114:19	,22,25	5118:6
5164:3	suggesting	5115:13	5162:18	5119:3
submission	5072:9	5123:16	5163:14	5132:25
5135:5,17	5084:16	5142:18	5164:1,2,1	5133:1
subsequent	5098:11	5158:19	9,24	5172:10
5124:15	5112:5	5166:7	5165:3	5177:22
5114:3	5171:12	5166:3	5166:3	switching
subsidies	5172:24	5167:2,11,	5167:2,11,	5118:24
5143:14	5173:12	20 5168:9	20 5168:9	5180:11,13
subsidized	5213:20	5169:14,23	5169:14,23	5182:7,10
5142:6	5215:9	5170:8,15,	5170:8,15,	5183:22
susidy	5216:12	18,25	18,25	5191:21
5131:14	suggestion	5172:11	5172:11	5192:20
5142:7,8	5072:19,21	5173:3,19	5173:3,19	Sworn 5057:7
5143:17,22	5074:12,17	5174:2,8,1	5174:2,8,1	5062:13
,25	5076:1	2,16,22	2,16,22	system
5144:3,5,7	5103:16	5180:3,4,1	5180:3,4,1	5077:11
,9	5157:18	7	7	5078:13
subtract	5207:7	5181:3,8,1	5181:3,8,1	5079:2
5094:18,20	5217:13	5,25	5,25	5081:11,12
success	suggestions	5182:6,12	5182:6,12	,15
5071:14	5073:10	5183:25	5183:25	5082:23
successful	suggests	5184:12,16	5184:12,16	5085:15
5172:1	5075:5	,24	,24	5086:2
5181:12	5118:4	5185:3,11,	5185:3,11,	5107:2,7,2
sudden	sum 5183:13	25 5187:21	25 5187:21	1 5108:6
5106:1	summary	5188:4	5188:4	5154:1
5132:10,13	5059:3	5189:10,20	5189:10,20	5178:19
5218:21	5140:20,21	5190:25	5190:25	5182:4
sufficient	5147:3,9	5191:14,17	5191:14,17	5211:3,19
5085:18,21	5148:1	,24	,24	
,22	5174:4	5192:4,8,1	5192:4,8,1	
suggest	sunk 5072:4	8,25	8,25	
5062:6	supply	5193:5,9,1	5193:5,9,1	
5086:2	5073:24	9,24	9,24	
5092:14	5131:4,23	5194:3,7,8	5194:3,7,8	
5106:4	5154:1	,15,20,25	,15,20,25	
5108:8	5168:16	5195:8,15,	5195:8,15,	
5109:20	5173:14	18	18	
5110:4	5188:15	5196:2,6,1	5196:2,6,1	
5114:4	5202:8	1,17,23	1,17,23	
5132:10	support	5197:1,4,7	5197:1,4,7	
5140:19	5148:20	,23	,23	
5161:3	sure 5066:5	5198:2,19	5198:2,19	
suggested	5068:6,10	5199:5,11,	5199:5,11,	
5098:15,17	5069:2	24	24	
5135:10	5080:9,15	5201:2,11	5201:2,11	
5151:8	5083:20	5202:14,16	5202:14,16	
5164:21	5097:22	,19,23	,19,23	
	5106:3	5203:7,22	5203:7,22	
	5113:4	5218:9	5218:9	
		Swen 5057:13	Swen 5057:13	
		switch	switch	
		5161:11,17		

5103:25	technologies	5205:9	text 5145:24	5091:8
5178:16	5139:22	termination	thank	5093:3
5198:21	5142:6	5115:6	5062:5,17,	5094:6
talk 5092:19	5144:16	terms	23	5097:22
5096:11	technology	5072:11	5066:3,13	5098:14,25
5115:16	5111:5	5087:22	5067:1	5100:5
5133:15	5145:12	5111:18	5081:21	5102:5,15,
5139:22	telecom	5124:21	5083:7,11,	24 5104:17
5140:11	5133:20	5139:11	14 5089:3	5105:5
5157:9	telephones	5144:23	5090:18	5106:17,21
5163:5	5134:5	5153:12	5106:24	5107:4
talked	temporary	5158:4,12	5114:12,15	5111:15
5070:5	5127:23	5165:9,25	5116:7,14	5113:11,20
5108:21	temptation	5168:21	5117:1,9	5114:1,8
talking	5088:21,22	5172:21	5119:7	5115:8
5070:12	ten 5091:3	5173:3	5120:5	5117:3,8
5071:23	5093:6,23	5182:24	5124:7	5118:8,18
5087:2	5094:9,25	5188:15	5139:1,2,3	5122:9,21
5108:19	5095:7	5189:20	5146:22	5125:5
5127:9	5098:22	5192:25	5193:24	5126:9,11
5130:24	5099:23,25	5198:19	5194:5	5127:5,17,
5132:14	5100:14,23	5216:23	5201:19	20
5142:5	5103:19	test 5095:8	5203:22	5128:1,8,1
5166:23	5116:18	5098:19	5204:22	0
5181:23	5129:21	5105:12	5206:18	5130:7,14,
5190:15	5132:7	5135:3	5208:14	16,24
5204:24	5150:16	5196:14,15	5217:22,24	5132:17,21
talks 5088:6	5166:24	,19,21	5218:20,23	5134:11
5140:12,13	5179:10	5197:4,9	,24 5219:4	5136:18,20
target	5184:20,25	5198:25	thanks	5138:4
5065:2,9,2	5185:5,8,2	5199:9	5119:10	5139:23
0 5067:12	2	tested	5125:22	5140:10
5069:12,18	tend 5121:14	5093:21	5128:12,24	5151:22
5086:15,17	5127:14,15	testimony	that'll	5152:2
,18 5091:8	tending	5104:23	5082:2	5157:24
5096:9,15	5141:8	5107:14	that's	5161:9
5097:6,8,1	tends	5109:21	5065:12	5163:3
3	5140:14	5116:2	5069:8	5164:7
5099:10,11	tens 5076:25	5133:19	5070:18	5167:22
,13,16	term 5073:11	5175:7	5071:10,15	5168:7
5104:1,10,	5115:5	5176:12	,20	5169:14,18
13 5108:13	5120:20	5218:17	5072:16	5171:12
targeted	5128:15	testing	5073:17	5175:25
5077:12	5151:14	5091:23	5076:4	5176:4,5
targets	5160:21	5093:8	5080:6	5178:5,20
5064:8	5165:15	5098:13	5081:4,21	5182:7,9
TCL 5107:17	5188:6	tests	5082:4,5,1	5184:5
technologica	5190:16	5091:23	0 5087:16	5185:20
l 5182:19	5198:13	5104:19	5088:14,15	5188:23
		5196:13	,24	5191:3,7,2
			5089:20	5 5192:23
			5090:1	5193:22,23
				5194:15
				5198:16

5202:4,10	5142:4	5121:22	thumb 5178:6	5102:14,19
5203:5	5143:19	5122:3	tight 5060:5	5103:4,7,1
5204:11	5153:12,14	thirty	5085:15	3,25
5206:22	5154:21	5138:5	tilt 5165:25	5104:7,15
5207:11	5159:8	5176:6	timeframe	5105:7,18
5209:3	5164:15	5186:15,21	5160:15	5106:11
5210:1,2,4	5169:4	5187:1,18	5161:1	5107:3,10,
5212:14	5172:1	Thirty-five	to-date	17,22
5213:8,22,	5177:20,24	5096:2	5210:3	5108:11,25
23 5217:18	,25	thirty-four	today	5109:3,11
themselves	5178:1,21,	5159:8	5060:5,15	5110:6,23
5060:4	22 5179:5	thirty-seven	5062:2	5111:10
theoretical	5182:3	5138:19	5076:2	5112:2,11
5105:16,17	5185:14	tho 5186:10	5092:3	5114:8,16,
therefore	5186:2	thoughts	5126:21	25
5065:22,24	5188:19	5119:9	5134:4	5118:14,20
5091:21	5189:22	5218:6	5164:3	5119:4,8,1
5097:1	5190:10	thousand	5187:25	1,23
5142:3	5191:11,18	5094:19,21	5218:17,19	5120:3,8,1
5161:5	5193:2	5159:8	5219:1	4,20
5166:19	5200:6	5187:17	Todd 5057:8	5121:1,6,1
5172:20	5206:3	5209:16	5062:14,18	6,19,24
5178:7	5208:6	5215:15	5064:13	5122:5,9,1
5201:9	5209:16	thousands	5066:3,14,	5,19
5206:17	5213:5	5076:25	21	5123:6,12,
there's	5214:5	threshold	5067:8,14	22
5064:17	5217:25	5133:16	5069:25	5124:6,10,
5068:14,23	they're	5149:13	5070:18	20
5069:18	5067:19	5151:11	5071:12	5125:10,13
5071:10	5078:3,4,9	5158:12	5077:14,16	5126:2,7,1
5078:16	5079:20	5162:20	5081:9,20	1,16,24
5079:5,12,	5091:21	5165:9	5082:4,17	5127:4,7,1
18,23	5096:15,16	5200:18	5083:2,5,1	1,16
5082:5,8,1	,19	throughout	2,24	5128:18
4,20	5097:12,14	5212:17	5084:6,20	5129:4,9
5085:1,3	5133:7	throw 5143:6	5086:4	5130:2,7,1
5086:5	5145:3,20	throwing	5087:11	1,17,23
5087:18	5154:16	5099:20	5090:20	5131:9,24
5088:16	5171:25	thrown	5091:6,9,1	5132:13,21
5094:22	5173:24,25	5207:25	4,25	5133:4,25
5099:16	5178:21	throws	5092:17,22	5134:3,8
5101:11,22	5179:10	5099:19	5093:3,13,	5135:2,8,1
5104:22	they've	thrust	25 5094:24	2
5106:1,25	5072:5	5074:15,16	5095:4,21,	5136:8,11,
5111:12	5095:13	5128:10	25 5096:7	15,18,23
5120:12	5097:25	5129:22	5098:14	5137:3,8,1
5123:23	5204:3		5099:15	1,15,20
5124:11	thick		5100:9,21,	5138:7,13,
5129:15	5139:15		25	21 5139:14
5131:13,14	third		5101:5,18,	5140:9
5139:21	5112:16,17		25	5141:6
5141:22	,18			5142:13,19
				,23
				5143:6,12

5145:17,22	0 5186:4	total	5168:10	5062:6,21
5146:4,23	5188:3,10	5078:12	5169:20,21	5095:22
5147:6,25	5189:13,25	5085:19	5170:22	5098:21
5148:6,7,1	5199:19	5138:9	5214:25	5125:11
0,19	5200:4	5159:24	5217:4	5135:16
5149:1,6,1	5201:6,11	5196:14,18	trends	5137:5
0,16,21	5205:4,8,1	,20	5121:7	5139:4
5150:8,13,	7	5198:6,25	5171:3	5183:25
19,25	5206:2,11,	totally	5217:3	5184:2
5151:15	23	5169:9	trickle-down	5191:1
5152:4,7,1	5207:4,9	touting	5154:8	5197:13
7,24	5208:18,22	5177:8	tried 5073:7	5204:20
5153:5,16,	5209:1,6,1	toward	5169:23	5206:19
21	9,23	5069:10	tries 5091:3	Turning
5154:6,12	5210:7,11,	5207:23	triggers	5125:23
5155:13	20	track	5152:1	turns 5064:7
5156:1,15,	5211:9,11,	5070:14	trip 5219:2	twelve
19	17,22,25	5083:6	true 5081:19	5136:6
5157:7,11,	5212:4,6,1	tracked	5172:21	5148:16
17,19	6,21,24	5100:18	5176:22	5180:6
5158:3,9,1	5213:5,13,	tracks	try 5065:10	twenty
9,23	22 5214:21	5101:20	5071:12	5093:17,20
5159:12	5215:20	transcript	5078:19	5099:7,12
5160:1,6,1	5216:1,12,	5057:17	5079:14	5100:5
2	21	5124:14	5087:22	5104:12
5161:2,16,	5217:15,21	5145:21	5147:14	5109:8
20,23	5218:20	5146:10	5156:24	5129:21
5162:17,21	tomorrow	5155:5,6	5180:9	5130:1
5163:15,19	5146:18	transformed	5216:2	5160:17
,23	5218:12	5169:10	trying	5164:15
5164:5,18,	top 5092:21	translate	5065:7	5166:9
23 5165:14	5096:18	5159:19	5075:22,24	5180:5
5166:6	5103:15	transmission	5079:4	5184:8,17
5167:15,18	5109:6,9	5072:6	5087:23	5185:23
5168:7,12	5112:16	TRC 5196:19	5088:12,15	5187:1,14,
5169:22	5126:9	treat	,18	15,17,18
5170:4,11,	5128:15,21	5080:14	5094:15	5190:9
16,24	,25	5084:21	5095:10,12	5215:10
5171:4	5129:13,19	5085:8	5125:18	5216:24
5172:14	,20	treatment	5173:1	twenty-eight
5173:10,22	5143:14	5075:14	5212:21	5185:16
5174:5,9,1	5149:5	trend	5218:11	5187:7,9,1
3,15,20,23	5184:2,8	5118:22	Tuesday	8
5175:6,16	5185:4,18	5120:13	5066:22	twenty-five
5176:17	5186:24,25	5121:4	turbine	5134:2
5177:10	5187:3	5122:18	5081:13	5176:6
5180:9,15	5188:13,14	5123:20	turf 5072:8	5188:8,9
5181:9,14,	,16,20,24	5143:19	turn 5060:11	twenty-nine
22	5193:15			5094:19
5182:2,9,1	topic			
6	5193:25			
5184:5,11,	5194:8			
15,22				
5185:1,7,2				

twenty-one 5094:23 5138:20	underestimates 5100:24	5146:25 5147:3,8 5156:20 5157:4,19, 22,23 5158:21 5174:3,6,2 5 5175:1 5181:9 5191:4 5193:20,23 5194:2,4 5199:13,20 5201:13,22 5202:17,22 ,24 5203:10	5197:20 unpredictability 5149:5 unpredicted 5106:1 unstable 5166:13 update 5159:15 5207:1 5210:23 5216:5 updated 5210:14 5215:21 upon 5060:1 5070:17 5113:15 5116:20,21 5157:23 5204:16,17 5214:22 5219:8 upward 5124:5 upwards 5122:18 usage 5080:20 useful 5098:2,12 5105:20,24 5140:5 usual 5127:23 usually 5140:16 5189:15 utilities 5055:3,21 5091:11,13 5154:15 5175:20,22 5178:22 utility 5130:25 5140:16	5171:20,23 5173:8 5175:20,21 ,22 5177:18 5183:2 5189:16 5195:19,23 5196:7 5205:21,22 <hr/> V <hr/> value 5072:11 5077:2 5079:24 5080:25 5200:13 variable 5152:3 5213:14 5217:20 variables 5162:23,24 5208:16 5213:14 variance 5091:4 5093:15 variation 5077:5 5151:14,15 5152:1 5164:15 5187:23 variations 5168:18 varied 5092:13 variety 5131:15 various 5090:24 5092:20 5107:5 5196:13 5200:11 vast 5148:2
twenty-seven 5094:22	under-forecasts 5127:15			
twenty-six 5094:20	underlines 5113:21			
twice 5173:8	underneath 5184:24			
type 5067:6 5144:25 5209:3	understand 5066:3 5072:20 5076:12,13 5095:10 5101:16 5103:9 5105:22 5106:13,15 5118:17,25 5150:23 5176:19 5182:11 5183:17 5194:20 5208:17	undertakings 5057:4 5059:1 5061:21 unexp 5092:4 unexpected 5092:5 5100:1 unfolds 5092:7 unfortunatel y 5094:9 5206:15 unique 5177:15,16 United 5125:4 5153:4,18 universally 5132:23 unknown 5149:9 5169:15 unless 5112:24 5133:12 unmetered 5078:1,2,2 0,22 5080:17 unpack		
types 5144:24 5153:13				
typically 5171:19				
<hr/> U <hr/>				
ultimately 5206:7				
un 5106:1				
unaccounted 5078:20				
uncertain 5081:15	understandin g 5064:6 5068:25 5083:20 5089:15 5096:8 5100:7,18 5102:4,12, 18 5107:6 5109:5 5111:3 5112:4 5118:23 5159:13 5180:18 5181:23 5193:23			
uncertaintie s 5075:10 5087:24				
uncertainty 5068:14,24 5071:24 5081:10 5082:7,8,2 1,22,25 5085:4,23 5103:11 5111:5,12 5126:12 5188:13				
unclear 5125:21 5156:1	Understood 5100:16 5128:12			
uncomfortabl e 5163:9	undertake 5070:15			
uncommitted 5155:16	undertaking 5063:17 5139:14			

vein 5168:14		5217:3	5102:16	5186:2,3
verify	<u>W</u>	week 5156:24	5106:7	5193:15
5093:13	wait 5080:23	weigh 5133:3	5114:4	5202:8
verifying	5188:21	weight	5115:2	whole 5079:2
5107:25	waiting	5185:9	5127:9	5082:22
version	5070:6	5189:4	5132:14	5106:1
5073:20	5189:21	5194:22	5160:9	5125:17,20
5155:4	5204:23	weighting	5164:12	5146:17
versions	walk 5135:22	5084:18	5165:14	5187:11
5061:14	walked	Weinstein	5170:18	wholesale
versus	5155:15	5056:23	5173:17	5132:11
5058:9	War 5186:13	weird	5178:24	who's 5133:9
5059:13	warning	5207:17	5181:23	wide 5104:24
5061:12,18	5188:22	welcome	5182:18	5106:5
5073:22	wash	5062:4	5187:4	wider
5096:10	5213:19,21	we'll	5190:15	5103:9,14,
5108:13	5214:2	5069:22	5200:7,19	21
5130:25	5216:4	5087:17	5212:18,21	5104:3,13,
5171:22	wasn't	5088:7,17	5216:3	17
5182:25	5088:18	5146:5,11,	5218:10	wife 5079:10
5203:16	5089:21	17 5202:14	we've	William
verus	5118:22	5213:11	5066:23	5056:11
5174:21	5123:16	5218:12	5069:2	5057:10
view 5068:4	5126:17	we're	5081:20	5062:16,17
5075:1	watch	5060:15	5087:1	5063:9,19
5111:6	5080:15	5064:19,25	5097:15	5066:2,12,
5127:22	water	5065:7	5098:16	13
5135:13	5081:18,24	5068:23	5102:22	5067:1,13
5149:4	5085:9	5069:5,13,	5105:1	5069:25
5170:25	5168:23	22	5106:5	5071:11
5179:23	5169:19,20	5071:8,9,1	5108:11	5072:12,24
5182:13	5174:10	6,23	5114:20	5073:12
5186:8,11,	ways 5092:5	5077:17	5136:5	5074:4,8,1
19 5187:8	5198:16	5078:11	5159:24	1,18,22,25
Villegas	weather	5079:4	5174:24,25	5076:10,20
5149:24	5101:14	5080:2,6,2	5179:17	5081:9,25
5155:3	5166:11,13	4	5218:19	5082:9,18
5167:12	,15,22	5083:2,3,5	whatever	5083:4,7,1
volatile	5184:22	,13,25	5190:24	1
5165:24	weather-	5084:23	whereas	Williams
5166:21	adjusted	5086:5	5141:14	5056:9
5187:6	5184:20,25	5087:17,22	whereby	5061:22,24
volatility	web 5139:16	,23	5132:11	5111:23
5169:4	website	5088:12,15	wherever	5142:16
volume	5139:16	,24	5219:2	wind 5071:4
5166:1	we'd 5103:21	5091:23	whether	5076:6,13,
vous 5089:4	5163:2	5093:4	5068:20	14,15
		5096:24	5070:7,16	5077:13,20
		5097:1,15,	5109:7	window
		18 5099:7	5156:2	
			5174:18	

5087:20	5071:13	5169:24	5208:20
5207:25	worst-case	5171:18	5210:2
Winnipeg	5185:18	5177:25	5214:2
5055:23	worst-	5185:12	5215:16
winter	scenario	5191:12	5218:24
5193:13	5173:4	5194:16	
wish 5219:2	wrench	5198:8	<hr/> Z <hr/>
wished	5086:14	yesterday's	zero
5103:10	write	5155:5	5143:22,25
witness	5087:14	yet 5060:21	5144:10
5218:16	writing	5112:6	5147:20
witnesses	5088:8	5125:10	5157:1
5203:25	5089:16	you'll	5171:9
5218:20	5090:7	5062:3	
Wojczynski	written	5065:24	
5136:12	5059:10	5079:15	
5155:14	5199:14	5085:17	
wonderful	5201:14	5113:18,19	
5186:12	5202:24	5118:2	
wondering	5203:11	5135:22	
5151:9	wrong 5064:6	5143:14	
wording	5092:1	5157:14	
5118:20,21	5119:16	5185:4	
work 5068:13	5122:24	5189:8	
5140:9	5156:13	5193:20	
5167:12	5177:2,5	5202:17	
5169:1	5180:19	5212:8,13	
5171:21	5208:9	yours	
5218:24,25	5217:8	5175:10	
works	<hr/> Y <hr/>	yourself	
5099:20	yesterday	5151:10	
5172:19	5063:17	you've	
5194:17	5066:16	5068:17	
world	5067:10	5069:8,14	
5087:21	5073:20	5070:13	
5092:4,7	5075:25	5071:5	
5093:19	5076:12	5076:17,25	
5106:6,7	5118:2	5080:7,9,2	
5131:12	5119:19	1 5081:17	
5154:18	5123:2	5085:11,19	
5186:8,13	5124:13	,23	
worldwide	5130:3	5099:2,18	
5153:9	5135:3	5115:14	
worse 5081:8	5139:24	5131:19	
5168:22	5151:7	5133:18	
worst	5152:16	5134:19	
	5153:1	5143:7	
	5155:14,21	5145:2,8	
	5158:5,7	5191:1	
		5198:4	