



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re:

MANITOBA HYDRO
NEEDS FOR AND ALTERNATIVES TO
REVIEW OF MANITOBA HYDRO'S
PREFERRED DEVELOPMENT PLAN

Regis Gosselin	- Chairperson
Marilyn Kapitany	- Board Member
Larry Soldier	- Board Member
Richard Bel	- Board Member
Hugh Grant	- Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba

May 2, 2014

Pages 9992 to 10314

1 APPEARANCES

2 Bob Peters) Board Counsel

3 Sven Hombach (np))

4

5 Patti Ramage (np)) Manitoba Hydro

6 Marla Boyd)

7 Douglas Bedford (np))

8 Helga Van Iderstine (np))

9 Jennifer Moroz (np))

10 Odette Fernandes)

11 Janet Mayor (np))

12 Jack London (np))

13

14 Byron Williams) CAC

15 Meghan Menzies (np))

16 Aimee Craft (np))

17

18 William Gange (np)) GAC

19 Peter Miller (np))

20

21 Antoine Hacault) MIPUG

22

23 George Orle (np)) MKO

24 Michael Anderson (np))

25

1 APPEARANCES (Con't)

2

3 Jessica Saunders (np))MMF

4 Corey Shefman (np))

5

6 Christian Monnin)IEC

7 Michael Weinstein (np))

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	9996
4	Undertakings	9997
5		
6	Presentation by Interchurch Council on Hydropower	9998
7		
8	MIPUG RISK AND DSM PANEL:	
9	PATRICK BOWMAN, Sworn (Qual.)	
10	Qualification of Witnesses	10014
11	Examination-in-chief by Mr. Antoine Hacault	10030
12		
13	Presentation by Winnipeg Harvest	10138
14		
15	MIPUG RISK AND DSM PANEL - RESUMED:	
16	PATRICK BOWMAN, Sworn (Qual.)	
17	Continued Examination-in-chief	
18	by Mr. Antoine Hacault	10159
19	Cross-Examination by Mr. Byron Williams	10208
20	Cross-Examination by Mr. Christian Monnin	10250
21	Cross-Examination by Ms. Marla Boyd	10256
22	Cross-Examination by Mr. Bob Peters	10266
23		
24	Certificate of Transcript	10314
25		

1	LIST OF EXHIBITS		
2	NO.	DESCRIPTION	PAGE NO.
3	MIPUG-24	Slide deck	10012
4	MIPUG-9-4	Supplement to report of	
5		Mr. Bowman	10013
6	MH-192-1	2x4 charts representing matrix of	
7		decision points	10013
8	MH-104-5	Financial DSM analysis for Plan 2,	
9		Plan 6, Plan 4, Plan 12, Plan 1	
10		with the potential pipeline load,	
11		Plan 5 with the potential pipeline	
12		load, and Plan 14 with the potential	
13		pipeline load	10157
14	MH-190	Revision	10157
15	CAC-77	Support for the suggestion that the	
16		region had already been substantially	
17		altered and the evidence from	
18		the KHLP	10158
19			
20			
21			
22			
23			
24			
25			

1	LIST OF UNDERTAKINGS	
2	NO.	PAGE NO.
3	143	MIPUG panel to update Plan 14 and
4		Plan 6 based upon the updated
5		numbers in ten (10) year increments,
6		going out to fifty (50) years. 10215
7	144	MIPUG panel to provide brief summary
8		of various examples of government
9		support or intervention in projects
10		to deal with rate pressures; also to
11		look into examples of relief to
12		ratepayers and, if available
13		publicly, relief between government
14		and other stakeholders, including
15		First Nation government 10242
16	145	MIPUG panel to provide the Board
17		with an indication as to the dollar
18		amount of the required foregone
19		government benefit determined in
20		their analysis over the first fifteen
21		(15) years of in-service of Conawapa
22		would be sufficient to change the
23		economics to a more positive
24		approach 10280
25		

1 --- Upon commencing at 8:47 a.m.

2

3 THE CHAIRPERSON: Good morning. I
4 believe that we're ready to start the morning's
5 proceedings. So on behalf of the panel, I'd like to
6 welcome Mr. Will Braun, of the Interchurch Council on
7 Hydropower. Welcome to these proceedings, Mr. Braun.
8 I understand you have a presentation for us. And
9 without further ado, please start.

10

11 PRESENTATION BY INTERCHURCH COUNCIL ON HYDROPOWER:

12 MR. WILL BRAUN: Thank you and good
13 morning. I have the distinct disadvantage of being
14 responsible for making you all come into work fifteen
15 (15) minutes earlier this morning. I'm feeling a
16 little bit sheepish about that. I beg for your
17 graciousness on that.

18 Yes, my name is Will Braun. I work for
19 the Interchurch Council on Hydropower on whose behalf I
20 will be presenting this morning. I thank you for the
21 opportunity to present. And as an Manitoban, I thank
22 you for the tremendously important and difficult work
23 that you're doing on -- in a sense, on our behalf.

24 The Interchurch Council on Hydropower
25 advocates for fair treatment of lands and people at the

1 Northern end of the transmission lines in Manitoba. We
2 have funding and/or official representation from
3 Catholic, Lutheran, Mennonite, and United Churches.

4 I want to make four (4) points. First,
5 Wuskwatim lessons. Wuskwatim is a key -- key indicator
6 of Manitoba Hydro's track record in this new era of
7 hydro expansion. It was phase 1, if you will, the
8 forerunner to the Preferred Development Plan, and it is
9 faltering.

10 I'll focus on the First Nation
11 partnership, because those are the numbers of available
12 and that part also speaks to the -- the layer of risk
13 involved. According to a document that I believe is
14 known in the PUB dialect as CAC/MH II-019b,
15 Nisichawayasihk Cree Nations's 33 percent share in the
16 Wuskwatim dam and its net income over the first ten
17 (10) years of the dam is projected by Hydro to total
18 negative \$134 million. That's a \$134 million hit to
19 NCN's books over ten (10) years.

20 Over twenty-five (25) years, NCN's
21 projected share of net income is still in the red to
22 the tune of \$8 million. And basically, that -- I'm
23 just adding up the -- the top line of numbers on the
24 image on the screen there.

25 NCN has invested \$108 million in

1 Wuskwatim. In Hydro's last quarterly report, NCN's
2 share in Wuskwatim stood at only \$78 million. That's a
3 38 percent decline in the value of their investment,
4 and the dam is not even two (2) years old. Welcome to
5 the new era.

6 Hydro was going to smooth out cashflows
7 to NCN to protect its First Nation partner from
8 financial ruin. In part, this incler -- includes a
9 current offer of straight cash payments to NCN of \$2
10 1/2 million per year for twenty (20) years. This was
11 not part of the original agreement. This is new. It's
12 part of the proposed PDA supplement number 2.

13 This is admirable, but it also points
14 out that the first dam of this new era of dam building
15 requires a \$50 million crutch, seemingly, to keep the
16 partnership alive or healthy.

17 The fact that Wuskwatim -- Wuskwatim is
18 hobbling does not prove that Keeyask or that PDP should
19 not go ahead. Maybe -- maybe Keeyask will be
20 different. What it does show certainly is that big
21 dams are tremendously risky.

22 I sat through much of the Wuskwatim NFAT
23 hearing, and Hydro was just as confident and reassuring
24 then as they are now. No matter what variables or
25 scenarios were thrown at them, their project always

1 came out looking rosy in their analysis. Their
2 analysis was wrong -- spectacularly wrong. Of course,
3 no one could have predicted the recession or -- or the
4 significant increase in shale gas production, but
5 that's exactly the point. It's all so unpredictable.

6 Consider this, in 2008, Hydro predicted
7 Keeyask would cost \$3.7 billion, and just over five (5)
8 years, that figure has jumped by 75 percent. Consider
9 Hydro's projections of NCN's share of Wuskwatim loses
10 over ten (10) years. Over the course of only one (1)
11 year, from IFF12 to 13, that figure dimmed by 24
12 percent.

13 Despite Hydro's persistent confidence,
14 and what I might call statistical swagger, the numbers
15 change regularly, significantly, and seemingly often,
16 though not always, not in Hydro's favour. And I note
17 that the La Capra report indicates that the PDP really
18 only starts to pull into the lead towards the latter
19 end of a seventy-eight (78) year planning period.

20 Keeyask, like Wuskwatim, is risky.
21 Would you invest your retirement money in it if you had
22 such an option? I know that's not exactly in your
23 terms of reference, but one (1) way to think about
24 things.

25 Second point, is the PDP good for hydro-

1 affected peoples of the North? Your terms of reference
2 referred to, quote:

3 "The socioeconomic impacts and
4 benefits of the plan and alternatives
5 to northern and Aboriginal
6 communities."

7 The PDP's Northern benefits are
8 essentially Keeyask benefits. Keeyask benefits, of
9 course, include -- Northern benefits include adverse
10 effects agreements, training, employment, business
11 contracts, and the centrepiece, the 25 percent stake in
12 the dam, or possibility of that.

13 As -- as far as I can tell, in these
14 proceedings, the assumption is that the KCNs will opt
15 for the preferred investment alternative, somewhere in
16 the range of a 2.5 percent stake and a guar --
17 guaranteed minimum annual payment. The First Nation
18 proponents of the project appear to be opting for the
19 lowest form of investment, other than no investment at
20 all.

21 If this is indeed the case, it would
22 appear that not even the project proponents like its
23 chances, or they can't borrow sufficient cash. In
24 either case, this new era of dams is not turning out as
25 anticipated. The preferred option reduces KCN's

1 financial risk, but presumably it greatly reduces their
2 potential benefits. I'm not a -- an accountant, but I
3 presume that if you invest 2.5 percent, your return is
4 going to be a lot less than if you invest 25 percent.

5 Is this what the KCNs signed up for
6 originally? The JKDA, which I brought along with me
7 here this morning, is dated August 2008. This is what
8 the people voted on. This, of course, predates the
9 recession. It predates the significant spike in shale
10 gas production. The communities voted in 2009 when the
11 projected cost of the dam, if I'm not mistaken, was
12 \$3.7 billion, and when the 25 percent equity stake was
13 still a gleaming possibility, when Wuskwatim still cast
14 a glow of promise, and when no one was talking about
15 the 3.95 percent annual rate increases. How would they
16 vote today?

17 At the Clean Environment Commission
18 hearings into Keeyask, this was last year, Tataskweyak
19 Cree Nation Chief Michael Garson said the following,
20 quote:

21 "We're talking about partnership
22 today, but I call it potential
23 partnership at this moment."

24 End quote. After fourteen (14) years of
25 negotiations and ninety (90) -- approximately \$90

1 million in processed payments to TCN alone, the Chief
2 of the lead partnership -- lead partner can only talk
3 about partnership if he adds a qualifier to it.

4 Fox Lake Cree Nation counsellor Conway
5 Arthurson went further, again at the CAC hearing -- CEC
6 hearing. He said the following, and he noted that he
7 was speaking against the wishes of the Band's lawyer.
8 He said Fox Lake has been, quote, "force-fed
9 negotiations." Quote:

10 "They keep shoving everything down
11 our throat and we are choking.

12 [Quote,] I support Keeyask by a
13 thread or two (2). [Quote,] I
14 cannot, in good conscience, allow
15 Conawapa to be built at this time."

16 Again, he's -- he's a counsellor for Fox
17 Lake, a proponent. His message to Hydro was blunt,
18 quote, "We don't trust you." End quote. And I ask,
19 are Hydro's northern partnerships on good footing?

20 Does the PDP truly represent a generous
21 path to prosperity for the KCNs? Can we the province
22 feel good about what our Utility is offering them? I
23 would add here that the KCN's -- a separate point now,
24 that they only make up about 20 percent of northern
25 hydro-affected Aboriginal people. If you include NCN,

1 Hydro's northern partners still only comprise about
2 one-third (1/3) of Northern Aboriginal hydro-affected
3 people.

4 The rest of the affected people get some
5 training and employment if they're willing to work far
6 from home. They get ongoing impacts of hydro power
7 development, and they get a 3.95 percent annual rate
8 increase. It's not really a new era for them.

9 For reasons you've already heard about,
10 the Hydro rate increases will hit them harder than
11 anyone else in the province. I would suggest that the
12 main result of the PDP for two thirds (2/3s) of
13 Aboriginal hydro-affected people in the North will be
14 unrelenting rate increases that many of them cannot
15 afford. These people have lived with hydro impacts for
16 decades. They deserve to be considered, I think, in
17 addition to the KCNs, as your terms of reference allow.
18 No one should have the impression that the PDP would
19 have widespread positive direct benefits throughout the
20 majority of Northern hydro-affected communities.

21 My third point, macroenvironmental
22 impacts of the PDP fuel source. One-quarter (1/2) of
23 the water that would flow through Keeyask and Conawapa,
24 if they're built, would come from the Churchill River.
25 That is 25 percent of the fuel source, if you will, for

1 the PDP will come as a result of Churchill River
2 diversion.

3 This point, as far as my search
4 demonstrated, is entirely absent from Hydro's initial
5 NFAT filing. Nowhere is Churchill River diversion even
6 described. So I will do so briefly if I could you to
7 switch to the map. Forgive me if this is repeat, and
8 unfortunately I don't have a little cursor to ride
9 along the rivers there.

10 But Churchill is Manitoba's second-
11 largest river flowing roughly parallel to the Nelson,
12 north of it. About 75 percent of its flow is diverted
13 into the Nelson River. This diversion is accomplished
14 by means of flooding Southern Indian Lake, which is
15 essentially a widening of the Churchill River, by
16 approximately three (3) metres, causing it to overflow
17 southward through a manmade channel and into the Rat
18 and Bird River systems, which empty then into the
19 Nelson.

20 On average, 25 percent of the water that
21 flows down the lower Nelson River where Keeyask and
22 Conawapa would be is a result of Churchill River
23 diversion. CRD is integral to the PDP.

24 If greenhouse gas emissions from the
25 coal fire -- coal-fired plants in the export are

1 relevant to this hearing, then I submit that the
2 impacts of the PDP's fuel source are also relevant.
3 And a similar argument could be made in relation to
4 Lake Winnipeg regulation.

5 The effects of CDC -- CRD, excuse me,
6 are relevant, we submit, because CRD causes severe
7 widespread and ongoing environmental damage. And I
8 want to show six (6) pictures from Southern Indian
9 Lake. The lake flooded as part of this diversion.

10

11 (BRIEF PAUSE)

12

13 MR. WILL BRAUN: This is destabilized
14 in slumping shoreline on Southern Indian Lake. Your
15 terms of reference exclude, quote, "historic
16 environmental costs." So I am not going to show you
17 historic environmental costs; I'm going to show you
18 present environmental costs. These are not from past
19 dams, but from present dams. The photos here are from
20 2012 and 2013.

21 This is an eroding island on Southern
22 Indian Lake. Islands disappear right off the map.
23 This is the other half of that island which used to be
24 joint. This, I -- I believe would be called a
25 nonrenewable island.

1 This is some of the flooding on Southern
2 Indian Lake. Keeyask and Conawapa, if built, would
3 flood approximately 50 square kilometres, but they
4 would also rely directly on 837 square kilometres of
5 flooding as a result of CRD.

6 At the Wuskwat -- again, this is
7 destabilized, slumping, eroding shoreline on Southern
8 Indian lake. And these are not isolated sort of areas,
9 characteristic, I would suggest, of a large portion of
10 the shoreline of Southern Indian Lake.

11 At the Wuskwatim hearing in 2004,
12 William Dysart of Southern Indian Lake said, quote:

13 "In order for Wuskwatim to be
14 feasible, my environment and the
15 environment of the people I represent
16 must continue to be destroyed."

17 End quote. And the same applies to
18 Keeyask. More of the same. Keeyask, my point is would
19 plug directly into this. So we urge you to consider
20 the sustainability and the macroenvironmental impacts
21 of the PDP's fuel source, especially CRD.

22 My fourth and final point. We are
23 concerned that Hydro made its decision, a firm
24 decision, about its future development intentions
25 before ever seriously considering a DSM alternative --

1 switching gears here.

2 As recently as Hydro's 2010/'11 Power
3 Resource Plan, all of the future development scenarios
4 assumed the same very low level of DSM. There was no
5 distinct DSM option. Our Utility solidified its
6 multibillion-dollar future development intentions
7 without even examining a major increase in the resource
8 supply option that its own numbers show to be the
9 cheapest, at least on the scale implemented to date.
10 They didn't even let their best batter take a swing.

11 We submit that this is a planning error
12 so significant and fundamental that it should stop the
13 PDP in its tracks. We submit that this is a
14 fundamental abdication of responsibility to the public
15 and the ratepayers.

16 It's hard not to get the impression
17 throughout this whole process that Hydro set its heart
18 on big new dams and then when forced studied DSM, but
19 did so in a way that ensured that it would not
20 jeopardize the PDP.

21 Why did our Utility not study a DSM
22 option properly and early? Why did it slash its
23 commitment to DSM when the industry was headed boldly
24 and innovatively in the opposite direction? Why does
25 this new plan fade away after several years? What does

1 our Utility have against DSM? Why does it resist? In
2 whose interests are they acting when they do so?

3 We believe DSM is the future and should
4 be the future, and we're more convinced of that, having
5 heard some of the presentations ear -- especially last
6 week. Sooner or later, we will need to bend the demand
7 curve down, as others are doing, and the sooner we do
8 it, the better. This brings our other arguments full
9 circle.

10 Dams are risky. DSM would be far less
11 risky, requiring no multibillion dollar commitments
12 based on sixty (60) and seventy (70) year projections.
13 You just adapt as you go. It could provide better and
14 more evenly distributed benefits to Northern peoples,
15 including more job creation, cheaper job creation,
16 improved housing stock, and reduced electricity bills.
17 It is greener than plugging two (2) mega-dams into the
18 severely damaged river systems, and to boot, it may
19 well be cheaper, perhaps a lot cheaper, as others have
20 pointed out.

21 In conclusion, your task is to examine
22 the needs for and alternatives to Manitoba Hydro's PDP.
23 We submit to you that there may well be no need for the
24 PDP, and that there appear to be superior alternatives,
25 too. We urge you to recommend that the PDP be put on

1 hold and that the Manitoba government commission an
2 independent evaluation of a true DSM option or maybe a
3 DSM/wind option.

4 Keeyask does not have to be built.
5 Stranding the money already spent in Keeyask would be a
6 bitter pill to swallow. Following through with a PDP
7 could prove much worse, and would involve unnecessary
8 risk. The risk that Manitoba should take is to commit
9 sufficient resources to become a continental leader in
10 demand-side management.

11 We wish you well in the remainder of
12 your very important task. Thank you, and I'll -- if
13 you have questions, I would be open to them.

14 THE CHAIRPERSON: Thank you, Mr. Braun.
15 We -- we don't have any questions. It's a very clear
16 presentation. I think you made your point of view --
17 you've exposed your point of view very well, so thank
18 you very much.

19 And -- and I know you've been a -- a
20 regular contributor to -- to PUB in the past with your
21 submissions and so on, so I thank you for your
22 initiatives in the past, and -- and I know likely yet
23 to come.

24 So thank you very much. Thanks for
25 taking the time to see us.

1 MR. WILL BRAUN: Thank you.

2 THE CHAIRPERSON: Probably take a few
3 minutes for people to change positions, and we will
4 resume as soon as possible.

5

6 --- Upon recessing at 9:06 a.m.

7 --- Upon resuming at 9:14 a.m.

8

9 THE CHAIRPERSON: I believe everyone is
10 in position so we can start today's proceedings. I
11 just want to remind everyone that we have a presenter
12 scheduled for 12:45 today, so in addition to Mr. Braun
13 that we heard this morning, another individual will be
14 here this afternoon to -- to address the Preferred
15 Development Plan. So I'm assuming there's no documents
16 to acknowledge?

17 And if -- I'll -- I'll turn the
18 microphone to you, Me. Hacaault. Bonjour.

19 MR. ANTOINE HACAULT: Bonjour, M.
20 President. We distributed by email yesterday two (2)
21 documents. Firstly, were the -- the slide deck, and I
22 understand with Mr. Singh that the slide deck would
23 become MIPUG-24.

24

25 --- EXHIBIT NO. MIPUG-24: Slide deck

1 MR. ANTOINE HACAULT: It should have
2 been distributed to all. And the second document that
3 was distributed electronically yesterday is a
4 supplement to the report of Mr. Bowman. The initial
5 report is February 4, I believe, of 2014, and this
6 supplement deals with some of the additional
7 information primarily contained in Manitoba Hydro
8 Exhibit 104, which contains a lot of updates. It's not
9 completely updated, because we did receive additional
10 information yesterday. And as I understand from Mr.
11 Singh, that would be marked MIPUG Exhibit 9-4, the
12 original report having been marked 9.

13

14 --- EXHIBIT NO. MIPUG-9-4: Supplement to report
15 of Mr. Bowman

16

17 MR. ANTOINE HACAULT: And with that,
18 there's also at our request some 2x4 charts of what had
19 been produced yesterday, the updated kind of matrix of
20 decision points. My understanding is that the smaller
21 version is marked Manitoba Hydro Exhibit 192, so this
22 one (1), the larger version, would be marked as 192-1.

23

24 --- EXHIBIT NO. MH-192-1: 2x4 charts representing
25 matrix of decision points

1 MR. ANTOINE HACAULT: That completes
2 the entry of exhibits. If I could ask to have Mr. Bow
3 -- Bowman sworn in, please? I will proceed to his
4 qualifications.

5

6 MIPUG RISK AND DSM PANEL:

7

8 PATRICK BOWMAN, Sworn (Qual.)

9

10 QUALIFICATION OF WITNESS:

11 MR. ANTOINE HACAULT: Good morning,
12 members of the panel. Last night we did a little bit
13 like the Habs, we went into double overtime. That
14 better not happen tonight, but at least -- I'm -- I'm
15 biassed, so you see I have a smile.

16 In any event, the curriculum vitae of
17 Mr. Bowman is in Exhibit 9 at Appendix A, and what I
18 intend to do is to go briefly over some of the matters
19 that I believe are of assistance to understand Mr.
20 Bowman's background and his ability to answer questions
21 of the panel, should the need arise in various areas,
22 and also to present his evidence.

23 Mr. Bowman, it's my understanding that
24 you have approximately six (6) (sic) years of
25 experience in utility regulation areas?

1 MR. PATRICK BOWMAN: Good morning.

2 Thank you. Good morning, Mr. Chairman, members of the
3 panel. Yes, I -- I've been involved in utility
4 regulation for about sixteen (16) years.

5 MR. ANTOINE HACAULT: And when you have
6 been doing that work over that time period, has it been
7 only from -- for one (1) sector of clients, or could
8 you please explain whether you, I'm going to say,
9 represent opposite parties from time to time?

10 MR. PATRICK BOWMAN: I don't represent
11 opposite parties in the same proceedings. I have been
12 retained, I would say, about 50/50 over that time in
13 the major areas, which are either working for utilities
14 or working for Intervenors.

15 Utilities are mostly Crown government-
16 owned utilities, mostly hydro-dominated utilities; but
17 there some others: municipal distribution, water
18 utilities, that type of thing. Intervenors have been
19 mostly industrials. We work with the industrials on an
20 ongoing basis in -- in Manitoba and in Newfoundland,
21 but also have been involved in intervening on -- on
22 behalf of -- or assisting with interventions on behalf
23 of municipalities in -- in BC with regard to the water
24 issues I mentioned, in -- in Alberta.

25 On top of that, another area that we

1 work in -- or I work in, in respect of utility work, is
2 with government clients. I've been involved with a
3 number of territorial and -- and provincial municipal
4 governments in regards to utility matters, some related
5 to project development, some related to rate issues,
6 and also some First Nation government in regards to
7 resource evaluation of -- of utility projects and --
8 and compensation agreements.

9 MR. ANTOINE HACAULT: Thank you. Have
10 you ever had occasion, not in this proceeding, but a
11 long time ago, to be at Manitoba Hydro? And 'long time
12 ago' is all relative.

13 Could you explain your involvement in
14 Manitoba Hydro?

15 MR. PATRICK BOWMAN: I haven't done any
16 work for Manitoba Hydro for, I would say, at least ten
17 (10) years. Before that, I was engaged in a couple of
18 different files mostly related to the topics that, at
19 that time, were called mitigation, things like the --
20 the Debris Management Program in regards to Northern
21 communities, and also some of the planning aspects of -
22 - of Wuskwatim in regard to working with the
23 communities on alternatives, such as where you put --
24 where you put the road, you know, where you put the
25 camp, those type of questions. Nothing related to any

1 resource planning or -- or economics or rate-related
2 topics.

3 MR. ANTOINE HACAULT: Before we move to
4 describing your experience relevant to NFAT and away
5 from the type of clients that you represent, sir, could
6 you list the Crown and government-owned utilities that
7 you have done work for?

8 MR. PATRICK BOWMAN: Yes. I have an
9 ongoing role with Northwest Territories Power. I've
10 done considerable work in the past with Yukon Energy.
11 I haven't been able to keep up with that client.
12 Others in the firm are doing most of the work with them
13 lately. But I've dealt with Yukon Energy for over a
14 decade.

15 I've had some role on Qulliq Energy.
16 We're currently undergoing an assignment for -- cost-
17 of-service studies for Nelson Hydro, which is owned by
18 the municipality. We're doing some work with the --
19 with current in regards to evaluation of distribution
20 system, and -- and also with the water util -- as I
21 mentioned, the water utilities for the regional
22 customers around -- around Calgary.

23 MR. ANTOINE HACAULT: Thank you. Could
24 I draw your attention to the area that I frame being
25 resource planning?

1 What type of work have you done over
2 your career for resource planning issues?

3 MR. PATRICK BOWMAN: I guess the first
4 comment is I'll distinguish resource planning from
5 project planning. I'm not sure it's a distinction that
6 lots of -- has been made consistently through this
7 hearing. But there is quite a different between what
8 it takes to assemble the building blocks of a resource
9 plan versus what it takes to make one (1) of those
10 building blocks come together. And -- and I've -- I've
11 had a role in both, but specifically in regards to
12 resource planning.

13 I was one (1) of the lead authors on
14 Yukon Energy's 2005 Resource Plan, which was a major
15 assignment over a number of years. It included
16 testimony for the Yukon Utilities Board. It led to a
17 number of projects being developed. I was also an
18 advisor in regards to their more recent plan, which was
19 approximately 2011.

20 I've had a role with Northwest
21 Territories Power, with utility in doing -- planning
22 for criteria, system development criteria, particularly
23 in regards to reliability and capacity planning.
24 Again, that was -- that led to testimony before the
25 Northwest Territories board that set the standards for

1 -- for the reliability criteria that they use in the
2 Northwest Territories.

3 I have also been involved for -- for
4 Yukon Energy in leading the development of a long-term
5 water planning model. I would say it's akin to SPLASH,
6 although, it's much, much simpler. But -- but
7 nonetheless, it was a -- a fairly major undertaking.
8 And we did that working jointly with some engineers out
9 of Winnipeg. And I was involved in -- in directing all
10 the aspects of the load modelling, the -- the system
11 dispatch, and the -- the economic integration and --
12 and how those -- the economic aspects of how the system
13 was modelled to work together.

14 I've also fairly recently been involved
15 in preparing a -- I'll call it a draft regulatory
16 business case for a proposed new Northwest Territories
17 transmission line of about a billion-dollar project.
18 That is still undergoing some review and some -- it
19 made it to the stage of -- of being interesting enough
20 that others had to go talk to Ottawa about it. I've
21 had to leave that to focus on the NFAT, so I haven't
22 been involved in that for a little while. But we were
23 -- we were the ones who prepared the -- the regulatory
24 business case, as it's called, for that -- that
25 development concept.

1 MR. ANTOINE HACAULT: Thank you, sir.

2 Now, I'd like to get into the next area that you've
3 just identified when you started talking about resource
4 planning. It's project planning.

5 What has been your role in project
6 planning during your career?

7 MR. PATRICK BOWMAN: In regards to
8 developing specific utility projects, the biggest role
9 that I had was I was the designated project manager for
10 all pre-project aspects of developing the Mayo B hydro
11 project in Yukon. This was approximately a \$120
12 million generating station, part of \$160 million green
13 infrastructure development.

14 I -- I've sometimes likened that to in -
15 - in a per capita basis and the scale of project in
16 Yukon, that's pretty comparable to a Keeyask. Not
17 nearly as com -- complex, but... The -- the pre-
18 project aspects of that involve a huge number of -- of
19 building blocks that require a wide range of expertise.
20 There is preliminary engineering. There's
21 environmental assessments. There's consultation
22 activities. There's the regulatory approvals that go
23 with it both from the utility side as well as the
24 environmental side, financing.

25 And the job of project management is

1 much more the -- the generalist to make sure that all
2 those parts work together. It's -- it's -- I -- I go
3 back to Morrison Park's comments, that it's a -- a real
4 project is extraordinarily difficult. And -- and once
5 you've got the building blocks in place, it's a -- it's
6 a very different thing than just sketching on a piece
7 of paper.

8 So that -- that was my role. I wasn't
9 the -- necessarily the practitioner of any of them. I
10 was made to work all the -- make sure all the
11 practitioners worked.

12 I was also, around that same time,
13 retained to deal with a -- a very difficult project in
14 the Northwest Territories. It was a rebuild of a -- of
15 a hydro dam, the largest project that that utility had
16 every taken on. It's still small in a Manitoba scale.
17 But it had dealt with many years of -- of development
18 work that had led to a point where it was touch and go
19 as to whether it could go forward due to cost
20 escalation and -- and timing and some other
21 difficulties.

22 And we were brought in to -- or I was
23 brought in to help -- to help solve that project,
24 contractor negotiations, the regulatory aspects. And -
25 - and we -- we eventually made that work. That

1 included testifying before the NWT Water Board in some
2 of the -- the resource and environmental issues
3 associated, and as well as the PUB hearings and the
4 direct contractor negotiations.

5 MR. ANTOINE HACAULT: Thank you, sir.
6 Another subject area was your role in government
7 projects.

8 Could you please explain what type of
9 advice and expertise the government were seeking from
10 you, sir?

11 MR. PATRICK BOWMAN: Related to the
12 work that we've done on rates and economics and project
13 development in -- in some of those examples I've given.
14 There's often a -- a far different planning context
15 than you're used to in Manitoba.

16 Give an idea, in -- in the Yukon, when
17 they were dealing with load risk, they had one (1) mine
18 that made up 40 percent of the load and had a habit of
19 -- of starting up and closing down. So when we talk
20 about load risk here, it's a very different
21 perspective, but it means that if you're going to try
22 to get a project in place, you face a very different
23 suite of risks.

24 And -- and for governments in -- who are
25 dealing with Crown utilities, they -- there -- there's

1 a -- there's a need to sort out how they can deal with
2 risk, backstop finance, protect ratepayers, or -- or
3 ensure that projects can go ahead. And -- and on that
4 regard, we've acted as a principal consultant to the
5 Northwest Territories government in respect of
6 developing their hydro strategy.

7 Also, I was noting the business case for
8 the proposed new transmission line. On -- on that
9 project, we are retained both by the Utility and the
10 government, and that -- that includes development of
11 options to manage both, manage rate impacts, as well as
12 a subsidy, if necessary. It's not always necessary.
13 Sometimes there are other tools.

14 We've done work for the Yukon
15 government. I've done work for the Yukon government in
16 respect of power project support options and -- and
17 also on -- on specific subsidy programs for those --
18 those governments.

19 MR. ANTOINE HACAULT: Sir, next --
20 another subject area with respect to evaluation of
21 utilities from an economic perspective.

22 Could you explain what your role has
23 been in your career in -- in that regard?

24 MR. PATRICK BOWMAN: Yes. When
25 approaching utility project planning in regard to

1 regulated projects, there's a -- there's a fairly
2 significant overlap in regard to the -- the project-
3 specific economics and the overall system economics, as
4 you have seen in the material before you here.

5 I've had a fairly lengthy role in -- in
6 the overall system economics and understanding the
7 overall system operation in regards to preparation or
8 testing of -- of cost-of-service work in -- in many of
9 the different utilities.

10 So, if you're -- if you're talking about
11 what role does a transmission line play, or how does a
12 generating station fit into an overall complement for a
13 -- a system, it's many of the same questions, whether
14 you're talking about a new project versus how do you
15 allocate the costs of an existing project?

16 And in that regard, we've -- we've done
17 cost of service -- I've done cost-of-service work in --
18 in most of the hydro systems in Canada out -- outside
19 of Quebec. I'm currently engaged in -- in an
20 assignment in Newfoundland in that regard. More than
21 one (1), frankly -- the BC, Yukon, Northwest
22 Territories.

23 MR. ANTOINE HACAULT: And you talked
24 about at various points during your testimony this
25 morning in the qualification section of risk -- risk

1 analysis.

2 Could you speak about that a bit and how
3 that's dealt with in the context of all this other
4 work?

5 MR. PATRICK BOWMAN: Yes. I -- I can't
6 recall a -- an assignment we would have had that would
7 have highlighted risk as a specific deliverable
8 element, but it's very much inherent to the other
9 project planning topics I had talked about, and -- and
10 pretty uniquely at the forefront of the topics in
11 regards to governments roll-in projects.

12 The -- most times when we're talking
13 about economic risk of projects and a roll for
14 governments, it -- it typically isn't in just throwing
15 dollars at a project. It's typically in -- in finding
16 a way that a government can -- can change a risk
17 profile of a project, or -- to help accommodate it and
18 make it go forward.

19 So risk analysis has been inherent in
20 that, but I -- I won't say it +-- it's been a specific
21 topic that we've -- or that I've focussed on in my
22 career in and of itself.

23 MR. ANTOINE HACAULT: And finally, sir,
24 could you speak a bit about, because there are new
25 panel members here, of your Manitoba experience with

1 respect to Manitoba Hydro regulation and the type of
2 hearings that you've testified in respect of Manitoba
3 Hydro?

4 MR. PATRICK BOWMAN: Yes. On and off
5 over the last sixteen (16) years, pretty consistently
6 throughout that period, I've worked on Manitoba Hydro
7 issues. First hearing I was involved in was in, by my
8 recollection, 1998 in regards to the Curtailable
9 Service Program.

10 The first time I testified was at the
11 2001 status update, which is somewhat akin to a GRA.
12 We've been involved in Manitoba Hydro -- I've been
13 involved in testifying at Manitoba Hydro hearings on
14 rates, as well as on cost of service, a -- a particular
15 hearing on cost of service, and in regard to a proposal
16 by Manitoba Hydro to develop an energy-intensive
17 industrial rate, which this Board did not recommend go
18 forward. That was one (1) that was a -- an entirely
19 different pricing model for the Utility that -- that
20 had its own special proceeding a number of years back.

21 MR. ANTOINE HACAULT: With that
22 explanation, members of the panel, I'm asking that Mr.
23 Bowman be qualified as an expert to give the evidence
24 set out in his report and responses to IRs, and I guess
25 the supplementary report that's also part of his main

1 report now.

2

3 (BRIEF PAUSE)

4

5 THE CHAIRPERSON: I'll call upon the
6 Intervenors to -- to address the questions of the
7 witnesses, starting with Mr. Williams, please.

8 MR. BYRON WILLIAMS: Mr. Chair and
9 members of the panel, good morning. I can indicate
10 that CAC (Manitoba) certainly will not take any
11 objections to Mr. Bowman's expertise to present his
12 report. I would appreciate some clarification from My
13 Learned Friend Mr. Hacaault in ter -- in terms of the
14 specific expertise that -- that he is asserting for Mr.
15 Bowman.

16 MR. ANTOINE HACAULT: I've covered the
17 areas which are covered in his report. He has done
18 some -- made some comments on resource planning, on
19 project planning, on the government role in projects,
20 and options perhaps for the government, and also the
21 Utility economic evaluation and the financial
22 evaluation of the data that's set out in his report,
23 and finally, as an inherent part of all of this in the
24 context of all the probabilities and in the charts, et
25 cetera, the risk portion attributable to the economic

1 and financial analysis.

2 Does that help, Mr. Williams?

3 MR. BYRON WILLIAMS: Yes, thank you.

4 And just one (1) or two (2) questions for you now, Mr.
5 Bowman.

6 In terms of the relative time on your
7 report that you spent on the financial aspects of your
8 analysis versus the economic aspects of the -- your
9 analysis, would it be 50/50, or would you have tended
10 to devote more of the intergroup energies towards the
11 financial analysis?

12 MR. PATRICK BOWMAN: Mr. Williams, I
13 was -- I was planning to get into some of this in the -
14 - in the presentation, but we spent a considerable time
15 at the outset on the economic analysis. We identified
16 what we considered some fundamental issues with it.
17 Our intent was still to do an -- an economic-oriented
18 evaluation. We just found that we could -- one (1) of
19 the ways to get around the issues that we saw in the
20 economics data was to move to the financial data and
21 focus on -- on the economics for ratepayers, because
22 the financial data did not have the same concerns.

23 We -- we weren't doing a financial
24 analysis. I haven't -- there's no quick ratios or --
25 or, you know, financing questions built into it. It's

1 still fundamentally an -- an economics focus, but I
2 would say on your ratios, probably 60 percent of the
3 time was actually buried in the -- the financials
4 spreadsheets rather than the economic spreadsheets.

5 MR. BYRON WILLIAMS: And Mr. Chair and
6 members of the panel, CAC (Manitoba) accepts Mr.
7 Bowman's expertise in resource and project planning,
8 and financial and economic evalu -- evaluation
9 incorporated within the concept of financial and
10 economic evaluation. Our client considers the issue of
11 risk assessment to be implicit within that type of
12 evaluation.

13 THE CHAIRPERSON: Thank you, Mr.
14 Williams. Me. Monnin, s'il vous plait.

15 MR. CHRISTIAN MONNIN: Merci, M.
16 President, we have no objections.

17 THE CHAIRPERSON: Thank you, merci, Me.
18 Monnin. Mr. Peters, any questions at all?

19 MR. BOB PETERS: No -- no, sir, we
20 don't. Ms. Boyd may.

21 THE CHAIRPERSON: Sorry. Ms. Boyd.
22 Thank you.

23 MS. MARLA BOYD: Thank you. Good
24 morning. We have no objection to the witness's
25 qualification as an expert.

1 THE CHAIRPERSON: For the areas
2 outlined by Mr. -- Me. Hacault? Is that right?

3 MS. MARLA BOYD: Yes, thank you.

4 THE CHAIRPERSON: Okay. Thank you.

5

6 (BRIEF PAUSE)

7

8 THE CHAIRPERSON: Okay, we will agree
9 to accept Mr. Bowman as an expert witness for the areas
10 that have been outlined in response to Mr. Williams's
11 query. So thank you very much, Me. Hacault, and good
12 morning.

13

14 EXAMINATION-IN-CHIEF BY MR. ANTOINE HACAULT:

15 MR. ANTOINE HACAULT: Merci, M.
16 President.

17 Mr. Bowman, your report has been marked
18 as Exhibit 9 with some supplements and revisions. Can
19 you indicate whether the report, as well as supplement
20 and revisions, were prepared by you or under your
21 supervision?

22 MR. PATRICK BOWMAN: Yes.

23 MR. ANTOINE HACAULT: And with respect
24 to the responses to the IRs or the interrogatories,
25 were they also prepared by you or under your

1 supervision, sir?

2 MR. PATRICK BOWMAN: Yes.

3 MR. ANTOINE HACAULT: And to the best
4 of your knowledge, is the content of the report as
5 revised and supplemented and the responses to IRs
6 accurate and complete, or are there some additional
7 matters that you want to identify this morning?

8 MR. PATRICK BOWMAN: With the revisions
9 that were filed as Exhibit MIPUG 9-2, which made some -
10 - some small corrections to the original evidence, they
11 are -- they -- they are complete and -- and accurate,
12 to the best of my knowledge.

13 In regards to the IRs, it came to our
14 attention there was -- was one (1) omission. We had
15 failed to provide a response to PUB/MIPUG-13, and that
16 was a question on how the conclusions would change if
17 Hydro adopted a more aggressive DSM approach. Of
18 course, it was asked some time ago.

19 So in part of responding to that, the --
20 the update supplementary testimony we filed as Exhibit
21 9-4 would -- would fully address the questions raised
22 in that IR.

23 MR. ANTOINE HACAULT: Thank you, sir.
24 Now we'll move to the slide deck, and could you proceed
25 to take us through the slide deck? And I encourage

1 member -- members of the panel to ask any questions
2 they may have as the presentation is being made, if
3 that's appropriate, and I may be interjecting from time
4 to time to ask some questions or challenge Mr. Bowman
5 on his -- some of his statements.

6 Please start with your presentation.

7 MR. PATRICK BOWMAN: Yes. Thank you.
8 So the presentation, I believe, has been distributed,
9 Exhibit 24. It's been pulled up on the screen. Let --
10 let me know if I'm going the right pace. I've been
11 encouraged by everyone but one (1) in the room to move
12 quickly. The court reporter dissents.

13 Page 3, we set out the scope of work
14 that was approved for MIPUG. I don't intend to dwell
15 on it. I just wanted it to be here for reference, but
16 the focus is on rates, long-term impacts, risk to
17 customers, alternatives, including demand-side
18 management programs and long-term financial and
19 economic risks, and the financial liability of Manitoba
20 Hydro with the language that was approved.

21 If we could move to slide 4, which has
22 the summary of the original key conclusions from the --
23 from the pre-filed testimony. My intention at the
24 outset is to walk through these and, in each case, show
25 where we derived the conclusion, and also how it has

1 been updated by information that has been filed since -
2 - since the testimony.

3 I was -- I was quite concerned that --
4 that the -- the original testimony would be quite stale
5 by now, but I think most of the conclusions actually
6 hold up pretty well, so. I -- I think -- I think it's
7 easier to go through these with a little bit more
8 detail as we walk through.

9 MR. ANTOINE HACAULT: Could you proceed
10 to slide 5 and the preliminary comments, Mr. Bowman?

11 MR. PATRICK BOWMAN: Yes. Mr.
12 Chairman, I -- I thought before diving into the
13 conclusions -- I thought in terms of understanding
14 them, it would be helpful to cover some preliminary
15 comments in context for the -- the work that was done,
16 and -- and particularly in light of all the water under
17 the bridge through this point. There's a lot of paper
18 been filed and ink been spilled on the topic. And --
19 and rather than have the conclusions stand on their
20 own, I -- I wanted some context that would -- would
21 explain how best they be read.

22 The first one that I think is -- is
23 quite critical to wrestle with is -- is, what is the
24 scale of decision that's -- that's being made today,
25 because I -- I think there are -- there's room for --

1 for a few different perspectives on that.

2 And you'll recall not only was MIPUG
3 granted Intervenor status, but also asked to help
4 consult with the business community and bring some of
5 those views. And -- and one (1) of the things came up
6 very much from -- from that discussion and those views
7 is -- is a very different view of the -- this -- of
8 this scale and the impact of the decision being made
9 then -- then I -- I would've initially gone to if it
10 was -- was just me going through this.

11 I'm going jump ahead to the next two (2)
12 slides. We'll walk through it and then we can come
13 back to this one for -- for two (2), three (3), and
14 four (4). The sli -- the slide we put in at page 6 is
15 in -- on the left-hand side is -- is from Manitoba
16 Hydro Exhibit 104-12. On -- on the right-hand side is
17 -- is some numbers that we've prepared, but from
18 Manitoba Hydro 150.

19 And it's one (1) picture that I'm using
20 to underline a -- a view that I think is -- is one (1)
21 valid view of this hearing that we've heard over and
22 over. And it's -- it's the -- for lack of a better
23 term, it's the grandchildren view: What am I -- what
24 am I leaving to my grandchildren in respect of the
25 decision being made today?

1 And on the left-hand side you see the --
2 the exhibit that Manitoba Hydro filed in response to a
3 MIPUG undertaking of what is the absolute level -- peak
4 level of debt that's going to be incurred in the -- in
5 the relatively near term -- in the next fifteen (15) to
6 twenty (20) years that -- that the plan has to support.

7 And there can be a lot of different
8 comments in respect of this debt and -- and how self-
9 supporting debt should be looked at and what it would
10 mean to a credit rating agency. But at a -- at a
11 basic, fundamental level, it's -- an unavoidable piece
12 of understanding the plan is that -- that big plans
13 come with big debt.

14 And it is -- it must be managed. It has
15 to be considered, but it's a number that shouldn't be
16 forgotten, that we're talking about commitments that
17 are -- are multiples of the type of debt that's been
18 taking on by public sector or public sector agencies in
19 Manitoba to date. And -- and we've heard this comment
20 time and time again from -- from members if the
21 business community.

22 And on the right-hand side is the
23 present value of rates that would be paid under a few
24 of the different plans. That one shows Plan 1, Plan 5,
25 and Plan 14. And it says:

1 "The total amount paid by a Manitoba
2 ratepayer is present value at 5.05
3 percent."

4 Without getting into the details, this
5 was meant to help illustrate the one (1) perspective
6 which is the -- I'm taking on how much debt for how
7 much difference in rates? When you look at a set of
8 lines that for all practical purposes are pretty hard
9 to distinguish.

10 So that is -- that is one (1) piece of -
11 - of the puzzle and it can be read two (2) different
12 ways. One (1) is, That's sure a lot of debt and risk
13 for not a lot benefit. But it could also read as, It's
14 a lot of debt, but don't get fussed because we're able
15 to support that without having a huge rate change. I
16 said that was a preliminary comment because I think
17 it's -- it's one (1) view about the scale of job that
18 this Board is -- is deciding.

19 And the second view of the scale of job
20 is on the next slide, slide 7, which is an excerpt from
21 three (3) different Manitoba Hydro Exhibits, none of
22 which I take issue with. I think they all present a --
23 a useful perspective.

24 And they're what -- if the last slide is
25 the grandchildren, this is the slide I -- I would call

1 the home run slide. This is the: Where are the
2 upsides for the -- for the Preferred development Plan
3 and what we're talking about?

4 There's one (1) piece is the -- is the
5 be benefits to Manitoba with the nineteen thousand
6 (19,000) person years of -- of direct and indirect
7 employment in the province. There's the long-term
8 rates perspective, which if you follow the blue line,
9 it shows the -- the long-term level of rates which will
10 be beneficial. There are some challenges before we get
11 there, but the Preferred Development Plan and -- and
12 some of the larger plans bring a prospect of these
13 long-term beneficial rates.

14 And at the bottom page, particularly the
15 red and green bars, is the degree of government charges
16 benefits. I would encourage you to look at the two (2)
17 together. I think they all rate -- relate as
18 government charges, but in any -- in any interpretation
19 they're very substantial.

20 So the challenge that we faced was how
21 to -- how to make sense of the decision that's being
22 made. And I will give you advance warning that there
23 are aspects of the case that I believe have gotten
24 easier over the last number of months, and there's a
25 big new decision, and we'll -- we'll get there and --

1 as we move forward.

2 MR. ANTOINE HACAULT: Are we going back
3 to slide 5 again?

4 MR. PATRICK BOWMAN: You can go back to
5 slide 5 now, yeah.

6 And the -- the comments I put there are
7 sort of the -- the hurdle concept. How -- how good
8 does a plan have to be to want to go forward with it,
9 and does it matter by -- does it change by how big the
10 plan is? Can we look at levels of debt and say, 10
11 billion, 100 billion, we can analyze them the say way?

12 Or do you say, No, no, there's a
13 fundamental difference between debt within the range,
14 borrowings for projects when the range of what Manitoba
15 Hydro has historically been able to do versus something
16 that is -- is well outside of that level.

17 There's been a comment that it's, you
18 know, it's -- it's not -- it's a basement suite, it's
19 the -- it's the opportunity to advance a project or to
20 -- to make a little money on the side before you --
21 before projects you're going to need anyway.

22 And of course, the perspective of the
23 patient capital, which is -- which is quoted to my
24 evidence, but was repeated by Mr. Rainkie, and I think
25 it's an important perspective when you're dealing with

1 a -- a Crown utility.

2 The second preliminary comment I would -
3 - I'd want to make is I've been through a number of
4 different processes like this, and -- and a lot of
5 hearings on different subjects, and I can't remember
6 hearing where the Board has had as high a quality of
7 advice and -- and information put to it as -- as this
8 one.

9 So, you'll see before I get to number 3,
10 I think that there has been some exceptional work done.
11 I think you've had Manitoba Hydro's A-team in respect
12 of -- of economics. It's the -- it's the best Manitoba
13 Hydro has to offer, and although I'm always a skeptic
14 about new people coming in and managing to find their
15 feet on a system as complicated as Manitoba Hydro is, I
16 think people like Morrison Park did a very, very good
17 job, and I think you should -- I'll -- I'll try to, as
18 I work through my comments, not spend time dwelling on
19 things that I think they have covered very well.

20 La Capra did a very good job in respect
21 of the -- some of the economic work. Some of the other
22 parties, Mr. Harper is -- is always predictably useful
23 and interesting. So I think that -- hope that will
24 make my presentation shorter as a preface, and -- and,
25 in particular, I would say, as I move on to number 3,

1 that I think that with that exceptional advice, I think
2 the degree of disagreement that is before you and that
3 you hear listening to the debates for someone who is in
4 this business is actually fairly small.

5 The -- I think there's a lot of issues -
6 - I put tempest in a teapot as my colloquialism -- a
7 lot of the debates about, Should you use an NPV test,
8 or an IRR test, and is a regret method correct, or --
9 or does it matter that we didn't do an IRP, can sound
10 like very substantial issues that make it very
11 difficult to make a decision today.

12 I don't believe, at the end of the day,
13 that they need to be, and -- and I'll try to touch on
14 that as I -- as I go through.

15 And -- and the fourth point, which is
16 the -- the saving grace in respect of the Hearing is
17 that optionality and decisions unfolding over time is
18 key to working -- to working through something like
19 this.

20 It's not necessary to decide everything
21 today. Matter of fact, it's not even advisable to
22 decide everything today. It's advisable to decide the
23 things you have to decide, and then set out the
24 processes needed to make the other decisions. The
25 press -- put the pressures where they need to be. Put

1 the -- the decision points where they need to be.

2 And I know that's not always in the
3 control of this Board, but I'll try to touch on that
4 more as I move through and it's -- it's part of the
5 reason Mr. Hacaault wanted Hydro to produce graphics
6 that -- that help us to be able to talk about that.

7 MR. ANTOINE HACAULT: Mr. Bowman,
8 before you move to the next slide, you had one (1)
9 bullet, "future customers," and in quotations "under
10 bus," close quotation marks. You haven't touched on
11 that comment.

12 Could you please touch on that comment?

13 MR. PATRICK BOWMAN: Yes. It was -- it
14 was in relation to the -- the level of disagreement
15 that -- and debate that -- that was had, and about what
16 interest rates should be used when you're analyzing
17 future customer rates to be paid and the benefits of
18 future customers.

19 And I think it -- it implies a -- a
20 level of -- of intransigence that there's one (1)
21 method that must be used that I don't think is fair. I
22 --I would say you -- you must consider a number of
23 different tests, and you must consider what each test
24 is telling you, or is intended to tell you, and use it
25 for the right purposes.

1 And I -- I think it was just one (1) of
2 -- one (1) of the comments in the hearing that someone
3 could go to and say, These two (2) parties are at -- at
4 each other's -- at odds, they're really in disagreement
5 over this, and I -- I think with, like, a -- a
6 different form, a -- a little more discussion, the
7 chance that -- to -- to have their perspectives
8 presented to the Board in a -- in a less sequential
9 way, you'd find that there's not nearly as much
10 disagreement as it may sound when -- when we're --
11 we're moving through topics this way, that someone has
12 to come up and give all their evidence, and someone
13 else has to come up and give all theirs.

14 And it's not always the best way to
15 solve things, but my -- my submission is, and I'll hope
16 you try to bridge this as we move through, that it's
17 not as big a -- a difference as it may sound sometimes
18 when you simply read a transcript.

19 MR. ANTOINE HACAULT: Is it an
20 appropriate time now to go through each of your
21 conclusions and update them as necessary?

22 MR. PATRICK BOWMAN: I start at slide
23 9, if we can?

24

25 (BRIEF PAUSE)

1 MR. PATRICK BOWMAN: The first
2 conclusion was a bit of -- that we put in our evidence
3 was that you -- to make sense of this NFAT, much like
4 any resource planning process, it's really important to
5 sort out what are the decisions that need to be made
6 today? At the time, there were two (2).

7 And it's not to diminish other things
8 that must be dealt with, but we're going to touch on
9 the difference between different types of resources and
10 the inflexibility of the core building blocks of the --
11 of the Preferred Plan, or the alternative plans, and
12 given their inflexibility, it's important to get those
13 decisions right, and it's important to make them at the
14 time they need to be made.

15 There are lots of resources that are
16 much, much better in respect to flexibility and -- and
17 the advantage to those is you don't have to solve
18 everything up -- upfront. You don't even want to solve
19 everything upfront.

20 But we said that the key things that --
21 that there's no doubt need to be decided is -- at the
22 time was whether to take up the Minnesota Power Export
23 Agreement, which involved needing to build Keeyask, and
24 second, whether to build the line at 750 or 250.

25 As the Board's aware, the update is --

1 information suggests the 250 line is not available, and
2 it -- the update has effectively collapses into one (1)
3 question, and I think if I was to put the -- the number
4 1 decision that people need as a hard decision, it's:
5 Do I want a transmission line or not?

6 Everything else is subsidiary to that.
7 If I want a transmission line, I need a partner. I
8 need a partner, it's going to be Minnesota Power. If
9 it's going to be Minnesota Power, I've got to have
10 Keeyask, because they want the power by 2019/2020, and
11 I have an agreement that underlines it.

12 So it really -- every -- it's sort of a
13 -- a -- the trickle down from the question, Do you want
14 more transmission with the US or not? And it's going
15 to change everything in regards to all of your other
16 assessments as well, like DSM and self-generation here,
17 and how -- how customer things evolve. But I think
18 that's -- that's -- if -- if I had to put it into one
19 (1) question that would be the -- the decision, I
20 think, that need -- needs to be focussed on.

21 We can move to slide 10, which is the
22 second, which is again meant to be communicated as a --
23 as a core principle of the resource planning, which is,
24 it doesn't matter which path you go down, you can't
25 avoid risk. As much as my -- my grandchildren slide

1 shows that that has a risk associated with borrowing
2 money, there's a -- a contrary risk of lost opportunity
3 that exists even in the smaller plans. It doesn't
4 matter which you pick, this -- this -- the -- the
5 optimum path always -- always exists -- always existed
6 and -- and failing to take it means foregoing.

7 There was a quote that I'm not sure
8 everyone's aware. The -- the -- this PUB hired some
9 independent experts in a previous GRA, Doctors Kubursi
10 and Magee, and -- and Dr. Magee set this out in -- in
11 testimony that I -- that I thought was pretty good, so
12 I -- I put the quote into here just to -- to get around
13 -- get to that point, and this is -- he's a professor
14 of economics, is my recollection, in -- in Ontario
15 somewhere.

16 But he -- he posed it really well, that,
17 Yes, there's a risk that you build a Conawapa or you
18 build a Keeyask and it becomes a white elephant and
19 something people can point at, and there's a
20 possibility that it becomes the best investment
21 Manitoba ever made.

22 And there's a third outcome, which is
23 you don't build it and you're -- you're really glad you
24 didn't build it. But there's also a fourth one (1),
25 which is you don't build it and you -- you lose an

1 opportunity. And -- and we don't spend a lot of time
2 focussing on that fourth outcome, which is, could --
3 could we be missing one (1) of -- a -- a big
4 opportunity.

5 And he -- he just wanted to highlight
6 here that don't think that not building means I can
7 walk away and say, Ha, I avoided the risk. No, you've
8 -- you've left the risk on the table. You just -- you
9 just don't have anything to point to in regards to that
10 risk. I thought it was an interesting way of putting
11 it.

12 MR. ANTOINE HACAULT: Next slide, 11,
13 pathways and plans.

14 Could you deal with your view and
15 analysis of the distinction between the two (2) and --
16 and how we approach making decisions?

17 MR. PATRICK BOWMAN: Yes, I have looked
18 at the evidence that Manitoba Hydro has prepared. And
19 in our submission we were somewhat critical of them for
20 over-focussing on plans and not focussing enough on
21 pathways. Pathways seem to be a -- a relatively later
22 addition to the -- to the -- the thinking concept. And
23 -- and I think as a result, even to this point in the
24 hearing, there's a tendency to make everything about
25 plans.

1 And there's a -- a comment from Dr.
2 Borison that the work that Hydro did was actually quite
3 cutting edge. Very few organizations are able to adapt
4 to the concept of pathways and optionality and know how
5 to do the assessments on that. Hydro didn't even put
6 out its -- its approach to thinking about optionality
7 until one (1) of the PUB IRs. The PUB actually asked
8 them a question about what to do. You won't find it in
9 the original filing.

10 And -- and it's a -- it's a very
11 interesting IR, and I wish I had the reference in front
12 of me to encourage you to read it. But even then it
13 only deals with one (1) concept of the pathway, which
14 is: How might I respond if I learn more about export
15 prices?

16 It's more an educational tool than it is
17 a true analysis. And, yeah, we've heard Mr. Wojczynski
18 effectively underline this concept in words, but not in
19 numbers. But it says:

20 "A ref/ref/high scenario where you
21 pursue Plan 14 and the Preferred
22 Development Plan with high capital
23 costs is not credible."

24 It is not an outcome Hydro would pursue,
25 because if Keeyask comes in high and if concrete's

1 costing more and rebar is costing more and labour's
2 costing more and Northern building is driving up costs,
3 they will know that and not proceed with Conawapa
4 unless it has a very different economic than are
5 presented in the plans to date. And so it's a -- it's
6 an unrealistic outcome to be focussing on ref/ref/high
7 in respect to the Preferred Development Plan.

8 I would say at the same point, it's
9 possibly just equally unrealistic to focus on Plan 5 if
10 you're in ref/ref/low. If people find the Keeyask
11 costs coming under and there is good news and
12 contractors work well and all of that kind of thing,
13 you're more likely that you're going to be able to move
14 on to Conawapa.

15 And so if you only look at the numbers
16 for Plan 5 and Plan 14 and say, These are our two (2)
17 choices -- at this point I may have to switch to Mr.
18 Hacaault's pretty image -- but that these are our two
19 (2) choices and I have to pick between one (1) of them,
20 you're going to see two (2) inferior options. The true
21 one (1) you're picking is actually the best -- it's to
22 some extent the best of both, because you're not making
23 the decision yet whether you're on 5 or 14. That's a
24 decision that occurs much later at -- in this image
25 it's -- it's 2022.

1 I -- I'm only making decisions whether I
2 go down this road. And at this point I will have the
3 option of going these different directions. At -- at
4 2022, I will have the option of going those different
5 directions and I will do it with better information. I
6 won't say you'll do it with less uncertainty, because
7 there will be new uncertainties that arise. But
8 nonetheless, you'll have better information about much
9 of the -- the aspects that -- that people are fussing
10 about today.

11 And so when Hydro went through and
12 presented that IR on optionality, what it did was, it
13 said, I want to present not a plan, a pathway. I want
14 to present one (1) sequence of numbers, like a twenty-
15 seven (27) number quilt, but for that entire pathway
16 combined where I pick -- Oh, if copper costs are low,
17 I'll pick that I will build Conawapa. If they're high,
18 I'll pick I won't.

19 And all of a sudden you've -- you've
20 taken the better numbers out of two (2) different
21 columns and you put them together and you end up with a
22 different -- a different mix than simply looking today
23 and saying, Well, I can go from here, 5 is not so good,
24 14 is not so good, so they're both bad. No, no, but --
25 but 5 -- 5 and 14 together are -- have a different

1 profile than either of 5 or 14.

2 So it was in our mind when we wrote --
3 wrote the recommendation. I think it's -- it's been
4 highlighted in -- in spades as some of the issues have
5 arisen in the hearing, capital costs being one (1) of
6 them. And I -- I think it's been boiled down in
7 particular with this update by not -- by taking out the
8 250 megawatt line. We're really into a pathway that
9 involves new transmission and all the things that come
10 with it or a pathway that involves staying closer to
11 home and all the things that come with that. And
12 that's the -- the thing that needs to be focussed on
13 without figuring out exactly the -- the plan within
14 that.

15 MR. ANTOINE HACAULT: Thank you. Could
16 you proceed to your fourth conclusion in the pre-filed
17 testimony at slide 12?

18 MR. PATRICK BOWMAN: Yeah. This may be
19 redundant now. At the time we wrote this we were
20 effectively saying there may be fourteen (14) plans and
21 five (5) pathways, but you almost have to start off
22 with -- with a question about vision, and it's the --
23 the one that I just set out.

24 Is it -- are we focussing on staying
25 close to home, tweaking and optimizing, putting off

1 decisions as long as we can, doing more DSM, optimizing
2 our -- our offers of -- of -- to an IPP supplier if one
3 comes along, helping customers develop generation where
4 we can, all of those aspects?

5 And then when we finally get there,
6 figuring out what resource we really need. And it
7 could be Keeyask, it could be gas; but somewhere within
8 that plan, doing -- doing this -- this very need-
9 focussed plan? Or do we focus on Part 2 of the -- the
10 government's scope of work to you, which is the
11 opportunity side, in which case, you've got another
12 suite of options which you have to deal with.

13 And at the time, we were trying to
14 wrestle with fourteen (14) plans and five (5) options.
15 I think this is redundant now that it's really boiled
16 down to, Do I want transmission or not, in -- in a way,
17 the decision. It's -- it's all -- it's a bit of the --
18 of the same conclusion.

19 We were lamenting -- using this in part
20 to lament that I -- it seemed to me that the NFAT moved
21 quickly to advocating a Preferred Development Plan
22 before fully exploring what the need-based plan could
23 look like. And I think at one (1) level, that causes
24 some -- some confusion and suspicion, that I'm not
25 dealing with a clear set of information; I'm dealing

1 with an advocacy piece.

2 I'm not as concerned about that now, but
3 I -- I would have been more comforted if Mr. Thomson
4 had not said, We're here to advocate for a plan, as
5 opposed to just be an honest broker to Manitobans about
6 what best direction to go. But I think, in practice,
7 as the hearing's unfolded, we've gotten information to
8 be able to -- to do this now; that I think the DSM
9 scenarios are critical. I'm glad we've gotten them.

10 I didn't -- in all honesty, I'll fess
11 up, I -- I didn't expect the DSM scenarios to -- to be
12 available in the time frame that was in the hearing.
13 And so when we reviewed the documents, the first thing
14 on our mind is, is there any way with the documents
15 here the Board could get to a decision by next June,
16 given it's got this big hole in terms of DSM.

17 And we turned our mind to this is not an
18 IRP. This is -- it's not an integrated resource plan.
19 It's something different. It's an assessment of a
20 business case of an opportunity. And -- and despite
21 the fact that it's not product 1, it's not an IRP, can
22 I still work with it as a business case for an
23 opportunity. And -- and we thought you could get
24 there.

25 I'm much more comforted that we actually

1 have the information now that -- that is more fulsome.
2 And I think that's -- that's an advantage. It's one
3 (1) of the things that I think has -- has improved over
4 the course of the hearing.

5 Slide 13 is just an extension of this
6 conclusion.

7 MR. ANTOINE HACAULT: Mr. Bowman --

8 MR. PATRICK BOWMAN: Yeah.

9 MR. ANTOINE HACAULT: -- before we
10 leave slide 12, with respect to Pathway 1 and the DSM,
11 I think you're going to be getting into it a bit later,
12 but can you say how Pathway 1, an optimized All Gas
13 variant, has developed as a result of the new DSM
14 information going to DSM 2, for example?

15 MR. PATRICK BOWMAN: Well, it's evolved
16 -- I can say how it's evolved on -- in terms of the --
17 the scenarios that are provided. I'll certainly spend
18 more time on how it's evolved on the numbers as we get
19 to the slides that have the numbers in them.

20 But with the varying levels of DSM and
21 making the assumption that Hydro has suitably
22 identified programs and sorted its programs, at least
23 as far as -- as today's environment goes, I think that
24 -- that DSM 1, 2, and 3 give you a good ability to --
25 to test a couple of -- of key things.

1 But in respect of this part, the -- the
2 All Gas part or the -- the need-based plan, they give
3 an ability to understand that DSM can play a big role.
4 It can buy even more time, if that's where your mind is
5 at. It can give you a lot more time before you need to
6 make commitments. It can play a role in helping
7 maintain your -- your investment in bricks and mortar,
8 your debt levels down.

9 So, for the -- the characteristics that
10 this Plan brought, the Pathway 1, the need, the
11 minimized plan, if anything, it -- it made it better,
12 and -- and we'll see that in some of the numbers.

13 It's -- continues to bring some
14 downsides that go with the All Gas Plan. It's not as
15 flexible for load growth risk. It's -- it certainly
16 leaves the opportunity of the 750 megawatt line on the
17 table as it exists now.

18 It -- it -- you know, it -- it may come
19 back, but for now, we would be walking away from that
20 option, and I -- I think it has a fairly significant
21 potential for -- for losing some of the social and
22 government benefits that go with the Preferred
23 Development Plan, while picking up some others that I
24 don't know that are well quantified.

25 But I think overall, people would --

1 would tend to say it -- it leaves a lot of those
2 beneficial characteristics behind, things like water
3 rental payments or some other things of that nature.

4 I keep calling it a Pathway 1 Optimize
5 All Gas Variant, but I'll say the need-based pathway
6 doesn't mean All Gas, it doesn't mean build gas. It
7 means do everything else you can until you have to
8 build something, and at that point, it could be as
9 simple as gas.

10 It could be anything else, but really,
11 it's the -- it's the, put off the decision and -- and
12 know that in your back pocket, you always have gas as -
13 - that can be developed quite -- quite quickly.

14 And the other thing I'll add to this if
15 -- Mr. Hacault's point, which is one (1) of the more
16 interesting pieces of information that -- that, again,
17 I didn't expect we would get but I'm really pleased to
18 see it, was the undertaking that Mr. Thomson gave to
19 Mr. Gange in regard to, What if the load never grows.

20 How does Keeyask do and Keeyask 750 do
21 if the load never grows? And -- and I think it -- it's
22 very interesting to -- to just pull out the page of
23 economics on that that -- that says, What -- what does
24 -- what does the profile look like?

25 Because now I've got an All Gas case,

1 but I'm still not billing that gas for at least
2 seventy-eight (78) years. So, you know, it's --it's
3 that far out, and -- and it tells us some interesting
4 things about comparing the two Plans -- the two
5 Pathways.

6 MR. ANTOINE HACAULT: Okay, please
7 proceed to slide 13, which is a continuation of the
8 needs versus opportunity theme.

9 MR. PATRICK BOWMAN: Yeah, I'm not sure
10 there's much more to add here, except that in regards
11 to the updates, I think I've covered this, the -- the
12 need for new res -- resources has been -- with DSM has
13 -- the date has gone out.

14 It is more readily clarified the -- the
15 perspectives on the pathways. I'll touch on for a
16 moment -- Mr. Rainkie used the example of the rent out
17 a basement in your house, that this is -- these are
18 opportunities to build -- build a little more than you
19 need now, advance them, make some revenue off of them,
20 and you'll grow into them.

21 And it's an example -- it's actually the
22 exact analogy I've -- I've sometimes used to people to
23 explain how Manitoba Hydro does advance its plants and
24 -- and how it builds things like Wuskwatim.

25 I didn't think it held up very well in

1 this hearing because of the scale of things we're
2 dealing with and the timeframes of things we're dealing
3 with.

4 Keeyask being advanced three (3) or four
5 (4) years as it originally started, it might work okay,
6 but even then, you're bring on 695 megawatts. Your
7 need date is not because you need 695 megawatts, it's
8 because you need the first megawatt for your own
9 domestic supply.

10 It's still a long time to grow into that
11 plant, but the -- the three (3) or four (4) years, the
12 -- the basement model is, you know, the -- the bedroom-
13 in-the-basement model is not a bad example.

14 We're now talking Keeyask advancement
15 could be six (6) to nine (9) years, depends on some
16 pipeline loads in part, and -- and I would assert some
17 other industrial loads that people need to pay
18 attention to as well, as well as other load risks.

19 It's a little more than a basement
20 bedroom, might be a suite. We might be verging on a
21 duplex.

22 Conawapa is something different
23 entirely. Conawapa, in the context of Plan 14 and --
24 and its -- its need concept is a lot more like
25 investing in an apartment block across town, is the

1 phrase I've used.

2 It's tangentially related to housing,
3 but it's a long time before you grow into needing that
4 one for your -- your basic supply, and so I think it's
5 important to be able to think about that differently.
6 And if anything, it's more complicated to think about
7 the Wuskwatim-style basement bedroom than it is to say,
8 No, these two (2) things are different. The pathways
9 are distinctly different, and I'm going to apply an
10 appropriate test to each. And so I think in that
11 regard, it's gotten -- it's gotten easier in this
12 hearing, and that's where Mr. Thomson's exhibit is --
13 is so useful.

14 MR. ANTOINE HACAULT: Is this an
15 opportune time to move to the next slide which
16 discusses an opportunity-based vision?

17 THE CHAIRPERSON: Mr. Bowman, you --
18 you mentioned something about increased industrial load
19 that I hadn't heard before, and I -- I'm just
20 wondering, is that based on data that's been considered
21 by the panel before?

22 MR. PATRICK BOWMAN: Well, Mr.
23 Chairman, we provided an IR response on this topic. At
24 the time, we answered it, there was -- we highlighted
25 pipeline load, but I don't think it had otherwise been

1 in the hearing, so the pipeline load is now being
2 discussed.

3 There are some other well-known
4 possibilities for Manitoba. I don't know whether you
5 have the information on them. I haven't -- I certainly
6 wasn't in the CSI portion of the -- the load forecast
7 panel.

8 But in that -- in that IR response, we
9 highlighted two (2). One (1) is it's -- it's fairly
10 well-known that Valet and Thompson has scaled back its
11 operations, that they've, you know, focussed on the --
12 the mill. They no longer have their refinery in
13 operation, but that they have a large new deposit, 1D
14 (phonetic) is my recollection of the name, that is --
15 is ready to go and could be in service by 2019 or 2020
16 as the -- as the public reports go. And -- and they
17 make a point of telling people, We have a data room
18 open in Thompson, come on down and take a look.

19 They're -- my understanding is Valet is
20 not prepared to -- to develop that, though, without a -
21 - a strategic partner who actually will use the output.
22 They're not looking for money, they're looking for a --
23 a known buyer, and so that's on the market. Right now,
24 you know, prices are where they are, and the mineral
25 supplies are. I don't know how much interest they're

1 getting, but those things change over time, and the --
2 given it's a -- it's a know, deposit with significant
3 spending been done on it by a -- a fairly, you know,
4 backed by -- it's not a -- it's not a junior miner
5 we're talking about. It's -- I think it's a -- in the
6 timeframes we're talking about, it something that
7 people would -- would want to pay attention to.

8 The other one (1) that I noted was
9 there's -- of -- been some discussion about computer
10 server type of loads, computer server farms and the
11 like. I don't have any more information on that then
12 has been -- been publically announced, but there is --
13 there will be reasons to think that it's something that
14 could connect for Manitoba. It -- it hasn't in a big
15 way, the way that some people were concerned about, but
16 -- but in terms, we're talking about ten (10) to twenty
17 (20) years. It would fit in the category of load risk
18 to me. Does that address the question? Yeah. Yeah.

19 The only other last thing I would touch
20 on here is MH-171, the third revision highlights that
21 with the DSM, many of the larger plans have some
22 erosion in their overall economic benefits. That is
23 due to the DSM, and it's -- it's not that the DSM is
24 competing. If anything, our conclusion is it's
25 complementary, but it highlights that, to some extent,

1 we're not quite dealing with the -- we -- we're being
2 pushed away from dealing with the -- the simple
3 basement bedroom. We're -- we're being pushed to
4 something else to stand on its own, irrespective of --
5 of market environment.

6 So that's -- that's the only comment we
7 made in regards to that.

8 DR. HUGH GRANT: I'm sorry, you lost me
9 on the -- could you repeat your last part, please? I
10 didn't follow your...

11 MR. PATRICK BOWMAN: Yeah, the -- we
12 haven't been able to entirely decipher the changes in
13 the economics of the ref/ref/ref conditions for -- for
14 all of the plans, but it's clear that when you look at
15 -- people's minds have been on the Preferred
16 Development Plan, which has seen some fairly
17 significant erosion in the ref/ref/ref conditions,
18 right?

19 You also see some changes in the -- in,
20 say, Plan 5 or Plan 6 in terms of comparing the
21 original numbers to the updated numbers, and those are
22 being loaded with new -- new discount rates and higher
23 capital costs, and a bunch of other things. But what
24 it -- what it would suggest to us is looking at the
25 need dates and looking at the DSM, is that there was

1 some load risk to the project -- to the economics of
2 the -- of the projects that was known even at the time
3 the was NFAT filed. It was in the 2013 update. People
4 ran some DSM scenarios. They always made the plans a
5 little bit more challenging if your domestic load was
6 lower, because it was longer until you needed the
7 basement like for your own use.

8 It seems that with higher DSM scenarios,
9 that's now incorporated. And -- and so we've seen the
10 shift as these need dates are pushed and all, that it's
11 now much more clear that we're not -- we're not, you
12 know, we're not advancing Keeyask three (3) to four (4)
13 years; we're advancing it six (6) to nine (9), or
14 eleven (11), depending on your scenario.

15 So we've -- we've effectively sort of
16 de-linked this. Does it really matter if our load --
17 do those very small changes matter anymore because now
18 we're -- we're far enough out that we're -- the -- the
19 project needs to be able to stand on its own the way
20 that Mr. Thomson talked about, because eleven (11)
21 years of -- a very small change in your average growth
22 will -- all of a sudden your -- your lines are almost
23 parallel. So you can -- it better be able to stand its
24 own, because it could be a long time if -- if you had a
25 small down-river vision now before it -- it's needed

1 for Manitoba purposes. That's all we were trying to
2 highlight.

3 MR. ANTOINE HACAULT: We're on slide
4 14, the fifth conclusion in the pre-file testimony and
5 how that may be affected by the updates?

6 MR. PATRICK BOWMAN: Our fifth
7 conclusion was that despite all that talk of a need
8 plan being important and needing to be assessed, the
9 information that was filed in NFAT was, to us,
10 persuasive that at least moving to an opportunity plan
11 -- I came to Plan 4, which was Keeyask19 with a 250
12 megawatt line -- seemed to pass the test for any -- any
13 of the reasonable economics and financial metrics.

14 I won't dwell on it, because Plan 4's
15 not on the table anymore. We're really now talking
16 about conclusions that'll come later on. So we can
17 spend that time on conclusion 7.

18 MR. ANTOINE HACAULT: Thank you. Now
19 moving to issue of past experience and what we can
20 learn from past experience.

21 And how does fit into the risks of
22 technological, change going forward, Mr. Bowman?

23 MR. PATRICK BOWMAN: Having done the
24 assessment in an order that originally made sense of
25 effectively Plan 4 in the previous conclusion -- that

1 Plan 4 stood on its own in terms of economic and
2 finance and rate impacts and the like, it seemed
3 important to move on say it also has a number of
4 attributes that qualitatively stand in support of that
5 type of model.

6 I'll spend more time talking about this
7 in some of our updates, but there -- there is an
8 extremely good record with hydro generation over the
9 long term in Canada. It's an inherent characteristic
10 of hydro. It's also been done well in most of the
11 places in Canada that -- that I've ever seen.

12 And even more important to that is if
13 you're -- on a system like Manitoba, interconnections
14 are -- are absolutely critical if you want to be a
15 hydro-based utility. If I'm dealing in places that
16 don't have good interconnections or don't have any
17 interconnections, like Newfoundland or Yukon or
18 Northwest Territories, or almost any anywhere that --
19 that it faces the situation in -- in Canada.

20 You're going to have a very hard time
21 economically justifying pushing your system to more
22 than, you know -- 60 percent was traditionally a ratio
23 we talked about with higher oil prices, maybe 70, 80
24 percent hydro without complementing it substantially
25 with a thermal-based generation.

1 And Newfoundland has Holyrood oil plant;
2 Yukon has diesels that they're working into converting
3 to LNG; Yellowknife's always had diesels. And the
4 reason is because of the nature of hydro plants that I
5 believe Mr. Cormie's explained quite well. I -- I put
6 a graph in at the end. If we -- if it's worth going
7 over it, we can do that.

8 But hydro plants produce two (2)
9 products, one (1) of which is good for domestic
10 service, and one which is effectively not. And if you
11 want to be able to build a hydro plant, you -- you need
12 the economics where you can take the dependable product
13 and use it for your own domestic service. And that
14 opportunity product -- the second product, has to
15 either be able to be of value to you or of value to an
16 export market. If you need it to be a value to you,
17 such as they do in Newfoundland, you have to be able to
18 offset that against a fuel cost. Should we go there or
19 no?

20 MR. ANTOINE HACAULT: I think we'll
21 just bring up the slide 66. Mr. Bowman knows I'm a
22 visual guy. This is at my request. But it was
23 something that was filed by Manitoba Hydro. And I'll
24 let Mr. Bowman explain this. When I started these
25 utility hearings, I -- I had trouble coming to grips

1 with all the dependable energy portion and the non-
2 dependable energy portion and how you deal with load
3 for Manitobans when you're hdyri -- adding big
4 hydraulic pieces of energy.

5 So could you perhaps go through this
6 graph, Mr. Bowman?

7 MR. PATRICK BOWMAN: Yes, this is a
8 graph that Manitoba Hydro produced in the pre-hearing
9 conference and from last May. It's a -- it's not meant
10 to represent, I don't believe, the exact system. It's
11 a -- it's a illustrative model.

12 But what it's effectively saying is if
13 you have a system with interconnections, you can go
14 ahead and dominate your system with hydraulic
15 resources, both on a normal basis, and even dominantly
16 in a -- in a -- on a drought basis, by being able to
17 design your system this way, where the light blue,
18 which is a hydro generation, is serving our load. The
19 black line is our load as it grows. The purple is a
20 dependable resource that is sold to the US, or sold to
21 an export market. And the yellow is a non-dependable
22 surplus product that is sold to -- exported.

23 The purple you hope to be able to get
24 prices that are higher because somebody buying the
25 purple block can use that power to avoid building.

1 Someone buying the yellow part is probably just using
2 it for -- to -- to offset fuel. So you -- you expect
3 to get a lower price. That -- that's the basic theory.
4 Of course, prices go where they go in the real time.
5 But the -- the basic premise of that.

6 If you don't have the interconnections,
7 if I was looking at this graph for somewhere like
8 Newfoundland, they could not build a system this big if
9 that was their black line, because all of that area
10 above the line is hydro product you've invested in
11 that's going to be wasted. You have no economic value
12 to it.

13 What instead you have to do is build a
14 system where, if you'd envision this, your black line
15 would be a fair bit higher, running somewhere through
16 the yellows and maybe just clipping the peaks of the
17 yellows so that before I build a plant, I need all of
18 the load to be able to have the -- the dependable
19 energy used to serve my -- my customers.

20 And much of the yellow is serving my
21 customers, and it's backed up by varying levels of
22 thermal generation. So in some years that will be oil.
23 In some years that will be hydro. That's the way that
24 a -- a Newfoundland system would work. And because
25 there is so much yellow in the mix, and there would be

1 for most hydro projects, you end up needing to have a
2 lot more load, black line higher, and a lot more of
3 that thermal to be able to make the hydro economics
4 work.

5 If you have the interconnections, you
6 can do a graph like this. You can -- you can build the
7 hydro and keep your own system dominantly hydro and be
8 playing a role in supporting your -- your export
9 customers. But you can only do it with transmission.

10 And the other really important concept
11 here is that every time you build a new plant, you
12 don't only bring new dependable product. You also
13 increase the amount of yellow every year. You'll see
14 as they build the yellow gets taller and taller.

15 So even if you're only building for your
16 own needs, which this thing is -- this graph is doing.
17 This doesn't advance anything. You still need more and
18 more transmission over time because you always want to
19 be able to sell that yellow product. You want it to
20 dump into the market and you want to be able to dump it
21 at the best times possible: on peak, market constraint
22 times that, you know, supports the neighbours. That
23 type of thing.

24 So if you add into this graph the
25 concept of advancement, you'd see the purple nudge out.

1 You'd build the purple before it hits the black line.
2 And -- and you'd have that -- a lot more purple to sell
3 as well as a lot more yellow to sell, and transmission
4 becomes critical.

5 But without transmission, you'd never be
6 able to have the system you have today. We would -- we
7 would be dealing with a -- a -- probably, I would say
8 in Manitoba, a -- you'd -- you'd have found a way to
9 develop a fair bit of the hydro, but you would have a -
10 - a very substantial thermal complement to make it
11 work. And -- and that -- that's pretty consistently
12 the evidence from -- from anywhere that runs a -- a
13 non-interconnected system.

14 MR. ANTOINE HACAULT: Perhaps we can
15 move to slide 19. And I know that's moving a little
16 bit ahead in the presentation of where you were.

17 But to contrast the needs approach and
18 if we're going to have a different focus, and it's been
19 a theme in my cross-examination, members of the panel,
20 how do we look at what is being proposed by Manitoba
21 Hydro as opposed to a needs approach?

22 MR. PATRICK BOWMAN: I think if Mr.
23 Hacaault had his way, they would all be graphs. This
24 was another exhibit of Manitoba Hydro's, MH-138. It
25 was the graph that shows in practice some of the

1 concepts that we just saw in -- in theory. It only
2 focusses on dependable. It doesn't have any of the
3 opportunity numbers in there; none of the yellow, only
4 the purple, to use the -- the previous graph's
5 colouring. And the steps you see is -- is adding the
6 new plant. The first major step is Keeyask. The
7 second major step is Conawapa.

8 And you can see the degree of
9 advancement that we're talking about. Hydro's
10 advancement for Keeyask provides it with the ability to
11 get dependable supply up above 34,000 gigawatt hours.
12 To properly assess this, you'd need the other -- you --
13 you'd need a bit more information about seasonality and
14 -- and peak capacity. But in principle, in energy, you
15 find an energy capability that can pretty much supply
16 any identified commitment that they have in the system,
17 assuming these loads evolve.

18 This is the graph that I would say shows
19 that Conawapa today is not backed by contracts. It's -
20 - it's being proposed on -- on -- to need a lot more
21 work before it's at a point where somebody can
22 seriously assess it. Right now, it's a line on a
23 graph. I think Morrison Park explained it well, is
24 it's a -- it's a development opportune -- a future
25 development opportunity that's intriguing, but you

1 don't have the information yet to know even -- even who
2 it's being built for, much less, with the economics,
3 what it would look like.

4 MR. ANTOINE HACAULT: Thank you. We'll
5 move back --

6 THE CHAIRPERSON: I wonder, Me.
7 Hacaault, if it would the right time for a break. It's
8 about an hour and a half that we've been -- actually,
9 it's more than that because of the presentation, but...
10 So let's take a break right now. And -- and the
11 resume, say, in ten (10) minutes.

12 MR. ANTOINE HACAULT: Thank you.

13

14 --- Upon recessing at 10:30 a.m.

15 --- Upon resuming at 10:46 a.m.

16

17 THE CHAIRPERSON: I believe that we can
18 resume the proceedings.

19

20 CONTINUED BY MR. ANTOINE HACAULT:

21 MR. ANTOINE HACAULT: Merci, M.
22 President. Mr. Bowman, could you continue in your
23 presentation? I have taken you to a slide which was
24 one (1) ahead of this.

25 But could you deal with slide 6 and your

1 conclusion that there's no changed in -- as a result of
2 the updates?

3 MR. PATRICK BOWMAN: Yes. So in --

4 MR. ANTOINE HACAULT: Sorry, not slide
5 6, 15.

6 MR. PATRICK BOWMAN: Slide 15. It was
7 originally conclusion 6. We had noted in the original
8 filing about -- that it's important to look at the
9 experience with hydro and interconnections. We've gone
10 over that.

11 The third bullet there was -- was only
12 put there in the -- in the context of a planning
13 comment, that, you know, there are some fairly severe
14 things that were needed to make the original
15 commitments to the projects, to the Nelson River and
16 the like, that were highlighted this morning and
17 highlighted in some other -- other presentations you've
18 seen.

19 It's not my intent here to suggest that
20 I am spending any time on overall environmental
21 impacts. But just in a planning context, there has --
22 there -- the projects in the plan as proposed is part
23 of something that's been underway for fifty (50) years.
24 It doesn't mean it's the right thing to do. It could
25 be a sunk cost fallacy in respect of environmental

1 impacts.

2 But it is worth noting this is not
3 striking off in a new direction for Manitoba. And --
4 and some of the -- some of the foundational and
5 unfortunate environmental effe -- effects that were
6 needed to make these projects occur are -- exist and
7 are happening today. And -- and, in that regard, if
8 they're effects that were -- were incurred with an
9 assumption of five, (5), six (6), 7000 megawatts of --
10 of downstream generation and -- and much of that is --
11 is going unused, it's -- it -- it just notes of how it
12 fits into an overall planning context.

13 We -- we answered an IR to the Metis
14 Federation on this, noting that -- I didn't intend to
15 go any further in respect to the environmental impacts.

16 I -- I think the next point on
17 interconnections is -- is not -- not always the focus
18 of -- of peoples' comments, but there is a fair number
19 of -- of commenters who are -- who are suggesting that
20 Manitoba Hydro has -- has -- is -- is moving in a
21 direction of putting all its eggs in one (1) basket.
22 It's a phrase that's used.

23 In an overall planning context, I think
24 it's a -- it's a valid comment if you're stuck with
25 running a system on an island like we see in

1 Newfoundland for now. The other option is to not be an
2 island, is to build more transmission and -- and
3 complement other peoples' diversity. And -- and in
4 that regard, if there's somebody who's got a better
5 opportunity to build wind, they should build the wind.
6 If there's someone with a better opportunity to build
7 the -- the thermal, there are less options and is stuck
8 with the thermal, then they can do that.

9 Manitoba brings to the -- this part of
10 the world some options in -- in respect to hydro that
11 other people don't have. So is -- is it diversity?
12 Well, your own entity is -- is certainly committed to
13 one (1) type of resource heavily, and it may be a --
14 may view it as a good one or a bad one. But I -- I
15 wouldn't tend to -- tend to criticize it on diversity.
16 I think the transmissions is a -- a component of the
17 diversity. And -- and getting yourself to be not
18 islanded, but part of a bigger system helps address
19 that.

20 And, of course, the other thing is that
21 if you're able to bring on bigger plants, you -- you
22 certainly have more flexibility to address unexpected
23 load requirements, so. And I don't think anything in
24 the update has changed that, so we can move to slide
25 16.

1 And this is where the conclusion now
2 resides to say given there's no 250, you're probably
3 still advised to take the opportunity path. At the
4 time we wrote this, it was -- the -- the 250 megawatt
5 transmission was on the table, and so the question is:
6 Given the 250 looks pretty good, should you go to 750?

7 And 750's economics in any given Plan
8 did not hold up. It was not better than 250's in any
9 instance. Plan 4 was -- was the best. But it always
10 gave you the benefit of optionality because you could
11 build Conawapa now, you could build it later, you could
12 not build it, and you could go with other resource
13 options that still benefited from the 750 megawatt line
14 as compared to the 250.

15 But it wasn't a lock-solid conclusion.
16 I think analytically, the numbers would have pushed you
17 to 250. Qualitatively, I think a lot of people would
18 have looked at it and said, You don't want to forgo the
19 opportunity of a 750, because they're not things that
20 come along very often. You can't upgrade.

21 Now we're at the point where we don't
22 have that. In one (1) sense, it's unfortunate, but it
23 probably makes the decision planning easier.

24 MR. ANTOINE HACAULT: Could we move to
25 slide 17, which was your eighth conclusion, sir?

1 MR. PATRICK BOWMAN: Well, this is the
2 critical piece of -- of Conawapa. And -- and it's a
3 conclusion that I've wanted to -- wanted to separate
4 because -- and, again, I -- I agree with Morrison Park
5 on this -- Conawapa is a different beast than the rest
6 of the decisions that need to be made today. It is, at
7 best, a future opportunity. It's intriguing. It
8 doesn't pass any of the tests and thresholds now on
9 terms of NPVs, but I would say the NPVs are a
10 distraction.

11 At the time we prepared this, we said
12 Conawapa is not -- would not be in ratepayer interest
13 under any normal analysis prepared on the NFAT at the
14 time. But it's intriguing enough that if you can
15 minimize, you know, ongoing cost commitments, you
16 should continue to protect Conawapa for an -- an in-
17 service date 2026 or thereabouts.

18 One (1) of our main conclusions on that
19 was that Conawapa brings massive benefits to the
20 Province of Manitoba. And we're only talking about
21 quantifying the ongoing benefits of things like water
22 rentals, and -- and debt guarantee fees, and capital
23 taxes. Even in -- with -- that's even with ignoring,
24 you know, jobs, and income, and the like during the
25 construction phases.

1 And it would seem to me, with my
2 experience dealing with projects of this nature, that
3 are challenging projects for ratepayers and good
4 projects for a -- a province or a territory, there are
5 a lot of tools that can be used to get the project over
6 the hurdle and to make it happen. And it seems that
7 Conawapa, even though we haven't seen any movement on
8 that, my experience would suggest to me that it's
9 fairly likely that if Conawapa doesn't improve as a
10 project for ratepayers, it's going to have a really
11 hard time going forward.

12 Whether it improves or not, there's
13 going to be a strong incentive on the government to see
14 it go forward, and there -- there should be strong
15 incentives for them to -- to come to the table. I
16 update this in slide 18, saying that you will have
17 better information on Conawapa once you have the proper
18 contracts that are needed to make it happen.

19 The slide that Mr. Hacault took us to
20 underlined that right now it's -- it's being proposed
21 on spec. It has -- has effectively no contracts that
22 absolutely require its output. They may legally --
23 they may, you know, precursor cond -- conditions
24 precedent, but they don't require on a kilowatt hour
25 basis on the planning context. But we all know

1 Conawapa wouldn't go forward on that basis. It would
2 only go forward with proper loads, proper commitments
3 from counterparties to it.

4 So the NPVs you're looking at now are
5 not reliable. They're not going to be the NPVs that
6 are prevailing at the time I would say of Conawapa.
7 But even under the current numbers, even under some of
8 the -- the adverse conditions for Conawapa, even if we
9 use higher capital costs, there is more than enough
10 benefit there that -- that, with the stroke of a pen,
11 to revise a benefit-sharing relationship with the
12 provincial government, Conawapa would come out as a --
13 as an advantageous project.

14 Now, I don't -- I think we have to
15 separate that conclusion into a few different parts. I
16 certainly don't have a say in what -- in -- in how the
17 agreement looks. I don't know that I've seen any signs
18 that anybody's in discussions of that nature. But the
19 question isn't: What should the agreement be? The
20 question is: Should you keep protecting Conawapa? And
21 if it has that much potential benefit, it would seem to
22 me that it's fairly likely people will solve that
23 problem. And as a result, it's worth protecting
24 Conawapa at this point while people work out the
25 contracts and while they figure out a -- a benefit-

1 sharing agreement that can make it work for everybody.

2 THE CHAIRPERSON: I've got a couple
3 questions in relation to the slide and what you just
4 said. So you keep protecting the in-service date for
5 Conawapa. And by the time you make a decision, you've
6 already sunk -- I'm not sure what the amount is, but a
7 substantial sum of money. So you're back where you
8 started. You know, you're back where you started,
9 where we are now with, I think, committed \$1.5 billion
10 already to -- to Keeyask.

11 And so basically you're suggesting to
12 us, let's -- let's keep going the same track. Let's --
13 let's do the same thing with Conawapa. Let's -- let's
14 get ourselves in a position where we're kind of boxed
15 in, because we've already spent hundreds of millions of
16 dollars in -- in protecting the in-service date.

17 Is -- do you -- can you explain to me
18 what your -- what your logic is?

19 MR. PATRICK BOWMAN: Yes. And my first
20 comment would be, I -- I don't want my comments to be
21 read as suggesting because we spent money we should
22 continue to protect it. I -- I do not -- that's a --
23 there's even a term for that, the -- the sunk cost
24 fallacy, as I recall it, that we -- we spent the money,
25 so let's keep spending. It's not that at all.

1 The issue is you've got a project that
2 it doesn't matter how much anyone likes it or hates it
3 at this point in time. Nobody can make a decision to
4 go forward with it, because there's way too many steps
5 that have to be done between here and there. So no
6 matter what happens, there's time.

7 But on the basis of even pessimistic
8 numbers that have been -- been presented, there are
9 some very large consolidated benefits between the
10 provincial government, the utility, and its ratepayers.
11 They are very poorly distributed at this point, but
12 they're very large, even on pessimistic assumptions.
13 That could change in the years that -- that are to
14 come, but at this point, they're -- they're real, and -
15 - and I think it's important to pay attention to that
16 as an opportunity for Manitoba.

17 The main point of our conclusion is, or
18 -- or what I've put down here is, right now, you have -
19 - you don't have to make a decision, but even if you --
20 in respect to building, but you do have to make a res -
21 - decision in respect to protecting, or someone has to
22 make a decision in respect to protecting.

23 And the -- the benefits are -- are --
24 appear real, that are even -- even in some pessimistic
25 assumptions. The problem is, if you're not careful

1 about assessing them, you're assessing them under a
2 distribution of the pie, if you like, that, in my view,
3 is unrealistic. I don't think if -- if the
4 distribution doesn't change, I don't think Conawapa
5 would go forward. I don't think it's credible. I -- I
6 think ratepayers would -- would be ill served by that.
7 That it -- you have to be careful that
8 you're not at the point where it's a -- it's a way of a
9 back door tax, if you like. You pay more, I take in
10 more, but the -- the pie is -- is large enough that --
11 and -- and I've -- I've had experience dealing with
12 governments on these type of -- of matters that it
13 would seem reasonable, likely, that people would want
14 it to go forward and be prepared to find a way to re-
15 carve it.

16 THE CHAIRPERSON: Okay. Let's -- let's
17 apply that logic to the -- the decision that we are
18 tasked to -- to consider as specifically in relation to
19 these government charges dealing with Keeyask. You
20 know, you -- you are making this recommendation
21 regarding government charges with respect to Conawapa,
22 but why not make the same recommendation with respect
23 to Keeyask?

24 What -- what's -- why -- did you
25 consider that as part of your -- an option?

1 MR. PATRICK BOWMAN: Well, the -- some
2 of the numbers we ran did do that. It did have a -- a
3 opportunity to say, What if -- what if the Manitoba
4 government said I would forgo charges on Keeyask for
5 the first fifteen (15) years, for example? That --
6 there -- there are some numbers that are behind that.

7 But my conclusion before we got here was
8 Keeyask was able to work on its own. I don't love the
9 distribution of the buy. If I'm working with
10 ratepayers, I'm busy saying there's -- there's a --
11 there -- there's not a huge amount in it for ratepayers
12 with Keeyask and a 750 line. There's some promise of
13 some future benefits. There's some flexibility.
14 There's some -- some, you know, good things that come
15 from it.

16 But the vast majority of the benefits
17 are to be reaped by government, but if you're only
18 giving me a choice, take this pie or don't take it, I'd
19 say take it. Not by a lot, but -- but take it.

20 In Conawapa, we're in the different
21 position. We're saying that there's a pie, but you're
22 -- you're actually going to have to contribute to it,
23 and someone else will take more than the full range of
24 benefits.

25 And we'll -- we'll touch on that for a

1 long time. I -- I can even show you some -- some
2 graphs that would probably helpful. They're in our
3 evidence, but we can actually animate them and -- and
4 help illustrate that. And so that one (1) -- Keey --
5 so -- so Keeyask didn't need you to say, Should you re-
6 balance? If you ask me if I'd like some re-balancing,
7 sure -- sure, but I didn't need to get there to get to
8 a conclusion.

9 Conawapa, you look at it and you say,
10 Absent that, this thing doesn't fly based on what's
11 here. But the two (2) things that are missing is the
12 contracts that actually back it, and the fact that
13 there is this huge benefit. It's just poorly
14 structured, so that's why we got there.

15 THE CHAIRPERSON: Now, let's go back to
16 this -- this notion of the intertie and, you know, some
17 -- it has been described by some as laying the track,
18 as it were, for future development. In other words,
19 you know, having established a -- a pipeline, you can
20 then ship considerably more power that might be
21 generated by Conawapa, and other means as well.

22 And so say you get in a scenario where
23 you don't have Conawapa. Does it still make sense to
24 have that intertie -- that intertie? You know, if --
25 if you start from the premise that Conawapa is not

1 justified based on the evidence, then why worry about a
2 track that may not be required?

3 MR. PATRICK BOWMAN: Well, I would say
4 that's a much -- was a much harder decision when you
5 had to decide between a 250 megawatt and a 750 megawatt
6 line than it is now, because now it's very binary.
7 You're either getting the line or you're not.

8 The information we reviewed suggests
9 that the 750 megawatt line brings benefits even if you
10 never built Conawapa. The latest information also
11 suggests, and I can -- we'll get into this later, that
12 your economic benefits and value from things like DSM
13 are improved by having the line. The line isn't --
14 isn't doubling down on product -- on future production.
15 It's also doubling down on future energy savings. It
16 improves -- improves all of your future scenarios.

17 As a matter of fact, it's -- it's even
18 better to have the line without Conawapa, because then
19 your DSM gets exported as a premium product rather than
20 being pushed to the margins, and that -- that's in the
21 numbers that we'll -- we'll look at.

22 So I'm -- that -- that's one (1)
23 comment, is I don't think the line lives and dies based
24 on whether you build Conawapa, but the second one is I
25 think there is a -- a sort of fallacy in the numbers

1 that are here, that you only have two (2) scenarios,
2 one (1) that I'll call Conawapa now, and one (1) that's
3 Conawapa never.

4 There's no -- and I think I have this in
5 a future slide. There's no -- nothing here that says I
6 can build Keeyask, and rather than Conawapa 2026 or
7 2030, I could -- I could string along with a few, but
8 I'm -- but I'll get the Conawapa some day.

9 Instead, we look at these long-term
10 horizons that assume, once I've gone All Gas, that's
11 it, I -- I've made my decision and we'll see you in
12 eighty (80) years, or see your grandchildren in eighty
13 (80) years will review what to do next.

14 That's not the way plans unfold. That's
15 not the way plans work. So even as a -- if -- even if
16 your 750's a pre-build for a project that doesn't have
17 economics now, I think there's -- you can't rule out
18 that the 750 line will still be beneficial to Conawapa
19 in 2047.

20 MS. MARILYN KAPITANY: Mr. Bowman, can
21 you just expand on what you just said about DSM being
22 exported as a premium product?

23 MR. PATRICK BOWMAN: Yes. We ran some
24 numbers, and I guess now I'll be able to move over it
25 quicker when I get there, that tried to look at the DSM

1 Level 1, Level 2 in respect of each of the plans and
2 how good is -- how -- how good does the DSM look?

3 And depending on your plan -- I'm -- I'm
4 told we're going there now. What Ms. Davies has just
5 pulled up is a couple a slides forward, but this is an
6 example of -- of Level 2 DSM applied to Plan 5. Okay,
7 so you've built Keeyask. You've built a 750 line. You
8 have no Conawapa. How good does DSM Level 2 look,
9 okay?

10 And this is just a graph to say, What
11 are the building blocks? And this is Manitoba Hydro's
12 perspective, not the customers' perspective. We can
13 actually separate those two (2) based on the data we
14 have. From Manitoba Hydro's perspective, you are going
15 to spend some money on DSM, a present value of 437
16 million.

17 For that, you don't defer any hydraulic,
18 because you've committed to Keeyask for the date you've
19 committed to it, but you do defer some thermal plant,
20 and the benefits from deferring future gas from that is
21 actually already equal to pay for the DSM. If you see
22 this graph in front of you, the -- the green bar, green
23 is to the good.

24 We also defer a little bit of
25 transmission. We avoid some capital tax on fixed O&M.

1 Oh, and there's all those extra exports in the green
2 bar, okay?

3 Unfortunately, the DSM also means we
4 lose domestic revenue, so you have this export domestic
5 tradeoff you have to look at. We got the benefit of
6 different water rentals, less thermal fuel in droughts
7 because our load is lower, and less purchase power, and
8 you end up with the number that Manitoba Hydro's
9 presented, which is 763 million benefit.

10 If you compare that to other plans, for
11 example -- I'm just going to find the number quickly.
12 If you compare that to Plan 2, Plan 2, that same DSM
13 program was only worth 519 million at the end bar, not
14 763.

15

16 CONTINUED BY MR. ANTOINE HACAULT:

17 MR. ANTOINE HACAULT: Could we go to
18 slide 46 --

19 MR. PATRICK BOWMAN: Forty-six (46).

20 MR. ANTOINE HACAULT: -- I believe.

21 MR. PATRICK BOWMAN: Forty-six (46) has
22 the same graph but Plan 2.

23

24 (BRIEF PAUSE)

25

1 MR. PATRICK BOWMAN: This one, you see
2 that when you do the DSM, you get a different profile
3 of greens and yellows. You -- you actually do defer
4 hydraulic, which gives you a benefit. You also defer
5 some thermal. Your exports are very small, they're the
6 little green bar, because your -- a lot more of your
7 DSM goes to -- doesn't go to creating surplus hydraulic
8 generation, it goes to avoiding building plant, right?

9 And your thermal fuel, because you have
10 a lot more gas in this scenario, more of it goes to
11 avoiding having to run your units, but the time you --
12 by the time all is said and done, you're only 519
13 million ahead for that same DSM program. The line
14 actually made your DSM Program look better.

15 MS. MARILYN KAPITANY: And can you say
16 anything about those two (2) scenarios from the point
17 of view of ratepayers?

18 MR. PATRICK BOWMAN: This isn't the
19 Manitoba Hydro picture, so given that Manitoba Hydro's
20 IFF, if you like, is the perspective that people use to
21 set rates, these are in to -- to the largest extent,
22 the way that one would look at sort of ratepayer
23 benefits without getting into very specific
24 distributional aspects.

25 Like, this doesn't say how much of that

1 benefit goes to the person who does the DSM versus non-
2 participants. It -- it doesn't deal -- it's a seventy-
3 eight (78) year NPV, so it doesn't deal with time
4 distribution, for example.

5 But overall, when we'll talk about
6 Manitoba Hydro benefits, it's -- it's not far off the
7 ratepayer perspective. We do have the ability to show
8 the ratepayer perspective later on, too. We didn't
9 spend as much time on that, but it -- does that address
10 the -- that visually?

11

12 CONTINUED BY MR. ANTOINE HACAULT:

13 MR. ANTOINE HACAULT: I think we're
14 somewhere.

15 MR. PATRICK BOWMAN: Okay. Ms. Davies
16 has --

17 MR. ANTOINE HACAULT: Yeah. We've
18 already looked at this slide, and your conclusion that
19 Conawapa is not supported by the evidence filed. That
20 was an initial conclusion, sir. And the updates, can
21 you tell us what it does, if anything, to that initial
22 conclusion that Conawapa was not supported by the
23 evidence in your view?

24 MR. PATRICK BOWMAN: Yeah. I think
25 we've learned more through the process of this hearing

1 and also by implementing the lower loads in the DSM
2 that I would encourage people to put less reliance on
3 the Conawapa NPVs as they sit now.

4 They just do not reflect the project as
5 it's ultimately going to have to be assessed. They're
6 directional. I would not put too much stock on the
7 magnitude, and that's been -- and not only something
8 we've spent time learning about in this hearing, and
9 it's a conclusion I would say I've -- reflects my -- my
10 own -- my own learning through this hearing, it also
11 reflects that Conawapa is even less backed by contracts
12 now than we would have assumed when the NFAT was filed
13 because of the changes in -- in load and DSM.

14 So, if anything, it's -- it's moved more
15 into the -- the realm that Morrison Park was talking
16 about -- the interesting developing opportunity, but
17 don't think you can make a decision on it.

18 MR. ANTOINE HACAULT: Next, could we
19 move then to slide 20, which was your ninth conclusion
20 or recommendation in the originally filed report?

21 MR. PATRICK BOWMAN: Yeah, we had
22 comments that the original planning -- original filing
23 was very weak on -- on some aspects, like the -- the
24 DSM, and that you should continue to monitor and pursue
25 those customer self-generation, some other aspects like

1 life extension of -- of plants, if that's available as
2 an option.

3 Fuel switching, and maybe a few options
4 that I'm not sure have been fully examined. I wasn't
5 here for the DSM panel yesterday, and I apologize, but
6 the fuel switching may have a broader scope as time
7 goes on than -- than as fully examined in Hydro's
8 materials to date. I'm not sure.

9 MR. ANTOINE HACAULT: And, sir, could
10 you comment on opportunities in the industrial sector
11 for DSM?

12 MR. PATRICK BOWMAN: Well, industrial
13 DSM is probably one (1) of the biggest programs Hydro
14 runs to date. the customers who have participated, in
15 my experience, are -- are always looking for new
16 options.

17 Industrial DSM is -- is classically a
18 very, I'll say, lumpy experience. Often the DSM
19 opportunities exist at the time equipment is replaced,
20 and it's not replaced very often.

21 Sometimes it only exists at the time the
22 first decision is made in the way you design a plant,
23 for example. So, the opportunities are large, and
24 people -- and people should pay attention to them, and
25 -- and in -- in what I've understand from -- from the

1 members, at least, is they would -- wouldn't think
2 they've reached the -- the bottom of the barrel yet.

3 Their -- sometimes their -- their
4 definition of DSM is somewhat broader than -- than
5 Hydro may have traditionally -- have been traditionally
6 willing to adopt, but it seems like that may be
7 yielding a bit on things like the self-generation. I'm
8 still interested to see how that evolves, but at least
9 it's been written down on paper.

10 MR. ANTOINE HACAULT: Could you give an
11 example of self-generation that might be something that
12 could fit into DSM?

13 MR. PATRICK BOWMAN: Yes. I think Mr.
14 Turner referenced one (1) example when he ran the --
15 the chemical plant. If you're doing the type of
16 process that -- that is used in -- in some of the
17 chemical operations in Manitoba, one (1) of your waste
18 products is -- is hydrogen, and it's vented.

19 Hydrogen can be used to generate power
20 quite easily or -- or whether that's through a boiler
21 or through other sources. So it's just a matter --
22 it's a -- it's a capital investment barrier and it's a
23 -- what is the -- what is the value of the output. But
24 there are certainly plants who capture that hydrogen.

25 There are others plants that can capture

1 waste heat -- low-grade waste heat. It's not -- it's
2 not a wonderful source for generation, but it -- it --
3 it is used in places -- things like pipeline
4 compressors. And certainly people have their mind on
5 forest products, as an example, so.

6 MR. ANTOINE HACAULT: At the bottom of
7 slide 20, you referenced massive changes in
8 assumptions.

9 What, if anything, do you want to
10 communicate to the panel with respect to generally
11 what's happened in the last six (6) months, as far as
12 the change in the case, and what does that tell us
13 about the future?

14 MR. PATRICK BOWMAN: Well, I think the
15 change in respect to the DSM is huge. I put down some
16 NPV numbers there that we get through going through the
17 tables. People will talk about Keeyask's costs went up
18 and Conawapa's costs went up. Those are effects of
19 about 300 million and 100 million on the present value
20 of the scenarios we're looking at.

21 The DSM utility spending is about 600
22 million net present value; and combined with the
23 customer, it's about 2.2 billion. So just to put
24 things into an order of magnitude of how much some of
25 the numbers have moved, the -- the DSM changes is -- is

1 massive.

2 Now, later on we're going to see that
3 despite that, it's had a big change on the -- the
4 Manitoba load and the underlying system. It's had a
5 surprisingly small change on the ordering of the plans
6 or the -- the decisions that -- that can be made today.

7 MR. ANTOINE HACAULT: Thank you. Would
8 it be appropriate to move to slide 21 now?

9 MR. PATRICK BOWMAN: Yeah. This is in
10 terms of the update for DSM, we were saying that in our
11 original evidence that it -- the lack of DSM being
12 fully explored in the original NFAT led to a degree of
13 concern, because it can lead to two (2) potential
14 problems, two (2) -- two (2) planning issues.

15 One (1) planning issue is that you might
16 make a decision, for example, between these the two (2)
17 paths, and then six (6) months, a year later, two (2)
18 years later, five (5) years later, you make assum --
19 make a change in your assumptions on DSM that would
20 have changed your decision earlier on, that you're led
21 to making the wrong decision on the development plan.
22 And that would be one (1) possible bad outcome of
23 failing to explore the DSM.

24 And the other one is that if you're
25 advocating DSM as a way for customers to save on bills

1 and to provide opportunities for people to upgrade
2 their homes and the like, if you're not careful you may
3 find, in the absence of proper information, that making
4 decision today on one (1) of those two (2) plans, you -
5 - you change or -- or obviate or even eliminate the --
6 not only the need, but the -- the potential for DSM in
7 the future. You -- you cut off your -- your DSM option
8 because you've saturated the system with this other
9 power, and you don't need the DSM anymore.

10 Those were our -- those were the two (2)
11 logical outcomes that can arise if you're -- if you're
12 busy planning the system without the DSM.

13 Based on what we knew in the original
14 NFAT, we had concluded it didn't appear to be the case.
15 It appeared that DSM would complement the plans, that
16 it would not compete with the plans. And in general,
17 that is underlined by the DSM we've seen, that the DSM
18 that's been proposed complements the plans. It differs
19 by plans. Some of them it helps more than others. And
20 the test is the -- is -- is of the type I described,
21 that DSM is best under plans that have relatively large
22 transmission and that are able to adjust the generation
23 and complement to deal with the DSM.

24 So Plan 5, Keeyask/750 has large
25 transmission, 750 megawatts of transmission. It only

1 has Keeyask. It doesn't have Conawapa being brought in
2 for a specific date. So as the numbers sit right now,
3 it does better with DSM, as we just talked about.

4 Keeyask/Conawapa/750, the Plan 14, the
5 Preferred Development Plan, is a little bit less
6 favourable to DSM because your DSM now is -- is having
7 to compete for space on the transmission to get to --
8 to get to the market, in -- in effect. There --
9 there's a lot of changes going on. It's always a
10 waterbed; different pieces move.

11 But -- but the end of the day, your --
12 your DSM becomes a somewhat less valuable resource.
13 It's still a good resource, somewhat less valuable,
14 which -- which goes to my earlier comment about whether
15 DSM competes. It still complements, it just doesn't
16 complement as well.

17 DR. HUGH GRANT: Could you -- could you
18 elaborate on that? Because I'm -- I'm missing the
19 intuition behind it a bit.

20 So how -- how does DSM interact with --
21 take two (2) of the plans, say 5 and 14 or so?

22 MR. PATRICK BOWMAN: Yeah, I would -- I
23 would tend to go ahead in the presentation. I think
24 it'll save us time later. So I -- I don't think it's
25 going to cause problems. But I would first go to slide

1 39 if we could.

2 Now, this is just to put one (1) thing
3 aside, which is -- I'll explain the graph in a minute,
4 but the conclusion is from a customer perspective the
5 DSM that's been proposed is in the numbers here equally
6 good, whichever plan you go on. How much the customer
7 invests and how much they save, okay?

8 And -- and all this -- this graph was
9 meant to show is the present value of what's invested
10 by customers as the blue lines. Increasingly dark blue
11 lines going up is your increasing levels of DSM. The
12 lightest blue line that ends about 200 million is based
13 -- I think Level 1 is -- is a fair bit higher, over a
14 billion by the time the scenario ends. Level 2 is up
15 over 1.5 billion. Level 3 is very close to that.

16 So the -- the customers are making
17 larger investments. What is the net benefit to the
18 customer? This -- for those investments ,you get to
19 the red line as the -- the net benefit. And the base
20 DSM, you'll see, is the lightest line ends the highest,
21 Level 1. Level 2 takes the -- the big jump down to
22 where -- where the net benefit is almost a billion
23 dollars present value. And then Level 3 is -- is the
24 lowest one (1). Customers are better off with Level 3
25 than they are with Level 2.

1 But from a customer's perspective it
2 doesn't matter which plan you're on. Okay? So I just
3 want to put -- put that aside first.

4 From the utility and -- and what is
5 effectively the overall ratepayer's perspective we
6 would go to -- let's start with slide 45. And now
7 we're back to that type of waterfall graph that was
8 showing what happens when you do DSM.

9 These are again seventy-eight (78) year
10 present values. We can do them over shorter time
11 frames if it's helpful, but this is Level 2 DSM, 437
12 million. You're going to see that number come up again
13 and again. That's what Hydro needs to invest in that
14 level of DSM to incent customers to do the -- the plans
15 they've talked about for Level 2.

16 In Plan 1, this is All Gas now we're
17 looking at. There's no def -- hydraulic to defer, but
18 you get a benefit from deferring thermal generation.
19 You get a little bit of benefits from differing
20 generation, outlet transmission, and capital tax and
21 fixed O&M by not having made that investment.

22 And then you get the benefit from extra
23 exports. They're not as large as we will eventually
24 see in some of the bigger plans. You have the adverse
25 impacts on Hydro's books and which ultimately means on

1 their ability to collect their revenue requirement of
2 lost domestic revenue. It is a big factor of DSM and
3 it needs to be tracked. It's very important because
4 it'll -- it -- it frames overall whether -- whether DSM
5 is -- is worthwhile.

6 This is not suggesting -- this isn't a
7 RIM test, but it is a revenue -- it does include
8 revenue in your overall -- what they call the PACT type
9 of test. Water rentals has a small effect. You save a
10 lot of thermal fuel. It's the biggest single benefit
11 under an All Gas Plan. You save a little bit of
12 purchase power, and you end with a net benefit of 727
13 million. So the -- so DSM under All Gas is actually
14 very -- a very -- if you're going to go an All Gas
15 route, you better do your DSM. Okay.

16 If anyone wants to ask questions about
17 this, I'm now going to walk you through the other four
18 (4) plans that we modelled.

19 THE CHAIRPERSON: Could you clarify
20 what GOT is?

21 MR. PATRICK BOWMAN: Generation outlet
22 transmission.

23 THE CHAIRPERSON: Okay.

24 MR. PATRICK BOWMAN: It's -- it's
25 tracked in a separate column, so we just reported it

1 here. It could mean hydro outlet transmission or -- or
2 thermal. That's the only reason we didn't build it
3 into the other numbers.

4 If you go to the next slide, this is
5 Plan 2 now. So this time we're -- we're building --
6 slide 46. We're building Keeyask when needed, no
7 transmission. So instead, you spend the -- the DSM --
8 I don't know if anyone can -- has -- has the paper copy
9 or kept their thumb in there. But in -- in this plan,
10 your big benefit is deferring Keeyask. Rather than in
11 2022, you end up building it in 2031 or whatever the
12 number comes out to. I have the -- the different
13 levels here.

14 You defer some thermal, you defer some
15 generation outlet transmission, you've got some extra
16 exports. Again, your lost domestic revenue is fairly
17 large. Water rentals. But you end us with 519 million
18 to benefit. So DSM is still good under Plan 2, right.
19 It com -- you know, it complements Plan 2. Not quite
20 as much as it complemented Plan 1.

21 The third scenario is the next page,
22 which is slide 47. This is going to Plan 5 now. We've
23 added a 750 megawatt transmission. And all of a sudden
24 you see the -- the huge change to what DSM is doing for
25 you. Now that we've built the 750 megawatt

1 transmission, the big thing DSM is doing is the
2 exports. This isn't using DSM to avoid building or to
3 avoid some fuel. This is taking DSM to market.

4 So this version, if we actually had
5 other scenarios, you -- my suspicion is you would find
6 this level of DSM is much more dependent on -- on
7 market prices. The other ones might have been more
8 dependent on gas prices, for example, because you need
9 -- need to deal with that.

10 But the -- the benefit here is that your
11 -- your DSM is -- it's not able to defer your hydraulic
12 generation, but it -- it goes to market and it helps
13 you avoid some thermal fuel and it helps you avoid some
14 purchase power, so you come up with a \$763 million
15 benefit.

16 Plan 14, which is the last one (1), 750
17 megawatt transmission line. This is slide 48 now. It
18 still has a big -- you know, same DSM, 437 million. It
19 allows -- it's now got some Conawapa deferral benefits,
20 which we didn't see in the previous version. It's
21 still got a lot of exports. The 750 line is still
22 helping you take it to -- to market. But you're --
23 you're not seeing the same benefits in the -- the
24 thermal, the water rental, the purchase power.

25 My recollection is -- well, the previous

1 slide was seven sixty-three (763). You see the DSM is
2 not of the same benefit here; it's only three eighty-
3 five (385). So it complements all the plans; it's
4 still worth while under all the plans. Where's it
5 better? It's better under the ones with the bigger
6 line and also the ones where you can -- you can both go
7 to market and help defer local generation. But the --
8 the line is all about getting it to market.

9 DR. HUGH GRANT: This isn't an
10 undertaking, but if this is a three (3) dimensional
11 graph for the sake of your counsel, and -- and, you
12 know, I'm thinking of if the other axis was time, is
13 there any general sort of summary comment you could
14 make on this? So in other words, when -- when -- I'm
15 thinking of, say, the Keeyask/Gas one you had and you
16 saw the -- the saved thermal fuel. That would sort of
17 be pushed out fairly far in the future, right?

18 But still, I'm not saying it's that
19 important. I'm just more interested in the timing of
20 some of the benefits.

21 MR. PATRICK BOWMAN: I -- I suspect it
22 -- it may be pushed out in the future. But I'll say
23 hold your right to ask that undertaking, because if --
24 if we get the time, I'll show you something later that
25 we did with waterfall graphs in respect of the -- the

1 financial case for the -- for the -- the Preferred Plan
2 and -- and for the other plans that does let us do it
3 through time. It animates them, actually.

4 And -- and it's -- we'll -- we'll jump
5 to that. It takes a few minutes to show it, but it --
6 it's -- we found it very helpful in understanding how
7 the different benefits arose when we finally got to the
8 point where we could say, What is it at each -- at each
9 point in time, so. So it's possible you might find
10 something like that helpful; if you like three (3)
11 dimensions.

12 DR. HUGH GRANT: Can you make it
13 interactive?

14

15 (BRIEF PAUSE)

16

17 MR. PATRICK BOWMAN: Actually, it is
18 interactive and that's why we would need to flip the
19 computers and -- and pull up a different program. But
20 -- and it's only in Excel, so I can even give you a
21 live copy if you want to play, but the -- I would note
22 -- Ms. Davies reminds me that this is also over base
23 DSM, it's not over no DSM. So we don't have a no DSM
24 scenario, but I think the no DSM, it's -- it's only
25 analytically interesting. It's -- it's only in --

1 analytically interesting. It's not relevant to
2 necessarily say, Was the first tranche of DSM relevant?
3 The first tranche is -- is incorporated.

4

5 (BRIEF PAUSE)

6

7 MR. PATRICK BOWMAN: So we were --
8 slide 21? I think we can probably jump forward to
9 slide 23, which is -- doesn't -- it won't take a whole
10 lot of time. We had a tenth here and some other
11 conclusions in our pre-filed testimony that I don't
12 think it's important to dwell on at this point.

13 But we did say, you know, given the
14 Board, in the last GRA, reviewed a proposal from Hydro
15 to cap participation in the DSM program, the
16 Curtailable Service Program, the Board only gave their
17 approval on an interim basis and said, We'll review it
18 again at the NFAT. I don't expect duration orders out
19 of this, but at the time we next get to a point where
20 you're issuing orders, I think we need to have -- have
21 that dealt with.

22 I also would suggest that the -- the
23 depreciation impacts, which I don't think is a matter
24 to decide today, but some of the approaches Hydro is
25 suggesting with respect to depreciation work against

1 large new plant.

2 I don't know that we need to spend much
3 more time on it than that, but the numbers that we've
4 seen to date in their financials still don't wrestle
5 with how much more ratepayers may have to pay in the
6 early years for things like Conawapa because of simply
7 a change in depreciation method, and that -- that could
8 be a -- a notable adverse impact.

9 I also -- just to weigh in on the topic,
10 I am -- I -- I haven't suggested any challenge to
11 Hydro's approach to the scenario analysis. I know some
12 people have talked about Monte Carlo modelling. The
13 Monte Carlo approaches have some real benefits. They
14 also come with some downsides. We saw Monte Carlo
15 modelling trying to be done to Hydro's system by the
16 Professors Kubursi and Magee that the Board retained in
17 the 2010 GRA, if I recall correctly.

18 And I think it may have highlighted some
19 of the reasons why that may be a inferior system for
20 modelling Hydro's approach, one (1) of the main ones
21 being Hydro's system is very complicated. It has lots
22 of overlapping variables. Monte Carlo simulations have
23 to be carefully designed if they're going to deal with
24 things that have dependent probabilities. They're not
25 all independent.

1 And -- and the other downside,
2 especially for a regulatory type forum, is it's very
3 hard to decipher and provide the evidentiary background
4 and -- and poke and prod and dig through Monte Carlo
5 simulations. So, for example, when -- when the
6 professors did Monte Carlo simulations, they would have
7 modelled Hydro's water rentals as one (1) -- one (1)
8 variable. They -- they also modelled Hydro's exports
9 as another variable.

10 And the Monte -- and we couldn't get
11 into the Monte Carlo to see whether they -- they had
12 design scenarios that had high water rentals and low
13 exports or low flows or something. Like -- like, you -
14 - you -- it's very hard to get back in. You have how
15 many thousands of lines of code if it -- if -- if it's
16 even retained. Often the system just dumps it, and all
17 it shows you is the final results.

18 So it's a -- it's -- it would be a very
19 challenging step in Hydro's planning, would be my
20 assertion, to get to that level, and I think it would
21 have some -- some definite downsides. So I -- I would
22 only make that comment for consideration.

23 The other one is that we expressed some
24 concern that Hydro may not show enough possible
25 variability in its load forecast with respect to

1 sensitivities in testing hydro balance. I think that's
2 been highlighted by some of the changes that have
3 occurred and that -- and as well as the -- the DSM
4 scenarios, that DSM always needs to be looked at two
5 (2) ways. One (1) is as a resource. The other is as a
6 change to your load forecast, and depending on the
7 situation, you can view it both ways, or you -- or you
8 need to view it one way versus the other.

9 And I think that it's highlighted that,
10 in respect of resource planning, some -- some further
11 outer scenarios on load forecast probably would have
12 been beneficial. I think we're -- we're better off now
13 with the pipeline assessment being included, because it
14 gives you an example of what could happen on the
15 upside.

16 And the last one I think that has
17 simplified is, you know, we were lamenting an inclusion
18 of DSM in the original filing to the -- the low level
19 it was because it eliminated the ability to think of
20 this as an overall integrated resource plan. It's
21 still -- but the -- it -- it took us a fair bit of time
22 to wrestle with whether we could work with the
23 information and acceptably access the plans without
24 that.

25 We now have it, so I think you've got

1 something here that is a lot more akin to an integrated
2 resource plan now, but at the same time, I think you
3 have something here that is a lot less needing an
4 integrated resource planning framework, because
5 primarily we're talking about an -- an opportunity-
6 based business case, and that's a fair bit different
7 than just thinking about, How am I going to plan my
8 system and meet my -- my own needs over the next five
9 (5), ten (10), fifteen (15) years?

10 It does take a different set of -- of
11 standards and way of thinking. So, I -- I haven't been
12 as critical of -- as -- of Hydro as failing to adopt an
13 integrated resource planning framework for this
14 hearing. It still is a, you know, it is a -- a
15 relatively suitable industry standard for the times
16 when, you know, if we go down an All Gas path, I would
17 certainly expect them to adopt the full suite of -- of
18 resource options in assessing where they go next.

19

20 CONTINUED BY MR. ANTOINE HACAULT:

21 MR. ANTOINE HACAULT: Mr. Bowman, might
22 it be appropriate for you to transition to
23 supplementary conclusions that have been added and
24 weren't part of your initial report, so we could move
25 to slide 25, I believe?

1 MR. PATRICK BOWMAN: Yes. I'm -- I'm
2 not sure there's much more to add here to things that
3 I've previously talked about, but I -- I wanted to go
4 right back to the bas -- basic planning concepts, first
5 principles of planning, which is the, you know, What do
6 you -- what do you know for sure out of everything
7 that's been -- been provided? Because all we know is
8 that there's a heck of a lot of uncertainty, and there
9 may be a feeling that in many respects, the uncertainty
10 has increased, because we've heard a lot more views, a
11 lot more -- more perspectives and things.

12 And it's -- it's my -- I don't know if
13 it's meant to be soothing or not, but this is all part
14 of a normal planning exercise. There -- uncertainty
15 doesn't -- doesn't always get resolved as you go
16 through it. This -- this is part of the life of
17 resource planning. As much as we want to crystalize
18 the -- the planning to a document, it's never
19 crystalized. It's a moving target.

20 But, inasmuch as all those things move,
21 if I have -- had to explain the core case to somebody
22 in, you know, in -- in five (5) minutes or less, it
23 would be -- some of the comments Dr. Grant even went
24 back to. Hydraulic resources have the advantage of
25 locking in your costs in a way. They are very

1 inflation protected to the extent inflation is a likely
2 future event.

3 To the extent that people will criticize
4 hydro plants for having very few employees, this is the
5 flip side of that, which is they are very well
6 protected against inflation, partially because they
7 have very few employees and very few commitments of
8 ongoing costs like that. So they tend to be protected
9 over the long term better than most other options.

10 The second thing is that the provincial
11 benefits are huge. The, you know, nineteen thousand
12 two-hundred (19,200) person years is the example that
13 Hydro cited that -- but we are dealing with something
14 that does have upside if you can make it work, and that
15 it doesn't obviate DSM. If anything, it complements
16 it.

17 The third thing is that I think we need
18 to -- an absolute building block, as much as we have a
19 debate about whether greenhouse gases or carbon will
20 have a price, there is a real pressure in respect of
21 greenhouse gases.

22 Price or no price, there will be non-
23 price aspects of which greenhouse gas regulations and -
24 - and expectations affect the market, and I'm -- the --
25 the environmental economist in me gets nervous when the

10111

1 true cost of carbon, as people would like to cite it,
2 gets pushed into the multiple accounts part as if it's
3 -- it's, you know, among these other externalities.

4 I don't see the prices that you see
5 about what the different scenarios adopt for what
6 carbon might be priced at in the market, but when you
7 go to what people say it really ought to be priced at,
8 it's a lot higher than -- than any of the numbers that
9 -- that I've seen people assuming in the market, and I
10 think that's -- that -- that's a real -- a real aspect
11 of this -- of this development that -- that we don't
12 want to lose sight of.

13 On the same time, and -- and also that I
14 think the -- the Scott Thomson example of the zero load
15 growth was -- was very helpful, and the extra piece
16 that it underlined for me was more the thought
17 experiment that if my load never grows, you've modelled
18 it there, but can't I achieve the same thing by doing
19 DSM? Spend money, but my load never grows. And -- and
20 can't that be an alternative to the plans?

21 And they could be an alternative to the
22 plans. There's no doubt about that, mostly because, I
23 think, the -- the plans don't easily meet the test of
24 need -- the core need for Manitoba, right?

25 But that doesn't eliminate the ability

1 to assess the plans as a sensible -- on a sensible
2 business case basis to still produce carbon-free
3 kilowatt hours. Your DSM kilowatt hours will be going
4 to a lower 'R' load. These carbon kilowatt hou -- of
5 carbon-free kilowatt hours will still be going to
6 supply North America load. There are still upside
7 benefits to that.

8 And if the plants stand on their own
9 even under no load growth, or even under extreme DSM
10 scenarios, then -- then that's a reason to -- to
11 continue the conversation even after a conclusion that
12 says, I don't need the project. I can do DSM.

13 MR. ANTOINE HACAULT: Mr. Bowman, just
14 on the issue of planning, could you provide some
15 observations on the process in this case versus the
16 approach in other jurisdictions?

17 MR. PATRICK BOWMAN: This was something
18 that Mr. Hacault found interesting when I walked him
19 through. We're taking on an extra difficult process
20 here because we're trying to both do resource planning
21 as well as project approval -- specific project
22 approval.

23 In most cases, when people set out a
24 fully regulated environment, they will separate those
25 two (2). Even an example of -- of, you know, British

1 Columbia, where you have a Crown, and when it's
2 operating properly, not under government directives,
3 which it frequently is, but there's two (2) steps.
4 There's a step that is a resource planning step, where
5 you look at imperfect information on a -- on a whole
6 bunch of options, but at least you try to determine,
7 What's important, what tests are we going to apply,
8 what directly, broadly, do we think we should go, what
9 types of portfolios do we want? And -- and a very wide
10 ranging and creative process is involved in that, and
11 our firm has been involved in BC's resource planning
12 process on -- on behalf of the -- one (1) of the
13 Aboriginal groups there. So we -- and in the middle of
14 that.

15 And it takes a while. It involves a lot
16 of consultation the way they do it. It also involves a
17 regulatory process, but it doesn't necessarily conclude
18 what you're going to build. It just concludes, What
19 direction should be broadly be going?

20 Then the utility does its homework and
21 brings back, And here's -- here's my proposal for what
22 I'm going to build. And they need good information on
23 that, because you need to pass the test. Should I put
24 a shovel in the ground? And they're two (2) separate
25 processes that require two (2) separate sets of

1 thinking.

2 This process has to jump back and forth
3 a bit, because we're -- in one (1) sense, we're doing
4 broad planning. In the other sense, we're trying to
5 wrestle with a very specific -- a -- a very specific
6 resource. And I think that's -- that's raised the bar
7 on the -- the challenge of -- of this proceeding, but
8 we -- we are where we are.

9 MR. ANTOINE HACAULT: Thank you. Could
10 you deal with the last bullet here, Conawapa/Ontario
11 example? And then I think we can move on to the next
12 slides.

13 MR. PATRICK BOWMAN: This is -- this is
14 one (1) of the anecdotes Ms. Davies allowed me to slip
15 in. She deleted a few of my others. I used this as
16 probably one (1) of my better examples of resource
17 planning and why it's very difficult, and why we need
18 to be -- you need to understand the horizons that
19 you're dealing with.

20 When I -- you know, as a Manitoban, I
21 remember -- I -- I remember Limestone being built. I
22 remember Conawapa being in the news. I wasn't at the
23 1990 hearing, but out of that, you know, Manitoba and
24 Ontario had a deal to build Conawapa, build
25 transmission, sell -- make a substantial sale to

1 Ontario well in advance of when Conawapa was being
2 built, obviously, and deliveries were going to start,
3 by my recollection, sometime around the year 2000.
4 This Board had the hearing in 1990.

5 Shortly after that, Ontario walked away.
6 They were in a recession. They were rethinking how
7 they did power planning. They had decided they didn't
8 need Conawapa and it cost them a lot of money to do
9 that. So I don't know the date, but early '90s.

10 Now, as I -- as I highlighted, I started
11 in this business in '98, and one (1) of the acute in --
12 issues in this business at that time and into 2000,
13 2001, and 2002, was Ontario's shortage of power. So in
14 1990, the early 1990s, they made a decision to walk
15 away from a thousand megawatts that would have come
16 online in 2000, and then by the late 1990s, their
17 nuclear plants weren't performing the way they wanted.
18 They started ramping up the coal plants. They started
19 getting -- people remember the Toronto air quality
20 warnings of the late '90s, the -- the inquiries before
21 the legislative committees, commitments out of
22 different politicians to -- to shut down the coal
23 plants.

24 And all of that would have happened in a
25 context where there would have been a thousand

1 megawatts ahead if they hadn't made a decision in the
2 early '90s to say, Wait, we're moving in this direction
3 now, we want to change what we're doing.

4 And it's -- it's my caution about
5 letting, you know, what you know now and -- and near-
6 term assumptions that the trend is going to continue
7 lead to the decisions you're going to make that affect
8 decades.

9 MR. ANTOINE HACAULT: So that -- is it
10 your point then, Mr. Bowman, that optionality and
11 keeping options open is very important in -- in the
12 decision making process that we have here on paths?

13 MR. PATRICK BOWMAN: Yes, but it's also
14 the -- it -- it's the what -- of what I've learned or
15 what I know or what is facing me as facts, are they
16 current facts or are they enduring facts? And how do
17 you make sense of that? And I think a lot of the
18 things that people will say, like, you know, the US
19 market is down, that, you know, the -- the industries
20 has dropped off or they're -- they're in recession.
21 I'm not looking at those as enduring facts. I think
22 you want to be cautious about using those as -- as
23 enduring facts.

24 Figure out which topic goes in which --
25 which box, of course, is very hard, fracking being a

1 very good example, and prices of natural gas. Your --
2 I don't see the prices that you see about what people
3 are assuming on natural gas, but I do see things like
4 the Energy Information Administration in the US, who is
5 -- has a bit of a reputation for taking today's price
6 and drawing a fairly straight line, to the point that
7 BC Hydro even wrote a rebuttal to them criticizing
8 their -- their forecasting approach in their resource
9 plan.

10 So pretty low natural gas prices, four
11 (4), five (5), six dollars (\$6) a gigajoule enduring.
12 Well, when diesel is a dollar a litre, it's worth about
13 thirty dollars (\$30) a gigajoule is my recollection.
14 So if you really think natural gas is going to stay at
15 five (5), six dollars (\$6) a gigajoule and diesel's
16 going to stay at thirty dollars (\$30) a gigajoule or --
17 that's if it's a dollar a litre -- and that that gap is
18 going to persist and you're not going to see a market
19 response over time, then I think -- I think there needs
20 to be some thought about whether this will be the next
21 story that people say, Oh, we should have all seen that
22 one coming, because every train and every bus and every
23 truck and every mining -- piece of mining equipment
24 that's burning thirty dollar (\$30) gigajoule diesel and
25 has an option to go to -- go to something like a

1 liquified natural gas at five dollars (\$5) a gigajoule
2 to purchase a product and maybe another four (4) or
3 five (5) to liquify it, so you're up to ten (10).

4 Those are transitions that if gas stays
5 at the level, that people better be pricing into their
6 -- their forecast. And if they're not, some day maybe
7 they'll call that the next black swan, I'm -- I'm not
8 sure. But it -- it goes to the question of what --
9 what can you rely on and -- and what do you know for
10 sure.

11 MR. ANTOINE HACAULT: Thank you very
12 much for that, Mr. Bowman. I'm mindful of the time.
13 And I think a lot of the next slides we can deal with
14 fairly quickly. If we move to slide 26.

15 MR. PATRICK BOWMAN: This was a
16 supplementary conclusion about load growth. I think
17 I've talked about most of this. I said there's been a
18 lot of talk in the hearing about could our load growth
19 be lower. I'm not sure there's been sufficient
20 recognition that there are other things that could
21 suggest our load growth could be higher.

22 Disruptive technologies on the load side
23 go both ways. Certainly there's been disruptive
24 technologies in terms of LED lighting, but again,
25 anecdote again. I'm in the middle of replacing a

1 heating system in my house that involves hydronic
2 liquid, you know, boiler. And my contractor asked me
3 if we wanted to up-size it a bit because it seems to be
4 a thing people are doing to be able to add driveway
5 snow melt heating to their driveways and sidewalks.

6 So I don't know where technologies are
7 going, but it's not always -- it's not always down.

8 MR. ANTOINE HACAULT: In the middle of
9 the slide you make a point about sensitivity. And
10 that's been a theme in my cross-examination of the
11 sensitivities.

12 What's your comment on whether or not we
13 look at this from a sensitivity point of view?

14 MR. PATRICK BOWMAN: All I'm saying is
15 don't -- when you look at the graphs that Hydro's
16 produced, don't ignore the pipeline case. And -- and I
17 think in a proper planning context -- I'm sure it's in
18 Hydro's building; I don't know if it was before you --
19 is, what does the world look like if -- if the
20 surprises on the load are not on the low side because
21 they're -- they -- they could be -- could be on the
22 high side as well.

23 MR. ANTOINE HACAULT: Okay.

24 MR. PATRICK BOWMAN: That's all.

25 MR. ANTOINE HACAULT: Perhaps we can

1 move to slide 27. The issue is increased exports.

2 Could you comment on that, sir?

3 MR. PATRICK BOWMAN: Increased imports.

4 MR. ANTOINE HACAULT: Imports, sorry.

5 MR. PATRICK BOWMAN: Yes, this is a --

6 this is a -- a discussion that I've heard occurring in

7 the hearing and with La Capra's evidence. We didn't

8 have La Capra's evidence at the time we prepared ours.

9 So I -- I didn't have originally a comment on this.

10 But I wanted to highlight for the Board that La Capra

11 has brought some very interesting perspectives on

12 whether you could do more with imports.

13 But I think the situation is somewhat

14 more complicated than has made it onto the record.

15 There's been some information people provided that

16 planning is different than operating. And in an

17 operating context, of course we'll take all the imports

18 that are available. And that -- and that's true, and -

19 - and I think it should be recognized. But even in a

20 planning context there are two (2) ways that one looks

21 at the power resources available.

22 One (1) answers the question, When do I

23 need to build? And the second answers the question,

24 What should I build? My understanding of La Capra's

25 cases takes Hydro's criteria and relea -- relieves them

1 for both of those questions. It says, I'm going to
2 change my planning assumptions, with the stroke of a
3 pen change my -- my criteria, policy, that changes when
4 I need to build something and also changes how I do an
5 assessment of what I should build at that time.

6 We've heard a lot about Hydro's
7 criteria, the only -- you take the -- the lesser of
8 what you could import off peak versus -- or the 10
9 percent of Manitoba's load, add to that your exports,
10 that's your maximum import that you can rely on. That
11 is only true for the, When do I need to build something
12 question. And -- and I'd encourage -- I'm going to try
13 to do a small job on this. If you're interested in it,
14 I encourage you to follow up with Hydro with it because
15 it's a lot more complicated than the record reflects.

16 In making that decision about, When do I
17 need to build, under most of the scenarios you will see
18 in front of you, it is not the 10 percent of Manitoba
19 load criteria that is being triggered. It is the off-
20 peak criteria that's being triggered. Hydro has
21 already assumed, in terms of deciding when it needs to
22 build and when it has enough energy, that it has
23 maximized the imports off peak, plus the export load.
24 Or, sorry, I apologize, just to maximize the off peak.

25 And I would strongly recommend that that

1 criteria not be departed from lightly, if at all,
2 because yielding on that criteria is the decision about
3 the lights going out. It's a decision -- and not --
4 not for short periods of time. It's a decision about
5 not having enough power for an entire winter.

6 Having done that run and concluded when
7 you need to build something, Hydro then does another
8 run of its SPLASH system that says, What's the best
9 thing to build? All right. What they call the
10 production costing run. In that production costing
11 run, they don't stick to the same import criteria.
12 They release -- relieve them already. They add another
13 1,100 gigawatt hours of imports available to you in
14 deciding what you're going to build. All right.

15 So when you're looking at Plan 1 versus
16 Plan 14, it already assumes Plan 1 can it -- cannot
17 just import to level of criteria, but it can import
18 another eleven hundred (1,100) a year. And so there --
19 there is a fair bit more relaxed imports with respect
20 to that economic analysis run. It's not unlimited, but
21 it -- but it does take into account more of what would
22 occur in an operating time frame.

23 It may be that Hydro should run some
24 scenarios around that eleven hundred (1,100) and see
25 whether it changes the plan you want to build. It may

1 be a reasonable thing to test. My understanding is
2 eleven hundred (1,100) is a number that starts to skew
3 your system. If you go much more than eleven hundred
4 (1,100), you use the system differently.

5 You -- the first eleven hundred (1,100)
6 is relatively backed by a counterparty related to the
7 diversity. You go much more than that and you're
8 having to assume that you'll find somebody on peak.
9 And the other thing about this is if it's -- it's going
10 to affect your economic analysis. It's not going to
11 change that fundamental question of, When do I need the
12 kilowatt hours. So it can be an analytical exercise
13 without chan -- without being a physical risk -- change
14 in our risk profile.

15 And I -- I think those two (2) need to
16 be separated. And it's very important if someone wants
17 to think about changing import criteria that they pay
18 attention to both of those.

19 MR. ANTOINE HACAULT: Thank you, Mr.
20 Bowman. Sorry to interrupt. Could you move to the
21 next slide, 28, on the test to apply to DSM. There's
22 been quite a bit of discussion about those tests.

23 So if you could deal with that issue
24 please?

25 MR. PATRICK BOWMAN: Yeah, I won't

1 spend a whole bunch of time here, but there's been some
2 comments that the total resource cost is an industry
3 standard test. I generally agree most people will
4 apply a -- a TRC type of test. It has some downsides,
5 and even people who advocate the test recognize the
6 downsides. You'll see as we go through this later on,
7 we've spent our time focussing on customer perspective
8 and the Hydro perspective. A TRC test tries to do them
9 combined.

10 And the limitation of the TRC test is
11 you're trying to look at the total cost to society --
12 Hydro plus the customer -- and the total benefits to
13 society. But there's a very bad habit of saying the
14 benefits to society are what happens to the hydro
15 system. It completely either ignores, or if it
16 includes it includes on a very speculative basis, what
17 about the benefits that the customer gets that aren't
18 related to your -- your hydro system or the kilowatt
19 hours?

20 Like people side would increase home
21 comfort, for example. You -- if you upgrade your
22 windows, it's not just to save energy; it's so you
23 don't have drafts. And it's very hard to capture that.

24 The other thing that's even less
25 tangible is -- is altruistic reasons on a customer

1 side. Our customers think lots of investments in green
2 technologies that are economically justified. All
3 you're trying to do is -- with TRC is test if it's
4 economically justified, and you're going to miss a
5 window of -- of opportunity for people to do more
6 altruistic things.

7 I -- I -- my -- our encouragement is
8 that in respect of any given day, any type of DSM,
9 first look at a -- a RIM test. RIM is the win-win
10 test. It's really easy. If you can design a DSM
11 program that passes a RIM test, it's win-win. The
12 participating customer benefits in terms of their
13 utility bills and the non-participating customers
14 benefit in terms of lower utility bills. Those should
15 be very easy to sale through. Almost always proceed.

16 Beyond that, something like the program
17 administrator cost test, which is effectively the Hydro
18 view, is really where you need to focus your efforts
19 because you don't want to be cutting yourself off from
20 -- first of all, because you need to consider revenue
21 impacts which should be included in that.

22 And, second of all, because you don't
23 want to be cutting yourself off from actions --
24 supporting actions that customers may want to do on
25 their own for other reasons, even if they don't --

1 aren't economically justified in your mind.

2 MR. ANTOINE HACAULT: Thank you. Now,
3 could you deal with slide 29, being the discount rate
4 views that have been expressed in this hearing?

5 MR. PATRICK BOWMAN: Yes. I -- we made
6 some comments about Hydro's very low discount rate
7 they've suggested to be using for customer benefits. I
8 didn't use that discount rate. We did use it as our
9 low scenario just to -- so that the information was
10 available. We did not use it as our -- as our
11 reference or -- or our high.

12 I think it's -- based on -- in part on
13 the literature Hydro shared, it's -- using a rate that
14 is based on a real return on risk-free savings to the
15 customer has some analytical basis. It probably is not
16 appropriate in this instance where customers are paying
17 higher bills at one (1) point in time in order to have
18 lower bills at another point in time. You're not
19 trying to capture a social cost there. You're trying
20 to capture effectively a business case for the
21 customer, is what you ought to be doing.

22 It's exactly what Hydro did in the
23 Wuskwatim hearing; they used a -- a discount rate of a
24 higher range, around the 5 percent type of level. It's
25 what we've recommended here, and I -- I don't think the

1 -- the one point eight-six (1.86) -- I don't think the
2 -- the analysis starts and ends with the 1.86 percent
3 rate.

4 And some of the arguments they've been
5 putting forward to it that using anything higher would
6 double-cost -- or double -- double-count the equity
7 returns or that it throws future customers under the
8 bus or that it -- the entire -- that you'd be -- I
9 guess it's the same double counting point, that using -
10 - we've already included a cost of equity and we've
11 already included risk in our -- in our scenario, so we
12 should go to this very, very low real rate because it's
13 risk free. It's the -- it's the same as what the world
14 is doing by investing in T-bills.

15 And I don't think that's a relevant
16 measure when you're asking businesses, residents, all
17 sorts of -- of people to -- to -- that it's -- what do
18 they call it -- our turn to invest when you're asking
19 for that type of -- of participation in the plan.

20 MR. ANTOINE HACAULT: What's the
21 advantage or disadvantage of doing what you did, sir,
22 of testing the high and the low around the 5.05
23 percent?

24 What insight does that give us?

25 MR. PATRICK BOWMAN: Well, it's -- it's

1 only because there's lots of perspectives, even among
2 the literature that is -- was distributed by Hydro.
3 There's lots of different perspectives, and -- and so
4 it's worthwhile knowing whether -- whether this --
5 whether any of your decisions turn on this issue or
6 not.

7 And frankly, even if we look at Hydro's
8 1.86 percent real, which is part of the reason I call
9 this a tempest in a teapot, we wouldn't come to any
10 different conclusion in any event than the five point
11 o-five (5.05) we used, mostly because it takes an
12 extraordinarily long period of time for the -- the
13 rates -- the higher rates that are paid to ever turn
14 around, even under a 1.86 percent real. And I can take
15 you to an IR that shows that, if you like.

16 But -- but I think -- I think if -- if
17 the Board is doing that, it needs to make a decision on
18 this and figure out which rate is right or -- or that
19 somehow its decision turns on it. Then I would
20 encourage you to -- to, you know, not -- not be
21 burdened by that -- by that decision. Okay?

22 MR. ANTOINE HACAULT: Could we deal
23 with slide 30? There's been another discussion of
24 another value added to the graphs that we've seen, and
25 the graph appears on the next slide, 31, embedded

1 equity issue.

2 MR. PATRICK BOWMAN: Yes, I -- this is
3 a new concept that was introduced rather late in the
4 process by Manitoba Hydro. It's -- it's mostly just an
5 analytic revision to the way that they present the
6 economics. The premise is that they're reflecting a
7 weighted average cost of capital of a hundred percent
8 debt, and it's not entirely unreasonable to use that
9 premise, because if you're trying to reflect a weighted
10 average cost of capital, the cost of capital financing
11 these projects is primarily going to be a hundred
12 percent debt for a heck of a long time. They're no --
13 there's no equity investors. No one's putting up money
14 from the outset.

15 So from that perspective, it's not that
16 it's -- that it -- it -- that it should be dismissed
17 right away. I wouldn't encourage anyone to use it as
18 their primary test, or to -- to not make the
19 distinction, but I don't think that's what Hydro has
20 done. They've added another bar. They've said it's
21 informative, and I -- I think it is informative.

22 I think part of the distraction is it's
23 really poorly named. It's not reflecting a return on
24 equity. That -- for that, you need to really turn to
25 the financials.

1 And it's not only Manitoba Hydro.

2 Frankly, there's some BC Hydro -- BCUC cases where the
3 BCUC has encouraged BC Hydro to do some analysis on
4 this basis. I'm not entirely versed on it, but I have
5 seen it in some decisions years ago.

6 I don't think -- I -- I want to
7 underline it's not -- it -- it can't be the be-all and
8 end-all, because a project that passes that test is
9 only saying it's marginally better than the alternative
10 if your sum total returns required for -- a sum total
11 cost of money is a hundred percent debt. And it's not.
12 We know that.

13 We know that there is -- well, we know
14 that there is First Nations investors involved that
15 will carve out some of that benefit. Not a lot, but
16 some. We know that there is a need to put aside
17 reserves for other projects. We know that there is a
18 net income required on Hydro's part. So I -- that's
19 why I say, it -- use is fine. Overuse would probably
20 be a -- I'd be careful about what it -- what it means.

21 MR. ANTOINE HACAULT: Could we flip to
22 slide 32? And I don't -- I'm not too sure when we want
23 to take a break, but I -- we're moving along fairly
24 quickly in the slides, and there's quite of few them,
25 actually, we had referenced as a result of questions of

1 the Board, so.

2 MR. PATRICK BOWMAN: The -- the next
3 slide, 31, was a just to show the -- the graph that I'm
4 talking about, the embedded equity with the light blue
5 part which is very beneficial to the big projects. And
6 -- and I think it's -- it's valid to say there's
7 something else there on the very big projects, but you
8 have to be careful about what it -- what conclusion it
9 gives you.

10 Thirty-two (32) was just to say we had
11 cited in our pre -- our pre-filed testimony that having
12 customers pay higher rates for a project, a new base
13 load project that promises lower rates over time. I've
14 seen that used a number of times, that type of
15 argument. It's okay to pay higher rates. It'll turn
16 around on you.

17 Usually in the context of -- I put three
18 (3) to seven (7), possibly nine (9) years, that type of
19 horizon. If your -- if your -- your rate -- if your
20 project isn't turning around in that type of horizon,
21 it's very hard to get a regulatory approval with it.

22 And we gave a number of examples. Hydro
23 disputed those in -- in its rebuttal evidence, and we
24 have no factual -- I have no factual debate with what
25 Hydro presented. They basically say, First of all,

1 it's not comparing two (2) plans that -- the examples
2 we cited. It's comparing a -- a original plan with an
3 advancement, which, in some cases, that's true.

4 The second they say is that in many
5 cases, these are plans that were helped by government
6 decisions, which is true.

7 And the third is that in many cases,
8 they're projects that were -- were compared against the
9 very high cost baselines like oil generation in -- in
10 Newfoundland, for example, and that's true.

11 But the inclusion of it fundamentally
12 goes to the point that was the experience I was talking
13 about before. You're always assessing a project
14 against its next best alternative. Wuskwatim was
15 assessed against its next best alternative, which was
16 Wuskwatim at a later date. It wasn't advancement
17 assessment.

18 The -- the BC examples that we gave were
19 advancement assessments. Many of the times you're
20 doing advancement assessments, that's fine. It's still
21 always comparing to your next best alternative. Pay
22 higher rates now to get lower rates later, then you're
23 next best alternative. That's the -- that's the
24 argument.

25 And specifically on the government

1 point, this is exactly why we raised the point was to
2 say some of these projects do have a good seventy-eight
3 (78) year, fifty (50) year, eighty (80) year economic
4 pro -- profile, but they do not have a turnaround point
5 that gets into this type of range.

6 And that's where governments have
7 stepped in to play a role, including -- anecdote --
8 including, in Manitoba, with respect to the first
9 decision to go north, where the government of Canada
10 owned and financed the -- the Bipole lines.

11 I don't have the numbers as to how that
12 worked out on the rates side, but that wouldn't have
13 happened without the Government of Canada stepping in
14 to play its role on Bipole. And Mayo B wouldn't have
15 happened without the government stepping in to -- and
16 want to subsidize -- but also, the bigger part, provide
17 some flexible financing, which has been used a few
18 different times.

19 Muskrat Falls, the Newfoundland
20 government is -- is going to be dealing with the -- the
21 rate aspects of that and -- and absorbing some of the
22 early years' impacts on -- on island ratepayers, as we
23 understand it. So it's -- in fairness, it's a moving
24 target.

25 So we were raising it in part to say

1 exact -- this is that -- that exact point, that if you
2 cant get it to that -- that type of horizon or -- or
3 something thereabouts, that is a reason for -- for you
4 to seek out support.

5 MR. ANTOINE HACAULT: Slide 33, I
6 believe you've largely dealt with, Mr. Bowman, that it
7 isn't a -- a decision necessarily that we have to make
8 today that Conawapa never...

9 MR. PATRICK BOWMAN: Well, it does, but
10 I -- I might -- to cut off -- debate -- I might take us
11 to slide 58, which I think will cut off time off later
12 to make this point.

13 This is the graph of -- this is Hydro's
14 graph of -- of the cumulative rate impacts under the
15 new -- latest DSM 2 of each plan. And blue is the
16 Preferred Development Plan, which shows you, in the
17 long-term, you have these -- the -- the best rates of -
18 - of the bunch. Red is -- is Plan 5, which has
19 Keeyask/Gas, and green is All Gas.

20 And I'm only highlighting this to say,
21 yes, there are clearly Preferred Development Plan
22 benefits after year 2041 in this -- 2043 or
23 thereabouts, but it's only because it's assuming that
24 when you make that decision on gas today, you stay on
25 gas forever.

1 It doesn't have gas, gas, gas, Conawapa.
2 The -- we don't have those type of scenarios. And I
3 don't fault Hydro for that, but I -- I think that's one
4 (1) of the reasons we -- sort of cautious with those --
5 those far right-hand ends of the lines.

6 MR. ANTOINE HACAULT: Thank you. We're
7 moving to the pathways and slide 35. I think you've
8 dealt with that to a large extent -- the bedroom and
9 apartment block across town, and the slide 36, which is
10 represented by --

11 THE CHAIRPERSON: Mr. Hacault, we're
12 getting into a -- a -- I'm concerned about the time
13 here, and you're getting into an area I think that's
14 going to require a fair amount of time, and so I --
15 probably at best that we recess now, and we've got a
16 way to manage the amount of time that's available
17 today.

18 We can -- we can work till 6:00, but
19 we're not prepared to go beyond that --

20 MR. ANTOINE HACAULT: Yeah.

21 THE CHAIRPERSON: -- and our preference
22 would be not to sit tomorrow morning --

23 MR. ANTOINE HACAULT: Mine too.

24 THE CHAIRPERSON: -- so we'll have to
25 ask counsels to caucus and figure out how that we can

1 make this work, so why don't we adjourn now?

2 MR. ANTOINE HACAULT: I -- I think it
3 shouldn't take too much longer to finish. We really
4 have to just try and explain the update on a financial
5 -- the supplementary evidence.

6 THE CHAIRPERSON: Mr. Williams, please.

7 MR. BYRON WILLIAMS: Excuse me, I have
8 a longer term request to get some guidance from the
9 Board. We're currently starting to devote a -- a lot
10 of our resources to preparing closing argument, which
11 we assume will be on May 15th, and it -- it would just
12 be helpful in the next couple of days if -- if that's
13 not going to be the -- the plan for any reason, to get
14 some guidance from the Board, because I have to make
15 some decisions on how we use staff, and how much time
16 they're spending on closing as compared to if there is
17 additional discussions with Hydro, so.

18 It's certainly -- we're at the -- we'll
19 -- we'll be ready for the 15th if the Board tells us to
20 be ready for the 15th, and it would just be helpful for
21 our resource planning to get some guidance in the next
22 day or two (2).

23 MS. MARLA BOYD: I might add, Mr.
24 Chair, that I had actually had an exchange with Mr.
25 Peters via email asking the same thing. My

1 understanding was that there would be an opportunity
2 for Manitoba Hydro to represent its rebuttal evidence,
3 as well. The finance and alternatives panel were to be
4 recalled, and that was one (1) of the days that we had,
5 at least, among counsel discussed, was the 15th of May.

6 So it will be important for our
7 witnesses also to know that they're going to be
8 expected to be back and speaking to those matters.

9 THE CHAIRPERSON: Mr. Peters, do you
10 want to address that, please?

11 MR. BOB PETERS: Yes, there are some
12 discussions happening offline, and we'll bring those to
13 the panel as soon as -- as soon as we can in terms of
14 final decisions. Thank you.

15 THE CHAIRPERSON: So with that, let's
16 agree that the discussion amongst counsel will have to
17 be pursued, and we'll wait for that to settle, and then
18 we would -- can -- provide guidance, and I think we
19 should adjourn for lunch. Me. Hacault, let's agree
20 that you will consult with Mr. Peters and see how we
21 can make the rest of the afternoon work.

22 So with that, let's break for lunch, and
23 we'll see each other -- there's a presenter at 12:45,
24 so the panel will sit at 12:45.

25

1 (WITNESS RETIRES)

2

3 --- Upon recessing at 12:10 p.m.

4 --- Upon resuming at 12:52 p.m.

5

6 THE CHAIRPERSON: Good afternoon. I
7 believe that we're ready to start the proceedings. So
8 I'd like to welcome our presenter, Mr. Benham, Donald
9 Benham. Are you speaking on your behalf or on behalf
10 of Winnipeg Harvest?

11

12 PRESENTATION BY WINNIPEG HARVEST:

13 MR. DONALD BENHAM: So thank you very
14 much, Mr. Chairperson. I'm the director of Hunger and
15 Poverty Awareness at Winnipeg Harvest. And so I was
16 tasked by a committee of our board to appear here
17 today.

18 Great. So thank you very much. So, Mr.
19 Chairperson, Board members, learned counsel, ladies and
20 gentlemen, Winnipeg Harvest thanks the Public Utilities
21 Board for inviting the public to address Manitoba
22 Hydro's future plans and for granting an extension to
23 the deadlines for submissions.

24 We also acknowledge and commend the
25 Board for working with the Consumers' Association of

1 Canada and the Manitoba Metis Federation to ensure the
2 voices of six (6) Manitoba Hydro consumers were heard
3 in this room. And we also acknowledge and thank the
4 Public Interest Law Centre for their continued interest
5 in these matters and for their continued relationship
6 with Winnipeg Harvest.

7 Dave Mouland, a volunteer at Winnipeg
8 Harvest who was on the panel, has also asked me to
9 thank you, to thank all the Board members for their
10 clear respect and their attentiveness to all panel
11 members, including Dave. Mr. Mouland was speaking and
12 made this clear -- was speaking in his capacity as an
13 individual. I have been tasked, as I said a moment
14 ago, by our board's Hunger and Poverty Awareness
15 Committee, which I work with, to present Winnipeg
16 Harvest's position.

17 Winnipeg Harvest will only address our
18 perception of how Manitoba Hydro's plans are likely to
19 affect low-income Manitobans, leaving it to others to
20 speak on the many other issues before this hearing.

21 Winnipeg Harvest, and this is part of
22 our mission statement, is a nonprofit community-based
23 organization that is a food distribution and training
24 centre. Our goals are to collect and share surplus
25 food with people who live with hunger and poverty and

1 to offer training opportunities to help people step up
2 and out of poverty.

3 Our ultimate goal is to eliminate the
4 need for food banks. We have adopted the interim goal
5 of reducing the need for food banks by half by 2020.
6 We work with more than three hundred and forty (340)
7 agencies across Winnipeg and across Manitoba to provide
8 emergency food assistance to people who need it.
9 Forty-seven (47) of those agencies are outside the City
10 of Winnipeg.

11 Reduced rate increases for low-income
12 Manitobans -- and I mentioned Dave Mouland a minute
13 ago. And I should say that this proposal we developed
14 in consultation with Dave Mouland as a member of our
15 Hunger and Poverty Awareness Committee. Manito -- and
16 which is very much in keeping with the philosophy of
17 Winnipeg Harvest to give our clients a voice.

18 Manitoba Hydro's current policy is to
19 charge consumers the same rates for the same amounts of
20 electricity no matter where they live in the province.
21 This policy was implemented by Manitoba Hydro at the
22 direction of the provincial government of the day and
23 is written right into the Manitoba Hydro Act.

24 This policy has two (2) important
25 consequences. Low-income ratepayers all over the

1 province pay the same Manitoba Hydro rates as high-
2 income ratepayers. The rates do not reflect ability to
3 pay.

4 And ratepayers in areas which are
5 cheaper to service for -- cheaper for Manitoba Hydro to
6 service, such as the City of Winnipeg, subsidize those
7 who live in rural, Northern, and remote communities.
8 The principle of cross-subsidization is thus already
9 well established.

10 Manitoba Hydro's current plan
11 anticipates continuing that policy of uniform rates
12 across the province. As a result, as rates are
13 increased low-income ratepayers will face exactly the
14 same cost increases as high-income ratepayers, but
15 without the financial ability to absorb the increases.

16 This will result in many more people
17 taking money out of their food budgets and needing food
18 assistance from Winnipeg Harvest and the agencies we
19 work with. And you're hearing from me sort of on a --
20 on a global scale and I think you heard that very, very
21 clearly from that panel that included Dave Mouland the
22 other day.

23 Excuse me. Winnipeg Harvest
24 acknowledges the efforts the Public Utilities Board has
25 already made to encourage savings for low-income

1 consumers through greater energy efficiency. And we
2 will return to that subject in a moment. Winnipeg
3 Harvest also acknowledges the research by retired
4 University of Winnipeg geography professor Tom Carter
5 into programs designed to help low-income consumers in
6 other jurisdictions. Many of them represented well
7 intended, but ill thought out plans that foundered
8 because they were based on faulty assumptions about
9 low-income consumers.

10 The members of the Hunger and Poverty
11 Awareness Team at Winnipeg Harvest include board
12 members, staff, and volunteers, some of whom have lived
13 or continue to live with hunger and poverty. We
14 respectfully ask the Public Utilities Board to consider
15 the following proposal.

16 First, that the Board order Manitoba
17 Hydro to raise rates by no more than 1 percent per year
18 for low-income ratepayers.

19 Secondly, ratepayers would apply to be
20 designated as low-income ratepayers.

21 Thirdly, ratepayers whose Hydro bills
22 are paid in full through a government program such as
23 Employment and Income Assistance would not be eligible
24 for this new designation.

25 Fourth, Manitoba Hydro could require

1 copies of the most recent year's income tax return of
2 the ratepayer and all other non-dependent adults in the
3 household. It's our understanding that this is already
4 a requirement under the Low Income Energy Efficiency
5 Program.

6 And finally, income levels to determine
7 eligibility for designation as a low-income ratepayer
8 would be based, we suggest, on the 2012 Acceptable
9 Living Level Report. So I'd now like to explain to you
10 a little bit about that, and I've had the offer to
11 actually display it for you as well. So we'll -- we'll
12 try that as well. I'll just give you a little bit of
13 the context.

14 So Winnipeg Harvest, in cooperation with
15 the Social Planning Council of Winnipeg, have worked
16 together since 1997 on producing the Acceptable Living
17 Level Report, the ALL Report, which measures how much
18 money is needed to buy basic necessities in Winnipeg.
19 The most recent Acceptable Living Level Report
20 published in 2012 is freely downloadable under the
21 'Learn' tab at winnipegharvest.org, and I have sent a
22 hard -- or sent a copy, an electronic copy, to the
23 Board. The 2012 edition also included valuable data
24 from Little Grand Rapids.

25 Winnipeg Harvest invites Public

1 Utilities Board members to read through the report, the
2 heart of which is this list of basic nece --
3 necessities which we'll just go through very briefly in
4 a moment, developed by a panel of Winnipeg Harvest
5 clients. And we say to you, as we say in the forward
6 to the report, ask yourselves on this list of basic
7 necessities that every family should have, ask
8 yourselves, What would I add? What would I take out?
9 But when you're doing so, you have to imagine that this
10 is for your family, not somebody else's family; not, oh
11 well, we need this, but poor people could do without it
12 because this is a list for everybody. This is the ALL
13 Report.

14 For instance, one (1) of the things
15 that's in there is -- is a birthday present. And we --
16 we simply ask everyone, Could you send your own child
17 to her friend's birthday party without a gift?

18 If you agree with the premise that all
19 Manitobans should be allowed to live with dignity and
20 have enough to eat, then we believe you must also
21 agree, or we ask you to agree with us, that it is your
22 duty as a public regulator to reduce the impact of the
23 rate increases on low-income Manitobans, the folks you
24 heard from the other day. Those living below, we
25 suggest, the income level set by the Acceptable Living

1 Level Report.

2 So if I could ask with some help getting
3 that up. And I'm not sure I see it coming up on a
4 screen. Oh, I see it coming up on a screen right here.

5 Okay. So, yeah. So what we did is we
6 work again in -- in -- very much in keeping with the
7 philosophy of Winnipeg Harvest. We work with our
8 volunteers, who are also clients, and we've gathered
9 together a -- a tab -- a panel of clients. And we
10 worked with them. And we said, Okay, what do people
11 need to live in Winnipeg? And they created this list.
12 This comes from our clients. Sometimes we'd say, Well,
13 what about this? What about that, we'd say. And they
14 would say, Don't add too much to this. We want to make
15 sure that this is -- this is credible.

16 So we start with food, of course, for a
17 family; and in this particular case, a family of three
18 (3), a mom with two (2) kids. And you can see -- and
19 we can scroll through this fairly quickly, but you can
20 see this is not a lot of luxury items. This is milk,
21 and some cheese, and some eggs, some ground beef, and
22 some chicken, and some tuna, and some bacon or
23 sausages. And if we can just scroll up through the
24 rest of the food, we won't concentrate on that. You
25 can see again some very basic staples here to keep

1 folks going, some potatoes, some vegetables. And that
2 is -- and then it's just that same diet, that same
3 list, right, month after month, or shopping list after
4 shopping list.

5 So if we can just scroll up to maybe the
6 next half of that page and we can show you that people
7 need shampoo, and razor, and toothpaste, and that kind
8 of thing. If we can keep going from there, we have two
9 (2) growing children. So we've got some runners and
10 we've got some play clothes, but not new ones every
11 year. You'll see -- over in the frequency you'll see
12 sometimes it'll say, Well, a new one (1) every two (2)
13 years, or every three (3) years, or even every four (4)
14 years. But people do need clothes. So if we can just
15 scroll up from there. And still some more clothes, but
16 again, some stuff that is -- is every three (3) or four
17 (4) years.

18 For shelter we often hear -- so -- and
19 if we can stop on there, pause there for a moment and
20 I'll tell you that that statistic -- because we
21 sometimes hear criticisms of other statistical measures
22 of poverty on the basis that they reflect housing
23 prices in Toronto and Vancouver. And there's some
24 truth to that. And so this I want to tell you is from
25 Canada Mortgage and Housing Association -- and

1 Corporation -- Canada Mortgage and Housing Corporation,
2 and it is the correct figure at the time that the
3 report was issued for the average rent for a three (3)
4 bedroom apartment in Winnipeg.

5 Healthcare, again, we can start to go
6 fairly quickly. We've got some cough syrup there and
7 some -- a little bit of life and disability insurance
8 and so on. We do have some financial risk factors in
9 here, but some very minimal ones.

10 Through childcare we do have a young
11 child and so we're assuming that this person can look
12 after the -- you know, needs childcare.

13 Transportation, only bus pass. Household operations,
14 again, some laundry soap and that kind of thing.

15 If we can keep going fairly quickly.
16 Education, we can skip through these. They're school
17 supplies, right. Our folks, our clients really have a
18 tough time in the fall with, you know, a hundred and
19 fifty (150) or two hundred dollar (\$200) hit for school
20 supplies. Now, Winnipeg Harvest does help its clients
21 with some of those things.

22 Basic telephone. And if we can keep
23 going, some more risk management items, some -- a bank
24 account, household furnishings. We can keep going.
25 Recreation and leisure includes going to a birthday

1 party now and again. And that's great. If we can just
2 go up to -- no, no, the next page. So we're going to
3 the totals per year. If you can just stop there.
4 Thank you.

5 And so the total, just thinking about
6 what it costs to buy those basic necessities for a
7 family of three (3), is thirty-eight thousand one
8 hundred and fifty-two dollars and forty-eight cents
9 (\$38,152.48) as of February 2012. Those are -- that's
10 shopping at stores in Winnipeg that are available to
11 folks in -- who -- who live in the inner city. So
12 that's a -- that's not taking account of income taxes
13 or goods and services taxes.

14 We would just make the point that for
15 our folks who are trying to put it together and -- and
16 feed their families and put a roof over their heads in
17 Winnipeg, I will now just compare. And if we could go
18 now to page 18. I will now just compare that list.
19 And again, as I said, you -- we went through that list
20 pretty quickly, but take your time with it and go
21 through it and you tell me if there's something on
22 there that every family doesn't deserve to live a
23 decent life in Winnipeg. Email me, tell me what's on
24 the list and why it should be taken off. But if we all
25 agree that's what families need, let's take a look at

1 how our families, the families at Winnipeg Harvest,
2 fare.

3 So we asked our families, What is your
4 source of income? And about 50 percent are on welfare.
5 That's pretty consistent. And I use the term 'welfare'
6 because that's the term they used, but Employment and
7 Income Assistance.

8 And so if you look at this graph you'll
9 see that that's the number -- you'll see that the --
10 the bar that we are trying to achieve is on the far
11 right side, and it represents the 2012 ALL, what is in
12 the report that we just went through, thirty-eight
13 thousand one hundred and fifty-two dollars (\$38,152).
14 And you can see that Employment and Income Assistance,
15 even including the federal benefits, amounts to twenty
16 thousand nine hundred and twenty-eight dollars
17 (\$20,928); essentially half.

18 So when that mom goes to the store to
19 buy bread and milk for her kids, for every dollar she
20 needs for bread and milk, she's got fifty (50) cents,
21 maybe fifty-two (52) or fifty-three (53) cents. Every
22 dollar. She never catches up. There's never another
23 fifty (50) cents thrown in from anywhere. So we think
24 that's a very serious shortage and that mother -- those
25 people will be -- if there on EIA, we'll get to that in

1 a minute, that's different.

2 Now let's look at the working poor. And
3 so about 12 to 15 percent of Winnipeg Harvest clients
4 consistently report that they are working, but they are
5 having difficulty feeding themselves and their
6 families. And so you can see that this mother -- and
7 this bar now on the far left. And you can see if that
8 mom has a full-time full-year minimum-wage job, she
9 will be earning twenty (20) -- which is very rare --
10 she will be earning twenty-nine thousand three hundred
11 and ten dollars (29,310) dollars. Again, an
12 improvement. But when she goes to the store now for
13 every dollar she needs, she has only about seventy-five
14 (75) cents.

15 So thank you very much for that. And so
16 that's -- we suggest that that is something to be taken
17 into account when think about what is low income in
18 Winnipeg.

19 Energy efficiency prevented by subsidy
20 rule, we thought that you folks should know about this.
21 This came to our attention directly from advocating for
22 our clients. Winnipeg Harvest acknowledges that low-
23 income Manitobans covered by the Employment and Income
24 Assistance program, also known as welfare, almost
25 always have their utility bills paid in full by the

1 province. They are thus largely protected form the
2 proposed rate increases and are not eligible for the
3 low-income ratepayer designation that we have proposed
4 earlier.

5 The Manitoba Hydro Act has been
6 interpreted by the province as prohibiting Manitoba
7 Hydro from subsidizing the provincial government by
8 reducing the rates for low-income ratepayers on
9 Employment and Income Assistance, or even indirectly by
10 reducing their bills through increased energy
11 efficiency.

12 And we have submitted to the -- to the
13 Board the circular -- the policy circular from Family
14 Services and Consumer Affairs from 2011 which made that
15 point. So it is in fact a government -- a Manitoba
16 Hydro policy that is reflected in government policy for
17 people on welfare.

18 Winnipeg Harvest points out and urges
19 the Board to take action on the unintended negative
20 effect this legal provision has on the program to
21 increase energy efficiency and reduce power costs
22 through conservation.

23 And finally, my committee members asked
24 me to address the question of reduced food harvesting.
25 Flooding, dams, and other disruptions of the

1 environment have negatively affected fishing, hunting,
2 and the gathering of natural foods and medicines,
3 mainly by indigenous peoples, for generations.

4 While Manitoba Hydro has reduced its
5 flooding plans over the years, a member of our board,
6 Lyna Hart, ask the members of this Board to reflect on
7 the continuing costs of past actions. Ms. Hart is the
8 Home and Community Care coordinator for the Southeast
9 Resource Development Council Corporation. In her
10 continuing work to reduce the toll taken by diabetes on
11 indigenous peoples, Ms. Hart is encouraging people to
12 plant gardens and eat vegetables. But fluctuating
13 water levels have so polluted the Churchill River, she
14 says,

15 "I wouldn't use water from the
16 Churchill River to water a garden."

17 Winnipeg Harvest urges the Public
18 Utilities Board to take into account the effect of
19 Manitoba Hydro's plans on people's ability to provide
20 their own food, especially in the rural and Northern
21 Manitoba context.

22 So thank you again for this opportunity
23 to present Winnipeg Harvest's view on food and income
24 issues arising from Manitoba Hydro's proposals. And if
25 I haven't taken too much time, I welcome any questions

1 or discussion you may have.

2 MS. MARILYN KAPITANY: Mr. Benham, you
3 mentioned in the Family Services and Consumer Affairs
4 circular that you would like to see the low-income
5 program cover recipients of EIA. So you also said the
6 that the province pays their Hydro bills.

7 So what benefit would you see to them
8 from being covered by this program?

9 MR. DONALD BENHAM: I just think it's,
10 you know, good for the -- I mean, I was asked by my
11 committee not to get into environmental questions, but
12 I just think it's clearly a good thing to conserve
13 energy and so on.

14 In a lot of cases -- you know, Dave was
15 here and talked very openly about his home. I mean, a
16 whole lot of electric heat just escapes. And he's not
17 on welfare, so that's not fair. But it -- there are a
18 lot of cases where people -- where repairs aren't made
19 and heat just escapes into the atmosphere for no reason
20 other than, you know, a -- a relatively simple repair
21 has not been undertaken.

22 And so it's just bad for people's
23 health, it's bad for their morale, and so on. So -- so
24 those are the things we would say; it's just important
25 in terms of their living conditions. And also I guess

1 it would be a matter of social inclusion, as well,
2 right. People on welfare are excluded from so much, so
3 here it's very obvious when you go to their homes and
4 they're things that need repair and it's all drafty and
5 so on. It's -- it's bad socially, as well.

6 MS. MARILYN KAPITANY: That helps,
7 thanks.

8 MR. DONALD BENHAM: Thank you.

9

10 (BRIEF PAUSE)

11

12 DR. HUGH GRANT: I'm just wondering do
13 you think that it would best addressed through some
14 sort of lower rate, or would it be administratively
15 cheaper to handle it through, say, an income tax
16 credit?

17 MR. DONALD BENHAM: There may be a
18 variety of ways that the -- the Board wishes to
19 consider. We just thought that if we were coming
20 before you, we should make a suggestion.

21 And so -- so I -- I would make the
22 distinction. We aren't actually ask -- we're -- we're
23 asking, I guess, for lower rates over time. We --
24 we're saying we're -- we accept the fact that the rates
25 are the same as of today, but going ahead, we would ask

1 for lower rate increases, which of course, would mean
2 different rates over time, yes.

3 DR. HUGH GRANT: And -- and the one --

4 MR. DONALD BENHAM: But -- but there
5 may be -- oh, sorry. There may be other things to
6 consider. I -- I would just throw in here that Dr.
7 Evelyn Forget of the Faculty of Medicine at the
8 University of Manitoba has done research into the
9 Guaranteed Annual Income Program, right?

10 That may be too ambitious for this Board
11 to consider, but there are lots of alternatives in
12 terms of how we can make things better for low income
13 folks.

14 DR. HUGH GRANT: Thanks.

15 MR. DONALD BENHAM: But I'm sorry, I
16 didn't mean to cut you off if you were about to say
17 something else.

18 DR. HUGH GRANT: No, it was a minor
19 footnote.

20 MR. DONALD BENHAM: By all means.

21 DR. HUGH GRANT: That's okay.

22 MR. DONALD BENHAM: Okay, well, I --
23 I'm sorry if I talked over you. I apologize.

24 THE CHAIRPERSON: I think that's all
25 the questions the panel has for today, so thank you

1 very much for taking the time and trouble to appear
2 before us and for the presentation you've prepared.

3 And thanks on behalf of the panel for
4 the great work that your organization does in the
5 community. So thank you for your comments.

6 MR. DONALD BENHAM: Great. Thank you
7 very much, thank you everybody.

8

9 --- Upon recessing at 1:11 p.m.

10 --- Upon resuming at 1:15 p.m.

11

12 THE CHAIRPERSON: I believe that we can
13 resume with the proceedings, and I -- I've just noticed
14 there was lots of paper being handed out. I wonder if
15 we should put the documents on the record, and then
16 continue after that.

17 MS. MARLA BOYD: Thank you, Mr. Chair.
18 Our gift to you for a week of reading is the financial
19 evaluations that I referred to yesterday that have been
20 filed, and -- and I'm pleased to say that we have what
21 Mr. Peters colloquially called the whole shebang, so.

22 So here you have the financial DSM
23 analysis for Plans 2, Plan 6, Plan 4, Plan 12, Plan 1
24 with the potential pipeline load, Plan 5 with the
25 potential pipeline load, and Plan 14 with the potential

10157

1 pipeline load. So -- so I believe that's all of the
2 information that you were waiting for in terms of the
3 list that you provided, and we have proposed that that
4 be marked as Manitoba Hydro Exhibit 104-12-5.

5

6 --- EXHIBIT NO. MH-104-5: Financial DSM analysis for
7 Plan 2, Plan 6, Plan 4,
8 Plan 12, Plan 1 with the
9 potential pipeline load,
10 Plan 5 with the potential
11 pipeline load, and Plan 14
12 with the potential pipeline
13 load

14

15 MS. MARLA BOYD: The other item that is
16 there is Manitoba Hydro Exhibit 190 revised. I am
17 advised that it has been revised because the third
18 paragraph contained a reference to an exhibit number
19 which was incorrect. So the information will look
20 generally familiar with what you had, although there's
21 been a small correction in terms of the exhibit number
22 referenced. Thank you.

23

24 --- EXHIBIT NO. MH-190: Revision

25

1 THE CHAIRPERSON: Thank you for that.

2 I believe that we can continue with Mr. Bowman's
3 evidence.

4 MR. BYRON WILLIAMS: Mr. Chair, if I
5 might, I think you should have one (1) other exhibit.

6 THE CHAIRPERSON: Mr. Williams...?

7 MR. BYRON WILLIAMS: Dr. Gunn had
8 undertaken to provide support for the suggestion that
9 the region had already been substantially altered and
10 the evidence from the KHLP, or Keeyask Hydro Limited
11 Partnership, and so we're presenting this. It's CAC
12 Exhibit 77.

13 So just if you're -- if you do get a
14 chance to look at it, the actual citations of Dr. Gunn
15 are found at pages 15 to 17 of her report, but to give
16 the Board context, we actually inserted the -- the base
17 pages from the original submission of the Keeyask Hydro
18 Limited Partnership. So if you're wondering if the --
19 its quotes were taken in context, that information will
20 be available for you.

21

22 --- EXHIBIT NO. CAC-77: Support for the suggestion
23 that the region had already
24 been substantially altered
25 and the evidence from the

1 KHLP

2

3 THE CHAIRPERSON: Thank you, Mr.

4 Williams. Me. Hacault or Mr. Bowman, please.

5

6 MIPUG RISK AND DSM PANEL, RESUMED:

7

8 PATRICK BOWMAN, Previously Sworn (Qual.)

9

10 CONTINUED EXAMINATION-IN-CHIEF BY MR. ANTOINE HACAULT:

11 MR. ANTOINE HACAULT: Merci, M.

12 President. We promised a little bit of theatrics, and

13 it relates to 'Rates Do Matter'. And we just heard a

14 presentation on that with respect to a certain sector

15 of the society, and I'd like Mr. Bowman to please

16 explain what we're showing to you. And we can provide

17 you paper copies and electronic copies in due course.

18 MR. PATRICK BOWMAN: Yes, thank you.

19 Good afternoon. Dr. Grant, we had a discussion about

20 animation, so we thought we'd go for a little excursion

21 after lunch before jumping right back into the

22 presentation. These are some graphs that were

23 prepared. They were in our original evidence and they

24 are based on the original filing, so they haven't been

25 updated.

1 But the question we were dealing with at
2 the time is, How does the world look for ratepayers,
3 and when do the benefits arise compared to other pieces
4 of the puzzle? And so the graph that you're looking at
5 right here is comparing the financial picture of the
6 Preferred Development Plan versus Plan 1. We can do
7 any other combination you like, but it's Preferred
8 Development Plan versus Plan 1.

9 And it is right now looking at the
10 present value benefits over ten (10) years, okay? And
11 so this is for the year, you see in the lower left-hand
12 corner, up to the year 2023. And so if you take on the
13 Preferred Development Plan versus Plan 1 up to the year
14 2023, the first benefit you're going to see, a nice a
15 green bar, is you'll get a bit more exports. That's
16 because Keeyask comes in in 2019.

17 You have a little bit of fuel and
18 purchase power savings. You have some extra interest
19 because of the project. You actually have a
20 depreciation benefit, because you didn't have to
21 amortize the sunk costs quickly, you'll get the
22 amortize the billion dollars of Keeyask slowly. That's
23 actually a benefit of Plan 14. That shows up as a
24 relatively substantial benefit, even to the first --
25 end of the first ten (10) years. You have a little bit

1 of O&M you have to pay in present value terms.

2 And the end of that O&M section, in
3 terms of the -- the graph here, is what I would like to
4 say is fairly representative of -- of the pie. That
5 there is about a billion dollar present value benefits
6 in the first ten (10) years on an accounting basis with
7 cost appreciation, but from pursuing the Preferred
8 Development Plan.

9 From here on out, it goes a little bit
10 more to how one sort of carves up the pie, if you like.
11 The first thing you see is the government charges.
12 That is solely debt guarantee fee, water rentals, and -
13 - and capital tax. On -- that's right, solely --
14 solely those three (3).

15 The next bar you see is how much of that
16 benefit was -- been effectively added to Hydro's
17 reserves, because we have to build up to the 75:25, and
18 it's a much bigger 75:25 now. You see a very small
19 slice there related to the First Nations partners, and
20 you end up with ratepayers being a present value of
21 \$239 million in the hole. They're fur -- further
22 behind as a result of pursuing the Preferred
23 Development Plan in the first step.

24 Now, as we march through time, and with
25 one (1) click, you'll see the picture at year 20. Oh,

1 it went to thirty (30). Now you're nineteen (19) --
2 there's year 20, and by year 20 we have now 2033,
3 Conawapa is in service. Remember, this is 2026. You
4 have the added exports really showing up. Fuel and
5 purchase power savings, interest is taking on a -- a
6 hit. Depreciation's actually still ahead. O&M has a
7 cost, and you're ending with a -- a piece before the
8 pie of, you know, somewhere of upwards of \$2 billion.
9 Government charges take their -- their
10 piece. Added to Reserves takes -- has its piece.
11 First Nations partners are -- are a billion dollars
12 behind. Now, if we want to con -- go to thirty (30).
13 Thirty (30) years, we actually start to see the others
14 pile up. Ratepayers start -- it starts to turn around
15 a bit for ratepayers, back of the bus. Gov --
16 government's still taking its share. Reserves are
17 still growing. And you can go through forty (40) and
18 then fifty (50), if you like.

19 Year 40 it finally starts to turn around
20 for ratepayers, and by year 50, if you want to do the
21 final click, it takes you to a number, 746 million
22 which is the -- the present value of rates benefits
23 under the original Preferred Development Plan filed.

24 Remember, the economic number one-six-
25 four-six (1,646) was the -- the present value of the

1 economics, but that economic number did not distinguish
2 this Addition to Reserves component. It con -- it
3 would have considered that a return to the project, and
4 so it would have gone -- gone into a piece of that,
5 subject to only to that discount rate.

6 So the piece that tells more of the
7 story of this is the -- is the graph to the -- or the -
8 - the table to the right of this, which is a picture
9 that shows, if you look down at Plan 14 on the far
10 side, the Preferred Development Plan, Pathway 5, Plan
11 14.

12 It shows you the numbers we just saw,
13 746 million at -- at year 50, and it shows you the --
14 the hole you have to go through, bottoming out at about
15 a billion dollars behind for net ratepayers before it
16 turns around. And you can compare that to the numbers
17 from the original filing of Plan 4, Plan 6, as opposed
18 to plans that have -- have Conawapas.

19 So that was what I was -- I was talking
20 about. You -- one -- one can -- can take this and do
21 some -- some animation, if you like, but it -- it was
22 trying to get around to the point of, you know, do
23 rates matter? Do we only need to focus on the \$746
24 million number, or do the -- does that -- the -- the
25 red bit in the middle actually make a difference? And

1 I -- I know we'll -- we'll talk about the DSM graphs in
2 a moment, here.

3 So I -- I'm just going to jump, then, to
4 slide 47 and 48, because I -- I would like to revise an
5 answer I gave this morning. I had indicated that my
6 understanding of the DSM scenarios was that once we
7 went to 750 megawatt line, you ended up with a lot more
8 export benefits from DSM. And that does show here.
9 The DS -- the export benefits are very large from DSM
10 as a result of adding DSM to and with the 750 megawatt
11 line.

12 My assumption would -- was that when we
13 saw the benefits erode by moving to -- adding Conawapa,
14 the next graph if we go forward, was that you would see
15 an erosion in the export benefits, because I knew that
16 we ended up at three eighty-five (385).

17 Now, this is fairly new information, and
18 I have to admit, Dr. Grant, until had you took me
19 there, I -- I had made an assumption that actually
20 doesn't bear out, and it -- the ex -- the export
21 benefits are still almost as large. As a matter of
22 fact, they're almost as exactly as large with DSM 2,
23 even with Conawapa.

24 The DSM doesn't give you as much
25 benefits in respect of the thermal fuel and purchased

1 power components, because Plan 14 doesn't have much
2 thermal fuel or purchased power to begin with. It's
3 able to back up its own droughts, if you like.

4 So if you go back one (1) again, this is
5 Plan 5. If you look at the thermal fuel benefit and
6 the purchase power benefits, they're substantial.

7 If you go to the Plan 14, the next one,
8 they -- they just about disappear. Now, I -- I hadn't
9 expected that result. I had thought that it would be
10 relatively intuitive. I would want to see this graph
11 now over -- over time to see why that's arising,
12 honestly. But I wanted to touch it -- touch back on
13 that.

14 And -- and one (1) other point that I -
15 - I realize that I should comment on, and I think it
16 comes from what we talked about earlier. The net
17 benefit column, we were asked how that -- how that
18 looks to ratepayers. And you see the 385 million
19 there.

20 We have to be a bit careful about saying
21 that's necessarily going to be rate benefits because
22 DSM is also a capital investment by Hydro, the way it's
23 treated in the financials, so it also has some other
24 downstream rate impacts you don't see here, like you
25 have to put aside reserves against it if you want

1 75:25. Spend capital, it ups your -- your 25 percent
2 equity target value.

3 So there are some other things that get
4 into rates, and we'll see later on that the rate
5 impacts aren't quite as clean as this. But I just
6 wanted to make that distinction. The benefits to
7 Manitoba Hydro under economics are not quite
8 necessarily equivalent with benefits to ratepayers by
9 the time the entire financial model is run.

10 MR. ANTOINE HACAULT: I think you had a
11 couple of comments with respect to slides 37 and 38
12 before we move to the financial slides, sir.

13 MR. PATRICK BOWMAN: Sure, these were
14 just to -- to clean up some topics. I don't expect to
15 be here long.

16 I mentioned to Mr. Williams this morning
17 that InterGroup's intention would have been to spend
18 time with economic models. We didn't do that because
19 we had concerns, and we noted this in the evidence --
20 we prepared an appendix on it -- had concerns with
21 aspects of Hydro's economic analysis. I want to be
22 clear, we -- we never had concerns with their
23 ref/ref/ref modelling or their modelling of the
24 variations in capital costs or energy prices.

25 Our concerns came in when you tried to

1 draw a quilt and draw expected values with different
2 discount rates because of the cross-row comparisons. I
3 think a substantial part of that has been solved by
4 taking out the common cost, which Hydro has -- has
5 done. So we have a lot less concern with the economic
6 end quilts now than we did. I still have a little bit
7 of concern about over-interpreting the risks of -- of
8 the cost of money interest rates built into it.

9 But I -- I would say those same issues
10 don't exist for the La Capra approach. There are other
11 limitations in the La Capra approach and it has the
12 vertical All Gas line, but that -- there -- the issues
13 don't exist there because they never compare two (2)
14 dots that have different discount rates. They always
15 compare a consistent scenario.

16 They don't exist in Mr. Harper's
17 material, because he just skips over this aspect of it.
18 He doesn't get into a interest rate variability or --
19 or discount rate variability the same way.

20 And -- and Hydro's S-curves can still be
21 informative, but you have to be careful about what
22 they're telling you with regard to the discount rate
23 aspects of it. So I -- I've -- on the appendix that we
24 prepared that was quite critical of the economic piece,
25 I think a substantial part of it has -- has now been

1 resolved.

2 MR. ANTOINE HACAULT: A very short
3 comment, I think, on slide 38.

4 MR. PATRICK BOWMAN: Yes thir --
5 thirty-eight (38), I just wanted to lead into our DSM
6 topic, which we've jumped and spent some time in, and
7 note that it -- we've done an update. We prepared
8 another exhibit which updates our analysis on regards
9 to DSM.

10 The key point is the bottom of -- of
11 this slide, which is the DSM information before you is
12 hot off the presses. It's a significant change from
13 the previous version, and -- and I think it requires
14 attention over some period of time. It might even be
15 twenty-four (24), thirty-six (36) months for someone to
16 really assess whether all that can be achieved, how
17 some of those will play out. There's some -- some
18 debatable aspects that are in there.

19 But we didn't set out to try to assess
20 the DSM. What our big question was: Given this DSM is
21 possibly on the table, what does it do to the decision
22 on the plans? So the rest of the stuff we'll be going
23 through here, I -- I don't want it to be read as saying
24 a vote for plan -- DSM plan this or DSM plan that.

25 It sure looks like there's some positive

1 aspects to the DSM plans if they can be pulled off in
2 the -- the way that it's show here. But the -- the big
3 question for us was: What does it do to -- to the big
4 decision of -- of the transmission and Keeyask and the
5 like?

6 MR. ANTOINE HACAULT: I think we can go
7 to slide 40.

8 MR. PATRICK BOWMAN: We may even be
9 able to go beyond that actually, because this is just
10 giving the background on some -- a set of -- a set of
11 charts that we're now used to looking at. So we can go
12 to 41.

13 And all we wanted to do with this was to
14 portray the picture of the levels of DSM, each one
15 building off of the previous one. So this was the
16 picture of what -- and -- and we always judging against
17 Plan 5. I don't think there should be any surprises
18 here. This is a picture of what Level 1 DSM over base
19 does. Level 1 is -- is good. It grows to the 390
20 million. It's still got a lot of lost domestic revenue
21 you need to pay attention to, but the benefits are
22 large, even under Plan 5, particularly that thermal
23 fuel, which is quite interesting to me.

24 If you go to the next slide you see Plan
25 2, which has a similar profile, a little bit more on

1 the exports, a little bit less on the thermal fuel
2 benefits.

3 MR. ANTOINE HACAULT: Sorry, you said,
4 "Plan 2," but it's Plan 5 level.

5 MR. PATRICK BOWMAN: DSM 2 over -- over
6 DSM Level 1, I'm sorry, under Plan 5, but again,
7 numbers that we -- we've already seen. It's the next
8 slide you go to that tries to portray the case for DSM
9 Level 3, which -- which is just to -- to make the
10 fairly stark difference.

11 DSM Level 3 has some fairly large
12 spending. We've seen in other places that spending is
13 almost entirely on hydro. The customers make almost no
14 investment in respect to DSM Level 3. This appears to
15 be a way to tease out, what if we simply threw a lot
16 more money at DSM, to the point that we're -- we're
17 almost letting customers invest nothing.

18 There are some benefits. There are
19 exports. But at the end of the day, there's the
20 negative for Hydro at the far end, the 380 million, and
21 that was the -- the basic conclusion about DSM Level 3.
22 And I just wanted to draw your attention to the -- the
23 sort of stark difference between that and Levels 1 and
24 2.

25 From here, we had spent time on what

1 does Level 2 do to each of the plans. And I believe
2 that we've already gone over that, unless people want
3 to spend any more time with it this morning. That the
4 plan -- DSM changes the plans, has a different effect
5 depending on the plan. It's at its best when you have
6 a 750 megawatt line, particularly a 750 megawatt line
7 and no Conawapa.

8 MR. ANTOINE HACAULT: Okay, could we
9 move to the financial analysis portion of your
10 presentation, sir?

11 MR. PATRICK BOWMAN: So starting at
12 slide 49 now. So here we're turning the -- the page on
13 the -- the input data we're using. We've left behind
14 the seventy-eight (78) year analysis and we've moved to
15 the financial analysis. We -- we didn't have
16 everything that has been requested. Some arrived over
17 lunch.

18 We also didn't have the same information
19 to update what we originally had. In the original we
20 had the entire twenty-seven (27) scenarios. And I had
21 -- I'll make one (1) brief comment here, which is in
22 regards to when I was talking about the information
23 available to this Board. This information is, I think,
24 very useful and it's uncommon to see in a resource
25 planning context. It is very rare for a utility to

1 say, I'm not only going to tell you the story of how my
2 resource plan changes an underlying baseline, but I'm
3 also going to tell you what the baseline is.

4 Usually it's: Well, rates will be what
5 they're going to be. We're just talking about how we
6 change the rates, so let's not fuss about what the
7 underlying rates are. That -- that's a very common way
8 of doing overall resource planning. I think this is a
9 improvement in terms of how Hydro has done this that
10 you won't find in many other places. It's part of the
11 reason I say that you have good information before you.

12 MR. ANTOINE HACAULT: Now, Mr. Bowman,
13 you said some of the things we don't have.

14 Am I correct in understanding that based
15 on the limitations of Hydro in running its models, that
16 we don't have the expected values, and we had that for
17 some of the previous runs?

18 MR. PATRICK BOWMAN: Right. Unless
19 you've updated the lows and the highs in the full
20 twenty-seven (27) scenarios, you -- you can't run the
21 expected values. And in -- in the economic terms, it's
22 the quilt. But, frankly, we produced a quilt out of
23 the financials, as well. And unless all those are
24 updated, it's not possible to update the expected
25 values.

1 MR. ANTOINE HACAULT: And what's the
2 significance of not knowing or knowing the expected
3 values?

4 How does it -- how did it assist us in
5 the initial analysis, and -- and what are we missing
6 from the picture without it now?

7 MR. PATRICK BOWMAN: Well, the expected
8 values -- with the -- I think everyone's up to speed on
9 this. But the expected values are the -- the
10 probability weighted outcomes across all twenty-seven
11 (27) scenarios Hydro models, rather than just the most
12 likely ref/ref/ref scenario. And it's -- it's a more
13 accurate representation about the entire picture of a
14 plan.

15 It's still limited by the fact that it's
16 only looking at one (1) plan and not a path, but it's
17 still a -- a more complete picture. The big concern
18 that we have is that the expected values of the first
19 time around were considerably lower than the
20 ref/ref/ref values. More so on the economic side than
21 on the financial side, but they were considerably
22 lower.

23 And based on the information that
24 Hydro's filed, we can't update the expected values for
25 the 2013 assumptions. But I think we want to be really

1 careful about assuming that the expected values for the
2 2013 assumptions will be similarly lower than the
3 ref/ref/refs for the 2013 assumptions, primarily
4 because of the only data available to me, which is in
5 Appendix 9.3, which said that the 2013 assumptions with
6 respect to export prices move the reference value up 7
7 percent, move the high value down 7 percent, but move
8 the low value up 41 percent.

9 And I don't -- I don't -- haven't seen
10 those prices, so you'll know better than -- than me.
11 But I think there's a -- a likelihood that the expected
12 value and ref values would have tightened as a result
13 of that, because the very low export price scenarios
14 which we, to the best of my knowledge, included in the
15 2012 scenarios, probably should have substantially
16 improved by -- by way of that adjustment.

17 And although we're provided those --
18 those numbers, a percentage change going 2013, we've
19 never seen them actually used in any of -- of this
20 analysis. So I'm -- I'm hoping that that information
21 is available to the Board to try to make sense of.

22 MR. ANTOINE HACAULT: Could you move on
23 to the next slide, sir?

24 MR. PATRICK BOWMAN: So this goes back
25 to our original filing. This is straight out of our

1 Appendix C and --

2 MR. ANTOINE HACAULT: We're looking at
3 slide 50, for the record.

4 MR. PATRICK BOWMAN: Sorry, slide 50.
5 And what we were trying to show here is the present
6 value of what ratepayers will pay under Plans 4 and 14.
7 It was just to get an initial image in people's mind
8 that the lines are pretty close together and the
9 variability around the lines is much more important
10 than the actual lines themselves. So it's within the
11 range of uncertainty about what future rates will be.

12 Which plan is picked is actually a
13 smaller factor than many of the other variables we're
14 talking about. It's not that -- it -- it goes to your
15 initial question of: Are we changing the world for
16 ratepayers in the future? Under these images we're --
17 we're not. We're still coming very close to \$40
18 billion of present value rates over fifty (50) years.
19 And you look at any given horizon there and the -- the
20 degree of variability exceeds the degree of difference
21 between the plans. And the cone is meant to be the
22 P90/P10 range, the -- the shading.

23 So in order to understand this, we had
24 to move to incremental views of the picture. This has,
25 just so that people understand, line 4 -- the line for

1 -- that says, "4," is Plan 4's expected value. The
2 line that says, "14," is Plan 14's expected value. And
3 then there's actually a red cone and a green cone on
4 this graph which show the P90/P10 range for them. But
5 they'll make a lot more sense as we go to the next
6 slide.

7 This slide is showing you Plan 1 versus
8 Plan 4 as we originally had in the evidence. It is the
9 present value difference between the two (2) plans. It
10 has pegged the X-axis as the expected value for All Gas
11 and it shows you the cone of uncertainty around All Gas
12 from P10 to P90. It also shows you the line, which is
13 the expected value for Plan 4, and the cone of
14 uncertainty around it.

15 And it highlighted how Plan 4 does bring
16 with it some risk of higher rates within the P90/P10
17 range, but not an expectation of those higher rates.
18 And over the fifty (50) year horizon, or even -- even
19 forty (40) year, it brought an expectation of lower
20 rates with a wider range of possibilities and more --
21 more risk, if you like, but -- but nonetheless fully
22 encompassing or -- or surpassing the -- the benefits or
23 the -- the -- a level of rates expected to All Gas. It
24 was -- it was to the good, down.

25 If we move to slide 52, we've kept the

1 X-axis the same. The X-axis is still the All Gas EV so
2 that we don't move the -- the bars. But you see the
3 Plan 14 variability range -- risk, if you like, and the
4 level of rates at the same -- this same discount rate.
5 So the line is the expected value of Plan 14, what
6 people will pay. It improves as you go out at five
7 point o-five (5.05) discount rate. It never exceeded
8 line -- Plan 4. And the range of -- of possible
9 outcomes was -- was quite a bit wider.

10 Now, the limitation we had with this
11 type of presentation with updating them is in the first
12 filing we were always looking at information that was
13 using the same load forecast. So you could look at the
14 total amounts paid to buy this same consistent given
15 quantity of energy, this same consistent Manitoba load
16 -- domestic load.

17 In the new updates, we change that
18 variable because our load forecast varies, and our DSM
19 varies across them. And so two (2) perspectives are
20 now relevant. One (1) is how much in total do
21 Manitobans pay for their energy? And if they're
22 getting the same services and less energy that's to the
23 good. But that's the analysis we've just gone through.

24 The other one (1) is how much pressure
25 do we expect on average rates as a result of this? And

1 has it changed? And we wanted to focus on that latter
2 one (1) because our big question in our minds is --
3 was: Is there any reason to change the conclusions we
4 had in the first piece which you've -- you've just
5 seen?

6 So we ran a series of -- of graphs that
7 do the same thing, but they take the same present value
8 of what people pay. But we had to levelize it across
9 the energy being purchased, the domestic load, so that
10 you'd actually -- rather than getting a unit in -- in
11 millions or billions of dollars present value, you're
12 instead getting a levelized cost of energy being bought
13 by Manitobans.

14 If we go to the next chart, you'll see
15 the first of these. And this is the first one (1) to
16 put it respect to All Gas. So we're still in a blue
17 cone showing P90/P10 of the original filing. We can
18 only draw cones for the original filing.

19 We see the original plan. We -- we've
20 changed the line to ref/ref/ref from expected value,
21 but the dark -- the black line is the ref/ref/ref out
22 of the original. And then we've imposed on that the
23 four (4) DSM levels of the updated and what do they
24 mean. And these are all using the original filing
25 methodology for setting rates.

1 People -- okay. Sorry. I will try to
2 slow down. What this was showing us was that with
3 respect to the different levels of DSM over the long
4 term the DSM in All Gas is beneficial. We've actually
5 jumped outside the range of what ratepayers would have
6 paid. We have -- we have moved outside the cone with
7 respect to All Gas.

8 But that each respective level of DSM,
9 based on the analysis that's there, actually has a
10 tendency to increase the average price paid in
11 Manitoba. So the light blue line is the base DSM. The
12 green line is the Level 1 DSM. The orange line is
13 Level 2 DSM. And the purple line is Level 3 DSM.

14 That doesn't necessarily mean rates will
15 be higher, because it depends on which load your DSM's
16 affecting. If you're seeing a lot of savings in the
17 industrial load, for example, your average might go up
18 simply because you've changed the relative balance of
19 residentials who pay a higher rate because there are
20 distribution industrials who don't. That could raise
21 your -- that -- that could raise your average cost
22 without necessarily meaning anybody's paying more. But
23 -- but that was -- that was the effect here.

24 Our main conclu -- or our main concern
25 was did we move outside the range. And the answer was

1 for All Gas, Level 2, we -- we do start to move outside
2 the range that was there. It's a little bit better
3 than it was. Which is no surprise, because DSM would
4 expect to make things better. And All Gas didn't have
5 a lot of variability to begin with.

6 If we go to the next slide, now we're
7 mixing a bit of Plan 5 and 6 here, because
8 unfortunately they weren't consistently updated. But
9 the numbers are not -- not that different between the
10 two (2). They're both based on Keeyask19 with a 750
11 megawatt line.

12 And the -- the bigger conclusion here
13 was the DSM Level 2 is beneficial. Average rates are
14 better than they were, but you're still largely within
15 the cone. We haven't shifted outside of the -- the
16 basic risk range that we expected.

17 And then the third was the Plan 14 PDP,
18 and similarly you'll see a bunch of lines there that
19 you might need a magnifying glass to distinguish
20 between.

21 But in general the -- the pursuit of DSM
22 has not given us a reason to think that we're talking
23 about drastic changes to the -- to the level or rates
24 or any reason to think that the -- the broad level of -
25 - of risk cones that we drew before were any different.

1 So that was a perhaps lengthier way of
2 saying that it -- it didn't undermine any of our basic
3 conclusions about the -- the risk to ratepayers and the
4 -- and the turnaround in the -- the animated graphs we
5 showed.

6 MR. ANTOINE HACAULT: Thank you. Is it
7 an appropriate time now to move on the updated
8 financial analysis to the extent that you did have
9 information, sir?

10 MR. PATRICK BOWMAN: Yes. So, slide 57
11 was our opportunity to -- to try to understand the
12 updated rates and Alternatives 1 and 2 for the rate
13 strategies. And these were very interesting additional
14 filings --

15 MR. ANTOINE HACAULT: Could I just stop
16 you there? We haven't talked before and Manitoba Hydro
17 hasn't presented yet what Alternative 1 and Alternative
18 2 is.

19 For those who have taken time to read
20 everything, we might know, but what is your
21 understanding of what Hydro was trying to do in some of
22 its updated analysis showing different alternatives?

23 MR. PATRICK BOWMAN: Okay, it's -- for
24 -- for the visual people, let's jump to slide 58.
25 Slide 58 is the updated scenarios based on the original

1 filing methodology for what the percentage --
2 cumulative percentage increase in rates are going to
3 be.

4 So what you'll see is the blue line is
5 the Preferred Development Plan, the red line is Plan 5
6 and the green line is -- is Plan 1, All Gas. And it's
7 a similar pattern to what we saw before. It's based on
8 driving to 75:25 debt equity by the year 2031/'32, and
9 then changing your methodology to maintain an interest
10 coverage related target and so you see the big drop-off
11 there. We've talked about the big drop-off before.

12 And Hydro's evidence at that time was,
13 Don't be distracted by the big drop-off because it
14 doesn't actually ref -- reflect a rate strategy we
15 would pursue. So you should visually try to do
16 something else in your mind to give you an idea about -
17 - about a different rate strategy.

18 Alternative 1, to my understanding, was
19 designed to be based on 3.95 percent rate increases to
20 each plan until the 1.2 interest coverage was first
21 achieved, and then it would just hold at one point two
22 (1.2). So, in other words, it would -- it would be
23 similar to the slope for the blue line, but at some
24 point we'd get off and -- and we'd work our way out to
25 the other lines. It meant you won't get this big

1 spike. But it also means you won't get the revenue
2 associated with the big spike, so it very much defers
3 the date at which you reach 75:25 targets, if you ever
4 do, okay?

5 Alternative 2 appears to be, to my
6 knowledge -- I -- I hope somebody will find the
7 opportunity -- if Hydro update this -- appears to be a
8 variant on Alternative 1, and Alternative 2 we do have
9 graphed, which says, I'm going to have to play with
10 those interest rates or those rate increases in the
11 first couple of years, because I have to try to get
12 around some net income losses that -- that I know would
13 -- wouldn't be considered acceptable to the Company.

14 And so it's very sim -- my understanding
15 is it's a variant on Alternative 1 that simply doesn't
16 stick to a three point nine-five (3.95). It plays with
17 some different numbers there to try to get over a -- a
18 net loss problem.

19 And so Alternative 2 is what you see
20 graphed here. And what happens is you still have the
21 long-term benefits of -- of the PDP, Plan 14. You
22 don't have the big spike that you saw occurring to
23 2031/'32. You have increases until a plan is able to
24 get off of that increase, and you can compare the three
25 (3) plans.

1 In practice, what it appears to do is it
2 continues to reflect the need to have Plan 14, under
3 these assumptions, paid for by higher rates. It defers
4 the period in which those higher rates occur into that
5 middle period.

6 You'll see the blue -- the blue line is
7 Plan 14, the original plan. And it -- it -- it's -- it
8 pushes it out a little bit more where those -- where
9 those higher rates would occur, and it makes the
10 originals -- the -- the original part of the slope much
11 more comparable betwe -- between the plans. They're
12 not -- not compoundingly separating all the way through
13 2031/'32.

14 MR. ANTOINE HACAULT: Mr. Bowman, were
15 you able to locate anywhere whether -- as to whether
16 Manitoba Hydroelectric board has actually considered
17 and changed its policy with respect to the 75:25
18 targets and one point two zero (1.20) targets?

19 MR. PATRICK BOWMAN: I'm not aware of
20 anything. I -- I will say that the numbers are now
21 available to us. I haven't perfectly had the time to
22 go through them, but in 104-12 the numbers now
23 available to us, so see just how far these rate
24 scenarios will push Hydro from those original targets
25 of 75:25 and the like. It definitely pushes -- pushes

1 the system quite far. I think that will require some
2 consideration at some point.

3 The debt-equity ratios by 2031/'32 were
4 filed. And we're looking at numbers rather than 75:25,
5 they are more around the range of high eighties (80s)
6 for debt ratios, high 2031/'32. So -- so clawing the
7 way back to in -- you know, in -- in some of the
8 scenarios, high eighties (80s) if you have high capital
9 costs; mid-eighties (80s), for example, Plan 14 DSM
10 Level 2 gets it way back up to 85:15 under those
11 scenarios in that time frame, eighty-six (86) under
12 scenario 1.

13 MR. ANTOINE HACAULT: Now you also
14 mentioned that some of these scenarios show pretty
15 persistent losses.

16 Do those losses consider the additional
17 pressures that I've discussed during cross-examination,
18 such as the reversal of the non-controlling interest
19 number, the depreciation -- extra depreciation which
20 it's believable be implemented, et cetera?

21 MR. PATRICK BOWMAN: Not to the best of
22 my knowledge, no. On -- on the other hand, the losses,
23 particularly for any plan that doesn't build both
24 Conawapa and Keeyask, reflects the original
25 assumptions, as I understand it, that all planning

1 costs will be written off over a eighteen (18) year
2 period amortized to income.

3 And I -- I don't -- for the purposes of
4 an indicative analysis, it's not a bad way to represent
5 how those might flow through. But as we've gotten more
6 precise into saying year by year what's going on, I
7 think one has to be careful with that set of
8 assumptions. I think there's a lot of ways, for
9 example, if we headed down rate 5, we're still in the
10 bottom pathway; we're not writing off Conawapa's cost
11 tomorrow.

12 Similarly, I understand the evidence is
13 that -- is that even if we went down path 1, if you
14 like, or plan 1, there's still going to have be an
15 assessment about what can be retained out the monies
16 that have been spent in terms of value.

17 And on the other side of the picture,
18 when I've dealt with these planning cost issues in
19 other places, it has not been very acceptable to say, I
20 would like take something that I -- I identify on my
21 balance sheet that's no longer of value, but I'd like
22 to take it into income over ten (10) years. If it's
23 not value, it's -- it's off, right.

24 Is that -- and so some of these -- these
25 assumptions that will be amortized may be something

1 that someone consider for rate making purposes. I -- I
2 can't say that that's what would be done with respect
3 to accounting purposes. Certainly I'm aware pressures
4 in other places not to be able to do that.

5 And if you did that, what you'd see is a
6 hit to retained earnings, but you wouldn't necessarily
7 see these annual net losses that Hydro's trying to
8 design rates here to get around. And so I think some -
9 - some of the -- the rate strategies here may not lead
10 to some of the net losses that
11 -- that are -- are shown in -- in Exhibit 104-12.

12 MR. ANTOINE HACAULT: Just -- the Board
13 can go back to your original evidence and updated
14 evidence, but can you just quickly deal with the issue
15 of rates and whether they matter? You've shown the
16 spike and as it relates to particular GS medium --
17 that's general service medium -- and general service
18 large customers.

19 MR. PATRICK BOWMAN: We had quoted in
20 our original evidence that the impacts on -- on the
21 large customers would be in the order of \$400 million
22 over the first twenty (20) years. There's some updated
23 -- or there's some calculations associated with that in
24 one of the IRs we filed. The numbers weren't small.
25 And because they're compounding effects, that's a

1 fairly large draw out of spending that will occur
2 otherwise by those companies or -- or whatever else the
3 money would be used for: investments, expiration,
4 returns to -- to capital.

5 It was -- it was only a way to try to
6 highlight that even though some of those lines look
7 pretty close together, they can mean real impacts, you
8 know, on -- whether that's household budgets, whether
9 that's industry budgets. They're -- they're in the
10 range, they can -- can mean a difference to -- to the
11 companies. That -- that's the most that I would be
12 able to say.

13 MR. ANTOINE HACAULT: And I wont take
14 you to it, but I had in cross-examination Manitoba
15 Hydro Exhibit 104-12-6 for the Plan 14 Level 2 DSM. We
16 we're looking at 4.27 percent rate increases, and the
17 All Gas Level 2 DSM we were looking at 3.36 percent
18 increase, so not too far from a percent difference on
19 an even annual increase up to 2031 and 2032. That's
20 taken from that particular page.

21 MR. PATRICK BOWMAN: Right. Can I -- I
22 would just comment that that is under the original rate
23 methodology. The -- the numbers look different under
24 the alternative methodologies, and the -- with respect
25 to the -- the alternative methodologies, I think they

1 need to be thought about in terms of, are they overly
2 aggressive on gas and -- and the other plans, I'll turn
3 to that right now, actually, in -- in respect of what
4 it does with the planning costs, the sunk cost
5 amortization, and are they underreflecting Hydro's
6 financial targets as it's long represented them?

7 So to go through that, slide 60. Slide
8 60 is the All Gas. It's the same one we looked at. It
9 shows the cone from before of rate impacts of the
10 original plan's ref/ref/ref. It's got the updated
11 Level 2 DSM in red. And then it has the alternative
12 methodologies as shown in terms of hitting the plans
13 with higher rate increases in the early years. That is
14 primarily due to the attempt to avoid net income losses
15 associated with this dribble out amortization of the --
16 of the planning costs year after year, rather than a
17 one (1) time hit to -- to retained earnings, for
18 example, or -- or retaining them on the books.

19 MR. ANTOINE HACAULT: I think the
20 graphs are largely self-explanatory. If the panel has
21 questions, we can -- they can ask some later. What
22 about -- could I bring you to two (2) or three (3) last
23 subjects, perhaps, yeah, the slide 62? And then we'll
24 do slide 63, and then it comes to the final summary,
25 basically.

1 MR. PATRICK BOWMAN: So slide -- we
2 were at 61, but let's go to 62, which shows the
3 alternative rate strategies in respect to the Preferred
4 Development Plan. And you'll see that they help avoid
5 some of the original spike. In terms of the cents per
6 kilowatt hour, it's back to a very similar range as the
7 others, but it -- it really is -- if someone was going
8 forward with the Preferred Development strategy --
9 Preferred Development Plan, as listed here, we'd have
10 to think long and hard about those alternative rate
11 strategies and the benefits that -- that they provide.

12 There are two (2) key considerations.
13 One (1) is, Can we really get away with departing that
14 far from Hydro's financial targets? Well, I guess
15 that's the main one, but it has two (2) sides to it.
16 One (1) is the policy side in terms of what Hydro's
17 Board or -- or management would be willing to accept,
18 and the other is, even if they're willing to accept
19 something different than 75:25, how does it look in the
20 terms of risk? Is this -- is this taking on excessive
21 risk because we're only getting to 85:15 or 86:14, in
22 this range?

23 And we provided some information in our
24 -- in our -- our submission that says 75:25 debt-equity
25 is a nice number, and it's easy to calculate, and it --

1 it can have some meaning in a balance sheet analysis.
2 But in respect of Manitoba Hydro, where retained
3 earnings means, in effect, rates charged to domestic
4 ratepayers, is there a reason to want to build all the
5 way up to twenty-five (25)? Does it give us any
6 significant degree of risk protection compared to what
7 -- what we would have with only twenty (20) or fifteen
8 (15)?

9 If so, we may not be able to yield on
10 those targets the same way, but our conclusion was, in
11 respect of any of these plans, the drought risk, which
12 is the -- by far and away the -- the biggest one that
13 you would talk about retained earnings for, is -- is
14 significantly reduced.

15 The level of retained earnings you're
16 talking about when you get to this level of -- of plan,
17 where you're getting up towards 5 billion in retained
18 earnings, far exceeds that -- that type of risk, and so
19 I think it would be -- it's -- I wouldn't rule out this
20 type of rate strategy if one were to try to pursue the
21 larger Preferred Development Plan.

22 MR. ANTOINE HACAULT: Thank you. And
23 rather than go through those, we just encourage the
24 reading of the supplementary evidence.

25 Can you take us to the next slide, 64,

1 is it? You want to go or --

2 MR. PATRICK BOWMAN: Sixty-four is the
3 next image. We can spend our time there. This is just
4 one (1) last piece. It's excerpted from our original
5 evidence, and it was the picture of Plan 14, Preferred
6 Development Plan, versus Plan 4. It still has All Gas
7 expected value as the axis, and the que -- but the
8 question was, What if we designed a plan that had some
9 yielding, some relief from the government charges for a
10 period of time? This is how far one can fairly easily
11 move the cone by readjusting those government charges.

12 This still has all of the benefits to
13 government from the construction projects, from the --
14 the taxes, the -- the workers, and all that sort of
15 thing, and it's based on a fifteen (15) year holiday,
16 if you like, of -- of government charges. Fift -- so
17 fifteen (15) years post-in-service date.

18 And it -- it can move the cone that far
19 and that's part of the reason we said it seems to us
20 there's likely a practical solution out there that --
21 that just needs to be sorted out. And it's a reason to
22 want to keep Conawapa on the table, because if -- if we
23 can move the line that way, that easily, with fifteen
24 (15) years of -- of the project, fifteen (15) years of
25 -- of forgiven revenues that weren't going to rise

1 anyway, it's -- it's probably worth a lot more effort
2 and creativity than we can bring to it in -- in one (1)
3 sort section of evidence.

4 MR. ANTOINE HACAULT: Two (2) very
5 specific questions, Mr. Bowman. We've heard some talk
6 about the WPS sale at 308 megawatts.

7 What's your views with respect to that?
8 Is that something that needs to be decided right away?
9 Is there any conclusive evidence one (1) way or the
10 other?

11 MR. PATRICK BOWMAN: I don't -- I --
12 I'm relying on information in Exhibit 104-8, which I
13 don't think it's necessary to pull up, but I think,
14 looking at the -- the quilt provided in 104-8, it would
15 suggest that the WPS sale is not performing the way we
16 would have expected in the numbers, that we would have
17 expected to see locking in a -- a portion of your power
18 as compared to alt -- alternatives that don't lock it
19 in, reducing your downside, if nothing else.

20 If we actually, I guess -- if -- if you
21 go to that, you'll see that the -- you don't have to,
22 but you'll see it -- it actually doesn't serve to
23 either increase your expected value or to reduce your -
24 - or to reduce the risk to your P10 or the impact to
25 your P10s. That may just be a -- a function of the

1 analysis done to date, but I'm not aware -- I'm not
2 clear as to whether this Board is expected to give a
3 thumbs up or thumbs down to a WPS sale, but it's --
4 it's one (1) pie -- moving piece of a puzzle in making
5 a case for Conawapa. If it doesn't come together in a
6 full puzzle to make a big case for Conawapa, it -- it
7 can go away in any event.

8 So I -- I don't have -- have strong
9 views one (1) way or another, but I -- I would have
10 been -- I -- I would have expected that you'd see a bit
11 more benefit on the -- on the downside mitigation
12 arising from actually locking in a -- a degree of your
13 prices.

14 MR. ANTOINE HACAULT: Now sir, you've
15 testified, as I understood, that it's your opinion that
16 Conawapa should relieve -- receive some measure of
17 protection, and the concern of the Chairman was raised.

18 The -- the question I'm asking of you
19 now is at what level? Is it a minimum protection
20 level? Is it we're -- we're going on a different mini
21 -- than a minimum protection?

22 What's your views?

23 MR. PATRICK BOWMAN: In a resource
24 planning context, I -- I would be using the term
25 'protect' to mean -- to always mean minimum protect.

1 It wouldn't -- the -- the whole concept of protecting
2 an option is only doing today what's absolutely
3 necessary so that it doesn't fall off the table and you
4 can live to tomorrow and still have it alive for that
5 same date.

6 There's -- there's not a lot of upside
7 to spending money before you have to when you've got a
8 -- a planning context set out, but the tough question
9 is, What do we mean by spending it before you have to?
10 But certainly at a -- a, you know, a minimum planning
11 level is -- is what we would we mean -- what we'd mean
12 by 'protection'.

13 MR. ANTOINE HACAULT: Okay. And the
14 final summary is set out on the slide. We don't need
15 to read it. Thank you very much, members of the panel,
16 for your attention, especially since it's been a long
17 couple of months, and we're kind of at the tail end of
18 this after a long evening last night.

19

20 (BRIEF PAUSE)

21

22 MR. RICHARD BEL: The Plan 5 -- the
23 Plan 5 you analyzed, did it include the 308 WPS sale?

24

25 (BRIEF PAUSE)

1 MR. PATRICK BOWMAN: For some reason,
2 it always -- I always get confused in my head about 5
3 versus 6; 5 includes the WPS sale, 6 does not.
4 Otherwise they're the same plan.

5 MR. RICHARD BEL: Okay.

6 MR. PATRICK BOWMAN: With a little bit
7 of timing.

8 MR. RICHARD BEL: Can I ask a question
9 the Chairman asked? And you said that Plan 5, the 750
10 without Conawapa, you said it could stand alone or it
11 didn't need any smoothing or government assistance or
12 sharing of that government benefit.

13 But if you -- if we look for a moment,
14 and say that we're doing the maximum DSM, and we're
15 satisfied that we're very close to fulfilling domestic
16 load, and so, following that argument, we have a plan
17 on the table that has significant opportunities signed,
18 and we're looking to say that that plan is important
19 for us, because it's going to give us extra
20 opportunities to pay for the pre-investment.

21 And you can look at pre-investment as
22 the -- we have to pay for Bipole III, every plan has to
23 pay for Bipole III, and we have to put in -- pay for
24 the sunk cost. And then we have the rate issue.

25 So, if you combine all those elements

1 and say, Yes, according to Morrison Park's test, we
2 can't turn it down, but we have to deal with that rate
3 issue, then won't that be a -- a strong reason for that
4 fifteen (15) year holiday if it's smooth rates?
5 Because it really, it's -- it's deferring that
6 intergenerational shift, pushing it out.

7 MR. PATRICK BOWMAN: Well, it's a big
8 question. I was trying to find the right image so that
9 I can keep the visual people in the room happy while
10 we're talking.

11 I think it -- it, unfortunately, it may
12 not actually be in here, but we can go to slide 51, if
13 that's possible, Melissa.

14 My general comment is if I was engaged
15 in this hearing and having a discussion with -- engaged
16 in this process and having discussion with -- with the
17 government alone about how to make it most likely that
18 a -- a plan could move forward, the very things you're
19 talking about would absolutely be on the table.

20 But I think they would tend much more to
21 focus around Conawapa than -- than the -- the elements
22 of Plan 5, in part, because -- and I pull -- pulled up
23 here an image. This is from our original evidence, and
24 it's -- it's Plan 4, not Plan 5 or 6, the numbers have
25 moved a bit, but it gives a picture that says -- says

1 that this -- this could stand on its own.

2 Because we don't have a choice, you
3 know, not to build Bipole. We don't have a choice, you
4 know, not to deal with some of the pressures you're
5 talking about. Those are -- those are behind us.

6 So if -- if you're only saying, What
7 does it take to make this plan happen, you don't get to
8 not do Bipole, as -- at least, certainly in our terms
9 of reference, but even in my understanding of -- of
10 Hydro's system and the debates that are underway.
11 You're only choosing whether you're going to do
12 something minimal, staying close to home, or whether
13 you're going to take on -- on this transmission line
14 and what comes with it.

15 And given that, if you're going to have
16 high rate pressures anyway, you're not going to have
17 very much different rate pressures that are still high
18 under this plan, and it has some benefits that
19 eventually pay off and turn around, and the risks are
20 probably within a range that you could reasonably
21 expect Hydro to manage, and the debt levels are not
22 that far off of where you're heading if you're going
23 the All Gas way anyway. Maybe a little sooner, but,
24 you know, Keeyask at six (6), the All Gas has peak --
25 peaks pretty close to that -- that same ultimate debt

1 level.

2 So the mind -- when you're being asked
3 to review a proposal, the mind on this one doesn't go
4 to, I'm -- I'm going to need a whole bunch of -- of
5 government help for this plan -- for this part of the
6 plan.

7 Turn to Plan 14's economics review, this
8 doesn't work at all without -- without somebody coming
9 to the table, and so you look at where the benefits
10 are, and you say, Yeah, we've got this distributed all
11 wrong. We absolutely need to think about how to change
12 that if we're going to make this extra piece of -- of
13 Conawapa work.

14 Now, all -- if all of that is happening
15 in an environment where you're saying, My rate
16 pressures are too high because of Bipole and because of
17 whatever else, that's a -- that's a -- a different
18 hypothesis and a different question. And I probably,
19 once again, won't be the most popular guy at the MIPUG
20 meeting, but I'm not one who -- who jumps to a solution
21 of saying the government should be playing a role in --
22 in just a bulk subsidy of -- of rates. It's not --
23 it's not very well targeted. It's a very coarse tool.

24 MR. RICHARD BEL: I'm not sure it's the
25 subsidy of rates to say that the initial benefit from a

1 very expensive plan, because it is a very expensive
2 plan. We're adding 6.5 billion -- some might say 7
3 billion -- to an already 5 billion. I don't know if
4 that should be considered a subsidy if we're looking at
5 one (1) group, all the taxpayers benefiting, and
6 another group that's kind of paying more of the
7 freight.

8 MR. PATRICK BOWMAN: I accept your
9 point.

10 MR. RICHARD BEL: That's the point.
11 It's still -- it's just a share. It's your original
12 analysis.

13 MR. PATRICK BOWMAN: Sure.

14 MR. RICHARD BEL: A share of the
15 benefit.

16 MR. PATRICK BOWMAN: If your quest --
17 like if you're saying, listen there's a big pie here
18 and there's not much of it going to ratepayers, that --
19 absolutely. I -- I'm behind that. And -- and, you
20 know, good on you if you can make progress on that
21 issue. But if you can't, I'm not saying abandon Plan
22 5, right.

23 When you're with Plan 14, it's
24 different.

25

1 (BRIEF PAUSE)

2

3 DR. HUGH GRANT: I like your
4 spreadsheets. You'll have to show me how to do that.
5 But I want to get you out of your comfort zone. And
6 just going back to some of your preliminary comments
7 and, you know, you're thinking about metaphors about
8 basements and hurdles, and -- you know, just the way of
9 thinking about it. And I -- I take your point about --
10 I think Morrison Park was in a similar way. It's how
11 do you put some of this financial analysis in context
12 for the bigger decisions.

13 But I guess I was wondering if I -- if -
14 - if you and Mr. Hacault were in a bar in ten (10)
15 years, depending whichever pathway we followed now --
16 and I'm just trying to think about, you know, you're
17 getting ready for the next PUB hearings, and -- and
18 either what regrets you might have -- think you might
19 have, or you fear you might have ten (10) years out and
20 what you might be talking about going forward.

21 And I guess what I'm trying to point to
22 is some of these sort of potential black swan things.
23 Do -- do you, for example, see solar as becoming -- do
24 you think ten (10) years from now solar will be that
25 much more competitive? Do you think there's going to

1 be a long implementation period? Do you think of --
2 you know, all this off-grid technology is just evolving
3 so rapidly.

4 I -- and -- and I guess -- and I was
5 corrected the other day for thinking this, there's also
6 these transformational technologies that work the other
7 way as well. So -- yeah, I'm just curious about your
8 thoughts on that.

9

10 (BRIEF PAUSE)

11

12 MR. PATRICK BOWMAN: You're -- it's a
13 thoughtful question. I would say the analysis that's
14 been done captures a pretty good picture of -- of the
15 future scenarios that are likely, subject to if we're
16 not in the CSI room.

17 I absolutely accept that there are,
18 we'll call them, black swans, although in the proper
19 definition a black swan isn't just unexpected. The
20 proper definition is that after the fact, people
21 convince themselves that they -- they knew it all along
22 or should have known it all along. It's got a -- it's
23 got a pejorative side to it, the definition.

24 But I think the things I would be -- be
25 worried about, about -- you know, Man, we really blew

1 that one -- are, you know, by definition hard to
2 identify. It -- it could relate to topics we're not in
3 the middle of, like environmental constraints on
4 operation due to -- due to species at risk; fish, for
5 example.

6 I'm -- I'm not on that one, but I would
7 say -- and -- and the risk may be quite small. I'm
8 thinking it probably is. But -- but it would sure be a
9 -- a -- you know, a hit out of the blue if somebody
10 really had to change the way that they managed their
11 system. Or -- or, you know, similarly if -- if you
12 talk about some of the -- the cornerstone aspects of
13 the system, it would change your -- your economics like
14 a -- a radically different Lake Winnipeg licence or
15 something of that nature. That -- that would be one.

16 But I think -- I think the ones that
17 would really concern me -- and remember I'm -- I'm
18 working at this with an industrial customer perspective
19 -- is that a lot of the -- I'll just take a step back.
20 A lot of the risks we're talking about are risks to
21 future power prices here; but there are also risks to
22 future power prices in most places, so they're not
23 necessarily a big risk to competitiveness.

24 Some of them, the one's you really go to
25 track, are the ones that run on contrary directions.

1 And that main reason that we tended to focus on low
2 power prices as -- as the big one you got worry about,
3 because if we really do have a drastically different
4 export market environment, you -- you mentioned solar;
5 solar's interesting, I -- I think. It's got -- we'll
6 see how it evolves. At this point, I'm not sure it's
7 as rosy as some people present, but it's certainly got
8 some uncertainty involved in it.

9 The natural gas prices are there, and --
10 and certainly things that we -- we can't even conceive
11 of now, I don't know about ten (10) years, but twenty
12 (20) years. But if they're things that mean that
13 southern states of the United States or Brazil or -- or
14 Turkey or places that these companies are competing
15 with can radically change the way they -- they supply
16 power while, you know, in directions where our rates
17 are going up and theirs are going down, that -- that is
18 -- you know, that -- that's the stuff that -- that I
19 think someone has to watch out for.

20 We modelled the low price scenarios. I
21 don't -- as I said, I'm not in the room and I'm not a
22 natural gas price forecaster. But in my gut level,
23 watching this market, I -- I would not think that you
24 have a lot of -- of risks of cheaper gas than low price
25 -- current low price scenarios on the market. There

1 are some incredible scenarios I could dream up where
2 you'd have a fair bit of higher gas scenarios,
3 environmental controls on fracking, you know, market
4 transformation about diesel or uses, you know, major
5 gas exports for other parts of the world.

6 So that wouldn't -- I think -- I think
7 that's -- that's the -- I think that's the one that --
8 that I would -- I would worry about most. But I'd also
9 suggest that I'd be worried about, in ten (10) years,
10 sitting down and saying, We blew that call, as if we
11 could already know if we had made the right call
12 because, you know, these are very, very long horizon
13 projects. And they're not expected to be, you know,
14 winners over ten (10) years. They're expected to be
15 winners over much longer than that. And the big
16 question is: Can Manitoba handle them during that --
17 that interim period?

18 So, you know, it may be -- we may not be
19 drinking beer. We may be in the rocking chairs or
20 something. But -- but I do think that's -- that's the
21 horizon you need to be thinking about.

22 DR. HUGH GRANT: I was going to say
23 twenty (20) years. But out of respect for your
24 counsel, I thought...

25 THE CHAIRPERSON: I think that it's

1 probably an appropriate time to take a break so the
2 witnesses can prepare themselves for Mr. Williams's
3 probing cross-examination -- typically probing cross-
4 examination. So you're well advi -- well warned.
5 Let's take ten (10) minutes.

6

7 --- Upon recessing at 2:18 p.m.

8 --- Upon resuming at 2:34 p.m.

9

10 THE CHAIRPERSON: Okay, I believe that
11 everybody's in position to start. Mr. Hacault, s'il
12 vous plait.

13

14 CONTINUED BY MR. ANTOINE HACAULT:

15 MR. ANTOINE HACAULT: Yeah. I'm
16 advised Mr. Bowman started rocking in his chair, and in
17 contemplation of Dr. Grant's question and may have some
18 additional information to share with Dr. Grant.

19 MR. PATRICK BOWMAN: You -- you seem to
20 ask the most difficult questions, Dr. Grant. My
21 supplement is if the -- if it's ten (10) years hence or
22 fifteen (15) years hence and Mr. Hacault and I are
23 having a drink, I think one (1) of the things that
24 would concern me most and that we would -- we would
25 look back and say, Boy, that -- that one was -- got --

1 got blown, would be Manitoba committing to a plan of
2 this -- of this type, particularly the larger ones,
3 without having a good enough understanding of the -- of
4 the patience they need for it pay off. And as a
5 result, three (3), four (4), five (5), eight (8) years
6 later, people taking drastic actions because something
7 that really doesn't matter in the long-term is -- is
8 starting to -- to show up. Like, you know, Oh, we have
9 a couple of year of low net income; let's really start
10 to ramp up rates.

11 Or -- or our -- our capital costs came
12 in a, you know, a -- a little bit high on Keeyask, so
13 let's -- let's, you know, take Hydro to the gallows and
14 -- and make -- make sure that they never build another
15 project like that again, or whatever. It -- it's
16 something that really isn't -- isn't representing the
17 long-term -- the -- the long-term underlying benefits
18 of the project to the province.

19 And -- and I think that Ontario example
20 is -- is probably one (1) of the best ones from my
21 career that I think there was probably a whole bunch of
22 people who in -- somewhere in the '80s sat down with
23 some people who may have even been in this room from
24 Ontario Hydro and -- and this team and figured out that
25 they needed Conawapa for -- for a, you know, a decade

1 or fifteen (15) years.

2 And two (2) years later someone says,
3 Oh, we don't need it today. Let's -- let's cancel that
4 deal. And there's probably a few people who had their
5 -- the same situation as Mr. Hacault and I somewhere in
6 the late '90s saying, We blew that one (1), you know,
7 just -- just by over focussing on the short term.

8 THE CHAIRPERSON: Thank you, Mr.
9 Bowman. I believe that, Mr. Williams, it's your turn.

10

11 CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

12 MR. BYRON WILLIAMS: Yes, thank you and
13 good afternoon. Mr. Bowman, just let's start out with
14 the financial analysis you did in your original pre-
15 filed written evidence.

16 Am I correct that much of the financial
17 analysis under -- undertaken in Chapter 4 of your pre-
18 filed evidence was based upon expected values?

19 MR. PATRICK BOWMAN: Certainly Appendix
20 C was. Some of -- only some of that got copied to --
21 to Chapter 4. I'd have to check about the relative
22 mix. But the -- the lines were all based on expected
23 values in -- in Appendix C, which was the underlying
24 detailed background for that.

25 MR. BYRON WILLIAMS: And for Appendix

1 C, you made a choice to focus on expected values as
2 compared to ref/ref/ref values.

3 Is that fair?

4 MR. PATRICK BOWMAN: Yes.

5 MR. BYRON WILLIAMS: And one (1) of the
6 reasons presumably you did so was the expected values
7 tended to be lower than the ref/ref/ref values?

8 MR. PATRICK BOWMAN: My recollection is
9 in the financials they're not -- they're not nearly as
10 different as they were in the -- in the economics. In
11 the economics they're lower. But I -- I think they're
12 a better representation. I -- I think they probably
13 are a -- a bit lower, but not enough that it would
14 really show up different on the graph.

15 MR. BYRON WILLIAMS: But you made that
16 choice because you considered them a better
17 representation of the -- the risk, opportunities, and -
18 - and expectations?

19 MR. PATRICK BOWMAN: Yes, and -- and
20 also in consultation with -- with Mr. Harper, as -- as
21 this Board had requested people to try to coordinate
22 their cases a bit. Mr. Harper was spending more time
23 on the economics piece, but he was -- he was
24 encouraging a focus on expected values, and I thought
25 that was reasonable. So we -- we sort of did the same.

1 MR. BYRON WILLIAMS: And for the
2 purposes of your updates relying upon information from
3 Manitoba Hydro Exhibit 104-12, you've had to rely on
4 the ref/ref/ref values as compared to the expected
5 values?

6 MR. PATRICK BOWMAN: Yes.

7 MR. BYRON WILLIAMS: And you've had to
8 do so because the expected values are not available?

9 MR. PATRICK BOWMAN: Yes.

10 MR. BYRON WILLIAMS: And sitting here
11 today, you are not in a position to comment
12 authoritatively on what the implications of using
13 expected values would be for the financial analysis,
14 correct?

15 MR. PATRICK BOWMAN: Correct. I -- I
16 don't think it would be material, but it's not an
17 authoritative conclusion.

18 MR. BYRON WILLIAMS: And just out of
19 curiosity, have you done a comparison on how the
20 reference values between the Gas/750 Plan versus the
21 Keeyask/750 Plan have changed using the 2013
22 assumptions versus the 2012 assumptions?

23 MR. PATRICK BOWMAN: Can you repeat the
24 plans you wanted me to think about?

25 MR. BYRON WILLIAMS: Have you taken a

1 look at how the reference values, looking at the
2 Gas/750 and 750 Interconnection Plan would compare to
3 the Keeyask versus 750 Plan using the 2012 assumptions
4 versus the 2013?

5 MR. PATRICK BOWMAN: You're contrasting
6 Gas and Keeyask, but in both cases you're including a
7 750 line?

8 MR. BYRON WILLIAMS: Yeah, let me --
9 let me try that again. That was inelegantly worded,
10 and I apologize.

11 Have you looked at how the plan -- the
12 reference values for the Keeyask/Gas/750 Plan have pr -
13 - have -- at the relative gap as compared to the
14 Keeyask Conawapa 750 Plan using the 2020 assumptions
15 versus the 2013 assumptions?

16 Have you looked at whether the gap
17 widens under the 2013 assumptions?

18 MR. PATRICK BOWMAN: And by 'gap' you
19 mean the gap between reference and expected value, or
20 the gap between the two (2) plans?

21 MR. BYRON WILLIAMS: The gap between
22 the two (2) plans.

23 MR. PATRICK BOWMAN: So we're looking
24 at -- only at reference values --

25 MR. BYRON WILLIAMS: Yeah.

1 MR. PATRICK BOWMAN: -- because 2013
2 updates, we only have the expected values. And do you
3 mean under financial scenarios versus econom -- well,
4 it's -- it's inherent in the -- the presentation. We
5 didn't -- we didn't map them overtop of one another,
6 but the -- the financial picture of -- of what I'll
7 call the hybrid of Plan 5, 6, versus 14 are -- are in
8 the slides that we -- we presented and there -- the
9 changes over time are -- are shown there too, if you --

10 MR. BYRON WILLIAMS: Okay.

11 MR. PATRICK BOWMAN: -- if -- slide 55
12 and 56, if you wanted to look at them.

13 MR. BYRON WILLIAMS: I'll look at those
14 more closely, Mr. Bowman.

15 Now, just when we came back after lunch,
16 you were kind enough to provide us with some ant --
17 animated insight and entertainment.

18 Do you recall that, Mr. Bowman?

19 MR. PATRICK BOWMAN: Yes.

20 MR. BYRON WILLIAMS: And, in essence,
21 what you did is you took the evidence that you had
22 presented at page C-8, Figure 1, of your original pre-
23 filed evidence over fifty (50) years and you broke it
24 down into ten (10) year increments.

25 Would that be fair, sir?

1 MR. PATRICK BOWMAN: Yes. And -- and a
2 matter of fact, it was already in the original filing,
3 or -- or at least a few of the -- a few of the steps I
4 recall were in there. I've -- I have to look if we did
5 it for Plan 14; but, yes, that's what we did.

6 MR. BYRON WILLIAMS: And I guess that
7 was my question, sir. Are -- are the specific slides
8 that you prepared for the ten (10) year difference, the
9 twenty (20) year difference, the thirty (30) year
10 difference, and the forty (40) year difference in your
11 pre-filed evidence?

12 MR. PATRICK BOWMAN: No, not all of
13 them.

14 MR. BYRON WILLIAMS: Would you mind, by
15 way of undertaking, agree to -- to file those on the
16 record?

17 MR. PATRICK BOWMAN: Yes.

18 MR. BYRON WILLIAMS: You would mind or
19 you would agree to? Wasn't a trick question; I think
20 we're both tired, Mr. Bowman.

21 You're agreeing to -- to file those?

22 MR. PATRICK BOWMAN: Yes.

23 MR. BYRON WILLIAMS: Yes, I'm asking
24 Mr. Hacaault to undertake on behalf of his witness to
25 file the base figures that ultimately made -- made up

1 Figure 1 on page C-8 at the ten (10) year time period,
2 the twenty (20) year time period, the thirty (30) year
3 time period, and the forty (40) year time period.

4 MR. PATRICK BOWMAN: Agreed. Mr.
5 Williams, we have a diverse menu here. Can I just be
6 clear, you only want Plan 14?

7 MR. BYRON WILLIAMS: Here we go. I --
8 I also -- do you have it for Plan 5, sir?

9 MR. PATRICK BOWMAN: Yes. Well, let me
10 finish the rest of the question and come back to that.
11 Do you only want it for ref/ref/ref conditions?

12

13 (BRIEF PAUSE)

14

15 MR. BYRON WILLIAMS: I would like it --
16 do you have it for expected?

17 MR. PATRICK BOWMAN: Not easily. We
18 have all twenty-seven (27) of the original ones. We'd
19 have to go through the entire weighting process to make
20 --

21 MR. BYRON WILLIAMS: No, that's fine.
22 We'll take it for ref/ref/ref for Plan 14 and Plan 5.
23 And do -- would -- you wouldn't have it for Plan 6
24 though, would you?

25 MR. PATRICK BOWMAN: Well, the -- the

1 question -- the third question was do you want it only
2 for the original NFAT filing, or do you actually want
3 the updated ref/ref/ref? We can do either, but -- but
4 the -- which plan we can do depends on whether it's
5 original or updated. Only Plan 6 was included in the
6 original. Plan 5 was never -- was never run through
7 the financials of the original.

8 MR. BYRON WILLIAMS: I'd like it for
9 the update for Plan 14 and Plan 6, Mr. Bowman.

10 MR. PATRICK BOWMAN: I'm getting a nod
11 from the back row. Yes, update Plan 14, Plan 6, ten
12 (10) years, ref/ref/ref.

13 MR. BYRON WILLIAMS: Ten (10), twenty
14 (20), thirty (30), forty (40) years?

15 MR. PATRICK BOWMAN: Yes, well, they're
16 ten (10) year increments, that's why I'm ...

17 MR. BYRON WILLIAMS: So just for the
18 court reporter, we'll be looking at updatings --
19 updating Plan 14 and Plan 6 based upon the updated
20 numbers in ten (10) year increments going out to -- out
21 to fifty (50) years. And thank you, Mr. Bowman.

22 MR. ANTOINE HACAULT: That's agreed.

23

24 --- UNDERTAKING NO. 143: MIPUG panel to update Plan
25 14 and Plan 6 based upon

1 the updated numbers in ten
2 (10) year increments, going
3 out to fifty (50) years.

4

5 (BRIEF PAUSE)

6

7 MR. ANTOINE HACAULT: And by the way,
8 the risk of having been rude and -- and not being
9 forgiven by the back row, which we have, we have
10 Melissa Davies, who has been supporting us throughout
11 this hearing and I'd like to formally introduce her to
12 everybody here. She was the was one nodding to as to
13 whether all these additional analysis could be done.

14

15 CONTINUED BY MR. BYRON WILLIAMS:

16 MR. BYRON WILLIAMS: And, Mr. Bowman,
17 she's done a lot of the hard work, hasn't she, sir?

18 MR. PATRICK BOWMAN: No, that's not
19 correct.

20 MR. BYRON WILLIAMS: Just let Ms.
21 Davies know she's always got a place with us if she...

22 Mr. Bowman, getting to the -- the
23 highlight or the -- the heart of your evidence, I --
24 I'm going to suggest that one (1) key message you had
25 was that there was a legitimate need pathway to pursue.

1 Is that fair?

2 MR. PATRICK BOWMAN: There is -- there
3 is a pathway that could be pursued based on legitimate
4 -- based on, you know, a reasonable definition of
5 'need'.

6

7 (BRIEF PAUSE)

8

9 MR. BYRON WILLIAMS: And it's not just,
10 sir -- it's a pathway that you considered credible in
11 your original evidence?

12 MR. PATRICK BOWMAN: Yes.

13 MR. BYRON WILLIAMS: And based upon the
14 updated economics, you would consider it even more
15 credible today?

16 MR. PATRICK BOWMAN: It's a pathway
17 that's available and that is -- yes, it's credible.

18 MR. BYRON WILLIAMS: But, sir, if you
19 were comparing it to your original analysis, you would
20 say that in comparison to the opportunity pathway, this
21 is indeed -- is a pathway that has improved relatively
22 compared to the opportunity pathway, based upon the
23 updated information?

24 MR. PATRICK BOWMAN: Yes.

25 MR. BYRON WILLIAMS: You also suggest

1 that there is a credible opportunity pathway, as well.

2 Is that fair?

3 MR. PATRICK BOWMAN: Yes.

4 MR. BYRON WILLIAMS: And a -- a key
5 question ultimately is: How much do we value that
6 additional transmission?

7 Would that be fair, sir?

8 MR. PATRICK BOWMAN: Yes.

9 MR. BYRON WILLIAMS: And -- and in fact
10 in your mind, that's perhaps the most important
11 question?

12 MR. PATRICK BOWMAN: It's the most
13 important question to be answered to be today. It's a
14 subset question of the bigger question, which is:
15 Where are you going?

16 And my -- my answer for that is a little
17 bit biassed, if that's the right word, by being a
18 Manitoban who would -- who would -- who I think has
19 done well by developing the plants and -- and making
20 the most of domestic resources and bringing outflow of
21 -- of funds from export markets and those types of
22 things notionally.

23 And it would be a -- a shame, if that's
24 the right word, to -- to think that somehow we --
25 today's the time where we -- where we get off this and

1 we go on -- on gas forever or something. But -- but I
2 -- I think it's a credible question. Today very much
3 turns on the transmission.

4 MR. BYRON WILLIAMS: Okay. And I
5 wonder if we could pull up Manitoba Exhibit -- Manitoba
6 Hydro Exhibit 192? I don't want to ask Mr. Hacaault to
7 put that in front of his face again. I -- I miss his
8 shiny -- but -- but the...

9

10 (BRIEF PAUSE)

11

12 MR. PATRICK BOWMAN: Yes.

13 MR. BYRON WILLIAMS: And Mr. Bowman, I
14 just want to make sure, and I'm going to ask you to
15 explain what you consider to be the credible need
16 pathway.

17 What is it?

18 MR. PATRICK BOWMAN: Well, I would --
19 I'll -- I'll first start with our -- our building
20 block, which was the IR -- the first IR that we asked
21 of Manitoba Hydro, which is MIPUG MH-1 with all of its
22 subparts of, What does need mean? And I think they --
23 they did a pretty good job of setting out, you know,
24 need is to supply domestic kilowatt hours, and to the
25 extent that they are still in the system, existing

1 export kilowatt hours that we've committed to. And to,
2 you know, do that on a -- a -- you know, at a time when
3 -- when -- to -- or to -- to commit to resources at a
4 time when -- when it's -- when we're unable to do that.

5 The -- the credible needs pathway is the
6 top half of this page. It does involve energy
7 conservation, and so in the light blue diamonds
8 continue to review these -- continue to run a plan
9 every year, continue to look at DSM every year,
10 continue to be open to independent power proposals,
11 whether that's from wind or other things, continue to
12 have discussions with your industrial customers about
13 their opportunity to generate. All of the things that
14 make sure that you've -- you've optimized your existing
15 load.

16 And -- and when that no longer fulfills
17 the kilowatt hours demanded, then commit to
18 construction that could be Keeyask or -- or could be
19 gas. It probably wouldn't -- wouldn't be Conawapa, but
20 I -- I wouldn't rule it out. But without -- you know,
21 without necessarily taking on the transmission at that
22 time.

23 I think it's a -- it's -- it's a -- a
24 premise of minimizing capital commitments and -- and
25 only building for dates where you have shortfalls.

1 MR. BYRON WILLIAMS: Okay. And so the
2 essence of the -- the credible need path is certainly
3 employing economic DSM to buy time?

4 MR. PATRICK BOWMAN: Well, employing
5 economic DSM because it's sensible, but it also buys
6 time.

7 MR. BYRON WILLIAMS: And presumably, it
8 assists in -- in keeping the -- the debt level down.

9 Is that fair, sir?

10 MR. PATRICK BOWMAN: It can. DSM isn't
11 always cheap. You know, you -- you would need to keep
12 it reasonable for -- for ratepayers, applies
13 appropriate tests in that regard, but -- but it
14 generally -- it's not only about keeping your debt
15 level down. It's -- it's -- when we were doing the
16 consultation process for this with the commercial
17 customers, we -- we were trying to help people
18 understand the power planning, and we -- we ended up
19 using a description that explained that there are --
20 there are sort of building block resources to assist
21 them, and there are flexible resources.

22 And -- and flexible resources have some
23 very advantageous characteristics that you can scale
24 them up, you can scale them down, they can be built
25 quickly, they often don't require big capital in -- in

1 advance, and they're -- and they're not that custom.
2 So you don't have to invest a whole lot of money in
3 advance of committing to them, like including, you
4 know, wind or IPPs, or DSM.

5 There's also these big building block
6 resources that bring you a -- a whole load of -- of
7 power at one (1) point in time, but they're -- they're
8 extremely custom, and so you have to spend a lot of
9 time planning them in advance. They're not very
10 flexible to move around. It's not just generating
11 stations. It could be, you know, people who build
12 nuclear plants face the same problem.

13 And -- and export commitments would be a
14 -- a similar type of -- of demand-side aspect. They
15 don't move around easily. They take a lot of work to
16 put together. They're very difficult, very custom, and
17 so filing your system involves, What can I do with the
18 flexible resources until such time as I want to now
19 build in one (1) -- bring in one (1) of these building
20 blocks?

21 And so the -- the need-based case would
22 be, well, let -- let's make the most of all these
23 flexible resources I can work with until I need to go
24 to my next block.

25 MR. BYRON WILLIAMS: Okay.

1 MR. PATRICK BOWMAN: And -- and natural
2 gas kind of gives you a bit of -- it has
3 characteristics of each. But --

4 MR. BYRON WILLIAMS: Okay. And so --
5 and just -- and I -- I thank you for that -- that
6 helpful answer. And I -- one (1) advantage of this is
7 -- is lower debt, and you've suggested as well
8 significantly enhanced flexibility --

9 MR. PATRICK BOWMAN: Yes.

10 MR. BYRON WILLIAMS: -- as compared to
11 the opportunity pathway?

12 MR. PATRICK BOWMAN: Yes.

13 MR. BYRON WILLIAMS: Now, you mentioned
14 -- in the event that we get to new generation under the
15 credible need path, you mentioned at least three (3)
16 options, one (1) being Keeyask, one (1) being Conawapa,
17 and another being Gas.

18 Is that right?

19 MR. PATRICK BOWMAN: Yes, at least
20 those three (3).

21 MR. BYRON WILLIAMS: Anticipating my
22 next question, Mr. Bowman. We don't know what that
23 next new source is if we followed this path until we
24 get out there. You know, if it's ten (10) years from
25 now, it might be Gas.

1 It might -- it might be something else,
2 right?

3 MR. PATRICK BOWMAN: Yes. I think it's
4 unlikely, you know, looking at this chart, when your
5 first resource is scheduled to be 2024 on this chart,
6 it could be later, but it's twenty (20) -- that you're
7 going to find a drastic change in your suite of options
8 by that point in time. If it gets pushed out further,
9 you could end up with something different.

10 MR. BYRON WILLIAMS: If -- if we're
11 talking 2027/'28, we could be looking at a different
12 resource, sir?

13 MR. PATRICK BOWMAN: Yeah. I think
14 you're into -- you're into -- it's -- I think it's
15 probably still unlikely in that time frame, but, you
16 know, your second plant shown here needed is -- is
17 2031. I'm not -- I'm not prepared to say what the
18 suite of options would look like in 2031.

19 MR. BYRON WILLIAMS: Okay, fair enough.
20 Now, sir, just as we -- we think about the -- the
21 credible need pathway, in terms of what we have on --
22 on there right now, is we see All Gas, and -- and is --
23 is it one (1) of the more economic of the credible need
24 paths? Is -- is that, like, Plan 1 is represented in
25 the Manitoba Hydro schematic.

1 Is -- is that one (1) of the more
2 economic of the need paths?

3 MR. PATRICK BOWMAN: For a fairly
4 significant duration, it's -- it's -- shows as
5 economic. I think for something like the rate impacts,
6 it -- it turns around eventually, if you think that
7 you're all your eggs in that basket, but for -- for a
8 reasonable scenario, it's -- it's pretty good. And the
9 main reason is because given the fact that you're
10 starting with a 5,000 megawatt system, you're only
11 adding a relatively small increment to it. The
12 increment you're adding is being driven by energy, and
13 so you're really adding drought backup.

14 That -- that 2024 addition is -- is
15 fundamentally drought backup. Gas is cheap to add if
16 you don't have to run it very often, and so it -- it
17 has a fairly good economics. If you get far enough
18 that you're adding gas you have to run very often, then
19 your economics change.

20 MR. BYRON WILLIAMS: Okay. And just to
21 keep on the credible need-based alternative for a
22 couple moments more, when we look at the All Gas Plan,
23 would it be fair to say that it is not only carrying
24 its costs, but it would be also be carrying sunk costs
25 associated with money already expended in terms of

1 hydroelectric generating planning?

2 MR. PATRICK BOWMAN: In the financial
3 analysis, yes.

4 MR. BYRON WILLIAMS: Yes. And would it
5 be fair to say as well that it's like the other plans,
6 it's carrying the costs of Bipole III?

7 MR. PATRICK BOWMAN: I think you want
8 to be careful about saying what -- what plan is
9 carrying what. Bipole III is common to all plans.

10 MR. BYRON WILLIAMS: All plans,
11 including the All Gas, are carrying the costs of Bipole
12 III?

13 MR. PATRICK BOWMAN: All plans,
14 including All Gas, have the costs of Bipole III
15 included.

16 MR. BYRON WILLIAMS: Okay.

17 MR. PATRICK BOWMAN: That's my
18 understanding, yes.

19 MR. BYRON WILLIAMS: Mr. Bowman, I
20 don't know if you said these words or if I was just
21 paraphrasing you, so you'll correct me if I misstate
22 your words.

23 But did I hear words from you to the
24 effect that it's all about the transmission line in
25 your evidence this morning?

1 MR. PATRICK BOWMAN: Though I may have
2 overstated it, but the first decision is mostly about
3 the transmission line. It's -- you know, it starts
4 from that.

5 MR. BYRON WILLIAMS: And if we could
6 turn to page 9 of -- of your PowerPoint from today.

7

8 (BRIEF PAUSE)

9

10 MR. PATRICK BOWMAN: Yes.

11 MR. BYRON WILLIAMS: In terms of the
12 key decisions that need to be made today, it's whether
13 to take up the Minnesota Power contract and whether to
14 take up the obligation for new transmission.

15 Is -- is that your evidence?

16 MR. PATRICK BOWMAN: Yes.

17 MR. BYRON WILLIAMS: And, sir, is it
18 your evidence that if we do not start construction of
19 Keeyask this summer, being the summer of 2014, that we
20 lose all opportunities to build the transmission line?

21 MR. PATRICK BOWMAN: No, but... There's
22 room for some delays, we've heard, but not much. And
23 having been involved in developing these type of -- of
24 projects, there is a mind-bogglingly long list of -- of
25 balls in the air, of juggling of rings in the circus

1 that somebody is trying to orchestrate to make all
2 these pieces of the plan come together.

3 And -- and as -- as Morrison Park was
4 saying, when they do, you have to recognize it as
5 something different. And -- and Keeyask, shovel in the
6 ground this summer, is one (1) piece of that. You --
7 you -- it's not a buffet. It's a -- it's a coherent
8 option that -- that's set out.

9 It may be that there's reasons to move
10 it, but when you have a -- a contractor and a
11 counterparty and financing markets and Aboriginal
12 partners and licences and the federal government and --
13 and, you know, everything from, you know, unions to
14 governments moving in a certain direction and you've
15 managed to get this choir to sing together, it's --
16 it's very hard to say, Oh, wait, wait, wait I want -- I
17 want to change this one.

18 MR. BYRON WILLIAMS: Sir, and -- and
19 perhaps you misunderstood me.

20 I'm not suggesting necessarily changing
21 anything except for if -- if a decision was made that
22 more information was required and we would defer the
23 ultimate recommendation for a year, are you saying that
24 we would lose the interconnection opportunity?

25 MR. PATRICK BOWMAN: You would

1 certainly adjust the path you're on for the short-term.
2 I -- I have no reason to -- to believe one (1) way or
3 the other on that except the same evidence you heard,
4 Mr. Williams.

5 MR. BYRON WILLIAMS: And the evidence
6 that you've heard is that there is a -- a two (2) year
7 window of opportunity, sir?

8 MR. PATRICK BOWMAN: Technically, I've
9 -- I've heard the evidence that contractual obligations
10 in -- in some of those moving parts that I described
11 have flexibility in them. But I don't think you want
12 to read that as an -- as an unlimited and -- and easy
13 ability to do that, in part because, you know, if we --
14 you've got counterparties. You've got people you're
15 trying to keep calm. You've got a whole long list of
16 people, like regulators, who you have on certain --
17 certain paths. And if -- if one (1) party says, Wait,
18 I've got an extra month and then I want the extra month
19 and I want to reconsider this. And -- and things can
20 unravel very, very quickly.

21 I'm not saying it won't happen. But I
22 think you -- you have to understand that if -- if
23 someone says, I need an extra year to get a shovel in
24 the ground because, you know, weather conditions
25 delayed me, counterparties will understand that. If

1 you say ,I've got an extra year to get a shovel in the
2 ground because everyone here is weak-kneed and -- and
3 isn't ready to come together and -- but -- but don't
4 worry, you stay under control, I'll -- I'll get this
5 one (1) working. That -- that's a very different
6 message.

7 And I don't mean to be pejorative by
8 using the phrase 'weak-kneed', but -- but I mean you --
9 you do want to -- to understand just how many moving
10 parts you're affecting.

11 MR. BYRON WILLIAMS: So your evidence
12 is that if -- if anyone in Manitoba felt -- in the
13 decision making process felt that they needed more
14 information, that panic would ensue and everything
15 would unravel?

16 MR. PATRICK BOWMAN: Not necessarily,
17 but it would -- but I can't guarantee that it wouldn't.
18 And I -- I'm -- I'm -- and I'm relatively confident
19 that if you talked about some, you know, some shorter
20 time frame, it probably wouldn't. If you talked about
21 a longer time frame, the risks go up. And the reason
22 for your delay could make a difference as to what's
23 short term and what's long term.

24 MR. BYRON WILLIAMS: Okay. Fair
25 enough. Now, is it your evidence that if we

1 follow a credible need-based pathway, that we will
2 never again have an opportunity to build a transmission
3 line?

4 MR. PATRICK BOWMAN: No.

5 MR. BYRON WILLIAMS: Okay.

6 MR. PATRICK BOWMAN: And matter of
7 fact, that's what I -- it -- it fits into what I call
8 the 'Conawapa now or Conawapa never' sort of fallacy of
9 looking at the lines. It's -- it's a little bit the
10 same thing. The difference is it involves a few more
11 categories.

12 MR. BYRON WILLIAMS: Okay. Thank you.
13 Mr. Bowman, apart from the -- your very esteemable
14 skills and the ever-esteemable Ms. Davies, for the
15 preparation -- for its preparation in this proceedings,
16 did the InterGroup team or the Manitoba Industrial
17 Power Users Group team retain a -- any additional
18 expertise with regard to conditions in the MISO
19 marketplace?

20 MR. PATRICK BOWMAN: No.

21 MR. BYRON WILLIAMS: And as I believe I
22 heard you say today, you yourself do not profess to be
23 an expert with regard to market conditions in the MISO
24 marketplace?

25 MR. PATRICK BOWMAN: No. Some -- some

1 of the members have that experience, but I -- I don't.

2 MR. BYRON WILLIAMS: And does
3 InterGroup, as part of its ongoing work, follow
4 regularly the US Department of Energy Office of Energy
5 projects as it provides updates, in terms of energy
6 infrastructure investments in the United States?

7 MR. PATRICK BOWMAN: I don't. I can't
8 say if anyone else does.

9 MR. BYRON WILLIAMS: That would not be
10 something that the MIPUG team would regularly -- excuse
11 me, that the InterGroup team would regularly monitor?

12 MR. PATRICK BOWMAN: I can only say I -
13 - I don't.

14 MR. BYRON WILLIAMS: Okay. Does Ms.
15 Davies?

16 MR. PATRICK BOWMAN: I don't think Ms.
17 Davies does either, but...

18 MR. BYRON WILLIAMS: You were saying
19 Ms. Davies, that's not something she monitors either?

20 MR. PATRICK BOWMAN: To the best of my
21 knowledge, no.

22 MR. BYRON WILLIAMS: I wonder if we
23 could turn to slide 25 of your PowerPoint, please.
24 Under the -- I -- the third bullet, under the,
25 "Shifting sands," you make some reference to price/no

1 price.

2 And I take it there, Mr. Bowman, you're
3 referring to carbon prices?

4 MR. PATRICK BOWMAN: Yes.

5 MR. BYRON WILLIAMS: And were you here
6 for the evidence of Dr. Gotham when he described the
7 carbon price issue, in his view, as a binary issue
8 rather than a probability issue, in that the choices
9 are zero or one (1)?

10 MR. PATRICK BOWMAN: Yes.

11 MR. BYRON WILLIAMS: And, sir, just so
12 I can understand, in terms of the financial analysis
13 that you undertook either in your pre-filed evidence or
14 in your updated evidence, would you have treated the
15 carbon price issue as a binary issue for the purposes
16 of your analysis?

17 MR. PATRICK BOWMAN: In our original
18 filing, I don't -- I -- I can't think of where we would
19 have treated it as either. To the extent there were
20 inputs of export market prices, they were -- they were
21 built into scenarios that we would have worked with,
22 but it's not like we were making a decision on those.

23 Now, we have been interested in some
24 other information that's been filed, but -- but, no, in
25 the original evidence, no.

1 MR. BYRON WILLIAMS: Okay. And you're
2 aware of the conclusion by MNP, different from Dr.
3 Gotham's, that there was a 50/50 probability of carbon
4 prices or -- or no price -- no carbon prices?

5 MR. PATRICK BOWMAN: I wasn't here for
6 that testimony. I recall reviewing the report. And I
7 recall that being what people indicated they -- they
8 testified to, but I wasn't here for it.

9 MR. BYRON WILLIAMS: Okay. I wonder if
10 we could turn to the revised MIPUG evidence of February
11 28th, 2014, page C-8. And Figure 1-- oh, there it is.

12 MR. PATRICK BOWMAN: Oh, yeah.

13 MR. BYRON WILLIAMS: Mr. -- Mr. Bowman,
14 you've -- you've gone through this before, but -- and I
15 don't know if this will assist in an earlier inquiry
16 Dr. Grant made to one (1) of the CAC (Manitoba)
17 witnesses, but I'll see whether it -- it does or not.

18 But if I go about six (6) rows over,
19 what you're showing in the yellow block there is the
20 impact of government charges on the NPV calculation
21 which in this example is -- is comparing Plan 1 against
22 Plan 14?

23 MR. PATRICK BOWMAN: Yes.

24 MR. BYRON WILLIAMS: And -- and just to
25 remind everyone, this was based upon the original

1 business case analysis of Manitoba Hydro and would have
2 excluded the capital estimate changes, as well as DSM
3 Scenario 2?

4 MR. PATRICK BOWMAN: And -- and any
5 other updates since the original, yes.

6 MR. BYRON WILLIAMS: Yes, thank you.
7 And so what you're showing here is, in terms of the
8 benefit accruing to government based upon at least this
9 comparative analysis, would I be correct in suggesting
10 that I would calculate that as being about \$1.776
11 billion, being the difference between the 4.64 billion
12 and the 2.864 billion?

13 MR. PATRICK BOWMAN: Yes.

14 MR. BYRON WILLIAMS: And then if we go
15 over two (2) rows, I'll get to the -- the calculation
16 of the benefit to the First Nation Partners.

17 Is that right?

18 MR. PATRICK BOWMAN: As it's presented
19 in the -- the -- Hydro's IFF-style financial
20 statements.

21 MR. BYRON WILLIAMS: So that would not
22 include jobs associated with construction, correct?

23 MR. PATRICK BOWMAN: No.

24 MR. BYRON WILLIAMS: And it wouldn't
25 include any business opportunities?

1 MR. PATRICK BOWMAN: You're correct.

2 MR. BYRON WILLIAMS: And it wouldn't
3 inter -- include any opportunities post-construction,
4 in terms of operational jobs?

5 MR. PATRICK BOWMAN: You're -- you're
6 correct on all of those counts.

7 MR. BYRON WILLIAMS: What --

8 MR. PATRICK BOWMAN: I -- I can't even
9 guarantee it includes all economic or financial
10 benefits, too. I only know that this is alive and it
11 shows up as non-controlling interest.

12 MR. BYRON WILLIAMS: Okay.

13 MR. PATRICK BOWMAN: There is -- there
14 is different ways that one represents those deals in --
15 in different aspects within the -- the -- within the
16 subsidiary partnership.

17 MR. BYRON WILLIAMS: Given those
18 limitations, what -- what it in essence would appear to
19 reflect is a net present value of the investment
20 opportunity.

21 Would that be fair?

22 MR. PATRICK BOWMAN: Well, a net
23 present value of the non-controlling interest. The
24 difference between fourteen (14) and one (1), yes.

25 MR. BYRON WILLIAMS: Okay. And in

1 terms of that net present value, you'll agree subject
2 to check, that would be based upon the preferred share
3 option rather than the common unit share option,
4 subject to check?

5 MR. PATRICK BOWMAN: My understanding
6 based on the IRs that were filed is that this only
7 includes a Keeyask and only in respect of a preferred
8 share option. We were not able to get an answer that
9 satisfied us on how Conawapa was dealt with. It
10 doesn't appear that the numbers change between
11 scenarios that have Conawapa and don't. We're told by
12 -- in an IR that Conawapa benefits are included at some
13 level, but obviously for negotiating reasons they --
14 they weren't identified and -- and we weren't told what
15 row they show up in.

16 It wouldn't appear they're in this row,
17 though. So I think it's only Keeyask. I -- I
18 understand it is -- it is based on a preferred share
19 option, but it's -- I can tell you what line it comes
20 from. It would be better to have Manitoba Hydro tell
21 you what exactly is in that line.

22 MR. BYRON WILLIAMS: I'll maybe get Mr.
23 Wojczynski to whisper in my ear. Or maybe just leave a
24 note, Mr. Wojczynski. The difference here, we would
25 calculate the calculated benefit to the First Nation

1 Partners here, recognizing the limitation of this
2 analysis as being 56 million as -- in terms of NPV?

3 MR. PATRICK BOWMAN: Yes.

4

5 (BRIEF PAUSE)

6

7 MR. BYRON WILLIAMS: Mr. Bowman, we can
8 go to slide 63 of your PowerPoint, if you would.

9

10 (BRIEF PAUSE)

11

12 MR. BYRON WILLIAMS: And at a couple of
13 times in your presentation today, sir, you talked about
14 the potential for government charges relief?

15 MR. PATRICK BOWMAN: Yes. Yes.

16 MR. BYRON WILLIAMS: And you've
17 discussed examples from other jurisdictions, whether
18 from Mayo or -- or elsewhere.

19 Is that fair?

20 MR. PATRICK BOWMAN: Yeah, not they --
21 they weren't precisely forgiveness or -- or relief from
22 government -- government charges. They were different
23 ways that a government and a Crown utility can work
24 together to address adverse rate pressures that can
25 arise from a project that is otherwise good for the

1 territory as a whole.

2 MR. BYRON WILLIAMS: And, Mr. Bowman,
3 just so my client understands your presentation here,
4 do you have a specific mechanism and value of relief
5 that you're -- you're contemplating, or is this more a
6 conceptual?

7 MR. PATRICK BOWMAN: This is
8 conceptual. It's a -- it's an easy possibility. One
9 can come up -- when we've designed these type of models
10 for other government we've gone through dozens of
11 options. They've tended to not gravitate to this
12 approach, but mostly because those other jurisdictions
13 don't tend to take much in government charges.

14 So they don't really have an easy option
15 like this where, as I said, with the stroke of a pen
16 somebody can say, I -- I won't charge that fee anymore.
17 They've had to use different models that are perhaps a
18 bit more complicated.

19 MR. BYRON WILLIAMS: And just for --
20 just to assist my client, Mr. Bowman, given your
21 experience in -- in looking at different options, could
22 you outline a few for us?

23 MR. PATRICK BOWMAN: Sure.

24

25 (BRIEF PAUSE)

1 MR. PATRICK BOWMAN: Actually, we -- we
2 have, at times in the past, prepared a bit of a -- of
3 an outline of some different examples. I can do them
4 top of my head. If -- if you want me to -- to cut and
5 paste that into something for you, I -- I can do that.

6 MR. BYRON WILLIAMS: If you could do it
7 by way of undertaking if that's --

8 MR. PATRICK BOWMAN: Sure. The -- the
9 best example I'd give you though, which I just want to
10 highlight here, is we've used it before in Manitoba
11 with respect to the original Bipole I and II. You
12 know, the -- the -- when -- when Manitoba Hydro went
13 north, transmission was needed. It was an
14 extraordinary cost to that project. And the project
15 couldn't carry that transmission cost. So the -- the
16 trans -- the -- the first -- you're building your first
17 hydro dam, and your second really relies on this
18 transmission, but you need to bring the transmission in
19 a -- in a lump.

20 And that was -- I -- I don't know how
21 many people know the history, but that was -- was built
22 by the Government of Canada through AECL, who -- who
23 leased it back to Hydro at extremely favourable rates,
24 even -- even negative rates for a period of time. That
25 -- I have a bit of that history laid out nonetheless.

1 And it was only, you know, fairly recently in -- that,
2 in the context of the time frames we're talking about
3 here, that Hydro finally bought that out.

4 MR. BYRON WILLIAMS: Okay. Thank you.
5 And, Mr. Bowman, if -- if you don't mind, because for
6 food for thought, our clients would appreciate just to
7 see a -- a bit of the work that -- that if it's not too
8 much additional work. And so I would ask, through your
9 legal counsel by way of undertaking, if you could
10 provide a -- a brief outline of potential options that
11 might be canvassed. And -- and if you can, again,
12 without too much work, provide some citations or
13 references?

14

15 (BRIEF PAUSE)

16

17 MR. ANTOINE HACAULT: I think we can do
18 that except for it probably would be more by way of
19 examples. I'm aware of Mr. Bowman's work in the past.
20 And there are a number of different examples that
21 exist, one (1) of which he just talked about. So for
22 the -- if that's acceptable to your client, Mr.
23 Williams, we would undertake to provide a brief summary
24 of various examples of government support, or
25 intervention in projects to deal with rate pressures.

1 --- UNDERTAKING NO. 144: MIPUG panel to provide
2 brief summary of various
3 examples of government
4 support or intervention in
5 projects to deal with rate
6 pressures; also to look
7 into examples of relief to
8 ratepayers and, if
9 available publicly, relief
10 between government and
11 other stakeholders,
12 including First Nation
13 government
14

15 CONTINUED BY MR. BYRON WILLIAMS:

16 MR. BYRON WILLIAMS: And, Mr. Bowman, I
17 took it from your evidence the -- the relief could be
18 directed at -- ratepayers is one (1) element of the
19 distributional relief.

20 That was your thinking?

21 MR. PATRICK BOWMAN: Yes.

22 MR. BYRON WILLIAMS: Notionally, it
23 could be devot -- directed, as well, at -- if there
24 were other distri -- distributional concerns, for
25 example, as between government and -- and First Nation

1 governments, notionally that type of mechanism could be
2 used, as well?

3 MR. PATRICK BOWMAN: Yes. The examples
4 that I have readily available I don't believe cover
5 that. I've been involved in some -- some of that
6 nature. But, you have -- I think that -- I think it
7 could it be -- it could be thought of as a
8 distributional question and it may be worth look at
9 some history about the tools that are used on that.

10 MR. BYRON WILLIAMS: And again, Mr.
11 Bowman, I know Ms. Davies wants to get working on
12 closing arguments, so I don't want to make too much
13 work.

14 But if you have looked at using it for
15 benefits not just for ratepayers, but for other
16 stakeholders, would you be prepared to look at that, as
17 well?

18 MR. PATRICK BOWMAN: We've used it very
19 specifically looking at options for First Nations, a
20 matter of fact. I -- I would just be hesitant that I -
21 - I can only think of one (1) of those that is -- that
22 I know the entire record is public. The others --
23 they're -- they're private transactions between a
24 government and First Nation. I'm -- I'm -- it would
25 take a bit more time, if not a lot more time, to -- to

1 confirm what all I could provide on those. Though --
2 though it's -- it's possible I could pretty quickly
3 find -- find the one (1), but I -- I could look into it
4 if you like.

5 MR. BYRON WILLIAMS: Okay. And just so
6 -- just in terms of confirming the undertaking, you
7 will look into examples of ratepayer -- or relief to --
8 to ratepayers and, if -- if it is available publicly,
9 relief between government and -- and other
10 stakeholders, including First Nation government. And
11 recognizing your time limitations, Mr. Bowman.

12 Is that satisfactory?

13 MR. PATRICK BOWMAN: Yes.

14 MR. BYRON WILLIAMS: It's all one (1).

15 Mr. Bowman, I think I heard you use
16 words -- I think I heard you use words today of the
17 'sunk cost fallacy'.

18 Do you recall using words to that
19 effect?

20 MR. PATRICK BOWMAN: It's possible.

21 MR. BYRON WILLIAMS: That's a term
22 you're familiar with, Mr. Bowman?

23 MR. PATRICK BOWMAN: Yes.

24 MR. BYRON WILLIAMS: What does it mean?

25 MR. PATRICK BOWMAN: It means that at

1 times when making decisions, people do irrational
2 things because they've already committed to the steps
3 up to this point in time, even though those -- those
4 efforts or monies or whatever else are sunk and -- and
5 they can't be recovered in any event. You have to make
6 the best decision going forward.

7 MR. BYRON WILLIAMS: Okay. Just -- I
8 hope we'll move fairly quickly through these next
9 questions, but we may jump around a bit. If we could
10 to slide 39 of your evidence, on the right-hand side of
11 this PowerPoint, Mr. Bowman, we see the statement:

12 "Customers generally better off with
13 bigger plans."

14 MR. PATRICK BOWMAN: Yes.

15 MR. BYRON WILLIAMS: And just so I'm --
16 we're precise in -- in knowing what you mean about
17 bigger plans, are you referring to bigger DSM plans,
18 sir?

19 MR. PATRICK BOWMAN: I -- I meant in
20 the stepping between a base, a Level 1, a Level 2, a
21 Level 3.

22 MR. BYRON WILLIAMS: Okay. You weren't
23 making any judgment in terms of whether customers are
24 better off with Plan 14 versus Plan 1?

25 MR. PATRICK BOWMAN: No, this slide is

1 about DSM.

2 MR. BYRON WILLIAMS: Okay. So this --
3 and what we can take from that statement is your
4 conclusion that customers tended to be better off with
5 the bigger plans as compared to the base DSM scenarios?

6 MR. PATRICK BOWMAN: Right. And it's
7 not universal if you look at the -- the front end of
8 the plans or -- or even in respect of Level 1, in
9 respect of a quite -- quite long period of time before
10 the NPVs turned around. But -- but, yes, in -- in
11 general the lines would -- would move because to good
12 with -- as you moved up the levels.

13 MR. BYRON WILLIAMS: Mr. Bowman, you --
14 you talked a fair bit today about considerations in --
15 in protecting Conawapa -- the in-service?

16 MR. PATRICK BOWMAN: Yes.

17 MR. BYRON WILLIAMS: And I think you
18 clarified with -- with in conversations with My Learned
19 Friend, Mr. Hacault, that you would certainly want to
20 use some prudence in the level of expenditures to
21 protect the in-service?

22 MR. PATRICK BOWMAN: I think I used the
23 word 'minimize'. You would -- you protect -- the very
24 nature of 'protect' is only do today what I need to do
25 today so that I can maintain an in-service date and

1 survive till tomorrow.

2 MR. BYRON WILLIAMS: And in terms of
3 the in-service date that you're contemplating, Mr.
4 Bowman, are you contemplating a 2026 in-service date to
5 -- to protect, or perhaps are you, like Mr. Harper, and
6 looking farther out to the 2030 date?

7 MR. PATRICK BOWMAN: I'm not ruling out
8 either, although I notice on the latest Manitoba Hydro
9 Exhibit 192, it doesn't even -- it -- it makes a point
10 of saying 20 -- each of the dates, 2026, '27, '28, '29.
11 So it's not a matter of here or there. It's a -- it's
12 a process between -- I wouldn't rule out either, mostly
13 because I think the Conawapa business case we have
14 right now is at best, you know, indicative. It -- it's
15 not backed by -- by anything, as -- as one (1) of the -
16 - one (1) of the graphs have -- Mr. Hacault had me put
17 up showed.

18 So the thing we know from some of the
19 exhibits that have been filed, particularly -- I have
20 written down here MH-95, it may not be right, but it
21 was the presentation that went to the Manitoba Hydro
22 Electric Board. We don't have to pull it up, but it --
23 it was based on consistently holding Conawapa to a 2026
24 as opposed to -- with different levels of DSM as
25 opposed to the analysis we've seen, which tends to

1 defer it -- the DSM, but the numbers weren't -- weren't
2 different enough that it's a -- it's a given that you'd
3 want to defer.

4 Under the current numbers, def -- defer
5 is probably better, but it's not -- I don't -- I don't
6 think it's a given, and I think the current numbers are
7 -- are -- have enough room for movement in them that
8 you may still find, if -- if Conawapa's a good project,
9 2026 is a -- is a good in-service date.

10 MR. BYRON WILLIAMS: Based -- based
11 upon the current numbers, you indicated that deferral
12 would seem like the better choice past 2026?

13 MR. PATRICK BOWMAN: You know, Mr.
14 Williams, I -- I can't think that I have seen what I
15 would call a complete consistent head-to-head
16 comparison under all the same assumptions of Conawapa26
17 versus Conawapa31. It's possible it's in the record.

18 I have a sheet in which I've been
19 tracking the economic NPVs, and it's to the point I
20 need a magnifying glass to -- to see them all, but I
21 can't recall having seen one that was complete head-to-
22 head, but the number that I have for Conawapa 2026 with
23 -- with Level 1 DSM is close enough to being comparable
24 to the Conawapa20 --

25 MR. BYRON WILLIAMS: Okay.

1 MR. PATRICK BOWMAN: -- with Level 1
2 DSM. I -- I want to be careful quoting these, but the
3 -- the numbers that I have seen, you're still in the
4 same range of economics with Conawapa26 versus 31, and
5 I think -- I think it will play out on other factors,
6 rather than the economics we know today, like if you
7 have a counterparty that has needs of a certain date,
8 as well.

9 MR. BYRON WILLIAMS: And, Mr. Bowman,
10 you talked about it near the end of -- in terms of your
11 conversation with Mr. Hacault. In terms of the WPS
12 sale, have you reviewed any information on the public
13 record that would lead you to give an unqualified
14 endorsement to it?

15 MR. PATRICK BOWMAN: No.

16 MR. BYRON WILLIAMS: Just one (1)
17 second, Mr. Chair.

18

19 (BRIEF PAUSE)

20

21 MR. BYRON WILLIAMS: Those are all our
22 questions. Ms. Desorcy has asked me, Mr. Bowman, as
23 usual, we've enjoyed all your analysis, but your
24 analysis from pages 39 through 48 on -- on DSM, our
25 client's particularly appreciate of, because she feels

1 that it's really assisted in upping the level of
2 analysis on that particular issue, so she thanks you
3 for that.

4

5 (BRIEF PAUSE)

6

7 MR. BYRON WILLIAMS: Sorry, I didn't
8 mean we're -- we're done. I'm sorry, Mr. Chair. I was
9 just visiting with Mr. Wojczynski. I apologize. I'm
10 not going to bill for that time.

11 THE CHAIRPERSON: Thank you, Mr.
12 Williams.

13 MR. ED WOJCZYNSKI: I might.

14 THE CHAIRPERSON: I believe that I
15 don't see anybody from -- from GAC here, so I would --
16 I'm assuming that there are no questions. Can you
17 confirm that, Mr. Peters?

18 MR. BOB PETERS: I can confirm that,
19 Mr. Chairman. I did have occasion to speak briefly
20 with Dr. Miller, and he indicated they had no questions
21 for the MIPUG witness.

22 THE CHAIRPERSON: Thank you for that,
23 Mr. Peters. Me. Monnin, s'il vous plait.

24

25 CROSS-EXAMINATION BY MR. CHRISTIAN MONNIN:

1 MR. CHRISTIAN MONNIN: Merci, M.
2 President. Surprisingly enough I do have one (1)
3 question. If you could take us to slide 37 of the
4 presentation, please?

5 Mr. Bowman, we touched upon this earlier
6 when we were, as the vernacular goes, offline. The
7 last bullet here. You -- it reads:

8 "Issue is not present in La Capra
9 approach or Harper approach,
10 parentheses] (reads as follows: other
11 limitations exist)."

12 First, do those limitations that exist,
13 is that in reference to the Capra -- La Capra's
14 approach or Harper's approach, or both?

15 MR. PATRICK BOWMAN: Both.

16 MR. CHRISTIAN MONNIN: And with respect
17 to La Capra, could you please provide a little bit of
18 elaboration on what those limitations are?

19 MR. PATRICK BOWMAN: Yes, I'll -- I'll
20 keep it brief, because I think they noted them
21 themselves. For the visual people in the room, it
22 might be easiest to have one (1) of their S-curves up,
23 but I'm not sure I have it handy.

24 But La Capra drew S-curves in a
25 different way than Manitoba Hydro, and it solves a

1 number of problems, because what La Capra did was
2 rather than say, I will draw a vertical line through
3 All Gas's ref/ref/ref and let every plan vary around
4 that, they started by taking the differential between
5 All Gas under the same set of assumptions, and each
6 given plan under the same set of assumptions, and said
7 I'm only going to map the difference between the two
8 (2) plans.

9 That has benefits because it can show
10 you the outcomes of various future scenarios, and it
11 can help elaborate that even if you have an S-curve of
12 Hydro style that is fully dominant to the other S -- to
13 another S-curve, that fully to the right, you can still
14 have future situations where the one (1) that looks
15 dominant is inferior.

16 Hydro style only stacks from best to
17 worst of the overall performance of the plan. It
18 doesn't necessarily match up each dot on the graph with
19 -- horizontally with another dot of the same set of
20 assumptions. So La Capra's has that benefit.

21 Two (2) downsides exist to the way La
22 Capra did it, and I think both these were mentioned.
23 One (1) is that in order to draw an S-curve of the La
24 Capra style, you need something as a vertical line,
25 effectively, and La Capra chose to make that vertical

1 line All Gas.

2 It's -- as long as you know what you're
3 looking at, that's mathematically okay. You want to be
4 careful, though, about not interpreting that to say All
5 Gas has no risk, right? All Gas does have its own S-
6 curve that has risk of -- of ups and downs, but they --
7 they neutralize that out by making it vertical.

8 So that's -- that's one (1) of the
9 limitations of the way that La Capra did it, is it --
10 it has room for misinterpretation about whether All Gas
11 has risk, and -- and I recall them mentioning the same
12 thing.

13 The second thing about La Capra's that
14 is a -- I -- I won't say it's a limitation, but it's a
15 -- it's a -- a caution is -- I think was raised fully
16 by Dr. Borison, is that -- and -- and La Capra
17 responded to this. They've drawn a graph that has
18 meaningful S-curves, but you don't necessarily want to
19 use that type of graph to make a regret-based decision
20 making. I think Dr. Borison called them 'regret-based
21 analysis', and I'm not sure that's quite correct.

22 The analysis is just the analysis. It's
23 how you use it in a decision that turns it into a
24 regret decision or an optimization decision or the
25 like. And La Capra's graphs can support making a

1 decision based on -- on avoiding maximum regret;
2 avoiding the plans that have the maximum downside, in
3 other words.

4 Regardless as to upside, I'm only going
5 to look at that chasm of the worst case over there, and
6 whatever I do, I'm not going to pick that plan, or I'm
7 going to pick the one that has the -- the short -- the
8 smallest chasm regardless of the upside. That would be
9 a -- a wrong way to make a decision. I don't think La
10 Capra is advocating that. I -- I think Dr. Borison was
11 correct in -- in not advocating that. I -- I -- but I
12 -- but -- but La Capra's graphs are the same graphs you
13 would draw if you were advocating that type of
14 approach.

15 So it's a matter of how you -- you use
16 them. It has this -- this -- no matter how you use
17 them, you need to -- need to be careful. Those are my
18 comments in regards to La Capra's graphs.

19 MR. CHRISTIAN MONNIN: Thank you, and
20 just so I'm clear. So the first is -- is limitation
21 which, if I understand your evidence, is limitation
22 which La Capra raised themselves. The second is one
23 that was cited by -- by Dr. Borison.

24 Are there any other limitations that
25 come to mind, or are they -- in answer to that one, are

1 any of these limitations ones which you've identified
2 personally?

3 MR. PATRICK BOWMAN: I -- I have not
4 identified any other limitations. I would just add to
5 your preface that -- actually, both of these La Capra,
6 I think, dealt with and -- and noted. They're not
7 advocating use for regret decision making, and they're
8 also not suggesting that All Gas has no risk.

9 They -- they acknowledge both of those.
10 I'm just saying that when we went through the economics
11 -- Hydro's economics, when we identified the problem
12 that -- that is, I think -- and described sufficiently
13 here that I don't intend to go into it. We -- we
14 identified about four (4) different ways around them.

15 One (1) of them was the La Capra
16 approach. We elected not to go that route, simply
17 because it -- it was -- it had these limitations and --
18 and we thought that, given we had the financial tools,
19 we could -- we could just move directly to that and --
20 and do our analysis on the financial.

21 Now, La Capra was asked to do analysis
22 on both sections, so they had to find a way to address
23 the economic side. And I think they -- they did it in
24 a reasonable manner as long as you know what you're
25 looking at.

1 MR. CHRISTIAN MONNIN: Thank you.

2 Those are all my questions.

3 THE CHAIRPERSON: Merci, Me. Monnin.

4 Now, Manitoba Hydro, Ms. Boyd?

5

6 CROSS-EXAMINATION BY MS. MARLA BOYD:

7 MS. MARLA BOYD: Thank you. Good

8 afternoon. Good afternoon, Mr. Bowman. I wanted to

9 start just by spending a minute talking about Monte

10 Carlo simulation and scenario analysis that you touched

11 on this morning.

12 On page 1-10 of your report, you stated

13 that:

14 "Hydro's approach to scenario

15 analysis is appropriate and a better

16 tool for the NFAT than what -- than

17 what might otherwise appear to be the

18 more advanced analytical techniques,

19 like Monte Carlo simulation."

20 Do you recall that?

21 MR. PATRICK BOWMAN: Yes.

22 MS. MARLA BOYD: Would you agree that

23 in contrast to Monte Carlo simulation, that

24 probabilistic scenario analysis or probability --

25 probability tree analysis can rely on fewer runs

1 typically to get an equivalent level of accuracy?

2 MR. PATRICK BOWMAN: It can rely on
3 fewer runs, I would say, to get an acceptable level of
4 accuracy. I'm -- I'm not sure if it would be
5 equivalent, but for -- certainly, to get to acceptable.

6 MS. MARLA BOYD: And on page 3-16 of
7 your report you stated that:

8 "Under scenario analysis, extensive
9 input and output data can be provided
10 for each scenario that permits error
11 checking, confidence, and additional
12 insight as to how key variables
13 interact."

14 Do you recall that?

15 MR. PATRICK BOWMAN: Oh, I recall it in
16 spades. My chiropractor thanks you.

17 MS. MARLA BOYD: Would you agree that
18 probabilistic scenario analysis often provides more
19 transparency than Monte Carlo simulations?

20 MR. PATRICK BOWMAN: Yes, absolutely,
21 and -- and especially in a regulatory forum. If -- it
22 would be different if you were running a university
23 department or something where a bunch of people could
24 gather around a computer monitor and rerun scenarios
25 and -- and discuss them or something of that nature.

1 But if you've got a file -- some
2 evidence and people need to be able to cross-examine
3 you on it, Monte Carlo simulation is a very difficult
4 way to find out if you've -- if you've done everything
5 correctly, to be tested, to -- to have a proper cross-
6 examination and evidence.

7 MS. MARLA BOYD: Thank you. If we
8 could just pull up slide 10 of your presentation from
9 today.

10 You raised the issue actually in your
11 testimony; in your written evidence as well. You made
12 reference to Dr. Loni (phonetic) Magee from the
13 2010/'11 GRA and noted that failing to pursue expansion
14 at a time when it was advisable represents just as real
15 and potentially just as large a risk as pursing an
16 action that would later prove inadvisable, correct?

17 MR. PATRICK BOWMAN: Yes.

18 MS. MARLA BOYD: Is it fair to
19 characterize your evidence as noting similar risks
20 today from a failure to act in proceeding with the
21 construction of Keeyask?

22 MR. PATRICK BOWMAN: Yes.

23 MS. MARLA BOYD: And would you say the
24 same for failing to protect Conawapa as an option for
25 future consideration?

1 MR. PATRICK BOWMAN: Yes, within
2 certain bounds. I know it's not an unlimited
3 chequebook, something like Conawapa, but -- but, yes.

4 MS. MARLA BOYD: I don't know if you
5 were present when the witnesses from the four (4)
6 Keeyask Cree Nations gave evidence, but they did speak
7 about the benefits of Keeyask and -- and Conawapa for
8 their communities.

9 Do you -- are you aware of that?

10 MR. PATRICK BOWMAN: Yes, I was
11 present.

12 MS. MARLA BOYD: Would you agree that a
13 risk of not proceeding with Keeyask or not protecting
14 Conawapa would be the loss of the capacity building and
15 other benefits that they spoke of?

16 MR. PATRICK BOWMAN: Yes. Loss through
17 this route. I'm not saying there couldn't be made up
18 another route, but -- but certainly loss. Again, I'm
19 going back to the -- the very nicely laid out theory
20 from Morrison Park that the bird in the hand, in
21 regards to that -- that option for capacity building
22 and -- and other -- other benefits that they
23 highlighted, yes.

24 MS. MARLA BOYD: Thank you. Turning to
25 your comments regarding the load forecast, on page 311

1 in your evidence you suggest that there should have
2 been explicit consideration of scenarios that result in
3 a much higher or quicker developing for future
4 industrial load.

5 Is that correct?

6 MR. PATRICK BOWMAN: Yes.

7 MS. MARLA BOYD: And in considering
8 forecasting of net load, by which I mean load net of
9 DSM, throughout the course of this hearing Hydro's
10 provided information on three (3) levels of DSM and is
11 in the process of pursuing programs which approximate
12 Level 2 DSM.

13 Is that your understanding?

14 MR. PATRICK BOWMAN: My understanding
15 is Hydro's filed three (3) levels of DSM and that DSM
16 Level 2 is the -- the best of the bunch. I only -- I -
17 - I haven't spent as much time with the latest green
18 covered DSM plan to make sure that -- whether that is
19 Level 2 or the like. And -- and I have cautions about
20 whether all of the measures in there can be achieved.

21 I've sat through too many hearings
22 before this Board about inverted rates and conservation
23 rates and -- and debates about them to think that
24 that's a nice, low cost way of saving a lot of power.
25 There are -- there are other flip sides to that

1 argument that have been persuasive in the past. So I -
2 - I'm only saying will Level 2 be achieved if it
3 involves conservation rates, if it involves industrial
4 co-generation? I think it's probably early days to
5 know that -- that those can be put -- put into place.

6 MS. MARLA BOYD: You sort of
7 anticipated my next question, that there would be
8 uncertainty in forecasting load and net load, correct?

9 MR. PATRICK BOWMAN: Yes, and -- and
10 DSM, yes.

11 MS. MARLA BOYD: And would you consider
12 it prudent then for Manitoba Hydro to undertake
13 sensitivities with higher loads in its long-term
14 resource planning in recognition of that uncertainty?

15 MR. PATRICK BOWMAN: Oh, absolutely.
16 As a matter of fact, that was one (1) of my
17 recommendations.

18 MS. MARLA BOYD: And would you also
19 consider it prudent on the part of Manitoba Hydro to
20 recognize uncertainty with respect to achieving
21 dramatically higher levels of DSM in -- for long-term
22 resource planning?

23 MR. PATRICK BOWMAN: You use the word
24 'dramatically'. I think if someone wants to put in
25 dramatically higher levels of DSM, you would need to

1 somehow represent that they're dramatic. And -- and I
2 assume you're using the word 'dramatic' to mean -- to
3 be redundant with saying there's some uncertainties
4 associated with them.

5 I don't -- I -- I can't say for sure
6 whether the DSM plans that Hydro has proposed are
7 dramatic. I can tell you a few of the measures that
8 are in there that are significant components of DSM
9 Level 2, I would encourage people to view with some
10 uncertainty.

11 MS. MARLA BOYD: You noted in your
12 evidence on page D-11 that one (1) of the benefits of
13 larger scale plans is that it offers protection and
14 flexibility for future load uncertainty.

15 Do you recall that?

16 MR. PATRICK BOWMAN: Yes.

17 MS. MARLA BOYD: And by 'larger scale
18 plans', are you referring to those with hydroelectric
19 generation?

20 MR. PATRICK BOWMAN: Yes.

21 MS. MARLA BOYD: And in terms of
22 uncertainty in future load, can you offer any comment
23 on the typical size of load that a new industrial
24 customer could be expected to add?

25 MR. PATRICK BOWMAN: No.

1 MS. MARLA BOYD: I appreciate there's
2 not a typical one, but --

3 MR. PATRICK BOWMAN: No, I don't think
4 -- I think you have to understand there -- there is no
5 typical. I think it also can depend on -- on the
6 jurisdiction. It's not like you can look across the --
7 the globe to get a sense of that. We had evidence
8 before this Board many years ago by a fellow who spent
9 a lot of his career working with aluminum plants. Many
10 of those aluminum plants are larger than the entire
11 Manitoba load, for example.

12 I -- I don't think someone would say --
13 even though, you know, that may be a type of load that
14 Quebec may need to think about sometimes, I don't think
15 many people would think that you're going to get an
16 aluminum plant knocking on your door saying, I'd like
17 to double your load, please. I just don't think they'd
18 look at Manitoba as a credible place for something like
19 that.

20 So, you know, within a range of the
21 loads that are here, it's probably credible. But I
22 don't -- I don't have a -- a typical example.

23 MS. MARLA BOYD: In the context of
24 Manitoba Hydro including in its load forecast a PLIL of
25 a hundred gigawatt hours per year, would you agree that

1 a new industrial load could consume several years of
2 that PLIL if it were to arrive in the province?

3 MR. PATRICK BOWMAN: Yes, and -- and I
4 would say even in contrast to some of the evidence
5 that's been here, not only could it do that, it could
6 do it on -- on what I would call fairly -- fairly short
7 notice of certainty, yes.

8 There's a -- there's been some evidence
9 -- and I -- I apologize if I'm getting beyond your
10 question. There's been some evidence that you know a
11 long time in advance before these industrial customers
12 come around. You know a long time in advance that they
13 could come around. But how long do you know in advance
14 that they will come around?

15 I -- I don't think the jurisdictions
16 that are busy planning for Keystone XL are busy
17 thinking they have a lot of time where -- that they
18 have certainty. I don't think the developer of
19 Keystone XL thinks they have certainty. But if they
20 get a green light, whenever they get a green light,
21 it's actually a surprisingly short period of time
22 before they'll be drawing fairly substantial loads on
23 their -- on their route.

24 So just because you can -- just because
25 somebody's done an environmental review or can draw it

1 on a map doesn't mean you can all of a sudden know as
2 a utility how you run off and plan for that.

3 MS. MARLA BOYD: And I just want to be
4 sure that we understand your position regarding DSM and
5 the benefits it has for the 750 megawatt line.

6 You took us through to your slides 45
7 through 48 today with the various diagrams for DSM with
8 a number of the loads.

9 MR. PATRICK BOWMAN: Yes.

10 MS. MARLA BOYD: Would you agree that
11 Plan 5 shows the most benefit from Level 2 DSM among
12 the plans that you've shown us there?

13 MR. PATRICK BOWMAN: Yes.

14 MS. MARLA BOYD: And would you
15 attribute that enhanced benefit to the 750 megawatt
16 line?

17 MR. PATRICK BOWMAN: Yes, I think -- I
18 think subject to the comments I made to Dr. Grant,
19 which is this is fairly new information and I've been
20 surprised once going through it and I'd really like to
21 look at it over time, it -- it does seem -- it would
22 seem to bear out to me that -- that the line provides
23 significant advantage to -- to DSM scenarios, yes.

24 MS. MARLA BOYD: Thank you very much,
25 Mr. Bowman. Those are our questions. Thank you.

1 THE CHAIRPERSON: Thank you, Ms. Boyd.

2 Mr. Peters, please.

3

4 CROSS-EXAMINATION BY MR. BOB PETERS:

5 MR. BOB PETERS: Yes, thank you. Good
6 afternoon, Mr. Bowman. Mr. Bowman, in your scope of
7 work, one (1) of the matters tasked to the MIPUG
8 witnesses was to perhaps try to, in my words, take the
9 pulse of the interests of the general service customers
10 at large, not just those in the general service large
11 category?

12 MR. PATRICK BOWMAN: Yes.

13 MR. BOB PETERS: And to that end we see
14 through MIPUG Exhibit 23-2, MIPUG Exhibit 23-2 is a --
15 an updated newsletter, I'll call it, related to the
16 NFAT process that your office has been responsible for?

17 MR. PATRICK BOWMAN: Yes.

18 MR. BOB PETERS: And this document is
19 the second of two (2), correct?

20 MR. PATRICK BOWMAN: Yes.

21 MR. BOB PETERS: Is there a third one
22 planned?

23 MR. PATRICK BOWMAN: I -- not planned,
24 but I -- I wouldn't rule it out. But right now we
25 don't have it in the --

1 MR. BOB PETERS: And to -- to tackle
2 the additional scope that the Board asked you to look
3 at, can you tell them what specifically you've done?

4 MR. PATRICK BOWMAN: Yes. To confirm
5 it was possible to do the consultation exercise, the
6 Board set out -- there was a fair bit of discussion
7 with some different parties who have a role in -- in
8 working with the business community, energy users in
9 the business community.

10 I'll say a surprising number of them
11 really didn't feel comfortable being in a role where
12 they were -- were being expected to or -- or possibly
13 would be asked to weigh in on Hydro's proposals. I was
14 a little bit surprised by that, but I guess in
15 retrospect I shouldn't have been.

16 Hydro is a big force in this province,
17 and some of the -- the associations made a point to us
18 of saying: Hydro's one (1) of our biggest members.
19 All of our other members rely on Hydro for rates. Many
20 of our members sell services to Hydro. Hydro funds our
21 training programs. Hydro's a partner with us on -- on
22 other initiatives, and it's just way too complicated a
23 relationship to think that we want to get out in public
24 and commenting on -- on a proposal such as this.

25 So we didn't have quite as much success

1 in that regard as -- as we -- we might have. We did
2 manage to get the Chamber of Commerce interested, the
3 Manitoba Chamber of Commerce, who is a umbrella and --
4 and coordinates with the -- the Chambers throughout the
5 -- the province, which -- which I've noted before.

6 And the other one (1) that was -- we're
7 really appreciative to Manitoba Hydro, they have a -- a
8 group in Manitoba Hydro that are the customer account
9 managers who work with business customers and
10 industrial customers. And they have an advisory
11 committee that they convene from time to time that they
12 -- they share issues and updates with and the like.

13 And so they -- the convened a set of
14 those for us this last fall, one (1) in Brandon, one
15 (1) in Winnipeg, which allowed us to prov -- provide
16 some -- or, you know, early information about what the
17 Preferred Development Plan was about, both from Hydro's
18 perspective and -- and from -- from ours and to discuss
19 with people how it was best to consult with.

20 Most of the people who attended those
21 meeting, I will say, signed up for ongoing
22 communication, which includes the communication you see
23 here. So this was distributed to a -- a mailing list.
24 The -- the Brandon group was mostly -- was well,
25 smaller, but it was -- it was private businesses, as

1 well as some municipal. In -- in Winnipeg the group
2 was much larger and also included a fair number of
3 institutional parties, property managers, building
4 managers, you know, gov -- gov -- effectively
5 government institutional building managers, as well as
6 -- as private businesses.

7 So that -- that was the -- the exercise.
8 We -- we then moved into this phase of about sharing
9 the -- the two (2) newsletters you note. And -- and we
10 had some ongoing meetings with the Manitoba Chambers,
11 including one (1) with their policy committee and then
12 one (1) with their executive director and their, I'm
13 going to say, research -- researcher, right. I don't
14 recall the -- the exact titles, but...

15 MR. BOB PETERS: Thank you, Mr. Bowman.
16 I take it from your original evidence on this matter,
17 of the -- of their two (2) concerns, the first was the
18 magnitude of the Preferred Development Plan?

19 MR. PATRICK BOWMAN: On the -- on the
20 concerned side, the magnitude is -- is, you know, front
21 and centre. It's: What are we -- what are we biting
22 off here? Yes.

23 MR. BOB PETERS: And then a second
24 concern was a desire or a need to balance the near term
25 with long-term costs and benefits?

1 MR. PATRICK BOWMAN: Yes, and -- and in
2 that regard, I would have understood them to be talking
3 about rates in that context. But in fairness, there
4 was also a fair bit of comment about -- about business
5 opportunities, if a -- if a big project goes to head,
6 whether that's trucking or catering. Whatever --
7 whatever it is, there's a -- there's a -- a sizeable
8 amount of possible future economic activity associated
9 with the plan. So magnitude is -- is -- cuts both
10 ways.

11 MR. BOB PETERS: Where do the interests
12 of the MIPUG members diverge from other commercial
13 operations?

14 MR. PATRICK BOWMAN: The main place
15 where I found divergence is the MIPUG members will go
16 more to competitiveness and rates. Many other
17 businesses, as much as that was important to them,
18 there was more of a -- of a flavour, if you like, of --
19 of the -- the grandchildren comment, the: How much
20 debt are we taking on? What is this going to do to all
21 the other aspects to our community?

22 You have to remember that, you know, the
23 representatives we deal with on the MIPUG side are
24 fundamentally either senior executives or -- or energy
25 managers for a plant. I think that's a lot different

1 than a small business organization, a Chamber of
2 Commerce who's looking out for a -- you know, a very
3 broad range of -- of considerations, not just the --
4 the business side, but the -- you know, the 'what does
5 this mean for me as a Manitoban' side.

6 And so that's where the absolute level
7 of debt comments came out stronger. You know, what
8 does it mean for my grandchildren? What is -- you
9 know, how -- how certain are we about these very long-
10 term forecasts? And -- and do the plans rely on a home
11 run in year 40 to make it all come together?

12 MR. BOB PETERS: Thank you, Mr. Bowman.
13 The -- the magnitude of the Preferred Development Plan
14 and the need to balance the near term and long-term
15 risks, were there any other concerns that came forward
16 from your consultation with general service customers?

17

18 (BRIEF PAUSE)

19

20 MR. PATRICK BOWMAN: No, I -- I don't
21 think so. We -- we heard a bit about rate instability,
22 but I think that's, you know, it will just mean, you
23 know, more -- more need to watch the reins because our
24 rates go up in a drought or something.

25 But I think that was -- that was

1 flavoured by the fact that -- particularly on the Hydro
2 Advisory Panel, our topic followed a topic about
3 unbelievable levels of rate uncertainty on the gas side
4 for -- for the -- the large volume or -- or your T-
5 service customers and the thing. So rate -- rate
6 instability was on peoples' minds, but I -- I don't
7 think it was a -- I wouldn't say it's anywhere near the
8 level of the ones we just talked about.

9 Ms. Davies is reminding me that there
10 were a few comments about flexibility and I -- and --
11 and whether this is our one (1) shot to make a decision
12 on these things. I think it has a flavour of: Will we
13 ever see Hydro's Resource Plan reviewed again? But it
14 -- it also has a flavour of, you know, if we're -- are
15 -- are -- you know, is there -- is there room to change
16 course? And, so that, but I -- but I think it's
17 encompassed in some of the things we talked about.

18 MR. BOB PETERS: All right. With those
19 concerns, was there a consensus position taken in your
20 consultations with these general service customers?

21 MR. PATRICK BOWMAN: No, and -- and
22 there was specifically a need to make agreement with
23 them from the outside -- outset that -- that -- if --
24 if they had wanted to present a position, they would
25 need to come forward and do it. They -- they -- it was

1 -- it was quite clear that -- that, you know, to put it
2 -- put it bluntly, you know, no one speaks for the
3 Chamber but the Chamber, and I don't fault them for
4 that.

5 MR. BOB PETERS: All right, thank you,
6 sir. I want to turn to a few areas that I might need a
7 bit more information for the panel on.

8 On slide 10 of your evidence -- it's all
9 day today, MIPUG-24 -- you had mentioned, I believe, in
10 your evidence, that in practical terms, the sunk costs
11 can be carried on the books or -- or written off in one
12 (1) year.

13 MR. PATRICK BOWMAN: Well, I had
14 mentioned in my evidence that my understanding of
15 Hydro's evidence is that, in practical terms, the sunk
16 costs, or at least some portion of them, are likely to
17 be -- to be carried for some period of time, subject
18 only to people shutting the entire thing down.

19 I was also commenting, based on my
20 experience, that if they're not being carried for --
21 for a period of time, I -- I don't -- you know, when I
22 started in this business, it wasn't uncommon to take
23 things and -- as a utility and defer and amortize them
24 simply for the benefit of stability or for taking
25 things in over time. And that has become much, much

1 more difficult with the -- the type of accounting
2 standards and -- and auditors that people are dealing
3 with.

4 So I -- I think there's -- there's --
5 both of those have limitations. One (1) -- one (1) is
6 -- is from Hydro, one (1) is from me.

7 MR. BOB PETERS: On slide 12 of your
8 materials, you talked about the pathways. And Pathway
9 1 had some exposure or less ability to deal with
10 unexpected load growth risk.

11 Do you see that near the bottom of the
12 chart?

13 MR. PATRICK BOWMAN: Yes.

14 MR. BOB PETERS: Why is All Gas not as
15 flexible for load growth risk as other options?

16 MR. PATRICK BOWMAN: It's not -- I -- I
17 was wondering about how best to present this point, Mr.
18 Peters. I wouldn't say that All Gas is necessarily
19 less flexible, but it -- because you can always build
20 gas in a fairly short period of time if you have
21 something come along.

22 The problem is that it gives you less
23 options at that time, because if a load -- if a -- if a
24 load quickly comes along or -- or comes along in an
25 uncertain basis and gets firmed up, you know, not far

1 before it's needed or before they need power, if you're
2 on an All Gas path, you -- you are building gas to
3 serve them; whereas if you're -- if you're on a path
4 where you've already had the time and committed to
5 Hydro projects in advance, you -- you may still keep on
6 your same path of assumptions about export -- export
7 deals and -- and go ahead with gas, or you may alter
8 the types of deals you're in discussion with or let
9 some run out in order to bring some of that dependable
10 power back home.

11 You have some flexibility, and -- and it
12 can come from any number of sources. The other one, I
13 don't have a lot of concerns you'll get the kilowatt
14 hours there, but you know they're going to be from --
15 from gas because that's the only think that you can do,
16 is -- is build for new load.

17 MR. BOB PETERS: With a long lead time
18 needed for hydro and any commitments that are made to
19 contractually export, if you do have a short-term need,
20 isn't gas one of the more viable options?

21 MR. PATRICK BOWMAN: Oh, absolutely,
22 but it -- it's in your -- your portfolio either way,
23 right. If we -- if we go ahead with Plan 14, if Mr.
24 Cormie goes down south and -- and markets all that
25 power to the Americans or over to Saskatchewan, and --

1 and if we're running -- you know, we're -- we're
2 running near our limits and someone comes along and
3 says, I'm going to have a new pipeline here in three
4 (3) years, take an example, you can -- you can still
5 build the gas if you want. Or you can look at your
6 export folio and say, Yeah, we have this one expiring
7 two (2) years from now; let's just let it expire and
8 bring the power back here and serve our customer with
9 that.

10 You've got the set of options, whereas
11 if you're on that All Gas path you don't have the same
12 type of options because you pretty quickly run -- run
13 out of -- if you want -- if you look at the supply-
14 demand tables, pretty quickly your -- your firm exports
15 are gone and you're just into grow, build, grow, build,
16 grow, build.

17 MR. BOB PETERS: Your suggestion that
18 Mr. Cormie was running to Saskatchewan, he's actually
19 hiding in the corner and you probably can't see him,
20 but today's not a running day for him, I'm told. I
21 think maybe this weekend. But he did run to Boston.
22 I'm not sure he managed any sales while he was down
23 there, but we'll -- we'll see when we cross-examine him
24 next.

25 I do want to turn to your slide 17, Mr.

1 Bowman. And to some extent, Mr. Williams had covered
2 some of the points I was looking at. But this -- this
3 gets to be with the suggestion that you make, that to
4 sweeten the Conawapa economics, the government take has
5 to be less.

6 Is that one (1) of the messages that --
7 that can be taken from your evidence?

8 MR. PATRICK BOWMAN: Well, it's not the
9 way I would put it, but I don't think it's entirely
10 inaccurate.

11 MR. BOB PETERS: All right. On slide
12 31 of your materials, you show, I guess, what is now an
13 outdated Manitoba Hydro Exhibit 171, only outdated by a
14 few hours though, which, just so the panel understands
15 clearly, your suggestion is that the incremental water
16 revenues and perhaps capital taxes that would come from
17 Conawapa would be the first thing that you would
18 suggest be targeted as -- as foregone by the
19 government, at least in the early years, to try to --
20 to make the economics more attractive for developing
21 Conawapa?

22 MR. PATRICK BOWMAN: Not necessarily,
23 for two (2) reasons. One (1) is because as you look
24 forward -- we -- we spent a lot of time walk -- talking
25 about water rentals in -- in past hearings and -- and

1 the degree of costs that water rentals impose on Hydro;
2 they're fairly large.

3 But in terms of these new projects,
4 they're not anywhere near as large because the
5 assumption is that they're staying at the current level
6 and -- and the -- the other charges are -- are driven
7 by the scale of -- of building and the scale of
8 investment and the scale of borrowing. Water rental is
9 driven by the kilowatt hour. So as time goes on, water
10 rentals are actually less of a piece of this puzzle,
11 and debt guarantee fees and capital taxes are more. So
12 that -- that's my first comment.

13 And -- and I definitely include debt
14 guarantee fees in that mix. I think if somebody is
15 going to sit down and -- and sort out a solution here,
16 debt guarantee fees would -- would need to be on the
17 table for this. And -- and I have some -- some
18 examples of that even.

19 But the other -- my other
20 comment/response to your -- your suggestion is I'm not
21 saying this -- that I'm advocating the solution. I'm
22 saying it's one (1) way of modelling a different
23 sharing of the pie. It shows me that there's enough
24 numerically to move the line far enough and that now
25 somebody's got to do the hard work and figure out

1 what's the best way to -- to look at the -- the sharing
2 of the pie, not only on numbers, but on risk and some
3 other things.

4 So I -- I want to be really careful.
5 I'm not saying that's necessarily the right solution,
6 but it's -- but it gives me an indication there --
7 there is a solution.

8 MR. BOB PETERS: All right. Leaving
9 aside the source of the government revenues, what is
10 the -- what is the magnitude of the number that will,
11 in your words, move the line, make Conawapa a more
12 realistic economic project?

13 MR. PATRICK BOWMAN: We -- we were able
14 to move the line sufficiently by taking each of the
15 components of the Preferred Development Plan and not
16 imposing any of these three (3) charges until fifteen
17 (15) years after their in-service date.

18 MR. BOB PETERS: What did that
19 cumulatively add up to?

20 MR. PATRICK BOWMAN: I -- I would have
21 to run that number for you, Mr. Peters, if you want it.
22 But I -- but I don't think it's -- I think the -- some
23 of the -- an -- an indication at least of some of these
24 -- the blue lines -- well, actually, you know what, Mr.
25 Peters? I should run that number for you if you want

1 it.

2 MR. BOB PETERS: I think we best not do
3 bath -- math on the record, and maybe you could
4 undertake through your counsel to provide the Board
5 with an indication as to the dollar amount of the
6 required foregone government benefit that you
7 determined in your analysis over the first fifteen (15)
8 years of in-service of Conawapa would be sufficient to
9 change the economics to a more positive approach.

10 MR. ANTOINE HACAULT: Agreed. Mr.
11 Peters, do you want that in real dollars, NPV, nominal
12 dollars?

13 MR. BOB PETERS: I think to -- to keep
14 it constant we'll -- we'll use the -- we'll take it in
15 -- in nominal dollars as well as NPV through -- through
16 the same methodology that we've been using.

17 MR. ANTOINE HACAULT: Agreed. So the
18 undertaking as stated by Mr. Peters and as augmented,
19 we will be providing. Is that sufficient for the court
20 reporter? She indicates 'yes'.

21

22 --- UNDERTAKING NO. 145: MIPUG panel to provide the
23 Board with an indication as
24 to the dollar amount of the
25 required foregone

1 government benefit
2 determined in their
3 analysis over the first
4 fifteen (15) years of in-
5 service of Conawapa would
6 be sufficient to change the
7 economics to a more
8 positive approach
9

10 (BRIEF PAUSE)

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: Mr. Bowman, on slide
14 19 of your slide deck from today...

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: Have you determined,
19 sir, without reliance on any specific contractual
20 terms, whether the Minnesota Power contract can be
21 served without the addition of Keeyask?

22 MR. PATRICK BOWMAN: I have not. I've
23 just relied on the representations of Hydro that the
24 Minnesota Power requires new hydro. That's -- I -- I
25 don't mean requires it in a kilowatt sense. I mean

1 requires in -- in a -- in a -- a contractual obligation
2 sense. So I -- I wouldn't even have thought to do the
3 -- the analysis even if it were available.

4 MR. BOB PETERS: Thank you. I want to
5 turn to some risk questions with you, sir, and you had
6 mentioned, I think in discussions even with Ms. Boyd
7 this afternoon, that a probability tree would be -- can
8 be an acceptable measurement and demonstration of -- of
9 a risk profile?

10 MR. PATRICK BOWMAN: Yes.

11 MR. BOB PETERS: And in this particular
12 case, is there a probability tree for updated plans
13 such that an expected value can be available to this
14 panel?

15 MR. PATRICK BOWMAN: No.

16 MR. BOB PETERS: In that instance, sir,
17 what is your suggestion that this panel should consider
18 in terms of risk assessment of the various plans?

19 MR. PATRICK BOWMAN: My suggestion is
20 that -- is that the panel has to look to the
21 information that's available to them. Not to be
22 cheeky, but my suggestion is the panel needs to get a
23 report written by June. And so our reliance was on
24 trying to test whether we thought there was a reason
25 that the risk profiles would be dramatically different.

1 To the extent we looked at it, capital
2 cost was never one (1) of the biggest risks. We have
3 the updated capital cost. The range is somewhat wider.
4 It doesn't seem to me that it's wider enough to have
5 made a material difference to the -- the profile of
6 risks presented in the quilt.

7 And the second one is the energy prices.
8 And I'm relying on the information in Appendix 9.3,
9 others have better, that suggests that, if anything,
10 the range of -- of prices that are -- that are
11 fundamentally being modelled in the -- in the
12 scenarios, the -- the uncommitted pieces, if anything,
13 have narrowed since -- since the original filing. In
14 particular, the low end has come up.

15 Now, Appendix 9.3 isn't perfectly clear
16 about -- about just which numbers have moved in what
17 direction. I think that's intentional. We'd probably
18 get a lot closer to CSI if it was. But to the best of
19 the information I have, I don't read 9.3's discussion
20 on energy prices to suggest that I would think that --
21 that risk has widened. If anything, it -- it may have
22 narrowed as a result of that.

23 The third one being interest rates and -
24 - and discount rates. And we can see Hydro's interest
25 rates from the -- from the IFF filings and their --

1 their economic outlook. And I don't see any reason to
2 think those will -- will have moved in a way that would
3 dramatically change -- change the profile.

4 So you're playing with three (3)
5 variables. I don't think the -- the benchmark for
6 those three (3) variables is likely to have moved in a
7 direction that -- that erodes the -- the level of risk
8 shown on the quilt. I can't comment on the weighting
9 though. I think -- I -- I know, at least as far as
10 capital cost, Hydro's comment on the weighting, that
11 it's reduced the weighting on the -- on -- on the high,
12 but I -- I can't comment on the weighting about the
13 export prices or the -- or the -- well, I'm less
14 concerned about interest rates.

15 MR. BOB PETERS: But you're aware
16 there's been no change in that weighting, are you?

17 MR. PATRICK BOWMAN: There's been no
18 weighting, I think, more accurately. That's one (1) of
19 the pieces of evidence that Hydro indicated is -- is
20 preventing it, outside of just pure time, preventing it
21 from being able to run an updated quilt, as it hasn't
22 sat down and come up with new probability weightings
23 for its low-end reference and high export prices, for
24 example.

25 So I -- I don't think they exist. I

1 don't think it's just not -- not that they haven't
2 changed.

3 MR. BOB PETERS: You haven't done any
4 analysis to support that supposition, have you, that --
5 that the profiles probably haven't changed much?

6 MR. PATRICK BOWMAN: Well, there's only
7 two (2) things that matter in respect of -- of drawing
8 your probability tree. One (1) is: What are the --
9 what are the -- the variables? What lev -- what are
10 the three (3) high, low, and ref numbers that you use.
11 And the second is how much you weight them.

12 So the -- I walked you through my -- my
13 analysis of the high, low, and ref numbers, and I have
14 no -- but I have no information or -- or no reason to
15 think that -- that anyone has -- has prepared
16 weightings for any of them, other than the capital
17 cost.

18 MR. BOB PETERS: How do you assess the
19 risk of the export contracts and what happens after
20 they expire in ten (10) or fifteen (15) years?

21 MR. PATRICK BOWMAN: Well, you do it by
22 way of the economic analysis of high, low, and
23 reference scenarios. The -- it -- it's inherent in
24 them, is my understanding of the way that all the
25 economics is modelled. And so you -- you see the -- the

1 output there, at least for those of us who aren't
2 seeing the -- the inputs of the calculations that go
3 along.

4 That's the only way we can do it. I --
5 I have no -- but I have no -- I -- I'm not relying on,
6 and I -- I wouldn't encourage anyone to rely on, a good
7 knowledge about what happens on this graph on -- you
8 know, in 2035 when -- when WPS 308 comes off.

9 MR. BOB PETERS: On page 2-6 of your
10 revised February 28th pre-filed evidence, on --
11 starting on line 20, you indicate that hydro projects
12 are exceedingly challenging economic projects to
13 develop and are exceedingly risky from year to year due
14 to water flows, but are in fact among the lowest risk,
15 if not the lowest risk, power projects available over
16 any longer-term horizon, correct?

17 MR. PATRICK BOWMAN: Yes.

18 MR. BOB PETERS: And you're basing that
19 on your general knowledge of Canadian hydraulic
20 generating stations?

21 MR. PATRICK BOWMAN: Yes.

22 MR. BOB PETERS: Are you aware of any
23 hydraulic generating stations that have -- that have
24 failed? Had to be stranded?

25 MR. PATRICK BOWMAN: I'm -- I'm not

1 aware of any major ones. I can't -- can't think of
2 even any -- any minor ones. But, you know, it's --
3 it's possible there are some unique situations on-- on
4 smaller plants. But certainly, the -- the key building
5 blocks of all of the major, you know, the major hydro-
6 dominated jurisdictions have -- which -- which tend to
7 be the ones with the lowest rates across the country,
8 have -- have worked.

9 MR. BOB PETERS: What about what's
10 happening in Quebec right now?

11 MR. PATRICK BOWMAN: Well, that goes to
12 the -- the swing set on the porch question. Do we know
13 -- is it time to judge whether those projects have
14 worked over the lowest risk over the longer-term
15 horizon? Are the projects people are assessing into
16 that longer-term horizon? And I haven't read the
17 report by the -- by the committee that was reviewing
18 this. Mr. Hacault has, but he has the benefit of
19 language skills I don't.

20 But my understanding is that people are
21 commenting on current market prices, on current debt
22 and -- and costs being carried and are looking at this
23 from a perspective of a -- of a -- the -- the risk
24 profile and the cost to a -- to a government trying to
25 -- to balance a whole bunch of competing priorities.

1 And that's -- that's an important
2 perspective, but I don't know that it's necessarily
3 going to the determinative perspective on whether that
4 project -- those projects ultimately prove to be good
5 projects and all that.

6 MR. BOB PETERS: All right. Thank you.
7 In that statement that I read to you, there's an
8 indication that hydro projects are extremely risky from
9 year to year due to water flows, correct?

10 MR. PATRICK BOWMAN: Yes.

11 MR. BOB PETERS: And then on page 3-13
12 of your pre-filed evidence, you -- you provide some
13 cost of drought impacts. And I'd like to make sure the
14 panel understands what you're attempting to -- to
15 portray here.

16 Can you explain your Table 2 to them,
17 please?

18 MR. PATRICK BOWMAN: Yes. And I would
19 highlight that there's actually a -- an exhibit we
20 prepared that we walked through with the Manitoba Hydro
21 panel which did -- did a more -- a more detailed job of
22 this. But I can walk through it here, or I can -- I'm
23 sure I have that. I just need to find out where I put
24 it.

25 This is a -- a presentation of the

1 information Hydro filed in the -- whatever's in
2 footnote 47 there. They filed drought -- financial
3 portrayals of five (5) year drought scenarios. They
4 were the ones starting 2034/'35, so after the -- the
5 major projects are in. And it looked at the four (4)
6 plans, and it looked at the overall adverse impacts of
7 the -- of a drought on -- at different -- at different
8 plans and different energy prices and what was the
9 adverse impacts on Hydro.

10 The version that we prepared as an
11 exhibit made a point of distinguishing between the
12 absolute level of net losses as opposed to just the --
13 the adverse impact of a drought compared to the
14 otherwise targeted level of net income. And those are
15 two (2) very important numbers. And -- and I would
16 need to turn to this table to make sure I know which
17 one we're -- we're looking at here.

18 MR. BOB PETERS: I think Mr. Hacaault
19 can -- and Ms. Davies will be able to ask Diana to put
20 it up, please.

21 MR. ANTOINE HACAULT: So the -- it's
22 MIPUG Volume IV, so that's 20-4, at page 47 if my
23 pagination is correct.

24

25 (BRIEF PAUSE)

1 MR. ANTOINE HACAULT: Yes, thank you.

2 Now, Mr. Bowman will indicate where he wants you to
3 zoom in on these small numbers, which I need a micro --
4 a microscope to look at.

5

6 (BRIEF PAUSE)

7

8 MR. PATRICK BOWMAN: If you can just
9 help me for a minute, Mr. Peters. What was the first
10 table you took me to? What page was that at in our --
11 our -- on -- in my pre-filed testimony?

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: Page 3-12. It's your
15 Table 1 on that page.

16

17 (BRIEF PAUSE)

18

19 MR. ANTOINE HACAULT: Might it be --
20 might I make this suggestion? It would be useful if we
21 had like about a five (5) minute break just to make
22 sure that we have the right table and we can answer
23 your question. We can discuss off the record exactly
24 what you're looking at and then we would make a more
25 succinct and to the point presentation on the whole

1 issue of flood risk and -- and the --

2 MR. BOB PETERS: Drought risk

3 MR. ANTOINE HACAULT: -- drought risk.

4 MR. BOB PETERS: You must live in St.

5 Adolphe. If we could, Mr. Chairman, have a few

6 minutes, just three (3) minutes, yeah.

7 THE CHAIRPERSON: Agreed.

8

9 --- Upon recessing at 4:21 p.m.

10 --- Upon resuming at 4:30 p.m.

11

12 THE CHAIRPERSON: I guess Mr. -- Mr.

13 Peters?

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: Yes, I'm -- Mr. -- P.

17 K. Hacaault is hoping we're not here until as late as

18 they were last night, so -- I didn't know there was a

19 hockey game on tonight or at least not the one (1) that

20 he'll watch, but let us continue.

21 Mr. Bowman, before the break we were

22 talking about drought and risks of drought, sir, and

23 the cost of drought.

24 MR. PATRICK BOWMAN: Yes.

25 MR. BOB PETERS: And your counsel was

1 kind enough to provide MIPUG Exhibit 20-4 and page 47,
2 which was a spreadsheet wherein you did an analysis on
3 the impacts of -- of drought?

4 MR. PATRICK BOWMAN: Yes.

5 MR. BOB PETERS: Can you explain --
6 I'll use the word 'briefly' -- what -- what this --
7 what this sheet is telling the panel?

8 MR. PATRICK BOWMAN: I -- I believe
9 it's self-explanatory, Mr. Peters.

10 MR. BOB PETERS: It must be Friday
11 afternoon. Okay.

12 For those of us who -- to whom it's not
13 self-explanatory, how would we best to understand this?

14 MR. PATRICK BOWMAN: The way that we
15 get information about drought and the drought
16 conditions in the Hydro system is by them taking
17 different water flow conditions and running them
18 through the modelling of their system. And that's the
19 SPLASH model which people have heard about.

20 And this is data that came from an IR
21 that we asked them that has -- it said, Take the load
22 and the conditions in year 2034/'35, the year that was
23 picked that was meant to be past the development of
24 Conawapa. So it's nothing special about that year, but
25 it gives you an idea of a particular year, point in

1 time, where you've got the full plan in service.

2 And it says, Show me the SPLASH output
3 from that year, 2034/'35 loads, if we throw drought
4 conditions at that year. And 'drought conditions'
5 means the water that existed -- the water flows that
6 existed in either '87/'88, '88/'89, '89/'90, those
7 years, those five (5) years that we know of as the
8 worst drought that Hydro plans for.

9 And so you'll see the top of the doc --
10 document references that it's for -- references it's
11 for fiscal year '30 -- '34/'35. The left-hand side
12 will say it's -- it tells you that it does it at
13 different energy prices and for different development
14 plans. But it's looking at those years, '87 through --
15 through '92, the year of drought.

16 And it spits out a number that's a -- a
17 -- in these cases, a negative number. That is an
18 output of a SPLASH model. That number doesn't
19 necessarily mean much on its own. You always have to
20 look at these in the context of what is the overall
21 situation for that year, and how does it compare to
22 other situations.

23 So the way that the SPLASH output works,
24 as it's always been explained to me, is SPLASH is
25 looking at this type of output all of the variables

1 that change when your dat -- when your water flows
2 change. It's not looking at any of the variables that
3 don't change when your water flow change.

4 So it doesn't look at domestic revenues.
5 Those are something else. It doesn't look at -- at
6 depreciation. It doesn't even pay attention to those.
7 All it looks at are things like water rentals, which go
8 up and down depending on your water flows; exports,
9 which go up and down; how much fuel you use; how much
10 purchase power you have. It's this mixture of, call
11 it, half of the financial forecast.

12 Okay. So because it's only showing you
13 half, the absolute number doesn't mean anything. It
14 depends on what's going on in the other half of stuff
15 you're not modelling here. But the relative numbers do
16 matter.

17 So you run through these models of the
18 SPLASH. And if you look -- if you run through under All
19 Gas development plan of '30 -- 2034/'35 load level and
20 the 1987/'88 flows, SPLASH tells you that your number
21 is minus 497.2 million. '88/'89 gives you minus five-
22 ninety-eight (598). And you go through the five (5)
23 years and you see what is the number that SPLASH spits
24 out for that series of variables.

25 But what you have to look at is what is

1 the average for '34/'34 from all of the water flows,
2 because that's what Hydro's financial forecast and
3 rates and everything were based on, assume the average.
4 These would be the bad ones. There's some good ones.
5 The average for that year of all of the SPLASH outputs
6 is one seventy-six point nine (176.9).

7 Okay. So -- so if you want to know how
8 bad a drought here is, you want to say how bad compared
9 to average. So you have to adjust all of these numbers
10 by one seventy-six point nine (176.9) to basically
11 benchmark them to the -- the no drought number, okay.
12 So you go down a little bit and you'll see the numbers
13 that -- all it does is adjust them by one seventy-six
14 point nine (176.9). You're now at minus three twenty
15 (320), minus four twenty-one (421), minus one forty-
16 three (143), okay.

17 And you add all of those up and you know
18 that when a drought occurs, the financial impact
19 compared to what would have been the average, if you're
20 under an All Gas Plan with low export prices, is 1.22
21 billion over the five (5) years. This doesn't include
22 compounding interest, which I know is a question the
23 Chairman goes to quite often, but is worse than the
24 average financial result in that year due to the water
25 flows.

1 It doesn't tell you the whole story,
2 because now you have to flip over and say, But what was
3 the projected net income? This just tells me I'm 1.2
4 billion over those five (5) years off of what my net
5 income was going to be. I need to formulate my net
6 loss. I need to know what the overall net income was
7 going to be.

8 That's not on this table, okay. This
9 table, it -- it doesn't look at what the net income is
10 to do -- when we get to the piece in the evidence,
11 you'll find the numbers aren't exactly the same because
12 it adjusts for the -- the projected net income.

13 But what this is telling you when you
14 work your way across is if you're in an All Gas
15 scenario, if you have low export prices, a five (5)
16 year drought will knock you off of the path you would
17 otherwise have been on by 1.2 billion, not counting
18 compound interest. If you reference export prices it's
19 2.014 billion. If you have high export prices it's
20 2.909 billion, okay. That -- that's this information.

21 And now you can look across this table
22 and say, How do all the other plans compare? How far
23 do they knock me off the path I would have been on
24 because of a drought? If I build more hydro, do
25 droughts gets worse?

1 And not surprisingly, if you go all the
2 way down to Plan 14, which is the far lower --
3 actually, maybe we should just move across to -- well,
4 Plan 14, sorry, the far -- far lower right-hand corner
5 of the page. All the way to the bottom. Plan 14 is
6 the farthest left -- sorry, did I say right? Farthest
7 left-hand -- farthest right-hand column, sorry.

8 And you'll see that under low export
9 prices the -- the degree to which you get knocked off
10 the path you were on is 1.4 billion. All Gas was one
11 point two (1.2). If you want to scan other parts of
12 this, Plan 6 is one point two five (1.25). Plan 12 is
13 one point four (1.4). Plan 5 is one point two-eight-
14 nine (1.289). It's right next door -- right next door
15 to that one. At -- at reference prices it's 2.4
16 billion and at high prices it's three point six (3.6).
17 That's how -- that's how far a five (5) year, the worst
18 planning drought we talk about, knocks you off of the
19 path you would have been on.

20 Now, we also summarized this in -- in
21 the updated evidence that was provided today, 9-4, or
22 last night. And -- and it might be a bit cleaner, but
23 it's the same set of numbers. All it does is -- it's
24 page 2-11 if we want to go there.

25 It's the exact same numbers were just

1 saw, under low prices for Plan 1, one-two-two-o (1.220)
2 is how far you get knocked off your path. Plan 5 is
3 one-two-eight-nine (1.289). Plan 4 is one point four
4 (1.4). Reference prices, it's 2 billion to two point
5 four (2.4). High prices, it's two point nine (2.9) to
6 about three point six (3.6).

7 And the right-hand side is just saying,
8 Okay, how much extra drought risk am I taking on then
9 by building more hydro, which is the right-hand side of
10 this. And if you go -- look at something like Plan 5
11 minus Plan 1, this is the Keeyask impact, you have the
12 -- the number's shown there, how -- how much more
13 drought risk. Plan 14 minus plan 5 is telling you the
14 Conawapa impact, and the final column tells you the
15 entire PDP impact, how much more drought risk am I
16 taking on.

17 But the questions these don't answer is
18 not just how much variability comes from drought, but
19 do those projects bring me the ability to have a better
20 net income to be able to handle that drought, or better
21 -- better retained earnings, as well. That's the table
22 you were at in our evidence. So if we want to go back
23 to there, that was page 3-6 of the evidence. And maybe
24 -- I don't know if you --

25 MR. BOB PETERS: I think it's 3-12.

1 MR. PATRICK BOWMAN: Oh, sorry, 3-12.

2 You're right. Sorry, 3-12 of the --

3 MR. BOB PETERS: You want to look at
4 the targeted reserves?

5 MR. PATRICK BOWMAN: Right. And now
6 this -- this table -- first of all, the top tells you
7 some of the same words you've seen that are -- that are
8 done for Plan 4, which is not one we've updated. But
9 if you -- if you scroll down -- and that -- that was
10 from a different exhibit. That was from a -- for a
11 different year. It was 2032 versus 2034, so we'll put
12 that aside.

13 But if you scroll down, then you get to
14 this table that you first took me to. And this table
15 now says now I want to take how far I'm knocked off of
16 my path and compare it to the path I was on to actually
17 figure out what -- how -- how big my net loss is I'm
18 going to hit. And the point of this table is at -- at
19 reference prices.

20 Because your net income varies, you
21 actually have no more drought risk by going with Plan
22 14 under the original scenarios than you would under
23 Plan 1 All Gas, because you've just built a bigger
24 system, your one point two (1.2) interest coverage is
25 higher, you're targeting a higher overall net income.

1 So when the drought hits, it -- it knocks you back a
2 little bit further, but you don't end any worse in
3 terms of your net loss.

4 High prices is up to about 2 billion.
5 Net loss low prices, PDP actually still makes money
6 over the five (5) years of a drought in -- if it
7 occurred in '34/'35 with -- with low export prices.

8 So that -- that's -- that's the -- the
9 drought risk piece that we -- that we were presenting
10 in that table.

11 MR. BOB PETERS: Thank you. I
12 appreciate the -- the complexity behind it, but I do
13 thank you for putting that on the record and providing
14 us with your position on that.

15 I'd like to turn to slide 20 of your
16 slide deck from today. Just -- just while we're
17 pulling that up, Mr. Bowman, before you look there, in
18 terms of any impact DSM would have had on those drought
19 impact figures, would there be any sensitivity?

20 MR. PATRICK BOWMAN: I don't have any
21 updated information. I could think long and hard about
22 whether I would have any intuition about what would
23 happen, but it'd probably be better to get -- get the
24 data. My guess is it probably wouldn't make a -- a
25 major difference in the scale of numbers we were

1 looking at, but I -- I can't say.

2 MR. BOB PETERS: All right, we'll take
3 that as you can't say, rather than you guessing.

4 MR. PATRICK BOWMAN: Yes, that --
5 that's probably better.

6 MR. BOB PETERS: And on slide 20 in red
7 ink at the bottom, the point I believe you were trying
8 to make to the panel was that even though capital costs
9 went up, it was the DSM adjustment by Manitoba Hydro
10 that has had the largest impact on the NPVs, correct?

11 MR. PATRICK BOWMAN: Not quite. I was
12 -- I was just trying to put how much DSM is here in --
13 in context, because people have had their mind on how
14 much the capital costs went up. And -- and I -- I just
15 wanted to put the two (2) head to head. I'm not --
16 there -- there are significant other impacts and things
17 like because you do DSM you get more exports and the
18 like. But -- but I just wanted it to be clear that the
19 DSM that's been put forward is not a timid plan.

20 MR. BOB PETERS: All right. Where I'm
21 having a disconnect with your evidence on this point,
22 Mr. Bowman, is in Manitoba Hydro Exhibit 95, which was
23 a slide deck used by Manitoba Hydro, and Manitoba Hydro
24 Exhibit 95, particularly on page or slide 123, Manitoba
25 Hydro provided the panel with the impacts of their

1 updates.

2 Do you recall that, sir?

3 MR. PATRICK BOWMAN: Yes.

4 MR. BOB PETERS: And when I see what
5 happens as between the updates from 2012 to 2013, we're
6 seeing changes in the neighbourhood of \$900 million as
7 a result of -- of the updates.

8 Do you see that?

9 MR. PATRICK BOWMAN: Will you let me
10 know which row you're looking -- you're looking at the
11 last two (2) rows of the table, is it?

12 MR. BOB PETERS: Well, look in the
13 middle column in the del -- under the delta. That's
14 comparing what happened under 2012 Chapter 9, where the
15 NPV of the Preferred Development Plan was \$1.7 billion.

16 Do you see that, sir?

17 MR. PATRICK BOWMAN: Yes.

18 MR. BOB PETERS: And then as a result
19 of just the capital cost updates with -- as shown in
20 the 2012 with 2014 costs of Keeyask and Conawapa, the
21 NPV changed by approximately \$900 million?

22 MR. PATRICK BOWMAN: Yes.

23 MR. BOB PETERS: How do I reconcile
24 that with what you showed the panel on slide 20?

25 MR. PATRICK BOWMAN: I only focussed on

1 the change in capital costs on NPVs. This number would
2 include all of the -- the downstream effects, like
3 impact on capital taxes, impact on -- I believe their
4 estimates for -- I believe the estimates were fixed O&M
5 and were also done as a percentage of projects.

6 I'm not sure about -- positive about
7 that one, but for sure the -- this would include
8 impacts of things like capital -- capital tax changes
9 and -- and the like, as a result of -- of building the
10 -- the higher capital costs.

11 MR. BOB PETERS: I'm not sure I can
12 accept that as accurate, Mr. Bowman.

13 If -- if we recall the \$1.7 billion
14 number on the bar chart, and it -- it now resides
15 somewhere around \$45 million?

16 MR. PATRICK BOWMAN: Yes.

17 MR. BOB PETERS: That's exclusive of
18 the impact on the payments to Government though, is it
19 not?

20 MR. PATRICK BOWMAN: No. It -- it
21 includes the entire picture on Manitoba Hydro. It
22 includes the entire picture to Manitoba Hydro. So --
23 give me a moment here, I'll...

24

25 (BRIEF PAUSE)

1 MR. PATRICK BOWMAN: If the visual
2 people in the room prefer a -- a table, I can take you
3 there. But the financial -- or the economic impact
4 you're looking at includes all of the impacts of
5 Manitoba Hydro, including amounts they will pay for
6 capital tax and amounts they'll pay for fixed O&M and
7 those type of matters.

8 MR. BOB PETERS: Yes, and I -- I think
9 you had -- and I chastize you for an outdated Exhibit
10 171. And I think that was the -- the chart I was
11 actually just looking for at this point in time,
12 Manitoba Hydro -- and I think it was in your slide
13 deck. I just can't quite locate it.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: Oh, here we go, on
18 page 31. Slide 31 of your slide deck.

19 MR. PATRICK BOWMAN: Yes.

20 MR. BOB PETERS: The -- the net effect
21 of -- and let's pick the -- in the middle of the page,
22 the K19/C31/750 Plan 14 with the \$45 million NPV.

23 MR. PATRICK BOWMAN: Yes.

24 MR. PATRICK BOWMAN: It's -- it's the
25 net effect of the changes that you've made -- or that

1 have -- that have occurred as a result of the
2 government payments. But you're saying that those two
3 (2) are included in the \$900 million number and -- and
4 you only went to the capital cost impact?

5 MR. PATRICK BOWMAN: That's right. I
6 only...

7

8 (BRIEF PAUSE)

9

10 MR. PATRICK BOWMAN: Can I -- can I
11 take you to a table that might help? It would be in
12 Appendix 9.3 of the original filing. And -- and it
13 actually almost doesn't matter which one, but at the
14 back half of that is all economic tables. And I'll
15 just go over how those things work.

16 You might try page 91 though.

17

18 (BRIEF PAUSE)

19

20 MR. PATRICK BOWMAN: I like this one.
21 The others I don't have memorized. If you... This is
22 the -- the sheet that does the economic analysis for
23 the ref/ref/ref Plan 14 of the original filing, okay.

24 MR. BOB PETERS: Page 91 of 564 sheets?

25 MR. PATRICK BOWMAN: Five-thirty-six

1 (536).

2 MR. BOB PETERS: Okay. But it's not
3 page 91 of the PDF.

4 MR. PATRICK BOWMAN: Touche. If --
5 this is the ref/ref/ref Plan 14 from the original
6 filing, 2012 assumptions. And it's just the way that
7 the economic seventy (70) -- seventy-eight (78) year
8 scenario works. And you'll see that it's got a -- a
9 number of columns that work -- that -- that are varied
10 between each scenario.

11 So we have a column for Conawapa GS.
12 This is the cashflow perspective of building Conawapa.
13 We have a column for Keeyask generating station, we
14 have a column for thermal. As you work your way
15 across, it's also got a column for capital taxes. This
16 is a cost to Manitoba Hydro, so it's in the economics.

17 If you continue to work your way across,
18 you'll see the second half, which is the SPLASH output
19 half of the model. It's got a column for water
20 rentals. There's no column for debt guarantee fees.
21 Those are -- those are different. But it's got a
22 column for that.

23 If you scroll down to the bottom of this
24 page, you'll see there's a -- there's a cost element to
25 each piece of this that fits into the net present

1 value. The net present value there of two-six-two-one
2 (2.621) is not a number most people know. Sorry, two-
3 nine-two-one (2.921) is not a number most people know
4 because it has to be compared to the All Gas
5 ref/ref/ref which it is -- the number is four-six-one-
6 seven (4.617). And if you compare those two (2)
7 numbers, you get one-six-nine-six (1.696), which is a
8 number that we all have memorized from long ago.

9 So it does include all of those impacts.
10 I was only saying that -- that the impact on the -- on
11 the column called Keeyask GS -- or Conawapa GS, so that
12 -- that 4 billion number for Keeyask moved by -- or for
13 Conawapa moved -- moved the amount. If you change that
14 though, certainly you'll change the capital taxes. You
15 may also change the fixed O&M. I have to remember how
16 that's -- how that's estimated. But you've certainly
17 changed the capital taxes.

18 MR. BOB PETERS: Thank you, Mr. Bowman.
19 You'd mentioned that the provincial debt guarantee fee
20 wasn't shown as a line item.

21 But that's notionally already included
22 in the discount rate, is it not?

23 MR. PATRICK BOWMAN: That's correct.

24

25 (BRIEF PAUSE)

1 MR. BOB PETERS: Mr. Chairman, I would
2 like to thank Mr. Bowman and Ms. Davies for their
3 information, and Mr. Bowman for his testimony. Those
4 are my questions of him.

5 And I apologize to Mr. Hacault for
6 referring to him as P.K. Hacault. I've seen Mr.
7 Hacault play hockey and he's nowhere near P.K. Thank
8 you.

9 THE CHAIRPERSON: Thank you, Mr.
10 Peters. Could you remind us when we're reconvening as
11 a panel again, the date?

12 MR. BOB PETERS: Yes, I'll let Ms. Boyd
13 -- she may have a few questions as result --

14 MS. MARLA BOYD: Thank you.

15 MR. BOB PETERS: -- of some of the
16 areas I touched on.

17 MS. MARLA BOYD: I don't actually have
18 any questions as a result that, but we do have one (1)
19 manner to attend to before we adjourn for the day. So
20 we can do that now if you like, or we can wait until
21 you deal with the -- the balance of your...

22 Yesterday, in the course being examined
23 by Mr. Williams, Ms. Flynn took some information put to
24 her by Mr. Williams subject to check. And she's had
25 the opportunity to check and does have some

1 clarifications to make with respect to the solar
2 matter.

3 MS. JOANNE FLYNN: Good afternoon. I -
4 - I think personally I will say that the -- the numbers
5 put to me by Mr. Williams do check out, but I think
6 they're worthy of a couple of comments and little bit
7 of context.

8 And the numbers that we were talking
9 about yesterday were the solar generation numbers,
10 installed capacity in the first quarter of 2014 in the
11 United States. And the point was that in that first
12 quarter, the projects were installed, the -- the
13 highest number of installed megawatts related to solar.

14 And the couple of points that I'm going
15 to make about that, first of all, I would note that
16 it's probably due to a timing issue that in the first
17 quarter of the year you would see solar as being the
18 highest installed capacity.

19 And the information that I have
20 available is that the Department of Energy EIA is
21 projecting about 9 gigawatts of new capacity for 2014,
22 of which 16 percent is expected to be solar, 12 percent
23 wind, and 55 percent natural gas. So as we go through
24 the year, you're going to see that natural gas is going
25 to exceed solar in terms of -- of installed capacity.

1 If we look at the numbers for that first
2 quarter, we'll find that probably well over 85 percent
3 of it relates to the State of California. And if we
4 take a look at some characteristics related to
5 California, what we'll find is that they have average
6 electricity rates of fourteen (14) cents a kilowatt.
7 They have a carbon tax of fourteen dollars (\$14) a
8 tonne. And they have a renewable portfolio standard
9 which requires 33 percent renewable energy by 2020, and
10 they are only at 15 percent at this point in time. So
11 they need to build renewable projects.

12 There is also in US a federal investment
13 tax credit available for solar PV to the end of 2016.
14 And in general terms, it represents 30 percent of total
15 project expenditures, the investment tax credit. And
16 it drops to 10 percent after the end of -- of 2016.

17 And one (1) -- one (1) interesting
18 projection from the US EIA, in their annual energy
19 outlook for 2014, is that projects for solar PV
20 additions between 2017 and 2024 are projected at zero.
21 And I would expect this is primarily due to the
22 investment tax credit being ramped down.

23 And that's the context I wanted to
24 provide.

25

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: Thank you, Ms. Flynn.

4 Now, Mr. Peters, please.

5 MR. BOB PETERS: Yes, thank you, Mr.

6 Chair. You had asked if I could just update the panel

7 and those in the room and those following the

8 transcript as to the -- the next sitting days and the

9 plans of the panel.

10 I'll start that discussion by publicly,

11 as I have privately, thanked Mr. Bowman, Ms. Davies,

12 and their counsel, Mr. Hacault, for changing the

13 planned dates from their evidence, which was initially

14 scheduled for Monday, May then 5th, and they've moved

15 it to today. And we appreciate the -- the

16 accommodation.

17 So with that said, there are no sitting

18 days scheduled for next week and that on Monday, May

19 the 12th, Mr. Hendricks will be here on behalf of

20 MMF. And he will be followed the next day by Whitfield

21 Russell Associates, also on behalf of MMF. And that

22 will be followed by the panel travelling to Thompson

23 for public presentations on Wednesday of that week.

24 Mr. Williams had asked earlier today

25 about the Board's intentions on using May 15th for

1 additional evidence from Manitoba Hydro, and that
2 discussion has -- has been occurring offline. And the
3 questions are really involving around whether, now that
4 parties have received additional information -- we
5 thank Ms. Carrier for that -- to review whether parties
6 are going to want to ask additional questions of the
7 Hydro witnesses on that date. And they're to let me
8 know, and I'm having those discussions currently.

9 And then the -- the matter that follows
10 that, if -- if there was going to be a recall of the
11 panel for public evidence, we're also considering
12 whether there is a need to recall for any CSI
13 questions.

14 And then the third component of that is
15 if we are recalling for either public or CSI and
16 Manitoba Hydro is looking to provide oral rebuttal
17 evidence, if oral rebuttal evidence is -- is possible
18 on that date. And failing that, we have to talk about
19 other options including written rebuttal.

20 But we haven't come down on it. I know
21 Mr. Williams will be working all weekend on getting his
22 submissions together. Until I hear from everybody, I
23 won't be able to communicate and get instructions from
24 the Board, so it might take until Monday to -- to
25 finalize that.

1 THE CHAIRPERSON: Thank you, Mr.
2 Peters.

3 Me. Hacaault, s'il vous plait.

4 MR. ANTOINE HACAULT: As indicated
5 before, InterGroup has done its best to file
6 supplemental evidence up to date to the extent it was
7 able to. We don't know, having received the last bits
8 of financial information, whether it might be
9 appropriate or -- or required to complete that revised
10 submission or supplemental submission. So I'm just
11 raising that right now, having just received it today.
12 We haven't had a chance to look at it to see whether it
13 changes conclusions, whether there's anything that's
14 worth commenting about.

15 And I guess we'll seek advice from the
16 Board counsel as to -- if we do think there's something
17 that's useful, as to whether there's still time to
18 provide that information or -- or whether the Board
19 still wants it.

20 THE CHAIRPERSON: Thank you. I believe
21 that completes the proceedings for today. So we wish
22 you all a good next week, and we'll see each other
23 again, most of us, on Monday the following week. Bye-
24 bye now.

25

1 (WITNESS STANDS DOWN)

2

3 --- Upon adjourning at 4.59 p.m.

4

5

6

7

8 Certified correct,

9

10

11 _____

12 Cheryl Lavigne, Ms.

13

14

15

16

17

18

19

20

21

22

23

24

25

<u>\$</u>	\$763	10073:21	10185:12	10285:8
\$1.5 10079:9	10101:14	10074:13	10186:13,1	10290:15
\$1.7	\$78 10000:2	10075:22	4 10189:17	10291:19
10302:15	\$8 9999:22	10076:18	10190:13,1	10298:1,11
10303:13	\$90 10003:25	10083:4	6 10192:4	10299:23
\$1.776	\$900	10084:22	10193:2,9	10308:18
10235:10	10302:6,21	10085:2	10194:4,9	10310:17
\$108 9999:25	10305:3	10086:1	10200:5	1,100
\$120		10091:13	10206:23	10122:13,1
10020:11	<u>+</u>	10092:14,1	10207:20	8,24
\$134 9999:18	+ 10025:20	7	10208:6	10123:2,4,
\$14 10310:7	<u>1</u>	10094:15,2	10209:5	5
\$160	1 9996:9	2 10095:4	10212:22	1,646
10020:12	9999:7	10097:2,13	10214:1	10162:25
\$2 10000:9	10001:10,2	,21,24	10216:24	
10162:8	3 10013:22	10098:16	10222:7,19	1.2
\$20,928	10015:7	10100:20	10223:6,16	10182:20,2
10149:17	10018:9,13	10101:16	10224:23,2	2
\$200	10022:17	10105:20	4 10225:1	10296:3,17
10147:19	10024:21	10106:7	10228:6	10297:11
\$239	10026:18	10107:5	10229:2,17	10299:24
10161:21	10028:4,18	10113:12	10230:5	1.20
\$3.7 10001:7	10031:14	10114:3,14	10233:9	10184:18
10003:12	10032:11	,16	10234:11,1	1.22
\$30	10034:5,19	10115:11	6,21	10295:20
10117:13,1	,20	10120:22	10236:24	1.220
6,24	10035:24	10122:15,1	10241:21	10298:1
\$38,152	10036:5,10	6 10126:17	10242:18	1.25
10149:13	,12,17	10135:4	10243:21	10297:12
\$38,152.48	10037:4	10137:4	10244:3,14	1.289
10148:9	10041:8,20	10142:17	10245:20,2	10297:14
\$40 10175:17	10042:1,2	10144:14	4 10246:8	10298:3
\$400	10044:2,4,	10146:12	6 10248:23	1.4
10187:21	19	10156:23	10249:1,16	10297:10,1
\$45 10303:15	10045:24	10157:8	10251:2,22	3 10298:4
10304:22	10046:3	10158:5	10252:14,2	1.5 10097:15
\$5 10118:1	10047:7,13	10160:6,8,	3 10253:8	1.696
\$50 10000:15	10048:19,2	13	10255:15	10307:7
\$6	1 10049:14	10161:25	10261:16	1.86
10117:11,1	10050:5	10165:4,14	10262:12	10127:1,2
5	10051:23	10169:18,1	10266:7	10128:8,14
\$746	10052:21	9	10267:18	1/2 10000:10
10163:23	10053:3,10	10170:6,23	10268:6,14	10005:22
	,12,24	10171:21	,15	1/3 10005:2
	10054:10	10173:16	10269:11,1	1:11 10156:9
	10055:4,15	10176:7	2 10272:11	1:15
	10059:9	10177:20,2	10273:12	10156:10
	10060:8	4	10274:5,6,	
	10065:9	10178:2,15	9	
	10071:24	10179:12	10277:6,23	
		10181:12,1	10278:22	
		7	10283:2	
		10182:6,18	10284:18	
		10183:8,15		

10 9997:5 9999:17,19 10001:10 10016:17 10038:10 10044:21 10060:16 10071:11 10108:9 10118:3 10121:8,18 10160:10,2 5 10161:6 10186:22 10201:14,1 9,24 10204:11 10205:9,14 10206:5,21 10212:24 10213:8 10214:1 10215:12,1 3,16,20 10216:2 10223:24 10258:8 10273:8 10285:20 10310:16 10:30 10071:14 10:46 10071:15 100 10038:11 10093:19 10012 9996:3 10013 9996:5,7 10014 9995:10 10030 9995:11 10138 9995:13 10157 9996:13,14 10158 9996:18	10159 9995:18 10208 9995:19 10215 9997:6 10242 9997:15 10250 9995:20 10256 9995:21 10266 9995:22 10280 9997:24 10314 9992:25 9995:24 104 10013:8 104-12 10034:16 10184:22 10187:11 10210:3 104-12-5 10157:4 104-12-6 10188:15 104-8 10193:12,1 4 11 10046:12 10062:14,2 0 1-10 10256:12 12 9996:9 10050:17 10053:10 10150:3 10156:23 10157:8 10274:7 10297:12 10309:22 12:10	10138:3 12:45 10012:12 10137:23,2 4 12:52 10138:4 123 10301:24 12th 10311:19 13 10001:11 10053:5 10056:7 14 9996:12 9997:3 10003:24 10035:25 10047:21 10048:16,2 3 10049:24,2 5 10050:1,20 10051:14 10057:23 10063:4 10096:4,21 10101:16 10122:16 10156:25 10157:11 10160:23 10163:9,11 10165:1,7 10175:6 10176:2 10177:3,5 10180:17 10183:21 10184:2,7 10185:9 10188:15 10192:5 10200:23 10212:7 10213:5 10214:6,22 10215:9,11 ,19,25 10234:22 10236:24	10245:24 10275:23 10297:2,4, 5 10298:13 10299:22 10304:22 10305:23 10306:5 10310:6 143 9997:3 10215:24 10295:16 144 9997:7 10242:1 145 9997:16 10280:22 14's 10176:2 10199:7 15 9997:21 9998:15 10035:5 10072:5,6 10082:5 10108:9 10150:3 10158:15 10191:8 10192:15,1 7,24 10197:4 10206:22 10208:1 10279:17 10280:7 10281:4 10285:20 10310:10 150 10034:18 10147:19 15th 10136:11,1 9,20 10137:5 10311:25 16 10015:4 10026:5 10074:25 10309:22 17 10075:25 10158:15	10276:25 171 10277:13 10304:10 176.9 10295:6,10 ,14 18 10077:16 10148:18 10186:1 19 10069:15 10162:1 10281:14 19,000 10037:6 19,200 10110:12 190 10157:16 192 10013:21 10219:6 10247:9 192-1 10013:22 1987/'88 10294:20 1990 10114:23 10115:4,14 1990s 10115:14,1 6 1997 10143:16 1998 10026:8 1D 10059:13 <hr/> 2 <hr/> 9992:24 9996:8 10000:4,12 10004:13 10010:17 10012:20 10028:4 10034:11,1 3 10036:11 10037:16 10042:3
---	---	--	--	---

10043:6	10185:10	2:18 10206:7	10151:14	10100:11
10046:15	10188:15,1	2:34 10206:8	2012	2023
10048:16,1	7	20 10000:10	10007:20	10160:12,1
9,20	10189:11,2	10004:24	10143:8,20	4
10049:20	2	10035:6	,23	2024 10224:5
10051:9	10190:12,1	10060:17	10148:9	10225:14
10053:14,2	5 10193:4	10090:19	10149:11	10310:20
4 10058:8	10208:2	10093:7	10174:15	2026
10059:9	10211:20,2	10150:9	10210:22	10076:17
10065:8	2 10229:6	10161:25	10211:3	10085:6
10083:11	10235:3,15	10162:2	10302:5,14	10162:3
10085:1	10245:20	10187:22	,20	10247:4,10
10086:1,6,	10252:8,21	10191:7	10306:6	,23
8,13	10260:12,1	10204:12	2013	10248:9,12
10087:12,2	6,19	10205:23	10007:20	,22
2 10088:16	10261:2	10213:9	10062:3	2027/'28
10094:13,1	10262:9	10214:2	10173:25	10224:11
4,16,17	10265:11	10215:14	10174:2,3,	2030 10085:7
10095:4,10	10266:19	10224:6	5,18	10247:6
10096:21	10269:9,17	10247:10	10210:21	2031
10097:14,2	10276:7	10286:11	10211:4,15	10100:11
1,25	10277:23	10300:15	,17	10188:19
10098:11,1	10285:7	10301:6	10212:1	10224:17,1
5	10288:16	10302:24	10302:5	8
10100:5,18	10289:15	200 10097:12	2014 9992:24	2031/'32
,19	10298:4	2000	10013:5	10182:8
10107:5	10300:4	10115:3,12	10227:19	10183:23
10112:25	10301:15	,16	10234:11	10184:13
10113:3,24	10302:11	2001	10302:20	10185:3,6
,25	10305:3	10026:11	10309:10,2	2032
10120:20	10307:6	10115:13	1 10310:19	10188:19
10123:15	2.014	2002	2016	10299:11
10132:1	10296:19	10115:13	10310:13,1	2033 10162:2
10134:15	2.2 10093:23	2004	6	2034
10136:22	2.4 10297:15	10008:11	2017	10299:11
10140:24	10298:5	2005	10310:20	2034/'35
10145:18	2.5 10002:16	10018:14	2019	10289:4
10146:9,12	10003:3	2008 10001:6	10059:15	10292:22
10156:23	2.621	10003:7	10160:16	10293:3
10157:7	10307:2	2009	2019/2020	10294:19
10164:22	2.864	10003:10	10044:10	2035 10286:8
10167:13	10235:12	2010	2020	20-4
10169:25	2.9 10298:5	10105:17	10059:15	10289:22
10170:4,5,	2.909	2010/'11	10140:5	10292:1
24 10171:1	10296:20	10009:2	10211:14	2041
10176:9	2.921	10258:13	10310:9	10134:22
10177:19	10307:3	2011	2022	2043
10179:13	2/3s	10018:19	10048:25	
10180:1,10	10005:12		10049:4	
,13				
10181:12,1				
8				
10183:5,8,				
19				

10134:22	29,310	10213:9	10166:11	10235:11
2047	10150:11	10214:2	10168:3,5	4:21 10291:9
10085:19	2x4 9996:6	10215:14	380 10170:20	4:30
21 10094:8	10013:18,2	10293:11	385 10102:3	10291:10
10104:8	4	10294:19	10164:16	40 10022:18
2-11		10310:14	10165:18	10162:17,1
10297:24	<u>3</u>	300 10093:19	39 10097:1	9 10169:7
23 10104:9	3 10006:16	308 10193:6	10245:10	10176:19
23-2	10032:13	10195:23	10249:24	10213:10
10266:14	10034:13	10286:8	390 10169:19	10214:3
24 10001:11	10036:21	31 10128:25		10215:14
10032:9	10039:9,25	10131:3	<u>4</u>	10271:11
10168:15	10053:24	10249:4	4 9996:9	400 9992:22
25 9999:20	10057:4,11	10277:12	9999:4	41 10169:12
10002:11	10062:12	10304:18	10013:5	10174:8
10003:4,12	10097:15,2	311 10259:25	10032:21	421 10295:15
10005:25	3,24	3-12	10034:14	437 10086:15
10006:20	10102:10	10290:14	10057:5,11	10098:11
10108:25	10103:10	10298:25	10062:12	10101:18
10166:1	10131:18	10299:1,2	10063:11,2	45 10098:6
10191:5	10145:18	3-13	5 10064:1	10265:6
10232:23	10146:13,1	10288:11	10075:9	46
250 10043:24	6 10147:3	3-16 10257:6	10099:18	10087:18,1
10044:1	10148:7	32 10130:22	10117:11	9,21
10050:8	10161:14	10131:10	10118:2	10100:6
10063:11	10170:9,11	320 10295:15	10146:13,1	47 10100:22
10075:2,4,	,14,21	33 9999:15	7 10156:23	10140:9
6,14,17	10179:13	10134:5	10157:7	10164:4
10084:5	10183:25	10310:9	10163:17	10289:2,22
250's	10189:22	330 9992:22	10175:6,25	10292:1
10075:8	10207:5	34,000	10176:1,8,	48 10101:17
26 10118:14	10223:15,2	10070:11	13,15	10164:4
2-6 10286:9	0 10245:21	34/'34	10177:8	10249:24
27 10049:15	10260:10,1	10295:1	10178:23	10265:7
10120:1	5 10276:4	34/'35	10192:6	49 10171:12
10171:20	10279:16	10293:11	10197:24	497.2
10172:20	10284:4,6	10300:7	10207:5	10294:21
10173:11	10285:10	340 10140:6	10208:17,2	4's 10063:14
10214:18	10291:6	35 10135:7	1 10255:14	10176:1
10247:10	3.36	36 10135:9	10259:5	<u>5</u>
28 10123:21	10188:17	10168:15	10289:5	5 9996:11
10247:10	3.6 10297:16	3-6 10298:23	10298:3	10001:7
28th	10298:6	37 10166:11	10299:8	10033:10
10234:11	3.95	10251:3	10307:12	10035:24
10286:10	10003:15	38 10000:3	4.27	10038:3,5
29 10126:3	10005:7		10188:16	10048:9,16
10247:10	10182:19		4.59 10314:3	
	10183:16		4.617	
	30 10128:23		10307:6	
	10162:1,12		4.64	
	,13			

,23	10225:10	10014:24	70 10010:12	10089:3
10049:23,2	5.05 10036:2	10034:14	10064:23	10098:9
5	10127:22	10057:15	10306:7	10133:3
10050:1,21	10128:11	10061:20	7000 10073:9	10171:14
10051:14	10177:7	10062:13	727 10099:12	10306:7
10061:20	50 9997:6	10071:25	746 10162:21	<hr/> 8 <hr/>
10073:9	10008:3	10072:5,7	10163:13	8 10207:5
10086:6	10072:23	10073:9	75 10001:8	8:47 9998:1
10094:18	10133:3	10093:11	10006:12	80 10064:23
10095:24	10149:4,20	10094:17	10150:14	10085:12,1
10096:21	,23	10139:2	75:25	3 10133:3
10100:22	10162:18,2	10156:23	10161:17,1	80s
10108:9	0 10163:13	10157:7	8 10166:1	10185:5,8,
10109:22	10175:3,4,	10163:17	10182:8	9 10207:22
10117:11,1	18	10180:7	10183:3	837 10008:4
5 10118:3	10176:18	10196:3	10184:17,2	85 10310:2
10126:24	10212:23	10197:24	5 10185:4	85:15
10134:18	10215:21	10198:24	10190:19,2	10185:10
10156:24	10216:3	10212:7	4	10190:21
10157:10	50/50	10214:23	750 10043:24	86 10185:11
10163:10	10015:12	10215:5,9,	10054:16	86:14
10165:5	10028:9	11,19,25	10055:20	10190:21
10169:17,2	10234:3	10234:18	10075:6,13	87 10293:14
2	51 10197:12	10297:12	,19	87/'88
10170:4,6	519 10087:13	6.5 10200:2	10082:12	10293:6
10180:7	10088:12	6:00	10084:5,9	88/'89
10182:5	10100:17	10135:18	10085:18	10293:6
10186:9	52 10149:21	60 10010:12	10086:7	10294:21
10191:17	10176:25	10029:2	10095:25	89/'90
10195:22,2	53 10149:21	10064:22	10100:23,2	10293:6
3	536 10306:1	10189:7,8	5	10294:21
10196:2,3,	55 10212:11	600 10093:21	10101:16,2	9 10013:12
9	10309:23	61 10190:2	1	10014:17
10197:22,2	56 10212:12	62 10189:23	10164:7,10	10030:18
4	10238:2	10190:2	10171:6	10042:23
10200:3,22	564 10305:24	63 10189:24	10180:10	10057:15
10207:5	57 10181:10	10238:8	10196:9	10062:13
10212:7	58 10134:11	64 10191:25	10211:2,3,	10131:18
10214:8,22	10181:24,2	66 10065:21	7,14	10227:6
10215:6	5	695	10265:5,15	10302:14
10265:11	598 10294:22	10057:6,7	750's	10309:21
10289:3	5th 10311:14	<hr/> 7 <hr/>	10075:7	9.3 10174:5
10290:21	<hr/> 6 <hr/>	7 10036:20	10085:16	10283:8,15
10293:7	6 9996:9	10063:17	763	10305:12
10294:22	9997:4	10131:18	10087:9,14	
10295:21	10007:8	10174:6,7	10102:1	
10296:4,15		10200:2	77 10158:12	
10297:13,1			78 10001:19	
7			10056:2	
10298:2,10				
,13				
10300:6				
5,000				

9.3's	10229:13	10006:4	n 10311:16	10141:24
10283:19	10274:9	10083:10	accomplished	10142:3
9:06 10012:6	10298:19	absolute	10006:13	10150:22
9:14 10012:7	able	10035:3	according	across
90 10003:25	10017:11	10110:18	9999:13	10057:25
90s	10036:14	10271:6	10197:1	10135:9
10115:9,20	10038:15	10289:12	account	10140:7
10116:2	10041:6	10294:13	10122:21	10141:12
10208:6	10047:3	absolutely	10147:24	10173:10
91	10048:13	10064:14	10148:12	10177:19
10305:16,2	10052:8	10077:22	10150:17	10178:8
4 10306:3	10058:5	10195:2	10152:18	10263:6
92 10293:15	10061:12	10197:19	10268:8	10287:7
9-2 10031:9	10062:19,2	10199:11	accountant	10296:14,2
9-4 10013:11	3	10200:19	10003:2	1 10297:3
10031:21	10065:11,1	10202:17	accounting	10306:15,1
10297:21	5,17	10257:20	10161:6	7
95	10066:16,2	10261:15	10187:3	act 10140:23
10301:22,2	3 10067:18	10275:21	10274:1	10151:5
4	10068:3,19	absorb	accounts	10258:20
98 10115:11	,20	10141:15	10111:2	acted
9992 9992:25	10069:6	absorbing	accruing	10023:4
9996 9995:3	10074:21	10133:21	10235:8	acting
9997 9995:4	10082:8	accept	accuracy	10010:2
9998 9995:6	10085:24	10030:9	10257:1,4	action
	10095:22	10154:24	accurate	10151:19
	10101:11	10190:17,1	10031:6,11	10258:16
	10119:4	8 10200:8	10173:13	actions
	10165:3	10202:17	10303:12	10125:23,2
	10169:9	10303:12	accurately	4 10152:7
	10183:23	acceptable	10284:18	10207:6
	10184:15	10143:8,16	achieve	activities
	10187:4	,19	10111:18	10020:22
	10188:12	10144:25	10149:10	activity
a.m 9998:1	10191:9	10183:13	achieved	10270:8
10012:6,7	10237:8	10186:19	10168:16	10158:14
10071:14,1	10258:2	10241:22	10182:21	10175:10
5	10279:13	10257:3,5	10260:20	actually
abandon	10284:21	10282:8	10261:2	10029:3
10200:21	10289:19	acceptably	achieving	10033:5
abdication	10298:20	10107:23	10261:20	10040:4
10009:14	10312:23	accepts	acknowledge	10047:2,7
ability	10313:7	10029:6	10012:16	10048:21
10014:20	Aboriginal	access	10138:24	10052:25
10053:24	10002:5	10107:23	10139:3	10056:21
10054:3	10004:25	accommodate	10255:9	10059:21
10070:10	10005:2,13	accommodatio	acknowledges	10071:8
10089:7	10113:13			10082:22
10099:1	10228:11			
10107:19	absence			
10111:25	10095:3			
10141:2,15	absent			
10152:19				

10083:3,12	10068:24	10310:20	10092:6	advi 10206:4
10086:13,2	10109:2	address	10108:12,1	advice
1	10119:4	10012:14	7 10111:5	10022:9
10088:3,14	10121:9	10027:6	adopted	10039:7
10099:13	10122:12	10031:21	10031:17	10040:1
10101:4	10136:23	10060:18	10140:4	10313:15
10103:3,17	10144:8	10074:18,2	adults	advisable
10130:25	10145:14	2 10089:9	10143:2	10040:21,2
10136:24	10225:15	10137:10	advance	2 10258:14
10143:11	10255:4	10138:21	10037:22	advised
10154:22	10262:24	10139:17	10038:19	10075:3
10158:16	10279:19	10151:24	10056:19,2	10157:17
10160:19,2	10295:17	10238:24	3 10068:17	10206:16
3	added	10255:22	10115:1	advisor
10162:6,13	10100:23	addressed	10222:1,3,	10018:18
10163:25	10108:23	10154:13	9	advisory
10164:19	10128:24	adds 10004:3	10264:11,1	10268:10
10169:9	10129:20	adjourn	2,13	10272:2
10174:19	10161:16	10136:1	10275:5	advocacy
10175:12	10162:4,10	10137:19	advanced	10052:1
10176:3	adding	10308:19	10057:4	advocate
10178:10	9999:23	adjourning	10256:18	10052:4
10179:4,9	10066:3	10314:3	advancement	10124:5
10182:14	10070:5	adjust	10057:14	advocates
10184:16	10164:10,1	10095:22	10068:25	9998:25
10189:3	3 10200:2	10229:1	10070:9,10	advocating
10193:20,2	10225:11,1	10295:9,13	10132:3,16	10051:21
2 10194:12	2,13,18	adjustment	,19,20	10094:25
10197:12	addition	10174:16	advancing	10150:21
10215:2	10005:17	10301:9	10062:12,1	10254:10,1
10240:1	10012:12	adjusts	3	1,13
10255:5	10046:22	10296:12	advantage	10255:7
10258:10	10163:2	Administrati	10043:17	10278:21
10264:21	10225:14	on 10117:4	10053:2	AECL
10276:18	10281:21	administrati	10109:24	10240:22
10278:10	additional	vely	10127:21	Affairs
10279:24	10013:6,9	10154:14	10223:6	10151:14
10288:19	10031:6	administrato	10265:23	10153:3
10297:3	10136:17	r 10125:17	advantageous	affect
10299:16,2	10181:13	admirable	10078:13	10110:24
1 10300:5	10185:16	10000:13	10221:23	10116:7
10304:11	10206:18	admit	adverse	10123:10
10305:13	10216:13	10164:18	10002:9	10139:19
10308:17	10218:6	ado 9998:9	10078:8	affected
acute	10231:17	Adolphe	10098:24	10002:1
10115:11	10241:8	10291:5	10105:8	10005:4
adapt	10257:11	adopt	10238:24	10063:5
10010:13	10267:2		10289:6,9,	10152:1
10047:3	10312:1,4,		13	
add 10004:23	6			
10055:14	additions			
10056:10				

affecting	10213:21	alone	alternatives	10036:1
10179:16		10004:1	9992:8	10068:13
10230:10	agreement	10196:10	10002:4	10079:6
	10000:11	10197:17	10010:22,2	10082:11
afford	10043:23		4 10016:23	10135:14,1
10005:15	10044:11	already	10032:17	6 10270:8
	10078:17,1	9996:16	10137:3	10280:5,24
afternoon	9 10079:1	10005:9	10155:11	10307:13
10012:14	10272:22	10011:5	10181:12,2	
10137:21		10079:6,10	2 10193:18	amounts
10138:6	agreements	,15		10140:19
10159:19	10002:10	10086:21	altruistic	10149:15
10208:13	10016:8	10089:18	10124:25	10177:14
10256:8	ahead	10121:21	10125:6	10304:5,6
10266:6	10000:19	10122:12,1	aluminum	analogy
10282:7	10023:3	6	10263:9,10	10056:22
10292:11	10034:11	10127:10,1	,16	
10309:3	10066:14	1		analysis
	10069:16	10141:8,25	am 10007:16	9996:8
against	10071:24	10143:3	10034:23,2	9997:20
10004:7	10088:13	10158:9,23	4 10072:20	10001:1,2
10010:1	10096:23	10170:7	10105:10	10025:1,19
10065:18	10116:1	10171:2	10108:7	10028:1,8,
10104:25	10154:25	10200:3	10157:16	9,11,15,24
10110:6	10162:6	10205:11	10172:14	10046:15
10132:8,14	10275:7,23	10213:2	10208:16	10047:17
,15		10225:25	10298:8,15	10076:13
10165:25	Aimee	10245:2		10105:11
10169:16	9993:16	10275:4	ambitious	10122:20
10234:21		10307:21	10155:10	10123:10
	air 10115:19			10127:2
agencies	10227:25	alt 10193:18	America	10130:3
10035:18			10112:6	10156:23
10140:7,9	akin 10019:5	alter	Americans	10157:6
10141:18	10026:11	10275:7	10275:25	10166:21
	10108:1			10168:8
agency	Alberta	altered	among	10171:9,14
10035:10	10015:24	9996:17	10111:3	,15
aggressive	alive	10158:9,24	10128:1	10173:5
10031:17	10000:16	alternative	10137:5	10174:20
10189:2	10195:4	10002:15	10265:11	10177:23
	10236:10	10008:25	10286:14	10179:9
ago		10043:11		10181:8,22
10016:11,1	allocate	10111:20,2	amongst	10186:4
2 10031:18	10024:15	1 10130:9	10137:16	10191:1
10130:5		10132:14,1	amortization	10194:1
10139:14	allow	5,21,23	10189:5,15	10200:12
10140:13	10004:14	10181:17		10201:11
10263:8	10005:17	10182:18	amortize	10202:13
10307:8		10183:5,8,	10160:21,2	10208:14,1
	allowed	15,19	2 10273:23	7 10210:13
agreed	10114:14	10188:24,2		10216:13
10214:4	10144:19	5 10189:11	amortized	10217:19
10215:22	10268:15	10190:3,10	10186:2,25	10226:3
10280:10,1		10225:21	amount	
7 10291:7	allows		9997:18	
	10101:19			
agreeing				

10233:12,1 6 10235:1,9 10238:2 10247:25 10249:23,2 4 10250:2 10253:21,2 2 10255:20,2 1 10256:10,1 5,24,25 10257:8,18 10280:7 10281:3 10282:3 10285:4,13 ,22 10292:2 10305:22	animated 10181:4 10212:17 animates 10103:3 animation 10159:20 10163:21 announced 10060:12 annual 10002:17 10003:15 10005:7 10155:9 10187:7 10188:19 10310:18 answer 10014:20 10164:5 10179:25 10218:16 10223:6 10237:8 10254:25 10290:22 10298:17 answered 10058:24 10073:13 10218:13 answers 10120:22,2 3 ant 10212:16 anticipated 10002:25 10261:7 anticipates 10141:11 Anticipating 10223:21 Antoine 9993:21 9995:11,18 10012:19 10013:1,17	10014:1,11 10015:5 10016:9 10017:3,23 10020:1 10022:5 10023:19 10024:23 10025:23 10026:21 10027:16 10030:14,1 5,23 10031:3,23 10033:9 10038:2 10041:7 10042:19 10046:12 10050:15 10053:7,9 10056:6 10058:14 10063:3,18 10065:20 10069:14 10071:4,12 ,20,21 10072:4 10075:24 10087:16,1 7,20 10089:12,1 3,17 10090:18 10091:9 10092:10 10093:6 10094:7 10108:20,2 1 10112:13 10114:9 10116:9 10118:11 10119:8,23 ,25 10120:4 10123:19 10126:2 10127:20 10128:22 10130:21 10134:5 10135:6,20	,23 10136:2 10159:10,1 1 10166:10 10168:2 10169:6 10170:3 10171:8 10172:12 10173:1 10174:22 10175:2 10181:6,15 10184:14 10185:13 10187:12 10188:13 10189:19 10191:22 10193:4 10194:14 10195:13 10206:14,1 5 10215:22 10216:7 10241:17 10280:10,1 7 10289:21 10290:1,19 10291:3 10313:4 anybody 10250:15 anybody's 10078:18 10179:22 anymore 10062:17 10063:15 10095:9 10239:16 anyone 10005:11 10080:2 10099:16 10100:8 10129:17 10230:12 10232:8 10285:15 10286:6 anything	10046:9 10054:11 10055:10 10058:6 10060:24 10068:17 10074:23 10088:16 10089:21 10090:14 10093:9 10110:15 10127:5 10184:20 10228:21 10247:15 10283:9,12 ,21 10294:13 10313:13 anyway 10038:21 10193:1 10198:16,2 3 anywhere 10064:18 10069:12 10149:23 10184:15 10272:7 10278:4 apart 10231:13 apartment 10057:25 10135:9 10147:4 apologize 10091:5 10121:24 10155:23 10211:10 10250:9 10264:9 10308:5 appear 10002:18,2 2 10010:24 10080:24 10095:14
--	--	---	---	--

10138:16	9997:24	10018:19	10194:12	assess
10156:1	10031:17	10020:11	arose	10070:12,2
10236:18	10046:16	10302:21	10103:7	2 10112:1
10237:10,1	10047:6	area	arrive	10168:16,1
6 10256:17	10069:17,2	10015:25	10264:2	9 10285:18
APPEARANCES	1	10017:24	arrived	assessed
9993:1	10105:11,2	10020:2	10171:16	10063:8
9994:1	0 10112:16	10022:6	Arthurson	10090:5
appeared	10117:8	10023:20	10004:5	10132:15
10095:15	10167:10,1	10067:9	aside	assessing
appears	1 10239:12	10135:13	10097:3	10081:1
10128:25	10251:9,14	areas	10098:3	10108:18
10170:14	10254:14	10008:8	10130:16	10132:13
10183:5,7	10255:16	10014:21,2	10165:25	10287:15
10184:1	10256:14	5 10015:13	10279:9	assessment
appendix	10280:9	10027:17	10299:12	10029:11
10014:17	10281:8	10030:1,9	aspect	10052:19
10166:20	approaches	10141:4	10111:10	10063:24
10167:23	10104:24	10273:6	10167:17	10107:13
10174:5	10105:13	10308:16	10222:14	10121:5
10175:1	approaching	aren't	aspects	10132:17
10208:19,2	10023:25	10124:17	10016:21	10186:15
3,25	appropriate	10126:1	10019:10,1	10282:18
10283:8,15	10032:3	10153:18	2	assessments
10305:12	10042:20	10154:22	10020:10,1	10020:21
applied	10058:10	10166:5	8 10021:24	10044:16
10086:6	10094:8	10286:1	10028:7,8	10047:5
applies	10108:22	10296:11	10037:23	10132:19,2
10008:17	10126:16	argument	10049:9	0
10221:12	10181:7	10007:3	10051:4	assignment
apply	10206:1	10131:15	10088:24	10017:16
10058:9	10221:13	10132:24	10090:23,2	10018:15
10081:17	10256:15	10136:10	5 10110:23	10024:20
10113:7	10313:9	10196:16	10133:21	10025:6
10123:21	approval	10261:1	10166:21	assist
10124:4	10104:17	arguments	10167:23	10173:4
10142:19	10112:21,2	10010:8	10168:18	10221:20
appreciate	2 10131:21	10127:4	10169:1	10234:15
10027:12	approvals	10243:12	10203:12	10239:20
10241:6	10020:22	arise	10236:15	assistance
10249:25	approved	10014:21	10270:21	10014:19
10263:1	10032:14,2	10049:7	assemble	10140:8
10300:12	0	10095:11	10018:8	10141:18
10311:15	approximate	10160:3	assert	10142:23
appreciation	10260:11	10238:25	10057:16	10149:7,14
10161:7	approximatel	arisen	asserting	10150:24
appreciative	y 10003:25	10050:5	10027:14	10151:9
10268:7	10006:16	arising	assertion	10196:11
approach	10008:3	10152:24	10106:20	assisted
	10014:24	10165:11		10250:1

assisting 10015:22	9 10278:5	10277:20	10006:20	10193:8
assists 10221:8	assumptions 10080:12,2	attributable 10027:25	10062:21	10194:7
associated 10022:3 10045:1 10183:2 10187:23 10189:15 10225:25 10235:22 10262:4 10270:8	5 10093:8 10094:19 10116:6 10121:2 10142:8 10173:25 10174:2,3, 5 10184:3 10185:25 10186:8,25 10210:22 10211:3,14 ,15,17 10248:16 10252:5,6, 20 10275:6 10306:6	attribute 10265:15 attributes 10064:4 auditors 10274:2 augmented 10280:18 August 10003:7 authoritativ e 10210:17 authoritativ ely 10210:12 authors 10018:13 available 9997:12 9999:11 10044:1 10052:12 10091:1 10120:18,2 1 10122:13 10126:10 10135:16 10148:10 10158:20 10171:23 10174:4,21 10184:21,2 3 10210:8 10217:17 10242:9 10243:4 10244:8 10282:3,13 ,21 10286:15 10309:20 10310:13 Avenue 9992:22 average	10129:7,10 10147:3 10177:25 10179:10,1 7,21 10180:13 10295:1,3, 5,9,19,24 10310:5 avoid 10044:25 10066:25 10086:25 10101:2,3, 13 10189:14 10190:4 avoided 10046:7 avoiding 10088:8,11 10254:1,2 aware 10043:25 10045:8 10184:19 10187:3 10194:1 10234:2 10241:19 10259:9 10284:15 10286:22 10287:1 Awareness 10138:15 10139:14 10140:15 10142:11 away 10009:25 10017:4 10046:7 10054:19 10061:2 10115:5,15 10129:17 10190:13 10191:12	axis 10102:12 10192:7 <hr/> B <hr/> backed 10060:4 10067:21 10070:19 10090:11 10123:6 10247:15 background 10014:20 10106:3 10169:10 10208:24 backstop 10023:2 backup 10225:13,1 5 bacon 10145:22 bad 10049:24 10057:13 10074:14 10094:22 10124:13 10153:22,2 3 10154:5 10186:4 10295:4,8 balance 10083:6 10107:1 10179:18 10186:21 10191:1 10269:24 10271:14 10287:25 10308:21 balls 10227:25 Band's 10004:7

bank	10181:25	10286:18	Bedford	10010:3
10147:23	10182:7,19		9993:7	10012:9
banks	10192:15	basis		10013:5
10140:4,5	10208:18,2	10015:20	bedroom	10014:19
bar 10086:22	2	10020:15	10057:12,2	10032:8
10087:2,13	10215:19,2	10066:15,1	0 10058:7	10037:23
10088:6	5	6 10077:25	10061:3	10040:12
10114:6	10217:3,4,	10078:1	10135:8	10065:5
10129:20	13,22	10080:7	10147:4	10066:10
10149:10	10234:25	10104:17	beef	10071:17
10150:7	10235:8	10112:2	10145:21	10087:20
10160:15	10237:2,6,	10124:16	beer	10108:25
10161:15	18	10126:15	10205:19	10134:6
10201:14	10247:23	10130:4	beg 9998:16	10138:7
10303:14	10248:10	10146:22	begin	10144:20
barrel	10254:1	10161:6	10165:2	10156:12
10092:2	10273:19	10274:25	10180:5	10157:1
barrier	10295:3	basket		10158:2
10092:22	baseline	10073:21	behalf	10171:1
bars	10172:2,3	10225:7	9998:5,19,	10206:10
10037:15	baselines	bath 10280:3	23	10208:9
10177:2	10132:9	batter	10015:22	10229:2
bas 10109:4	basement	10009:10	10113:12	10231:21
base	10038:18	BC 10015:23	10138:9	10243:4
10097:19	10056:17	10024:21	10156:3	10250:14
10103:22	10057:12,1	10117:7	10213:24	10273:9
10131:12	9 10058:7	10130:2,3	10311:19,2	10292:8
10158:16	10061:3	10132:18	1	10301:7
10169:18	10062:7	BC's	behind	10303:3,4
10179:11	basements	10113:11	10055:2	10313:20
10213:25	10201:8	BCUC	10082:6	benchmark
10245:20	basic	10130:2,3	10096:19	10284:5
10246:5	10035:11	be-all	10161:22	10295:11
based 9997:4	10058:4	10130:7	10162:12	bend 10010:6
10010:12	10067:3,5	bear	10163:15	beneficial
10058:20	10109:4	10164:20	10171:13	10037:10,1
10083:10	10143:18	10265:22	10198:5	3 10055:2
10084:1,23	10144:2,6	beast	10200:19	10085:18
10086:13	10145:25	10076:5	10300:12	10107:12
10095:13	10147:22	become	Bel 9992:16	10131:5
10097:12	10148:6	10011:9	10195:22	10179:4
10108:6	10170:21	10012:23	10196:5,8	10180:13
10126:12,1	10180:16	10273:25	10199:24	benefit
4 10142:8	10181:2	becomes	10200:10,1	9997:19
10143:8	basically	10045:18,2	4	10036:13
10159:24	9999:22	0 10069:4	believable	10075:10
10172:14	10079:11	10096:12	10185:20	10078:10,2
10173:23	10131:25	becoming	believe	1,25
10179:9	10189:25	10201:23	9998:4	10083:13
10180:10	10295:10		9999:13	10087:5,9
	basing		10007:24	10088:4
				10089:1

10097:17,1 9,22 10098:18,2 2 10099:10,1 2 10100:10,1 8 10101:10,1 5 10102:2 10125:14 10130:15 10153:7 10160:14,2 0,23,24 10161:16 10165:5,17 10194:11 10196:12 10199:25 10200:15 10235:8,16 10237:25 10252:20 10265:11,1 5 10273:24 10280:6 10281:1 10287:18 benefited 10075:13 benefiting 10200:5 benefits 10002:4,7, 8,9 10003:2 10005:19 10010:14 10037:5,16 10041:17 10054:22 10060:22 10076:19,2 1 10080:9,23 10082:13,1 6,24 10084:9,12 10086:20 10088:23 10089:6	10098:19 10101:19,2 3 10102:20 10103:7 10105:13 10110:11 10112:7 10124:12,1 4,17 10125:12 10126:7 10134:22 10149:15 10160:3,10 10161:5 10162:22 10164:8,9, 13,15,21,2 5 10165:6,21 10166:6,8 10169:21 10170:2,18 10176:22 10183:21 10190:11 10192:12 10198:18 10199:9 10207:17 10236:10 10237:12 10243:15 10252:9 10259:7,15 ,22 10262:12 10265:5 10269:25 benefit- sharing 10078:11 Benham 10138:8,9, 13 10153:2,9 10154:8,17 10155:4,15 ,20,22 10156:6 best 10009:10	10031:3,12 10033:21 10039:12 10042:14 10045:20 10048:21,2 2 10052:6 10068:21 10075:9 10076:7 10095:21 10122:8 10132:14,1 5,21,23 10134:17 10135:15 10154:13 10171:5 10174:14 10185:21 10207:20 10232:20 10240:9 10245:6 10247:14 10252:16 10260:16 10268:19 10274:17 10279:1 10280:2 10283:18 10292:13 10313:5 better 10010:8,13 10014:14 10034:22 10043:16 10049:5,8, 20 10054:11 10062:23 10074:4,6 10075:8 10077:17 10084:18 10088:14 10096:3 10097:24 10099:15 10102:5 10107:12	10110:9 10114:16 10118:5 10130:9 10155:12 10174:10 10180:2,4, 14 10209:12,1 6 10237:20 10245:12,2 4 10246:4 10248:5,12 10256:15 10283:9 10298:19,2 0,21 10300:23 10301:5 betwe 10184:11 beyond 10125:16 10135:19 10169:9 10264:9 biased 10014:15 10218:17 bigger 10074:18,2 1 10098:24 10102:5 10133:16 10161:18 10180:12 10201:12 10218:14 10245:13,1 7 10246:5 10299:23 biggest 10020:8 10091:13 10099:10 10191:12 10267:18 10283:2 bill 10250:10 billing	10056:1 billion 10001:7 10003:12 10038:11 10079:9 10093:23 10097:14,1 5,22 10160:22 10161:5 10162:8,11 10163:15 10175:18 10191:17 10200:2,3 10235:11,1 2 10295:21 10296:4,17 ,19,20 10297:10,1 6 10298:4 10300:4 10302:15 10303:13 10307:12 billion- dollar 10019:17 billions 10178:11 bills 10010:16 10094:25 10125:13,1 4 10126:17,1 8 10142:21 10150:25 10151:10 10153:6 binary 10084:6 10233:7,15 Bipole 10133:10,1 4 10196:22,2 3 10198:3,8 10199:16
---	---	--	--	--

10226:6,9, 11,14 10240:11	10207:12 10209:13,2 2 10218:17 10223:2 10231:9 10239:18 10240:2,25 10241:7 10243:25 10245:9 10246:14 10251:17 10267:6,14 10270:4 10271:21 10273:7 10295:12 10297:22 10300:2 10309:6	10021:5 10043:10 10086:11 10222:20 10287:5 blown 10207:1 blue 10037:8 10066:17 10097:10,1 2 10131:4 10134:15 10178:16 10179:11 10182:4,23 10184:6 10203:9 10220:7 10279:24	10151:13,1 9 10152:5,6, 18 10154:18 10155:10 10158:16 10171:23 10174:21 10184:16 10187:12 10190:17 10194:2 10209:21 10247:22 10260:22 10263:8 10267:2,6 10280:4,23 10312:24 10313:16,1 8 board's 10043:25 10139:14 10311:25 Bob 9993:2 9995:22 10029:19 10137:11 10250:18 10266:4,5, 13,18,21 10267:1 10269:15,2 3 10270:11 10271:12 10272:18 10273:5 10274:7,14 10275:17 10276:17 10277:11 10279:8,18 10280:2,13 10281:12,1 3,18 10282:4,11 ,16 10284:15 10285:3,18 10286:9,18 ,22	10287:9 10288:6,11 10289:18 10290:13,1 4 10291:2,4, 15,16,25 10292:5,10 10298:25 10299:3 10300:11 10301:2,6, 20 10302:4,12 ,18,23 10303:11,1 7 10304:8,17 ,20 10305:24 10306:2 10307:18 10308:1,12 ,15 10311:5 boiled 10050:6 10051:15 boiler 10092:20 10119:2 boldly 10009:23 Bonjour 10012:18,1 9 books 9999:19 10098:25 10189:18 10273:11 boot 10010:18 Borison 10047:2 10253:16,2 0 10254:10,2 3 borrow
bird 10006:18 10259:20 birthday 10144:15,1 7 10147:25 bit 9998:16 10014:12 10025:2,24 10033:7 10043:2 10051:17 10053:11 10062:5 10067:15 10069:9,16 10070:13 10086:24 10092:7 10096:5,19 10097:13 10098:19 10099:11 10107:21 10108:6 10114:3 10117:5 10119:3 10122:19 10123:22 10143:10,1 2 10147:7 10159:12 10160:15,1 7,25 10161:9 10162:15 10163:25 10165:20 10167:6 10169:25 10170:1 10177:9 10180:2,7 10184:8 10194:10 10196:6 10197:25 10205:2	biting 10269:21 bits 10313:7 bitter 10011:6 black 10066:19 10067:9,14 10068:2 10069:1 10118:7 10178:21 10201:22 10202:18,1 9 blew 10202:25 10205:10 10208:6 block 10057:25 10066:25 10110:18 10135:9 10219:20 10221:20 10222:5,24 10234:19 blocks 10018:8,10 10020:19	blunt 10004:17 bluntly 10273:2 board 9992:3,14, 15,16,17,2 1 9993:2 9997:16 10018:16,2 5 10022:1 10026:17 10036:18 10039:6 10041:3 10042:8 10052:15 10104:14,1 6 10105:16 10115:4 10120:10 10128:17 10131:1 10136:9,14 ,19 10138:16,1 9,21,25 10139:9 10141:24 10142:11,1 4,16 10143:23 10144:1	board's 10043:25 10139:14 10311:25 Bob 9993:2 9995:22 10029:19 10137:11 10250:18 10266:4,5, 13,18,21 10267:1 10269:15,2 3 10270:11 10271:12 10272:18 10273:5 10274:7,14 10275:17 10276:17 10277:11 10279:8,18 10280:2,13 10281:12,1 3,18 10282:4,11 ,16 10284:15 10285:3,18 10286:9,18 ,22	10287:9 10288:6,11 10289:18 10290:13,1 4 10291:2,4, 15,16,25 10292:5,10 10298:25 10299:3 10300:11 10301:2,6, 20 10302:4,12 ,18,23 10303:11,1 7 10304:8,17 ,20 10305:24 10306:2 10307:18 10308:1,12 ,15 10311:5 boiled 10050:6 10051:15 boiler 10092:20 10119:2 boldly 10009:23 Bonjour 10012:18,1 9 books 9999:19 10098:25 10189:18 10273:11 boot 10010:18 Borison 10047:2 10253:16,2 0 10254:10,2 3 borrow

10002:23	10042:22	15,18	10224:3,13	10261:9,15
borrowing	10043:1	10166:13	10225:3	,23
10045:1	10046:17	10168:4	10226:2,7,	10262:16,2
10278:8	10050:18	10169:8	13,17,19	0,25
borrowings	10053:7,8,	10170:5	10227:1,10	10263:3
10038:14	15 10056:9	10171:11	,16,21	10264:3
Boston	10058:17,2	10172:12,1	10228:25	10265:9,13
10276:21	2 10061:11	8 10173:7	10229:8	,17,25
bottom	10063:6,22	10174:24	10230:16	10266:6,12
10037:14	,23	10175:4	10231:4,6,	,17,20,23
10092:2	10065:21,2	10181:10,2	13,20,25	10267:4
10093:6	4	3	10232:7,12	10269:15,1
10168:10	10066:6,7	10184:14,1	,16,20	9
10186:10	10069:22	9 10185:21	10233:2,4,	10270:1,14
10274:11	10071:22	10187:19	10,17	10271:12,2
10297:5	10072:3,6	10188:21	10234:5,12	0 10272:21
10301:7	10076:1	10190:1	,13,23	10273:13
10306:23	10079:19	10192:2	10235:4,13	10274:13,1
bottoming	10082:1	10193:5,11	,18,23	6 10275:21
10163:14	10084:3	10194:23	10236:1,5,	10277:1,8,
bought	10085:20,2	10196:1,6	8,13,22	22
10178:12	3	10197:7	10237:5	10279:13,2
10241:3	10087:19,2	10200:8,13	10238:3,7,	0
bounds	1	,16	15,20	10281:13,2
10259:2	10088:1,18	10202:12	10239:2,7,	2
Bow 10014:2	10089:15,2	10206:16,1	20,23	10282:10,1
Bowman	4 10090:21	9	10240:1,8	5,19
9995:9,16	10091:12	10208:9,13	10241:5	10284:17
9996:5	10092:13	,19	10242:16,2	10285:6,21
10013:4,15	10093:14	10209:4,8,	1	10286:17,2
10014:3,8,	10094:9	19	10243:3,11	1,25
17,23	10096:22	10210:6,9,	,18	10287:11
10015:1,10	10099:21,2	15,23	10244:11,1	10288:10,1
10016:15	4 10102:21	10211:5,18	3,15,20,22	8
10017:8	10103:17	,23	,23,25	10290:2,8
10018:3	10104:7	10212:1,11	10245:11,1	10291:21,2
10020:7	10108:21	,14,18,19	4,19,25	4
10022:11	10109:1	10213:1,12	10246:6,13	10292:4,8,
10023:24	10112:13,1	,17,20,22	,16,22	14
10025:5	7 10114:13	10214:4,9,	10247:4,7	10299:1,5
10026:4,23	10116:10,1	17,25	10248:13	10300:17,2
10027:15	3	10215:9,10	10249:1,9,	0
10028:5,12	10118:12,1	,15,21	15,22	10301:4,11
10030:9,17	5	10216:16,1	10251:5,15	,22
,22	10119:14,2	8,22	,19	10302:3,9,
10031:2,8	4	10217:2,12	10255:3	17,22,25
10032:4,7	10120:3,5	,16,24	10256:8,21	10303:12,1
10033:10,1	10123:20,2	10218:3,8,	10257:2,15	6,20
1 10038:4	5 10126:5	12	,20	10304:1,19
10041:7,13	10127:25	10219:12,1	10258:17,2	,23,24
	10129:2	3,18	2	10305:5,10
	10131:2	10221:4,10	10259:1,10	,20,25
	10134:6,9	10223:1,9,	,16	10306:4
	10159:4,8,	12,19,22	10260:6,14	10307:18,2

3	10204:13	briefly	3 10054:10	10000:14
10308:2,3	bread	10006:6	10096:1	10018:8,10
10311:11	10149:19,2	10014:18	10120:11	10020:19
Bowman's	0	10144:3	10176:19	10021:5
10014:20	break	10250:19	budgets	10043:10
10027:11	10071:7,10	10292:6	10141:17	10046:6
10029:7	10130:23	bring	10188:8,9	10048:2
10158:2	10137:22	10034:4	buffet	10066:25
10241:19	10206:1	10037:12	10228:7	10068:15
box 10116:25	10290:21	10054:13	build	10080:20
boxed	10291:21	10057:6	10043:23,2	10086:11
10079:14	bricks	10065:21	4	10088:8
Boy 10206:25	10054:7	10068:12	10045:17,1	10100:5,6,
Boyd 9993:6	bridge	10074:21	8,23,24,25	11 10101:2
9995:21	10033:17	10137:12	10049:17	10110:18
10029:20,2	10042:16	10176:15	10055:6,8	10119:18
1,23	brief 9997:7	10189:22	10056:18	10169:15
10030:3	10007:11	10193:2	10065:11	10219:19
10136:23	10027:3	10222:6,19	10067:8,13	10220:25
10156:17	10030:6	10240:18	,17	10221:20
10157:15	10042:25	10275:9	10068:6,11	10222:5,19
10256:4,6,	10087:24	10276:8	,14	10240:16
7,22	10103:15	10298:19	10069:1	10259:14,2
10257:6,17	10104:5	bringing	10074:2,5,	1
10258:7,18	10154:10	10218:20	6	10269:3,5
,23	10171:21	brings	10075:11,1	10275:2
10259:4,12	10195:20,2	10010:8	2 10084:24	10278:7
,24	5 10201:1	10074:9	10085:6	10287:4
10260:7	10202:10	10076:19	10100:2	10298:9
10261:6,11	10204:13	10084:9	10113:18,2	10303:9
,18	10214:13	10113:21	2 10114:24	10306:12
10262:11,1	10216:5	British	10120:23,2	builds
7,21	10217:7	10112:25	4	10056:24
10263:1,23	10219:10	broad	10121:4,5,	built
10265:3,10	10227:8	10114:4	11,17,22	10004:15
,14,24	10238:5,10	10180:24	10122:7,9,	10005:24
10266:1	10239:25	10271:3	14,25	10008:2
10282:6	10241:10,1	broadly	10161:17	10011:4
10308:12,1	5,23	10091:6	10185:23	10028:25
4,17	10242:2	10092:4	10191:4	10071:2
Brandon	10249:19	broadly	10198:3	10084:10
10268:14,2	10250:5	10113:8,19	10207:14	10086:7
4	10251:20	broke	10222:11,1	10100:25
Braun	10271:18	10212:23	9 10227:20	10114:21
9998:6,7,1	10281:10,1	broker	10231:2	10115:2
2,18	6 10289:25	10052:5	10274:19	10167:8
10007:13	10290:6,17	brought	10275:16	10221:24
10011:14	10303:25	10003:6	10276:5,15	10233:21
10012:1,12	10304:15	10021:22,2	,16	10240:21
Brazil	10305:8,18	building	10296:24	10299:23
	10307:25		10310:11	bulk
	10311:1			10199:22

bullet	10270:17	10222:25	10029:6	10070:15
10041:9	busy	10223:4,10	10158:11	capacity
10072:11	10082:10	,13,21	10234:16	10018:23
10114:10	10095:12	10224:10,1	CAC/MH	10070:14
10232:24	10264:16	9 10225:20	9999:14	10139:12
10251:7	buy 10054:4	10226:4,10	CAC-77	10259:14,2
bunch	10082:9	,16,19	9996:15	1
10061:23	10143:18	10227:5,11	10158:22	10309:10,1
10113:6	10148:6	,17	calculate	8,21,25
10124:1	10149:19	10228:18	10190:25	capita
10134:18	10177:14	10229:5	10235:10	10020:15
10180:18	10221:3	10230:11,2	10237:25	capital
10199:4	buyer	4	calculated	10038:23
10207:21	10059:23	10231:5,12	10237:25	10047:22
10257:23	buying	,21	calculation	10050:5
10260:16	10066:24	10232:2,9,	10234:20	10061:23
10287:25	10067:1	14,18,22	10235:15	10076:22
burdened	buys 10221:5	10233:5,11	calculations	10078:9
10128:21	bye	10234:1,9,	10187:23	10086:25
buried	10313:23,2	13,24	10286:2	10092:22
10029:3	4	10235:6,14	Calgary	10098:20
burning	Byron	,21,24	10017:22	10129:7,10
10117:24	9993:14	10236:2,7,	California	10161:13
bus 10041:10	9995:19	12,17,25	10310:3,5	10165:22
10117:22	10027:8	10237:22	calm	10166:1,24
10127:8	10028:3	10238:7,12	10229:15	10185:8
10147:13	10029:5	,16	camp	10188:4
10162:15	10136:7	10239:2,19	10016:25	10207:11
business	10158:4,7	10240:6	Canada	10220:24
10002:10	10208:11,1	10241:4	10024:18	10221:25
10019:16,2	2,25	10242:15,1	10064:9,11	10235:2
4 10023:7	10209:5,15	6,22	,19	10277:16
10034:4	10210:1,7,	10243:10	10133:9,13	10278:11
10035:21	10,18,25	,21,24	10139:1	10283:1,3
10040:4	10211:8,21	10245:7,15	10146:25	10284:10
10052:20,2	,25	,22	10147:1	10285:16
2 10108:6	10212:10,1	10246:2,13	10240:22	10301:8,14
10112:2	3,20	,17	Canadian	10302:19
10115:11,1	10213:6,14	10247:2	10286:19	10303:1,3,
2 10126:20	,18,23	10248:10,2	cancel	8,10
10235:1,25	10214:7,15	5	10208:3	10304:6
10247:13	,21	10249:9,16	cant 10134:2	10305:4
10267:8,9	10215:8,13	,21	canvassed	10306:15
10268:9	,17	10250:7	10241:11	10307:14,1
10270:4	10216:15,1	<hr/>	cap 10104:15	7
10271:1,4	6,20	<hr/>	capability	Capra
10273:22	10217:9,13	C-8 10212:22		10001:17
businesses	,18,25	10214:1		10039:20
10127:16	10218:4,9	10234:11		10120:10
10268:25	10219:4,13	CAC 9993:14		10167:10,1
10269:6	10221:1,7	10004:5		1
		10027:10		10251:8,13

,17,24	10174:1	10095:14	causes	10198:8
10252:1,22	10186:7	10103:1	10007:6	10204:7,10
,24,25	10226:8	10108:6	10051:23	10208:19
10253:9,16	10249:2	10109:21	causing	10221:2
10254:10,2	10253:4	10112:2,15	10006:16	10229:1
2	10254:17	10119:16	caution	10246:19
10255:5,15	10279:4	10126:20	10116:4	10257:5
,21	carefully	10145:17	10253:15	10259:18
Capra's	10105:23	10170:8	cautions	10287:4
10120:7,8,	Carlo	10194:5,6	10260:19	10307:14,1
24	10105:12,1	10222:21	cautious	6
10251:13	3,14,22	10235:1	10116:22	certainty
10252:20	10106:4,6,	10247:13	10135:4	10264:7,18
10253:13,2	11	10254:5	CDC 10007:5	,19
5	10256:10,1	10282:12	CEC 10004:5	Certificate
10254:12,1	9,23	cases	centre	9995:24
8	10257:19	10112:23	10139:4,24	Certified
capture	10258:3	10120:25	10269:21	10314:8
10092:24,2	carried	10130:2	centrepiece	cetera
5 10124:23	10273:11,1	10132:3,5,	10002:11	10027:25
10126:19,2	7,20	7	cents	10185:20
0	10287:22	10153:14,1	10148:8	chair
captures	Carrier	8 10209:22	10149:20,2	10027:8
10202:14	10312:5	10211:6	1,23	10029:5
carbon	carry	10293:17	10150:14	10136:24
10110:19	10240:15	cash 10000:9	10190:5	10156:17
10111:1,6	carrying	10002:23	10310:6	10158:4
10112:4	10225:23,2	cashflow	certain	10206:16
10233:3,7,	4	10306:12	10159:14	10249:17
15	10226:6,9,	cashflows	10228:14	10250:8
10234:3,4	11	10000:6	10229:16,1	10311:6
10310:7	Carter	cast	7 10249:7	Chairman
carbon-free	10142:4	10003:13	10259:2	10015:2
10112:2,5	carve	catches	10271:9	10033:12
Care 10152:8	10081:15	10149:22	certainly	10058:23
career	10130:15	categories	10000:20	10194:17
10018:2	carves	10231:11	10027:10	10196:9
10020:6	10161:10	category	10053:17	10250:19
10023:23	case	10060:17	10054:15	10291:5
10025:22	10002:21,2	10266:11	10059:5	10295:23
10207:21	4	catering	10074:12,2	10308:1
10263:9	10019:16,2	10270:6	2 10078:16	Chairperson
careful	4 10023:7	Catholic	10092:24	9992:13
10080:25	10032:24	9999:3	10093:4	9998:3
10081:7	10037:23	caucus	10108:17	10011:14
10095:2	10051:11	10135:25	10118:23	10012:2,9
10130:20	10052:20,2	cause	10136:18	10027:5
10131:8	2 10055:25	10096:25	10187:3	10029:13,1
10165:20	10093:12		10195:10	7,21
10167:21				10030:1,4,
				8 10058:17

10071:6,17	chance	10074:24	charge	checking
10079:2	10042:7	10094:20	10140:19	10257:11
10081:16	10158:14	10178:1,20	10239:16	cheeky
10083:15	10313:12	10179:18	charged	10282:22
10099:19,2	chances	10184:17	10191:3	cheese
3	10002:23	10210:21	charges	10145:21
10135:11,2	change	10285:2,5	10037:15,1	chemical
1,24	9997:22	10302:21	8	10092:15,1
10136:6	10001:15	10307:17	10081:19,2	7
10137:9,15	10012:3	changes	1 10082:4	chequebook
10138:6,14	10025:16	10061:12,1	10161:11	10259:3
,19	10031:16	9 10062:17	10162:9	Cheryl
10155:24	10036:15	10090:13	10192:9,11	10314:12
10156:12	10038:9	10093:7,25	,16	chicken
10158:1,6	10044:15	10096:9	10234:20	10145:22
10159:3	10060:1	10107:2	10238:14,2	Chief
10205:25	10062:21	10121:3,4	2 10239:13	10003:19
10206:10	10063:22	10122:25	10278:6	10004:1
10208:8	10080:13	10171:4	10279:16	child
10250:11,1	10081:4	10172:2	chart	10144:16
4,22	10093:12,1	10180:23	10178:14	10147:11
10256:3	5	10212:9	10224:4,5	childcare
10266:1	10094:3,5,	10235:2	10274:12	10147:10,1
10291:7,12	19 10095:5	10302:6	10303:14	2
10308:9	10100:24	10303:8	10304:10	children
10311:3	10105:7	10304:25	charts	10146:9
10313:1,20	10107:6	10313:13	9996:6	chiropractor
chairs	10116:3	changing	10013:18,2	10257:16
10205:19	10121:2,3	10123:17	4 10027:24	choice
challenge	10123:11,1	10175:15	10169:11	10082:18
10032:4	3 10168:12	10182:9	chasm	10198:2,3
10037:20	10172:6	10228:20	10254:5,8	10209:1,16
10105:10	10174:18	10311:12	chastize	10248:12
10114:7	10177:17	channel	10304:9	choices
challenges	10178:3	10006:17	cheap	10048:17,1
10037:10	10199:11	Chapter	10221:11	9 10233:8
challenging	10203:10,1	10208:17,2	10225:15	choir
10062:5	3 10204:15	1 10302:14	cheaper	10228:15
10077:3	10224:7	characterist	10010:15,1	choking
10106:19	10225:19	ic 10008:9	9 10141:5	10004:11
10286:12	10228:17	10064:9	10154:15	choosing
Chamber	10237:10	characterist	10204:24	10198:11
10268:2,3	10272:15	ics	cheapest	chose
10271:1	10280:9	10054:9	10009:9	10252:25
10273:3	10281:6	10055:2	check	Christian
Chambers	10284:3,16	10221:23	10208:21	9994:6
10268:4	10294:1,2,	10223:3	10237:2,4	
10269:10	3 10303:1	10310:4	10308:24,2	
chan	10307:13,1	characterize	5 10309:5	
10123:13	4,15	10258:19		
	changed			
	10072:1			

9995:20	10003:17	10175:8,17	10099:25	10154:19
10029:15	10166:5,14	10188:7	10165:17	10175:17
10250:25	cleaner	10196:15	10297:7	10199:8
10251:1,16	10297:22	10198:12,2	10298:14	commencing
10254:19		5 10248:23	10302:13	9998:1
10256:1	clear	closely	10306:11,1	commend
Churches	10011:15	10212:14	3,14,15,19	10138:24
9999:3	10051:25	closer	,20,22	comment
Churchill	10061:14	10050:10	10307:11	10018:4
10005:24	10062:11	10283:18	columns	10035:19
10006:1,5,	10139:10,1	closing	10049:21	10036:16
10,15,22	2 10166:22	10022:19	10306:9	10038:17
10152:13,1	10194:2	10136:10,1	com 10020:17	10039:2
6	10214:6	6 10243:12	10100:19	10041:11,1
circle	10254:20	clothes	combination	2 10047:1
10010:9	10273:1	10146:10,1	10160:7	10061:6
circular	10283:15	4,15	combine	10072:13
10151:13	10301:18	coal	10196:25	10073:24
10153:4	clearly	10006:25	combined	10079:20
circus	10134:21	10115:18,2	10049:16	10084:23
10227:25	10141:21	2	10093:22	10091:10
citations	10153:12	coal-fired	10124:9	10096:14
10158:14	10277:15	10006:25	comes	10102:13
10241:12	click	10199:23	10047:25	10106:22
cite 10111:1	10161:25	coarse	10051:3	10119:12
cited	10162:21	10199:23	10100:12	10120:2,9
10110:13	client	code	10145:12	10165:15
10131:11	10017:11	10106:15	10160:16	10168:3
10132:2	10029:10	co-	10165:16	10171:21
10254:23	10239:3,20	generation	10189:24	10188:22
city 10140:9	10241:22	10261:4	10198:14	10197:14
10141:6	clients	coherent	10237:19	10210:11
10148:11	10015:7	10228:7	10274:24	10262:22
clarificatio	10016:2	collapses	10276:2	10270:4,19
n 10027:12	10017:5	10044:2	10286:8	10278:12
clarificatio	10140:17	collect	10298:18	10284:8,10
ns 10309:1	10144:5	10099:1	comfort	,12
clarified	10145:8,9,	10139:24	10124:21	comment/
10056:14	12	colloquialis	10201:5	response
10246:18	10147:17,2	m 10040:6	comfortable	10278:20
clarify	0	colloquially	10267:11	commenters
10099:19	10150:3,22	10156:21	comforted	10073:19
classically	10241:6	colouring	10052:3,25	commenting
10091:17	client's	10070:5	coming	10267:24
clawing	10249:25	Columbia	10048:11	10273:19
10185:6	clipping	10113:1	10065:25	10287:21
clean	10067:16	column	10117:22	10313:14
	close		10145:3,4	comments
	10041:10			10021:3
	10050:25			10027:18
	10097:15			10033:10,1

5 10035:8	10245:2	Company	compensation	10020:17
10038:6	10275:4	10183:13	10016:8	complexity
10039:18	committee	comparable	compete	10300:12
10042:2	10138:16	10020:16	10095:16	complicated
10073:18	10139:15	10184:11	10096:7	10039:15
10079:20	10140:15	10248:23	competes	10058:6
10090:22	10151:23	comparative	10096:15	10105:21
10109:23	10153:11	10235:9	competing	10120:14
10124:2	10268:11	compare	10060:24	10121:15
10126:6	10269:11	10087:10,1	10204:14	10239:18
10156:5	10287:17	2	10287:25	10267:22
10166:11	committees	10148:17,1	competitive	component
10201:6	10115:21	8 10163:16	10201:25	10074:16
10254:18	committing	10167:13,1	competitiven	10163:2
10259:25	10207:1	5 10183:24	ess	10312:14
10265:18	10222:3	10211:2	10203:23	components
10271:7	common	10293:21	10270:16	10165:1
10272:10	10167:4	10296:22	complement	10262:8
10309:6	10172:7	10299:16	10024:12	10279:15
Commerce	10226:9	10307:6	10069:10	compound
10268:2,3	10237:3	compared	10074:3	10296:18
10271:2	communicate	10075:14	10095:15,2	compounding
commercial	10093:10	10132:8	3 10096:16	10187:25
10221:16	10312:23	10160:3	complementar	10295:22
10270:12	communicated	10191:6	y 10060:25	compoundingl
commission	10044:22	10193:18	complemented	y 10184:12
10003:17	communicatio	10209:2	10100:20	compressors
10011:1	n 10268:22	10210:4	complementin	10093:4
commit	communities	10211:13	g 10064:24	comprise
10011:8	10002:6	10223:10	complements	10005:1
10220:3,17	10003:10	10246:5	10095:18	computer
commitment	10005:20	10289:13	10096:15	10060:9,10
10009:23	10016:21,2	10295:8,19	10100:19	10257:24
10070:16	3 10141:7	10307:4	10102:3	computers
commitments	10259:8	comparing	10110:15	10103:19
10010:11	community	10056:4	complete	con 10162:12
10035:16	10034:4	10061:20	10031:6,11	10163:2
10054:6	10035:21	10132:1,2,	10173:17	Conawapa
10072:15	10152:8	21 10160:5	10248:15,2	9997:21
10076:15	10156:5	10217:19	1 10313:9	10004:15
10078:2	10267:8,9	10234:21	completely	10005:23
10110:7	10270:21	10302:14	10013:9	10006:22
10115:21	community-	comparison	10124:15	10008:2
10220:24	based	10210:19	completes	10045:17
10222:13	10139:22	10217:20	10014:1	10048:3,14
10275:18	companies	10248:16	10313:21	10049:17
committed	10188:2,11	comparisons	complex	10057:22,2
10074:12	10204:14	10167:2		3
10079:9				
10086:18,1				
9 10220:1				

10070:7,19	10279:11	10106:24	10083:8	10179:6
10075:11	10280:8	10167:5,7	10089:18,2	10180:15
10076:2,5,	10281:5	10173:17	0,22	10189:9
12,16,19	10292:24	10179:24	10090:9,19	10192:11,1
10077:7,9,	10298:14	10194:17	10097:4	8
17	10302:20	10203:17	10112:11	cones
10078:1,6,	10306:11,1	10206:24	10118:16	10178:18
8,12,20,24	2	10269:24	10128:10	10180:25
10079:5,13	10307:11,1	concerned	10131:8	conference
10081:4,21	3	10008:23	10170:21	10066:9
10082:20	Conawapa/	10033:3	10180:12	confidence
10083:9,21	Ontario	10052:2	10191:10	10001:13
,23,25	10114:10	10060:15	10210:17	10257:11
10084:10,1	Conawapa20	10135:12	10234:2	confident
8,24	10248:24	10269:20	10246:4	10000:23
10085:2,3,	Conawapa26	10284:14	conclusions	10230:18
6,8,18	10248:16	concerns	10031:16	confirm
10086:8	10249:4	10028:22	10032:22	10244:1
10089:19,2	Conawapa31	10166:19,2	10033:5,13	10250:17,1
2	10248:17	0,22,25	,19	8 10267:4
10090:3,11	Conawapas	10242:24	10042:21	confirming
10096:1	10163:18	10269:17	10063:16	10244:6
10101:19	Conawapa's	10271:15	10076:18	confused
10105:6	10093:18	10272:19	10104:11	10196:2
10114:22,2	10186:10	10275:13	10108:23	confusion
4	10248:8	conclu	10178:3	10051:24
10115:1,8	conceive	10179:24	10181:3	connect
10134:8	10204:10	conclude	10313:13	10060:14
10135:1	concentrate	10113:17	conclusive	conscience
10162:3	10145:24	concluded	10193:9	10004:14
10164:13,2	concept	10095:14	concrete's	consensus
3 10171:7	10019:25	10122:6	10047:25	10272:19
10185:24	10029:9	concludes	cond	consequences
10192:22	10038:7	10113:18	10077:23	10140:25
10194:5,6,	10046:22	conclusion	conditions	conservation
16	10047:4,13	10010:21	10061:13,1	10151:22
10196:10	,18	10032:25	7 10077:23	10220:7
10197:21	10057:24	10043:2	10078:8	10260:22
10199:13	10068:10,2	10050:16	10153:25	10261:3
10207:25	5 10129:3	10051:18	10214:11	conserve
10211:14	10195:1	10053:6	10229:24	10153:12
10220:19	concepts	10060:24	10231:18,2	consider
10223:16	10070:1	10063:4,7,	3	10001:6,8
10231:8	10109:4	17,25	10292:16,1	10008:19
10237:9,11	conceptual	10072:1,7	7,22	10041:22,2
,12	10239:6,8	10075:1,15	10293:4	3
10246:15	concern	,25	cone	10081:18,2
10247:13,2	10094:13	10076:3	10175:21	
3 10248:22		10078:15	10176:3,11	
10258:24		10080:17	,13	
10259:3,7,		10082:7	10178:17	
14				
10277:4,17				
,21				

5 10125:20	10018:6	Con't 9994:1	10071:22	10285:19
10142:14	10026:5	contained	10076:16	contractual
10154:19	10069:11	10013:7	10079:22	10229:9
10155:6,11	10150:4	10157:18	10090:24	10281:19
10185:16	10180:8	contains	10112:11	10282:1
10187:1	10247:23	10013:8	10116:6	contractuall
10217:14	consolidated	contemplatin	10142:13	y 10275:19
10219:15	10080:9	g 10239:5	10156:16	contrary
10261:11,1	constant	10247:3,4	10158:2	10045:2
9 10282:17	10280:14	contemplatio	10220:8,9,	10203:25
considerable	constraint	n 10206:17	10,11	contrast
10017:10	10068:21	content	10291:20	10069:17
10028:14	constraints	10031:4	10306:17	10256:23
considerably	10203:3	CONTENTS	continued	10264:4
10083:20	construction	9995:1	9995:17	contrasting
10173:19,2	10076:25	context	10071:20	10211:5
1	10192:13	10022:14	10087:16	contribute
consideratio	10220:18	10025:3	10089:12	10082:22
n 10106:22	10227:18	10027:24	10108:20	contributor
10185:2	10235:22	10033:15,2	10139:4,5	10011:20
10258:25	10258:21	0 10057:23	10159:10	control
10260:2	consult	10072:12,2	10206:14	10041:3
consideratio	10034:4	1	10216:15	10230:4
ns	10137:20	10073:12,2	10242:15	controls
10190:12	10268:19	3 10077:25	10281:12	10205:3
10246:14	consultant	10115:25	10290:13	convene
10271:3	10023:4	10119:17	10291:15	10268:11
considered	consultation	10120:17,2	continues	convened
10005:16	10020:21	10143:13	10054:13	10268:13
10028:16	10113:16	10152:21	10184:2	conversation
10035:15	10140:14	10158:16,1	continuing	10112:11
10058:20	10209:20	9 10171:25	10141:11	10249:11
10163:3	10221:16	10194:24	10152:7,10	conversation
10183:13	10267:5	10195:8	contract	s 10246:18
10184:16	10271:16	10201:11	10227:13	converting
10200:4	consultation	10241:2	10281:20	10065:2
10209:16	s 10272:20	10263:23	contractor	convince
10217:10	consume	10270:3	10021:24	10202:21
considering	10264:1	10293:20	10022:4	convinced
10008:25	Consumer	10301:13	10119:2	10010:4
10260:7	10151:14	10309:7	10228:10	Conway
10312:11	10153:3	10310:23	contractors	10004:4
considers	consumers	continental	10048:12	cooperation
10029:10	10138:25	10011:9	contracts	10143:14
consistent	10139:2	continuation	10002:11	coordinate
10149:5	10140:19	10056:7	10070:19	
10167:15	10142:1,5,	continue	10077:18,2	
10177:14,1	9	10008:16	1 10078:25	
5 10248:15			10083:12	
consistently			10090:11	

10209:21	10260:5	10287:24	10143:15	10031:18
coordinates	10261:8	10288:13	10152:9	10038:22
10268:4	10266:19	10291:23	counsel	10053:4
coordinator	10286:16	10302:19	9993:2	10067:4
10152:8	10288:9	10305:4	10102:11	10074:20
copied	10289:23	10306:16,2	10137:5,16	10116:25
10208:20	10301:10	4	10138:19	10120:17
copies	10307:23	costing	10205:24	10145:16
10143:1	10314:8	10048:1,2	10241:9	10155:1
10159:17	corrected	10122:10	10280:4	10159:17
copper	10202:5	cost-of-	10291:25	10260:9
10049:16	correction	service	10311:12	10272:16
copy 10100:8	10157:21	10024:8,17	10313:16	10308:22
10103:21	corrections	costs	counsellor	court
10143:22	10031:10	10007:16,1	10004:4,16	10032:12
core	correctly	7,18	counsels	10215:18
10043:10	10105:17	10024:15	10135:25	10280:19
10044:23	10258:5	10047:23	counterparti	cover
10109:21	cost 10001:7	10048:2,11	es 10078:3	10033:14
10111:24	10003:11	10049:16	10229:14,2	10153:5
Corey 9994:4	10017:16	10050:5	5	10243:4
Cormie	10021:19	10061:23	counterparty	coverage
10275:24	10024:17	10078:9	10123:6	10182:10,2
10276:18	10026:14,1	10093:17,1	10228:11	0 10299:24
Cormie's	5 10065:18	10110:8	10249:7	covered
10065:5	10072:25	10148:6	counting	10027:16,1
corner	10076:15	10151:21	10127:9	7 10039:19
10160:12	10079:23	10152:7	10296:17	10056:11
10276:19	10111:1	10160:21	country	10150:23
10297:4	10115:8	10166:24	10287:7	10153:8
cornerstone	10124:2,11	10185:9	counts	10260:18
10203:12	10125:17	10186:1	10236:6	10277:1
Corporation	10126:19	10189:4,16	couple	Craft
10147:1	10127:10	10207:11	10016:17	9993:16
10152:9	10129:7,10	10225:24	10053:25	CRD 10006:23
correct	10130:11	10226:6,11	10079:2	10007:5,6
10040:8	10132:9	,14	10086:5	10008:5,21
10147:2	10141:14	10269:25	10136:12	created
10172:14	10161:7	10273:10,1	10166:11	10145:11
10208:16	10162:7	6 10278:1	10183:11	creating
10210:14,1	10167:4,8	10287:22	10195:17	10088:7
5 10216:19	10178:12	10301:8,14	10207:9	creation
10226:21	10179:21	10302:20	10225:22	10010:15
10235:9,22	10186:10,1	10303:1,10	10238:12	creative
10236:1,6	8 10189:4	cough	10309:6,14	10113:10
10253:21	10196:24	10147:6	course	creativity
10254:11	10240:14,1	Council	10001:2,10	10193:2
10258:16	5 10244:17	9995:6	10002:9	credible
	10260:24	9998:6,11,	10003:8	
	10283:2,3	19,24		
	10284:10			
	10285:17			

10047:23	10206:3	10279:19	10276:8	10000:4,14
10081:5	10258:5			10002:12
10145:15	cross-	curiosity	customers	10003:11
10217:10,1	examinatio	10210:19	10017:22	10021:15
5,17	n	curious	10032:17	10240:17
10218:1	9995:19,20	10202:7	10041:9,18	damage
10219:2,15	,21,22	current	10051:3	10007:7
10220:5	10069:19	10000:9	10067:19,2	damaged
10221:2	10119:10	10017:19	1 10068:9	10010:18
10223:15	10185:17	10078:7	10086:12	
10224:21,2	10188:14	10116:16	10091:14	dams
3 10225:21	10206:3	10140:18	10094:25	10000:21
10231:1	10208:11	10141:10	10097:10,1	10002:24
10263:18,2	10250:25	10204:25	6 10098:14	10007:19
1	10256:6	10248:4,6,	10125:1,13	10009:18
credit	10266:4	11 10278:5	,24	10010:10
10035:10	cross-	10287:21	10126:16	10151:25
10154:16	examine	currently	10127:7	dark
10310:13,1	10258:2	10017:16	10131:12	10097:10
5,22	10276:23	10024:19	10170:13,1	10178:21
Cree 9999:15	cross-row	10136:9	7	dat 10294:1
10003:19	10167:2	10312:8	1 10220:12	data
10004:4	cross-	curriculum	10221:17	10027:22
10259:6	subsidizat	10014:16	10245:23	10028:20,2
criteria	ion	cursor	10246:4	2 10058:20
10018:22	10141:8	10006:8	10264:11	10059:17
10019:1	Crown	Curtailable	10266:9	10086:13
10120:25	10015:15	10026:8	10268:9,10	10143:23
10121:3,7,	10017:6	10104:16	10271:16	10171:13
19,20	10022:25	curve	10272:5,20	10174:4
10122:1,2,	10039:1	10010:7	customer's	10257:9
11,17	10113:1	10253:6	10098:1	10292:20
10123:17	10238:23	custom	Customers	10300:24
critical	crutch	10222:1,8,	10097:24	date 10009:9
10033:23	10000:15	16	10245:12	10035:19
10046:19	crystalize	customer	cut 10095:7	10048:5
10052:9	10109:17	10041:17	10134:10,1	10056:13
10064:14	crystalized	10044:17	1 10155:16	10057:7
10069:4	10109:19	10090:25	10240:4	10076:17
10076:2	CSI 10059:6	10093:23	cuts 10270:9	10079:4,16
10108:12	10202:16	10097:4,6,	cutting	10086:18
10167:24	10283:18	18	10047:3	10091:8,14
criticisms	10312:12,1	,17,25	10125:19,2	10096:2
10146:21	5	10125:12	3	10105:4
criticize	cumulative	10126:7,15		10115:9
10074:15	10134:14	,21	<hr/>	10132:16
10110:3	10182:2	10203:18	D-11	10183:3
criticizing	cumulatively	10262:24	10262:12	10192:17
10117:7		10268:8	dam	10194:1
cross			9999:16,17	10195:5
				10246:25
				10247:3,4,

6 10248:9	10261:4	10025:3	10207:25	10121:16
10249:7	10311:8,18	10043:8	decades	10122:2,3,4
10279:17	deadlines	10104:21	10005:16	10128:17,19,21
10308:11	10138:23	10134:6	10116:8	10133:9
10312:7,18	deal 9997:10	10135:8	decent	10134:7,24
10313:6	10021:13	10186:18	10148:23	10168:21
dated	10023:1	10237:9	decide	10169:4
10003:7	10046:14	10255:6	10040:20,22,23	10227:2
10311:13	10051:12	debatable	10084:5	10228:21
dates	10066:2	10168:18	10104:24	10230:13
10061:25	10071:25	debate	decided	10233:22
10062:10	10089:2,3	10041:15	10043:21	10245:6
10220:25	10095:23	10110:19	10115:7	10253:19,23,24
10247:10	10101:9	10131:24	10193:8	10254:1,9
Dave	10105:23	10134:10	deciding	10255:7
10139:7,11	10114:10,2	debates	10036:18	10272:11
10140:12,14	4 10118:13	10040:3,7	10121:21	decisions
4 10141:21	10123:23	10198:10	10122:14	10040:17,24
10153:14	10126:3	10260:23	decipher	10043:5,13
Davies	10128:22	Debris	10061:12	10046:16
10086:4	10187:14	10016:20	10106:3	10049:1
10089:15	10197:2	debt	decision	10051:1
10103:22	10198:4	10035:4,8,9,13,17	9996:7	10076:6
10114:14	10208:4	10036:6,12,14	10008:23,24	10094:6
10216:10,2	10241:25	10038:10,13	10013:20,25	10116:7
1 10231:14	10242:5	10054:8	5 10033:24	10128:5
10232:15,17,19	10270:23	10076:22	10034:8,25	10130:5
10243:11	10274:9	10129:8,12	10037:21,2	10132:6
10272:9	10308:21	10161:12	5 10040:11	10136:15
10289:19	dealing	10182:8	10041:1	10137:14
10308:2	10022:17,2	10185:6	10044:4,19	10201:12
10311:11	5 10038:25	10198:21,25	10048:23,24	10227:12
day 10040:12	10051:25	5	4 10051:17	10245:1
10085:8	10057:2	10221:8,14	10052:15	deck 9996:3
10096:11	10061:1,2	10223:7	10055:11	10012:21,22,25
10118:6	10064:15	10270:20	10075:23	10031:24,25
10125:8	10069:7	10271:7	10079:5	5 10281:14
10136:22	10077:2	10278:11,13,16	10080:3,19,21,22	10300:16
10140:22	10081:11,19	10287:21	10081:17	10301:23
10141:22	9 10110:13	10306:20	10084:4	10304:13,18
10144:24	10114:19	10307:19	10085:11	decline
10170:19	10133:20	debt-equity	10090:17	10000:3
10202:5	10160:1	10185:3	10091:22	def 10098:17
10273:9	10274:2	10190:24	10094:16,20,21	10248:4
10276:20	deals	decade	10095:4	defer
10308:19	10013:6	10017:14	10115:14	10086:17,1
10311:20	10047:13		10116:1,12	
days	10236:14			
10136:12	10275:7,8			
10137:4	dealt			
	10017:13			
	10021:17			

9,24	deleted	10107:6	10142:24	10055:13
10088:3,4	10114:15	10171:5	10143:7	10140:13
10098:17	de-linked	10201:15	10151:3	10144:4
10100:14	10062:16	10294:8	designed	developer
10101:11		depends	10105:23	10264:18
10102:7	deliverable	10057:15	10142:5	developing
10228:22	10025:7	10179:15	10182:19	10020:8,10
10248:1,3,	deliveries	10215:4	10192:8	10023:6
4 10273:23	10115:2	10294:14	10239:9	10090:16
deferral	delta	deposit	desire	10218:19
10101:19	10302:13	10059:13	10269:24	10227:23
10248:11	demand	10060:2	Desorcy	10260:3
deferring	10010:6	depreciation	10249:22	10277:20
10086:20	10276:14	10104:23,2	despite	development
10098:18	demanded	5 10105:7	10001:13	9992:10
10100:10	10220:17	10160:20	10052:20	9999:8
10197:5	demand-side	10185:19	10063:7	10005:7
defers	10011:10	10294:6	10094:3	10008:24
10183:2	10032:17	Depreciation	destabilized	10009:3,6
10184:3	10222:14	's 10162:6	10007:13	10012:15
definite	demonstrated	derived	10008:7	10016:5
10106:21	10006:4	10032:25	destroyed	10018:22
definitely	demonstratio	described	10008:16	10019:4,25
10184:25	n 10282:8	10006:6	detail	10020:13
10278:13	departed	10083:17	10033:8	10021:17
definition	10122:1	10095:20	detailed	10022:13
10092:4	departing	10229:10	10208:24	10023:10
10202:19,2	10190:13	10233:6	10288:21	10037:2,11
0,23	department	10255:12	details	10047:22
10203:1	10232:4	describing	10036:4	10048:7
10217:4	10257:23	10017:4	determinativ	10051:21
degree	10309:20	description	e 10288:3	10054:23
10037:15	depend	9996:2	determine	10061:16
10040:2	10263:5	9997:2	10113:6	10070:24,2
10070:8	dependable	10221:19	10143:6	5 10083:18
10094:12	10065:12	deserve	determined	10094:21
10175:20	10066:1,2,	10005:16	9997:19	10096:5
10191:6	20	10148:22	10280:7	10111:11
10194:12	10067:18	design	10281:2,18	10134:16,2
10278:1	10068:12	10066:17	develop	1 10152:9
10297:9	10070:2,11	10091:22	10026:16	10160:6,8,
del 10302:13	10275:9	10106:12	10051:3	13
delay	dependent	10125:10	10059:20	10161:8,23
10230:22	10101:6,8	10187:8	10069:9	10162:23
delayed	10105:24	designated	10286:13	10163:10
10229:25	depending	10020:9	developed	10182:5
delays	10062:14	10142:20	10018:17	10190:4,8,
10227:22	10086:3	designation	10053:13	9 10191:21
				10192:6
				10268:17
				10269:18
				10271:13

10279:15	10252:7	10198:17	difficulty	10269:12
10292:23	10283:5	10199:17,1	10150:5	disability
10293:13	10300:25	8 10200:24	dig 10106:4	10147:7
10294:19	different	10203:14	dignity	disadvantage
10302:15	10000:20	10204:3	10144:19	9998:13
devot	10016:18	10209:10,1	dimensional	10127:21
10242:23	10018:7	4	10102:10	disagreement
devote	10021:6	10224:9,11	dimensions	10040:2
10028:10	10022:14,2	10228:5	10103:11	10041:14
10136:9	0,22	10230:5	diminish	10042:4,10
diabetes	10024:9	10234:2	10043:7	disappear
10152:10	10026:19	10236:14,1	dimmed	10007:22
diagrams	10034:1,7	5 10238:22	10001:11	10165:8
10265:7	10035:7,24	10239:17,2	direct	disconnect
dialect	10036:11,2	1 10240:3	10005:19	10301:21
9999:14	1	10241:20	10022:4	discount
diamonds	10039:4,5	10247:24	10037:6	10061:22
10220:7	10041:23	10248:2	directed	10126:3,6,
Diana	10042:6	10251:25	10242:18,2	8,23
10289:19	10043:9	10255:14	3	10163:5
dies	10048:4	10257:22	directing	10167:2,14
10084:23	10049:3,4,	10267:7	10019:9	,19,22
diesel	20,22,25	10270:25	direction	10177:4,7
10117:12,2	10052:19	10278:22	10009:24	10283:24
4 10205:4	10057:22	10282:25	10052:6	10307:22
diesels	10058:8,9	10289:7,8	10073:3,21	discuss
10065:2,3	10069:18	10292:17	10113:19	10257:25
diesel's	10076:5	10293:13	10116:2	10268:18
10117:15	10078:15	10299:10,1	10140:22	10290:23
diet 10146:2	10082:20	1 10306:21	10228:14	discussed
difference	10087:6	differential	10283:17	10059:2
10036:7	10088:2	10252:4	10284:7	10137:5
10038:13	10096:10	differently	directional	10185:17
10042:17	10100:12	10058:5	10090:6	10238:17
10043:9	10103:7,19	10123:4	directions	discusses
10163:25	10108:6,10	differing	10049:3,5	10058:16
10170:10,2	10111:5	10098:19	10203:25	discussion
3 10175:20	10115:22	differs	10204:16	10034:6
10176:9	10120:16	10095:18	directives	10042:6
10188:10,1	10128:3,10	difficult	10113:2	10060:9
8	10133:18	9998:22	directly	10120:6
10213:8,9,	10150:1	10021:4,13	10008:4,19	10123:22
10	10155:2	10040:11	10113:8	10128:23
10230:22	10167:1,14	10112:19	10150:21	10137:16
10231:10	10171:4	10114:17	10255:19	10153:1
10235:11	10179:3	10206:20	director	10159:19
10236:24	10180:9,25	10222:16	10138:14	10197:15,1
10237:24	10182:17	10258:3		6 10267:6
	10183:17	10274:1		10275:8
	10188:23	difficulties		
	10190:19	10021:21		
	10194:20			

10283:19	10076:10	9999:13	dominant	10299:8
10311:10	10129:22	10013:2	10252:12,1	10303:5
10312:2	distri	10109:18	5	10313:5
discussions	10242:24	10266:18	dominantly	door 10081:9
10078:18	distributed	10293:10	10066:15	10263:16
10136:17	10010:14	documents	10068:7	10297:14
10137:12	10012:20	10012:15,2	dominate	dot
10220:12	10013:2,3	1	10066:14	10252:18,1
10282:6	10032:8	10052:13,1	dominated	9
10312:8	10080:11	4 10156:15	10287:6	dots
dismissed	10128:2	dollar	Donald	10167:14
10129:16	10199:10	9997:17	10138:8,13	double
dispatch	10268:23	10010:11	10153:9	10014:13
10019:11	distribution	10117:12,1	10154:8,17	10127:6,9
display	10015:17	7,24	10155:4,15	10263:17
10143:11	10017:19	10147:19	,20,22	double-cost
disputed	10081:2,4	10149:19,2	10156:6	10127:6
10131:23	10082:9	2 10150:13	done	double-count
disruptions	10089:4	10161:5	10016:15	10127:6
10151:25	10139:23	10280:5,24	10017:7,10	doubling
disruptive	10179:20	dollars	10018:1	10084:14,1
10118:22,2	distribution	10025:15	10022:12	5
3	al	10079:16	10023:14,1	doubt
dissents	10088:24	10117:11,1	5	10043:21
10032:12	10242:19,2	3,15,16	10024:16,1	10111:22
distinct	4 10243:8	10118:1	7 10027:17	Douglas
9998:13	diverge	10148:8	10033:15	9993:7
10009:5	10270:12	10149:13,1	10039:10	downloadable
distinction	divergence	6 10150:11	10060:3	10143:20
10018:5	10270:15	10160:22	10063:23	down-river
10046:15	diverse	10162:11	10064:10	10062:25
10129:19	10214:5	10163:15	10080:5	downs
10154:22	diversion	10178:11	10088:12	10253:6
10166:6	10006:2,5,	10280:11,1	10105:15	downside
distinctly	13,23	2,15	10122:6	10106:1
10058:9	10007:9	10310:7	10129:20	10193:19
distinguish	diversity	domestic	10155:8	10194:11
10018:4	10074:3,11	10057:9	10167:5	10254:2
10036:9	,15,17	10062:5	10168:7	downsides
10163:1	10123:7	10065:9,13	10172:9	10054:14
10180:19	diverted	10087:4	10187:2	10105:14
distinguishi	10006:12	10099:2	10194:1	10106:21
ng	diving	10100:16	10202:14	10124:4,6
10289:11	10033:12	10169:20	10216:13,1	10252:21
distracted	doc 10293:9	10177:16	7 10218:19	downstream
10182:13	Doctors	10178:9	10250:8	10073:10
distraction	10045:9	10191:3	10258:4	10165:24
	document	10196:15	10264:25	
		10218:20	10267:3	
		10219:24	10285:3	
		10294:4		

10303:2	10017:24	10288:13	10089:1	10178:23
dozens	10167:1	10289:2,3,	10090:1,13	10179:3,4,
10239:10	10170:22	7,13	,24	8,11,12,13
Dr 10045:10	10178:18	10291:2,3,	10091:5,11	10180:3,13
10047:1	10188:1	22,23	,13,17,18	,21
10061:8	10252:2,23	10292:3,15	10092:4,12	10185:9
10096:17	10254:13	10293:3,4,	10093:15,2	10188:15,1
10102:9	10264:25	8,15	1,25	7 10189:11
10103:12	drawing	10295:8,11	10094:10,1	10196:14
10109:23	10117:6	,18	1,19,23,25	10220:9
10154:12	10264:22	10296:16,2	10095:6,7,	10221:3,5,
10155:3,6,	10285:7	4 10297:18	9,12,15,17	10 10222:4
14,18,21	drawn	10298:8,13	,21,23	10235:2
10158:7,14	10253:17	,15,18,20	10096:3,6,	10245:17
10159:19	dream	10299:21	12,15,20	10246:1,5
10164:18	10205:1	10300:1,6,	10097:5,11	10247:24
10201:3	drew	9,18	,20	10248:1,23
10205:22	10180:25	droughts	10098:8,11	10249:2,24
10206:17,1	10251:24	10087:6	,14	10260:9,10
8,20	dribble	10165:3	10099:2,4,	,12,15,18
10233:6	10189:15	10296:25	13,15	10261:10,2
10234:2,16	drink	DS 10164:9	10100:7,18	1,25
10250:20	10206:23	DSM	,24	10262:6,8
10253:16,2	drinking	9995:8,15	10101:1,2,	10265:4,7,
0	10205:19	9996:8	3,6,11,18	11,23
10254:10,2	driven	10008:25	10102:1	10300:18
3 10258:12	10225:12	10009:4,5,	10103:23,2	10301:9,12
10265:18	10278:6,9	18,21,23	4	,17,19
draft	driveway	10010:1,3,	10104:2,15	DSM/wind
10019:15	10119:4	10 10011:2	10107:3,4,	10011:3
drafts	driveways	10014:6	18	DSM's
10124:23	10119:5	10031:17	10110:15	10179:15
drafty	driving	10044:16	10111:19	due 10021:19
10154:4	10048:2	10051:1	10112:3,9,	10060:23
dramatic	10182:8	10052:8,11	12	10159:17
10262:1,2,	drop-off	,16	10123:21	10189:14
7	10182:10,1	10053:10,1	10125:8,10	10203:4
dramatically	1,13	3,14,20,24	10134:15	10286:13
10261:21,2	dropped	10054:3	10156:22	10288:9
4,25	10116:20	10056:12	10157:6	10295:24
10282:25	drops	10060:21,2	10159:6	10309:16
10284:3	10310:16	3 10061:25	10164:1,6,	10310:21
drastic	drought	10062:4,8	8,9,10,22,	
10180:23	10066:16	24	24	dump
10207:6	10191:11	10084:12,1	10165:22	10068:20
10224:7	10225:13,1	9	10168:5,9,	.dumps
drastically	5 10271:24	10085:21,2	11,20,24	10106:16
10204:3		5	10169:1,14	duplex
draw		10086:2,6,	,18	10057:21
		8,15,21	10170:5,6,	duration
		10087:3,12	8,11,14,16	10104:18
		10088:2,7,	,21	
		13,14	10171:4	
			10177:18	

10225:4	10033:7	10248:19	10306:16	10150:19
during	10037:24	10255:23	economist	10151:11,2
10020:6	10058:11	10270:8	10110:25	1
10024:24	10075:23	10279:12	ED 10250:13	effort
10076:24	easiest	10284:1	edge 10047:3	10193:1
10185:17	10251:22	10285:22	edition	efforts
10205:16	easily	10286:12	10143:23	10125:18
duty	10092:20	10304:3	Education	10141:24
10144:22	10111:23	10305:14,2	10147:16	10245:4
dwell	10192:10,2	2 10306:7	educational	eggs
10032:14	3 10214:17	economically	10047:16	10073:21
10063:14	10222:15	10064:21	effe 10073:5	10145:21
10104:12	easy	10125:2,4	effect	10225:7
dwelling	10125:10,1	10126:1	10096:8	EIA 10149:25
10039:18	5 10190:25	economic-	10099:9	10153:5
Dysart	10229:12	oriented	10151:20	10309:20
10008:12	10239:8,14	10028:17	10152:18	10310:18
	eat 10144:20	economics	10171:4	eight
	10152:12	9997:23	10179:23	10089:3
<hr/>	econom	10017:1	10191:3	10207:5
ear 10010:5	10212:3	10022:12	10226:24	eighteen
10237:23	economic	10024:3,6	10244:19	10186:1
earlier	10019:11,1	10028:20,2	10304:20,2	eighth
9998:15	2 10023:21	1 10029:1	5	10075:25
10094:20	10025:13	10039:12	effectively	eighties
10096:14	10027:21,2	10045:14	10044:2	10185:5,8
10151:4	5	10055:23	10047:18	eight-six
10165:16	10028:8,15	10061:13	10050:20	10127:1
10234:15	10029:4,8,	10062:1	10062:15	eighty
10251:5	10	10063:13	10063:25	10085:12
10311:24	10032:19	10065:12	10065:10	10102:2
early	10039:21	10068:3	10066:12	10133:3
10009:22	10048:4	10071:2	10077:21	eighty-five
10105:6	10060:22	10075:7	10098:5	10164:16
10115:9,14	10064:1	10085:17	10125:17	eighty-six
10116:2	10067:11	10129:6	10126:20	10185:11
10133:22	10084:12	10163:1	10161:16	either
10189:13	10122:20	10166:7	10252:25	10002:24
10261:4	10123:10	10199:7	10269:4	10015:13
10268:16	10133:3	10203:13	effects	10050:1
10277:19	10162:24	10209:10,1	10002:10	10065:15
earning	10163:1	1,23	10007:5	10084:7
10150:9,10	10166:18,2	10217:14	10073:5,8	10124:15
earnings	1	10225:17,1	10093:18	10193:23
10187:6	10167:5,24	9	10187:25	10201:18
10189:17	10172:21	10249:4,6	10303:2	10215:3
10191:3,13	10173:20	10255:10,1	efficiency	10232:17,1
,15,18	10221:3,5	1	10142:1	9
10298:21	10224:23	10277:4,20	10143:4	
easier	10225:2,5	10280:9		
	10236:9	10281:7		
		10285:25		

10233:13,1 9 10247:8,12 10270:24 10275:22 10293:6 10312:15 elaborate 10096:18 10252:11 elaboration 10251:18 elected 10255:16 electric 10153:16 10247:22 electricity 10010:16 10140:20 10310:6 electronic 10143:22 10159:17 electronical ly 10013:3 element 10025:8 10242:18 10306:24 elements 10196:25 10197:21 elephant 10045:18 eleven 10062:14,2 0 10122:18,2 4 10123:2,3, 5 eligibility 10143:7 eligible 10142:23 10151:2 eliminate	10095:5 10111:25 10140:3 eliminated 10107:19 else 10005:11 10042:13 10044:6 10055:7,10 10061:4 10082:23 10131:7 10155:17 10182:16 10188:2 10193:19 10199:17 10224:1 10232:8 10245:4 10294:5 else's 10144:10 elsewhere 10238:18 email 10012:20 10136:25 10148:23 embedded 10128:25 10131:4 emergency 10140:8 emissions 10006:24 employees 10110:4,7 employing 10221:3,4 employment 10002:10 10005:5 10037:7 10142:23 10149:6,14 10150:23 10151:9	empty 10006:18 encompassed 10272:17 encompassing 10176:22 encourage 10031:25 10037:16 10047:12 10090:2 10121:12,1 4 10128:20 10129:17 10141:25 10191:23 10262:9 10286:6 encouraged 10032:11 10130:3 encouragemen t 10125:7 encouraging 10152:11 10209:24 end-all 10130:8 endorsement 10249:14 enduring 10116:16,2 1,23 10117:11 energies 10028:10 energy 10017:10,1 3,15 10019:4 10066:1,2, 4 10067:19 10070:14,1 5 10084:15 10117:4 10121:22 10124:22 10142:1 10143:4	10150:19 10151:10,2 1 10153:13 10166:24 10177:15,2 1,22 10178:9,12 10220:6 10225:12 10232:4,5 10267:8 10270:24 10283:7,20 10289:8 10293:13 10309:20 10310:9,18 energy- intensive 10026:16 Energy's 10018:14 engaged 10016:17 10024:19 10197:14,1 5 engineering 10020:20 engineers 10019:8 enhanced 10223:8 10265:15 enjoyed 10249:23 ensue 10230:14 ensure 10023:3 10139:1 ensured 10009:19 entertainmen t 10212:17 entire 10049:15 10122:5	10127:8 10166:9 10171:20 10173:13 10214:19 10243:22 10263:10 10273:18 10298:15 10303:21,2 2 entirely 10006:4 10026:18 10057:23 10061:12 10129:8 10130:4 10170:13 10277:9 entity 10074:12 entry 10014:2 environment 10003:17 10008:14,1 5 10053:23 10061:5 10112:24 10152:1 10199:15 10204:4 environmenta l 10007:7,16 ,17,18 10020:21,2 4 10022:2 10072:20,2 5 10073:5,15 10110:25 10153:11 10203:3 10205:3 10264:25 envision 10067:14 equal
---	--	---	--	---

10086:21	essence	10245:5	10046:18	10284:19
equally	10212:20	eventually	10069:12	10286:10
10048:9	10221:2	10021:25	10083:3	10288:12
10097:5	10236:18	10098:23	10084:1	10296:10
equipment	essentially	10198:19	10089:19,2	10297:21
10091:19	10002:8	10225:6	3 10094:11	10298:22,2
10117:23	10006:15	ever-	10120:7,8	3 10301:21
equity	10149:17	esteemable	10131:23	10311:13
10003:12	established	10231:14	10136:5	10312:1,11
10127:6,10	10083:19	everybody	10137:2	,17
10129:1,13	10141:9	10079:1	10158:3,10	10313:6
,24	esteemable	10144:12	,25	evidentiary
10131:4	10231:13	10156:7	10159:23	10106:3
10166:2	estimate	10216:12	10166:19	evolve
10182:8	10235:2	10312:22	10176:8	10044:17
equivalent	estimated	everybody's	10182:12	10070:17
10166:8	10307:16	10206:11	10186:12	evolved
10257:1,5	estimates	everyone	10187:13,1	10053:15,1
era 9999:6	10303:4	10012:9,11	4,20	6,18
10000:5,14	et 10027:24	10032:11	10191:24	evolves
10002:24	10185:20	10144:16	10192:5	10092:8
10005:8	EV 10177:1	10230:2	10193:3,9	10204:6
erode	evalu	10234:25	10197:23	evolving
10164:13	10029:8	everyone's	10208:15,1	10202:2
erodes	evaluation	10045:8	8	ex 10164:20
10284:7	10011:2	10173:8	10212:21,2	exact
eroding	10016:7	everything	3 10213:11	10056:22
10007:21	10017:19	10004:10	10216:23	10066:10
10008:7	10023:20	10040:20,2	10217:11	10134:1
erosion	10027:21,2	2	10226:25	10269:14
10060:22	2 10028:18	10043:18,1	10227:15,1	10297:25
10061:17	10029:8,10	9	8	exactly
10164:15	,12	10044:6,15	10229:3,5,	10001:5,22
error	evaluations	10046:24	9	10050:13
10009:11	10156:19	10055:7	10230:11,2	10126:22
10257:10	Evelyn	10109:6	5	10133:1
escalation	10155:7	10171:16	10233:6,13	10141:13
10021:20	evening	10181:20	,14,25	10164:22
escapes	10195:18	10228:13	10234:10	10237:21
10153:16,1	evenly	10230:14	10242:17	10290:23
9	10010:14	10258:4	10245:10	10296:11
especially	event	10259:6	10254:21	examination
10008:21	10014:16	10260:1	10258:2,6,	10206:4
10010:5	10110:2	10262:12	11,19	10258:6
10106:2	10128:10	10263:7	10259:6	Examination-
10152:20	10194:7	10264:4,8,	10260:1	in-chief
10195:16	10223:14	10	10262:12	9995:11,17
10257:21		10263:7	10263:7	10030:14
		10264:4,8,	10264:4,8,	10159:10
		10	10	
		10269:16	10269:16	
		10273:8,10	10273:8,10	
		,14,15	,14,15	
		10277:7	10277:7	

examine	10242:3,7	executive	3,16	10178:20
10010:21	10243:3	10269:12	10241:21	10180:16
examined	10244:7	executives	10251:11,1	10192:7
10091:4,7	10278:18	10270:24	2 10252:21	10193:16,1
10308:22	exceed	exercise	10284:25	7,23
examining	10309:25	10109:14	existed	10194:2,10
10009:7	exceeded	10123:12	10045:5	10205:13,1
example	10177:7	10267:5	10293:5,6	4
10053:14	exceedingly	10269:7	existing	10208:18,2
10056:16,2	10286:12,1	exhibit	10024:15	2
1 10057:13	3	10012:25	10219:25	10209:1,6,
10082:5	exceeds	10013:8,11	10220:14	24
10086:6	10175:20	,14,21,24	exists	10210:4,8,
10087:11	10191:18	10014:17	10045:3,5	13
10089:4	Excel	10030:18	10054:17	10211:19
10091:23	10103:20	10031:9,20	10091:21	10212:2
10092:11,1	except	10032:9	expand	10214:16
4 10093:5	10056:10	10034:16	10085:21	10262:24
10094:16	10228:21	10035:2	expansion	10267:12
10101:8	10229:3	10058:12	9999:7	10282:13
10106:5	10241:18	10069:24	10258:13	10309:22
10107:14	exceptional	10157:4,6,	expect	expended
10110:12	10039:10	16,18,21,2	10052:11	10225:25
10111:14	10040:1	4	10055:17	expenditures
10112:25	excerpt	10158:5,12	10067:2	10246:20
10114:11	10036:20	,22	10104:18	10310:15
10117:1	excerpted	10168:8	10108:17	expensive
10124:21	10192:4	10188:15	10166:14	10200:1
10132:10	excessive	10193:12	10177:25	experience
10179:17	10190:20	10210:3	10180:4	10014:25
10185:9	exchange	10219:5,6	10198:21	10017:4
10186:9	10136:24	10247:9	10310:21	10025:25
10189:18	exclude	10266:14	expectation	10063:19,2
10201:23	10007:15	10277:13	10176:17,1	0 10072:9
10203:5	excluded	10288:19	9	10077:2,8
10207:19	10154:2	10289:11	expectations	10081:11
10234:21	10235:2	10292:1	10110:24	10091:15,1
10240:9	exclusive	10299:10	10209:18	8 10132:12
10242:25	10303:17	10301:22,2	expected	10232:1
10263:11,2	excursion	4 10304:9	10137:8	10239:21
2 10276:4	10159:20	exhibits	10165:9	10273:20
10284:24	excuse	9995:3	10167:1	experiment
examples	10007:5	9996:1	10172:16,2	10111:17
9997:8,11	10136:7	10014:2	1,24	expert
10022:13	10141:23	10036:21	10173:2,7,	10026:23
10114:16	10232:10	10247:19	9,18,24	10029:25
10131:22	exist	10073:6	10174:1,11	10030:9
10132:1,18	10073:6	10091:19	10176:1,2,	10231:23
10238:17	10167:10,1	10167:10,1	10,13,23	expertise
10240:3			10177:5	10020:19
10241:19,2				10022:9
0,24				

10027:11,1	10065:16	10091:1	10219:7	10108:12
4 10029:7	10066:21	10138:22	10222:12	10258:13,2
10231:18	10068:8	extensive	faced	4 10312:18
experts	10087:4	10257:8	10037:20	failure
10045:9	10121:23	extent	faces	10258:20
expiration	10164:8,9,	10048:22	10064:19	fair 9998:25
10188:3	15,20	10060:25	facing	10041:21
expire	10174:6,13	10088:21	10116:15	10067:15
10276:7	10204:4	10110:1,3	fact	10069:9
10285:20	10218:21	10135:8	10000:17	10073:18
expiring	10220:1	10181:8	10040:21	10097:13
10276:6	10222:13	10219:25	10052:21	10107:21
explain	10233:20	10233:19	10083:12	10108:6
10015:8	10275:6,19	10277:1	10084:17	10122:19
10016:13	10276:6	10283:1	10151:15	10135:14
10022:8	10284:13,2	10313:6	10154:24	10153:17
10023:22	3 10285:19	externalitie	10164:22	10205:2
10033:21	10295:20	s 10111:3	10173:15	10209:3
10056:23	10296:15,1	extra	10202:20	10212:25
10065:24	8,19	10087:1	10213:2	10217:1
10079:17	10297:8	10098:22	10218:9	10218:2,7
10097:3	10300:7	10100:15	10225:9	10221:9
10109:21	exported	10111:15	10231:7	10224:19
10136:4	10066:22	10112:19	10243:20	10225:23
10143:9	10084:19	10160:18	10261:16	10226:5
10159:16	10085:22	10185:19	10272:1	10230:24
10219:15	exports	10196:19	10286:14	10236:21
10288:16	10087:1	10199:12	factor	10238:19
10292:5	10088:5	10229:18,2	10099:2	10246:14
explained	10098:23	3 10230:1	10175:13	10258:18
10065:5	10100:16	10298:8	factors	10267:6
10070:23	10101:2,21	extraordinar	10147:8	10269:2
10221:19	10106:8,13	ily	10249:5	10270:4
10293:24	10120:1	10021:4	facts	fairly
explanation	10121:9	10128:12	10116:15,1	10019:7,14
10026:22	10160:15	extraordinar	6,21,23	10024:1,5
explicit	10162:4	y 10240:14	factual	10040:4
10260:2	10170:1,19	extreme	10131:24	10054:20
explore	10205:5	10112:9	Faculty	10059:9
10094:23	10276:14	extremely	10155:7	10060:3
explored	10294:8	10064:8	fade	10061:16
10094:12	10301:17	10222:8	10009:25	10072:13
exploring	exposed	10240:23	failed	10077:9
10051:22	10011:17	10288:8	10031:15	10078:22
export	exposure	<hr/>	10286:24	10100:16
10006:25	10274:9	face	failing	10102:17
10043:22	expressed	10022:22	10045:6	10117:6
10047:14	10106:23	10141:13	10094:23	10118:14
	10126:4			10130:23
	extension			10145:19
	10053:5			10147:6,15
				10161:4

10164:17	10297:6,7	10306:20	fifty-two	10016:18
10170:10,1	fault	feet	10148:8	filing
1 10188:1	10135:3	10039:15	10149:13,2	10006:5
10192:10	10273:3	fellow	1	10047:9
10225:3,17	faulty	10263:8	figure	10072:8
10241:1	10142:8	felt	10001:8,11	10090:22
10245:8	favour	10230:12,1	10078:25	10107:18
10264:6,22	10001:16	3	10116:24	10159:24
10265:19	favourable	Fernandes	10128:18	10163:17
10274:20	10096:6	9993:10	10135:25	10174:25
10278:2	10240:23	fess	10147:2	10177:12
fairness	fear	10052:10	10212:22	10178:17,1
10133:23	10201:19	fewer	10214:1	8,24
10270:3	feasible	10256:25	10234:11	10182:1
fall	10008:14	10257:3	10278:25	10213:2
10147:18	February	Fift	10299:17	10215:2
10195:3	10013:5	10192:16	figured	10222:17
10268:14	10148:9	fifteen	10207:24	10233:18
fallacy	10234:10	9997:20	figures	10283:13
10072:25	10286:10	9998:14	10213:25	10305:12,2
10079:24	federal	10035:5	10300:19	3 10306:6
10084:25	10149:15	10082:5	figuring	filings
10231:8	10228:12	10108:9	10050:13	10181:14
10244:17	10310:12	10191:7	10051:6	10283:25
Falls	Federation	10192:15,1	file	final
10133:19	10073:14	7,23,24	10213:15,2	10008:22
faltering	10139:1	10197:4	1,25	10106:17
9999:9	fee 10161:12	10206:22	10258:1	10137:14
familiar	10239:16	10208:1	10313:5	10162:21
10157:20	10307:19	10279:16	filed	10189:24
10244:22	feed	10280:7	10031:9,20	10195:14
families	10148:16	10281:4	10033:1,18	10298:14
10148:16,2	feeding	10285:20	10035:2	finalize
5	10150:5	fifth	10062:3	10312:25
10149:1,3	feel	10063:4,6	10063:9	finally
10150:6	10004:22	fifty 9997:6	10065:23	10025:23
family	10267:11	10072:23	10089:19	10027:23
10144:7,10	feeling	10133:3	10090:12,2	10051:5
10145:17	9998:15	10147:19	0 10156:20	10103:7
10148:7,22	10109:9	10149:20,2	10162:23	10143:6
10151:13	feels	3 10162:18	10173:24	10151:23
10153:3	10249:25	10175:18	10185:4	10162:19
fare 10149:2	fees	10176:18	10187:24	10241:3
farms	10076:22	10212:23	10208:15,1	finance
10060:10	10278:11,1	10215:21	8 10212:23	10023:2
farther	4,16	10216:3	10233:24	10064:2
10247:6	fifty-three	10247:19	10237:6	10137:3
farthest		10260:15	10247:19	financed
		10289:1,2	10260:15	10133:10
			files	financial

9996:8	finding	10177:11	5	10296:2
10000:8	10025:15	10178:4,15	10118:1,3	flood
10003:1	fine	10182:20	10128:10	10008:3
10027:21	10130:19	10183:11	10177:6	10291:1
10028:1,7,	10132:20	10187:22	10207:5	flooded
11,20,22,2	10214:21	10219:19,2	10289:3	10007:9
3	finish	0 10224:5	10290:21	flooding
10029:8,9	10136:3	10227:2	10293:7	10006:14
10032:18,1	10214:10	10235:16	10294:21,2	10008:1,5
9 10063:13	fire	10237:25	2 10295:21	10151:25
10103:1	10006:25	10240:16	10296:4,15	10152:5
10136:4	firm	10242:12,2	10297:12,1	flow
10141:15	10008:23	5	7 10300:6	10005:23
10147:8	10017:12	10243:19,2	Five-thirty-	10006:12
10156:18,2	10113:11	4 10244:10	six	10186:5
2 10157:6	10276:14	10251:12	10305:25	10292:17
10160:5	firmed	10254:20	fixed	10294:3
10166:9,12	10274:25	10269:17	10086:25	flowing
10171:9,15	first	10277:17	10098:21	10006:11
10173:21	9997:15,20	10278:12	10303:4	flows
10181:8	9999:4,10,	10280:7	10304:6	10006:21
10189:6	16	10281:3	10307:15	10106:13
10190:14	10000:7,14	10290:9	flavour	10286:14
10201:11	10002:17	10299:6,14	10270:18	10288:9
10208:14,1	10016:6	10309:10,1	10272:12,1	10293:5
6 10210:13	10018:3	1,15,16	4	10294:1,8,
10212:3,6	10026:7,10	10310:1	flavoured	20
10226:2	10033:22	Firstly	10272:1	10295:1,25
10233:12	10043:1	10012:21	flexibility	fluctuating
10235:19	10052:13	fiscal	10043:16	10152:12
10236:9	10057:8	10293:11	10074:22	fly 10083:10
10255:18,2	10070:6	fish 10203:4	10082:13	Flynn
0 10289:2	10079:19	fishing	10223:8	10308:23
10294:11	10082:5	10152:1	10229:11	10309:3
10295:2,18	10091:22	fit 10024:12	10262:14	10311:3
,24	10096:25	10060:17	10272:10	focus
10304:3	10098:3	10063:21	10275:11	9999:10
10313:8	10104:2,3	10092:12	flexible	10019:21
financials	10109:4	fits	10054:15	10028:21
10029:3	10123:5	10073:12	10133:17	10029:1
10105:4	10125:9,20	10231:7	10221:21,2	10032:16
10129:25	10130:14	10306:25	2	10048:9
10165:23	10131:25	five 10001:7	10222:10,1	10051:9
10172:23	10133:8	10050:21	8,23	10069:18
10209:9	10142:16	10051:14	10274:15,1	10073:17
10215:7	10160:14,2	10073:9	9	10125:18
financing	4,25	10094:18	flip	10163:23
10020:24	10161:6,11	10102:3	10103:18	10178:1
10028:25	,19,23	10108:8	10110:5	10197:21
10129:10	10162:11	10109:22	10130:21	
10133:17	10173:18	10117:11,1	10260:25	
10228:11				

10204:1	forecast	form	10271:15	10130:2
10209:1,24	10059:6	10002:19	10272:25	10172:22
focussed	10106:25	10007:8	10277:24	free
10025:21	10107:6,11	10042:6	10301:19	10127:13
10044:20	10118:6	10136:8	foundational	freely
10050:12	10177:13,1	10151:1	10073:4	10143:20
10051:9	8 10259:25	formally	founded	freight
10059:11	10263:24	10216:11	10142:7	10200:7
10302:25	10294:11	formulate	four-six	frequency
focusses	10295:2	10296:5	10162:25	10146:11
10070:2	forecaster	forth	four-six-one	frequently
focussing	10204:22	10114:2	10307:5	10113:3
10046:2,20	forecasting	forty	fourteen	Friday
10048:6	10117:8	10140:6	10003:24	10292:10
10050:24	10260:8	10162:17	10050:20	Friend
10124:7	10261:8	10176:19	10051:14	10027:13
10208:7	forecasts	10213:10	10236:24	10246:19
folio	10271:10	10214:3	10310:6,7	friend's
10276:6	forefront	10215:14	fourth	10144:17
folks	10025:10	10295:15	10008:22	front
10144:23	foregoing	forty-eight	10040:15	10047:11
10146:1	10045:6	10148:8	10045:24	10086:22
10147:17	foregone	Forty-seven	10046:2	10121:18
10148:11,1	9997:18	10140:9	10050:16	10219:7
5 10150:20	10277:18	Forty-six	10142:25	10246:7
10155:13	10280:6,25	10087:19,2	Fox	10269:20
food	forerunner	1	10004:4,8,16	fuel
10139:23,2	9999:8	forum	fracking	10005:22,2
5	forest	10106:2	10116:25	5 10007:2
10140:4,5,	10093:5	10257:21	10205:3	10008:21
8 10141:17	forever	forward	frame	10065:18
10145:16,2	10134:25	10021:19	10017:24	10067:2
4 10151:24	10219:1	10025:18	10052:12	10087:6
10152:20,2	Forget	10026:18	10122:22	10088:9
3 10241:6	10155:7	10038:1,8	10185:11	10091:3,6
foods	Forgive	10063:22	10224:15	10099:10
10152:2	10006:7	10077:11,1	10230:20,2	10101:3,13
footing	forgiven	4	1	10102:16
10004:19	10192:25	10078:1,2	frames	10160:17
footnote	10216:9	10080:4	10098:11	10162:4
10155:19	forgiveness	10081:5,14	10099:4	10164:25
10289:2	10238:21	10086:5	10241:2	10165:2,5
force	forgo	10104:8	framework	10169:23
10267:16	10075:18	10127:5	10108:4,13	10170:1
forced	10082:4	10144:5	frankly	10294:9
10009:18	forgotten	10164:14	10024:21	fulfilling
force-fed	10035:16	10190:8	10128:7	10196:15
10004:8		10197:18		fulfills
		10201:20		
		10245:6		

10220:16	10036:14	10152:12	10253:1,5, 10 10255:8	10157:20
full 10010:8	fussing	Garson	10272:3	10221:14
10082:23	10049:9	10003:19	10274:14,1	10245:12
10108:17	future	gas 10001:4	8,20	generate
10142:22	10008:24	10003:10	10275:2,7, 15,20	10092:19
10150:25	10009:3,6	10006:24	10276:5,11	10220:13
10172:19	10010:3,4	10051:7	10294:19	generated
10194:6	10041:9,17	10053:12	10295:20	10083:21
10293:1	,18	10054:2,14	10296:14	generating
full-time	10070:24	10055:5,6, 9,12,25	10297:10	10020:12
10150:8	10076:7	10056:1	10299:23	10024:12
fully	10082:13	10085:10	10307:4	10222:10
10031:21	10083:18	10086:20	10309:23,2	10226:1
10051:22	10084:14,1	10088:10	4	10286:20,2
10091:4,7	5,16	10098:16	Gas/750	3 10306:13
10094:12	10085:5	10099:11,1	10210:20	generation
10112:24	10086:20	3,14	10211:2	10051:3
10176:21	10093:13	10101:8	gases	10064:8,25
10252:12,1	10095:7	10108:16	10110:19,2	10066:18
3 10253:15	10102:17,2	10110:23	1	10067:22
full-year	2 10110:2	10117:1,3, 10,14	Gas's	10073:10
10150:8	10127:7	10118:1,4	10252:3	10088:8
fulsome	10138:22	10134:19,2	gather	10093:2
10053:1	10175:11,1	4,25	10257:24	10095:22
function	6 10202:15	10135:1	gathered	10098:18,2
10193:25	10203:21,2	10167:12	10145:8	0 10099:21
fundamental	2	10176:10,1	gathering	10100:15
10009:12,1	10252:10,1	1,23	10152:2	10101:12
4 10028:16	4 10258:25	10177:1	gears	10102:7
10035:11	10260:3	10178:16	10009:1	10132:9
10038:13	10262:14,2	10179:4,7	general	10223:14
10123:11	2 10270:8	10180:1,4	10095:16	10262:19
fundamentall	<hr/>	10182:6	10102:13	10309:9
y 10029:1	G	10188:17	10180:21	generations
10132:11	GAC 9993:18	10189:2,8	10187:17	10152:3
10225:15	10250:15	10192:6	10197:14	generous
10270:24	gallows	10198:23,2	10246:11	10004:20
10283:11	10207:13	4	10266:9,10	gentlemen
game	game	10204:9,22	10271:16	10138:20
10291:19	10291:19	,24	10272:20	geography
Gange	Gange	10205:2,5	10286:19	10142:4
9993:18	9993:18	10211:6	10310:14	George
10055:19	10055:19	10219:1	generalist	9993:23
gap 10117:17	gap 10117:17	10220:19	10021:1	gets
10211:13,1	10211:13,1	10223:2,17	generally	10068:14
6,18,19,20	6,18,19,20	,25	10093:10	10084:19
,21	,21	10224:22	10124:3	10110:25
garden	garden	10225:15,1		10111:2
10152:16	10152:16	8,22		10124:17
gardens	gardens	10226:11,1		
		4 10252:5		

10133:5	10180:22	goods	10234:20	10085:12
10185:10	10198:15	10148:13	10235:8	10270:19
10224:8	10225:9	Gosselin	10238:14,2	10271:8
10274:25	10236:17	9992:13	2,23	Grant
10277:3	10239:20	Gotham	10239:10,1	9992:17
10296:25	10248:2,6	10233:6	3 10240:22	10061:8
getting	10252:6	Gotham's	10241:24	10096:17
10036:4	10255:18	10234:3	10242:3,10	10102:9
10053:11	gives	gotten	,13,25	10103:12
10060:1	10088:4	10037:23	10243:24	10109:23
10074:17	10107:14	10052:7,9	10244:9,10	10154:12
10084:7	10131:9	10058:11	10269:5	10155:3,14
10088:23	10197:25	10186:5	10277:4,19	,18,21
10102:8	10223:2	gov 10162:15	10279:9	10159:19
10115:19	10274:22	10269:4	10280:6	10164:18
10135:12,1	10279:6	government	10281:1	10201:3
3 10145:2	10292:25	9997:8,13,	10287:24	10205:22
10177:22	10294:21	15,19	10303:18	10206:18,2
10178:10,1	giving	10011:1	10305:2	0 10234:16
2 10190:21	10082:18	10015:15	government-	10265:18
10191:17	10169:10	10016:2,6	owned	granted
10201:17	glad	10022:6,9	10017:6	10034:3
10215:10	10045:23	10023:5,10	governments	granting
10216:22	10052:9	,15	10016:4	10138:22
10264:9	glass	10025:16	10022:24	Grant's
10312:21	10180:19	10027:19,2	10023:18	10206:17
gift	10248:20	0	10025:11,1	graph
10144:17	gleaming	10037:15,1	4 10081:12	10065:6
10156:18	10003:13	8 10054:22	10133:6	10066:6,8
gigajoule	global	10077:13	10228:14	10067:7
10117:11,1	10141:20	10078:12	10243:1	10068:6,16
3,15,16,24	globe	10080:10	government's	,24
10118:1	10263:7	10081:19,2	10051:10	10069:25
gigawatt	glow	1	10162:16	10070:18,2
10070:11	10003:14	10082:4,17	GRA 10026:11	3
10122:13	goal	10113:2	10045:9	10086:10,2
10263:25	10140:3,4	10132:5,25	10104:14	2 10087:22
gigawatts	goals	10133:9,13	10105:17	10097:3,8
10309:21	10139:24	,15,20	10258:13	10098:7
given	gone 10034:9	10140:22	grace	10102:11
10022:13	10056:13	10142:22	10040:16	10128:25
10043:12	10072:9	10151:7,15	graciousness	10131:3
10052:16	10085:10	,16	9998:17	10134:13,1
10060:2	10163:4	10161:11	Grand	4 10149:8
10075:2,6,	10171:2	10162:9	10143:24	10160:4
7 10088:19	10177:23	10192:9,11	grandchildre	10161:3
10104:13	10234:14	,13,16	n	10163:7
10125:8	10239:10	10196:11,1	10034:23,2	10164:14
10168:20	10276:15	2 10197:17	4 10036:25	10165:10
10175:19		10199:5,21	10044:25	10176:4
10177:14		10228:12		10209:14
				10252:18

10253:17,1 9 10286:7 graphed 10183:9,20 graphics 10041:5 graphs 10069:23 10083:2 10102:25 10119:15 10128:24 10159:22 10164:1 10178:6 10181:4 10189:20 10247:16 10253:25 10254:12,1 8 graph's 10070:4 gravitate 10239:11 great 10138:18 10148:1 10156:4,6 greater 10142:1 greatly 10003:1 green 10020:12 10037:15 10086:22 10087:1 10088:6 10125:1 10134:19 10160:15 10176:3 10179:12 10182:6 10260:17 10264:20 greener 10010:17	greenhouse 10006:24 10110:19,2 1,23 greens 10088:3 grips 10065:25 ground 10113:24 10145:21 10228:6 10229:24 10230:2 group 10200:5,6 10231:17 10268:8,24 10269:1 groups 10113:13 grow 10056:20 10057:10 10058:3 10276:15,1 6 growing 10146:9 10162:17 grows 10055:19,2 1 10066:19 10111:17,1 9 10169:19 growth 10054:15 10062:21 10111:15 10112:9 10118:16,1 8,21 10274:10,1 5 GS 10187:16 10306:11 10307:11 guar	10002:16 guarantee 10076:22 10161:12 10230:17 10236:9 10278:11,1 4,16 10306:20 10307:19 guaranteed 10002:17 10155:9 guess 10018:3 10026:24 10085:24 10127:9 10153:25 10154:23 10190:14 10193:20 10201:13,2 1 10202:4 10213:6 10267:14 10277:12 10291:12 10300:24 10313:15 guessing 10301:3 guidance 10136:8,14 ,21 10137:18 Gunn 10158:7,14 gut 10204:22 guy 10065:22 10199:19 <hr/> Ha 10046:7 <hr/> habit 10022:18 10124:13 Habs	10014:13 Hacault 9993:21 9995:11,18 10012:18,1 9 10013:1,17 10014:1,11 10015:5 10016:9 10017:3,23 10020:1 10022:5 10023:19 10024:23 10025:23 10026:21 10027:13,1 6 10030:2,11 ,14,15,23 10031:3,23 10033:9 10038:2 10041:5,7 10042:19 10046:12 10050:15 10053:7,9 10056:6 10058:14 10063:3,18 10065:20 10069:14,2 3 10071:4,7, 12,20,21 10072:4 10075:24 10077:19 10087:16,1 7,20 10089:12,1 3,17 10090:18 10091:9 10092:10 10093:6 10094:7 10108:20,2 1 10112:13,1 8 10114:9	10116:9 10118:11 10119:8,23 ,25 10120:4 10123:19 10126:2 10127:20 10128:22 10130:21 10134:5 10135:6,11 ,20,23 10136:2 10137:19 10159:4,10 ,11 10166:10 10168:2 10169:6 10170:3 10171:8 10172:12 10173:1 10174:22 10175:2 10181:6,15 10184:14 10185:13 10187:12 10188:13 10189:19 10191:22 10193:4 10194:14 10195:13 10201:14 10206:11,1 4,15,22 10208:5 10213:24 10215:22 10216:7 10219:6 10241:17 10246:19 10247:16 10249:11 10280:10,1 7 10287:18 10289:18,2 1 10290:1,19 10291:3,17
---	---	--	--	---

10308:5,6, 7 10311:12 10313:3,4	happy 10197:9	harvesting 10151:24	10313:7,11	10244:15,1 6 10271:21 10292:19
Hacault's 10048:18 10055:15	hard 10009:16 10036:8 10044:4 10064:20 10077:11 10106:3,14 10116:25 10124:23 10131:21 10143:22 10190:10 10203:1 10216:17 10228:16 10278:25 10300:21	Harvest's 10139:16 10152:23 hates 10080:2 haven't 10016:15 10017:11 10019:21 10028:24 10041:10 10059:5 10061:12 10077:7 10105:10 10108:11 10152:25 10159:24 10174:9 10180:15 10181:16 10184:21 10260:17 10285:1,3, 5 10287:16 10312:20 10313:12	hdyri 10066:3 head 10196:2 10240:4 10248:22 10270:5 10301:15 headed 10009:23 10186:9 heading 10198:22 heads 10148:16 head-to 10248:21 head-to-head 10248:15 health 10153:23 Healthcare 10147:5 healthy 10000:16 hear 10040:3 10146:18,2 1 10226:23 10312:22 heard 10005:9 10010:5 10012:13 10034:21 10035:19 10047:17 10058:19 10109:10 10120:6 10121:6 10139:2 10141:20 10144:24 10159:13 10193:5 10227:22 10229:3,6, 9 10231:22	hearing 10000:23 10004:5,6 10007:1 10008:11 10018:7 10026:7,15 10034:21 10039:6 10040:16 10042:2 10046:24 10050:5 10052:12 10053:4 10057:1 10058:12 10059:1 10089:25 10090:8,10 10108:14 10114:23 10115:4 10118:18 10120:7 10126:4,23 10139:20 10141:19 10197:15 10216:11 10260:9 hearings 10003:18 10022:3 10026:2,13 10039:5 10065:25 10201:17 10260:21 10277:25 hearing's 10052:7 heart 10009:17 10144:2 10216:23 heat 10093:1 10153:16,1
half 10007:23 10071:8 10140:5 10146:6 10149:17 10220:6 10294:11,1 3,14 10305:14 10306:18,1 9	hand 10185:22 10259:20 handed 10156:14 handle 10154:15 10205:16 10298:20 handy 10251:23 happen 10014:14 10077:6,18 10107:14 10198:7 10229:21 10300:23 happened 10093:11 10115:24 10133:13,1 5 10302:14 happens 10080:6 10098:8 10124:14 10183:20 10285:19 10286:7 10302:5	harder 10005:10 10084:4 Harper 10039:22 10209:20,2 2 10247:5 10251:9 Harper's 10167:16 10251:14 Hart 10152:6,7, 11 Harvest 9995:13 10138:10,1 2,15,20 10139:6,8, 17,21 10140:17 10141:18,2 3 10142:3,11 10143:14,2 5 10144:4 10145:7 10147:20 10149:1 10150:3,22 10151:18 10152:17	having 10010:4 10013:12 10036:15 10063:23 10083:19 10084:13 10088:11 10096:6 10098:21 10110:4 10122:5,6 10123:8 10131:11 10150:5 10197:15,1 6 10206:23 10207:3 10216:8 10227:23 10248:21 10301:21 10312:8	

9	3 10154:6	10111:8	10172:19	10037:1
heating	hence	10118:21	hired	10050:11,2
10119:1,5	10206:21,2	10126:17,2	10045:8	5 10124:20
heavily	2	4 10127:5	historic	10152:8
10074:13	Hendricks	10128:13	10007:15,1	10153:15
heck 10109:8	10311:19	10131:12,1	7	10198:12
10129:12	here's	5 10132:22	historically	10271:10
held 9992:20	10113:21	10176:16,1	10038:15	10275:10
10056:25	he's	7	history	homes
Helga 9993:8	10004:16	10179:15,1	10240:21,2	10095:2
he'll	10045:13	9	5 10243:9	10154:3
10291:20	10153:16	9 10189:13	hit 9999:18	homework
help	10276:18	10205:2	10005:10	10113:20
10021:23	10308:7	10260:3	10147:19	honest
10025:17	hesitant	10261:13,2	10162:6	10052:5
10028:2	10243:20	1,25	10187:6	honestly
10034:3	hiding	10299:25	10189:17	10165:12
10036:5	10276:19	10303:10	10203:9	honesty
10041:6	high 10039:6	highest	10299:18	10052:10
10083:4	10047:22,2	10097:20	hits 10069:1	hope
10102:7	5 10049:17	10309:13,1	10300:1	10039:23
10140:1	10106:12	8	hitting	10042:15
10142:5	10119:22	high-income	10189:12	10066:23
10145:2	10126:11	10141:14	hobbling	10183:6
10147:20	10127:22	highlight	10000:18	10245:8
10190:4	10132:9	10046:5	hockey	hoping
10199:5	10141:1	10063:2	10291:19	10174:20
10221:17	10174:7	10120:10	10308:7	10291:17
10252:11	10185:5,6,	10188:6	hold 10011:1	horizon
10290:9	8	10216:23	10033:6	10131:19,2
10305:11	10198:16,1	10240:10	10075:8	0 10134:2
helped	7 10199:16	10288:19	10102:23	10175:19
10132:5	10207:12	highlighted	10182:21	10176:18
helpful	10284:11,2	10025:7	holding	10205:12,2
10033:14	3	10050:4	10247:23	1 10286:16
10083:2	10285:10,1	10058:24	hole	10287:15,1
10098:11	3,22	10059:9	10052:16	6
10103:6,10	10296:19	10072:16,1	10161:21	horizons
10111:15	10297:16	7 10105:18	10163:14	10085:10
10136:12,2	10298:5	10107:2,9	holiday	10114:18
0 10223:6	10300:4	10115:10	10192:15	horizontally
helping	higher	10176:15	10197:4	10252:19
10051:3	10061:22	10259:23	Holyrood	hot 10168:12
10054:6	10062:8	highlighting	10065:1	hou 10112:4
10101:22	10064:23	10134:20	Hombach	hour 10071:8
helps	10066:24	highlights	9993:3	10077:24
10074:18	10067:15	10060:20,2	home 10005:6	10190:6
10095:19	10068:2	5		10278:9
10101:12,1	10078:9	highs		
	10097:13			

hours	10149:13,1	10032:20	10140:21,2	10293:8
10070:11	6 10150:10	10034:16,1	3	10296:24
10112:3,5	10263:25	8 10035:2	10141:1,5	10298:9
10122:13	hundreds	10036:21	10142:17,2	10301:9,22
10123:12	10079:15	10038:15	1,25	,23,25
10124:19	hunger	10039:13,1	10151:5,7,	10303:21,2
10219:24	10138:14	5 10041:5	16 10152:4	2
10220:1,17	10139:14,2	10046:18	10153:6	10304:5,12
10263:25	5 10140:15	10047:2,5,	10157:4,16	10306:16
10275:14	10142:10,1	24	10158:10,1	10312:1,7,
10277:14	3	10049:11	7 10165:22	16
house	hunting	10053:21	10166:7	hydro-
10056:17	10152:1	10056:23	10167:4	affected
10119:1	hurdle	10064:8,10	10170:13,2	10004:25
household	10038:7	,24	0	10005:2,13
10143:3	10077:6	10065:4,8,	10172:9,15	,20
10147:13,2	hurdles	11,23	10173:11	hydro-based
4 10188:8	10201:8	10066:8,18	10181:16,2	10064:15
housing	hybrid	10067:10,2	1 10183:7	hydro-
10010:16	10212:7	3	10184:24	dominated
10058:2	hydraulic	10068:1,3,	10188:15	10015:16
10146:22,2	10066:4,14	7	10191:2	hydroelectric
5 10147:1	10086:17	10069:9,21	10198:21	c 10184:16
huge	10088:4,7	10072:9	10207:13,2	10226:1
10020:18	10098:17	10073:20	4 10210:3	10262:18
10036:15	10101:11	10074:10	10219:6,21	hydrogen
10082:11	10109:24	10088:19	10224:25	10092:18,1
10083:13	10286:19,2	10089:6	10235:1	9,24
10093:15	3	10091:13	10237:20	hydronic
10100:24	hydro 9992:7	10092:5	10240:12,1	10119:1
10110:11	9993:5	10098:13	7,23	Hydropower
Hugh 9992:17	9999:7,17	10100:1	10241:3	9995:6
10061:8	10000:6,23	10104:14,2	10247:8,21	9998:7,11,
10096:17	10001:6,25	4 10106:24	10251:25	19,24
10102:9	10004:17	10107:1	10252:12,1	Hydro's
10103:12	10005:6,10	10108:12	10256:4	9992:9
10154:12	,15	10110:4,13	10261:12,1	9999:6
10155:3,14	10008:23	10117:7	9 10262:6	10000:1
,18,21	10009:17	10121:14,2	10263:24	10001:9,13
10201:3	10013:7,21	0	10267:16,1	,16
10205:22	10016:11,1	10122:7,23	9,20	10004:19
hundred	4,16	10124:8,12	10268:7,8	10005:1
10122:18,2	10017:17	,14,18	10272:1	10006:4
4	10020:10	10125:17	10274:6	10009:2
10123:2,3,	10021:15	10126:13,2	10275:5,18	10010:22
5	10023:6	2 10128:2	10277:13	10039:11
10129:7,11	10024:18	10129:4,19	10278:1	10069:24
10130:11	10026:1,3,	10130:1,2,	10281:23,2	10070:9
10140:6	6,12,13,16	3	4 10284:19	10086:11,1
10147:18,1	10031:17	10131:22,2	10286:11	4 10087:8
9 10148:8		5 10135:3	10287:5	
		10136:17	10288:8,20	
		10137:2	10289:1,9	
		10139:2	10292:16	

10088:19	10159:15	10226:6,9,	10003:2,11	10164:3
10091:7	10186:21	12,14	10007:17	10170:6
10098:25	10205:8,9	ill 10081:6	10012:15	10172:1,2
10105:11,1	10208:21	10142:7	10014:14	10174:20
5,20,21	10215:8	I'll 9999:10	10015:8	10183:9
10106:7,8,	10216:11	10011:12	10018:5	10184:19
19	10240:9	10012:17	10024:19	10187:3
10119:15,1	10263:16	10018:4	10026:22	10193:12
8 10120:25	10265:20	10019:15	10032:10	10194:1,18
10121:6	10288:13	10027:5	10034:11,1	10199:4,20
10126:6	10300:15	10039:17	9 10036:6	,24
10128:7	idea	10040:13	10039:13	10200:19,2
10130:18	10022:16	10041:3	10045:7	1
10134:13	10182:16	10042:15	10049:1	10201:16,2
10138:22	10292:25	10049:17,1	10051:24,2	1 10202:7
10139:18	identified	8 10052:10	5	10203:6,7,
10140:18	10020:3	10053:17	10052:2,9,	17
10141:10	10028:15	10055:5,14	25	10204:6,21
10152:19,2	10053:22	10056:15	10055:17	10206:15
4 10161:16	10070:16	10064:6	10056:1,9	10213:23
10166:21	10237:14	10065:23	10058:9,19	10215:10,1
10167:20	10255:1,4,	10085:2,8,	10061:8	6 10216:24
10173:24	11,14	24	10064:15	10219:14
10182:12	identify	10091:18	10065:21	10224:17
10187:7	10031:7	10097:3	10079:6	10228:20
10189:5	10186:20	10102:22,2	10082:9,10	10229:21
10190:14,1	10203:2	4 10143:12	10084:22	10230:18
6 10198:10	Iderstine	10146:20	10085:8	10241:19
10235:19	9993:8	10171:21	10086:3	10243:24
10255:11	IEC 9994:6	10189:2	10087:11	10245:15
10256:14	IFF 10088:20	10203:19	10091:4,8	10247:7
10260:9,15	10283:25	10212:6,13	10092:7	10250:8,9,
10267:13,1	IFF12	10219:19	10096:18	16
8,21	10001:11	10230:4	10099:17	10251:23
10268:17	IFF-style	10234:17	10102:12,1	10252:7
10272:13	10235:19	10235:15	4,18,19	10253:21
10273:15	ignore	10237:22	10109:1	10254:4,6,
10283:24	10119:16	10251:19	10110:24	20
10284:10	ignores	10266:15	10113:22	10255:10
10295:2	10124:15	10267:10	10116:21	10257:4
hypothesis	ignoring	10292:6	10118:7,12	10259:17,1
10199:18	10076:23	10303:23	,19,25	8 10261:2
<hr/>	II 10240:11	10305:14	10119:14,1	10264:9
I	II-019b	10308:12	7	10269:12
I'd 9998:5	9999:14	10311:10	10121:1,12	10276:3,20
10020:2	III	illustrate	10130:4,22	,22
10039:3	10196:22,2	10036:5	10131:3	10278:20,2
10082:18	3	10083:4	10134:20	1 10279:5
10083:6		illustrative	10135:12	10283:8
10121:12		10066:11	10138:14	10284:13
10130:20		I'm 9998:15	10145:3	10286:5,25
10138:8		9999:22	10154:12	10288:22
10143:9			10155:15,2	10291:16
			3 10156:20	10296:3

10299:15,1 7 10301:15,2 0 10303:6,11 10309:14 10312:8 10313:10 image 9999:24 10048:18,2 4 10175:7 10192:3 10197:8,23 images 10175:16 imagine 10144:9 impact 10034:8 10105:8 10144:22 10193:24 10234:20 10289:13 10295:18 10298:11,1 4,15 10300:18,1 9 10301:10 10303:3,18 10304:3 10305:4 10307:10 impacts 10002:3 10005:6,15 ,22 10007:2 10008:20 10023:11 10032:16 10064:2 10072:21 10073:1,15 10098:25 10104:23 10125:21 10133:22 10134:14 10165:24 10166:5	10187:20 10188:7 10189:9 10225:5 10288:13 10289:6,9 10292:3 10301:16,2 5 10303:8 10304:4 10307:9 imperfect 10113:5 implementati on 10202:1 implemented 10009:9 10140:21 10185:20 implementing 10090:1 implications 10210:12 implicit 10029:11 implies 10041:19 import 10121:8,10 10122:11,1 7 10123:17 important 9998:22 10011:12 10038:25 10043:4,12 ,13 10058:5 10063:8 10064:3,12 10068:10 10072:8 10080:15 10099:3 10102:19 10104:12 10113:7 10116:11 10123:16 10137:6	10140:24 10153:24 10175:9 10196:18 10218:10,1 3 10270:17 10288:1 10289:15 imports 10120:3,4, 12,17 10121:23 10122:13,1 9 impose 10278:1 imposed 10178:22 imposing 10279:16 impression 10005:18 10009:16 improve 10077:9 improved 10010:16 10053:3 10084:13 10174:16 10217:21 improvement 10150:12 10172:9 improves 10077:12 10084:16 10177:6 inaccurate 10277:10 inadvisable 10258:16 inasmuch 10109:20 incent 10098:14 incentive	10077:13 incentives 10077:15 incler 10000:8 include 10002:9 10004:25 10099:7 10142:11 10195:23 10235:22,2 5 10236:3 10278:13 10295:21 10303:2,7 10307:9 included 10018:15 10022:1 10107:13 10125:21 10127:10,1 1 10141:21 10143:23 10174:14 10215:5 10226:15 10237:12 10269:2 10305:3 10307:21 includes 10000:8 10023:10 10124:16 10147:25 10196:3 10236:9 10237:7 10268:22 10303:21,2 2 10304:4 including 9997:14 10010:15 10032:17 10133:7,8 10139:11 10149:15 10211:6	10222:3 10226:11,1 4 10242:12 10244:10 10263:24 10269:11 10304:5 10312:19 inclusion 10107:17 10132:11 10154:1 income 9999:16,21 10076:24 10130:18 10141:2 10142:23 10143:1,4, 6 10144:25 10148:12 10149:4,7, 14 10150:17,2 3 10151:9 10152:23 10154:15 10155:9,12 10183:12 10186:2,22 10189:14 10207:9 10289:14 10296:3,5, 6,9,12 10298:20 10299:20,2 5 incorporated 10029:9 10062:9 10104:3 incorrect 10157:19 increase 10001:4 10005:8 10009:7 10068:13 10124:20 10151:21 10179:10
--	---	---	--	--

10182:2	10220:10	10203:18	10117:4	10006:4
10183:24	Indian	10220:12	10120:15	10013:4
10188:18,1	10006:14	10231:16	10126:9	10089:20,2
9 10193:23	10007:8,14	10260:4	10157:2,19	1 10108:24
increased	,22	10261:3	10158:19	10173:5
10058:18	10008:2,8,	10262:23	10164:17	10175:7,15
10109:10	10,12	10264:1,11	10168:11	10199:25
10120:1,3	indicate	10268:10	10171:18,2	initially
10141:13	10027:9	industrials	2,23	10034:9
10151:10	10030:19	10015:19	10172:11	10311:13
increases	10286:11	10179:20	10173:23	initiatives
10003:15	10290:2	industries	10174:20	10011:22
10005:10,1	indicated	10116:19	10177:12	10267:22
4 10140:11	10164:5	industry	10181:9	ink 10033:18
10141:14,1	10234:7	10009:23	10190:23	10301:7
5 10144:23	10248:11	10108:15	10193:12	inner
10151:2	10250:20	10124:2	10206:18	10148:11
10155:1	10284:19	10188:9	10210:2	innovatively
10182:19	10313:4	inelegantly	10217:23	10009:24
10183:10,2	indicates	10211:9	10228:22	input
3 10188:16	10001:17	inferior	10230:14	10171:13
10189:13	10280:20	10048:20	10233:24	10257:9
increasing	indication	10105:19	10249:12	inputs
10097:11	9997:17	10252:15	10260:10	10233:20
Increasingly	10279:6,23	inflation	10265:19	10286:2
10097:10	10280:5,23	10110:1,6	10268:16	inquiries
incredible	10288:8	inflexibilit	10273:7	10115:20
10205:1	indicative	y	10282:21	inquiry
increment	10186:4	10043:10,1	10283:8,19	10234:15
10225:11,1	10247:14	2	10285:14	inserted
2	indicator	information	10289:1	10158:16
incremental	9999:5	10013:7,10	10292:15	in-service
10175:24	indigenous	10033:1	10296:20	9997:21
10277:15	10152:3,11	10039:7	10300:21	10079:4,16
increments	indirect	10044:1	10308:3,23	10246:15,2
9997:5	10037:6	10049:5,8	10309:19	1,25
10212:24	indirectly	10051:25	10312:4	10247:3,4
10215:16,2	10151:9	10052:7	10313:8,18	10248:9
0 10216:2	individual	10053:1,14	infrastructu	10279:17
incurred	10012:13	10055:16	re	10280:8
10035:4	10139:13	10059:5	10020:13	insight
10073:8	industrial	10060:11	10232:6	10127:24
indeed	10026:17	10063:9	inherent	10212:17
10002:21	10057:17	10070:13	10025:8,19	10257:12
10217:21	10058:18	10071:1	10027:23	instability
independent	10091:10,1	10077:17	10064:9	10271:21
10011:2	2,17	10084:8,10	10212:4	10272:6
10045:9	10179:17	10095:3	10285:23	installed
10105:25		10107:23	initial	
		10113:5,22		

10309:10,1 2,13,18,25	10311:25	interesting	intertie	10057:25
instance	inter	10019:19	10083:16,2	10127:14
10075:9	10236:3	10039:23	4	investment
10126:16	interact	10046:10	intervening	10000:3
10144:14	10096:20	10047:11	10015:21	10002:15,1
10282:16	10257:13	10055:16,2	Intervenor	9 10045:20
instead	interactive	2 10056:3	10034:3	10054:7
10067:13	10103:13,1	10090:16	Intervenors	10092:22
10085:9	8	10103:25	10015:14,1	10098:21
10100:7	Interchurch	10104:1	8 10027:6	10165:22
10178:12	9995:6	10112:18	intervention	10170:14
institutiona	9998:6,11,	10120:11	9997:9	10236:19
l	19,24	10169:23	10241:25	10278:8
10269:3,5	interconnect	10181:13	10242:4	10310:12,1
instructions	ion	10204:5	intervention	5,22
10312:23	10211:2	10310:17	s 10015:22	investments
insurance	10228:24	interests	in-the-	10097:17,1
10147:7	interconnect	10010:2	basement	8 10125:1
integral	ions	10266:9	10057:13	10188:3
10006:23	10064:13,1	10270:11	intransigenc	10232:6
integrated	6,17	intergenerat	e 10041:20	investors
10052:18	10066:13	ional	intriguing	10129:13
10107:20	10067:6	intergroup	10070:25	10130:14
10108:1,4,	10068:5	10028:10	10076:7,14	invests
13	10072:9	10231:16	introduce	10097:7
integration	10073:17	10232:3,11	10216:11	invites
10019:11	interest	10313:5	introduced	10143:25
intend	10041:16	InterGroup's	10129:3	inviting
10014:18	10059:25	10166:17	intuition	10138:21
10032:14	10076:12	interim	10096:19	involve
10073:14	10139:4	10104:17	10300:22	10011:7
10255:13	10160:18	10140:4	intuitive	10020:18
intended	10162:5	10205:17	10165:10	10220:6
10041:24	10167:8,18	interjecting	inverted	involved
10142:7	10182:9,20	10032:3	10260:22	9999:13
intent	10183:10	interpretati	invest	10015:3,21
10028:17	10185:18	on	10001:21	10016:2
10072:19	10236:11,2	10037:18	10003:3,4	10019:3,9,
intention	3	interpreted	10098:13	14,22
10032:23	10283:23,2	10151:6	10127:18	10026:7,12
10166:17	4 10284:14	interpreting	10170:17	,13
intentional	10295:22	10253:4	10222:2	10043:23
10283:17	10296:18	interrogator	invested	10113:10,1
intentions	10299:24	ies	9999:25	1 10130:14
10008:24	interested	10030:24	10067:10	10204:8
10009:6	10092:8	interrupt	10097:9	10227:23
	10102:19	10123:20	investing	10243:5
	10121:13			involvement
	10233:23			10016:13
	10268:2			

involves	10084:13,1	10167:9,12	10042:14,1	10080:15
10050:9,10	4 10088:18	10186:18	6	10081:5,8
10113:15,1	10099:6	10268:12	10043:4,7,	10083:13
6 10119:1	10101:2	issuing	12,13	10084:6,15
10222:17	10102:9	10104:20	10044:4,8,	,17
10231:10	10131:20	it'd	9,12,14	10089:2,6
10261:3	10134:7	10300:23	10047:10,1	10090:5,9,
involving	10202:19	item	6	14
10312:3	10207:16	10157:15	10048:5,8,	10091:20
IPP 10051:2	10221:10	10307:20	21,25	10092:9,18
IPPs 10222:4	10230:3	items	10050:3,6,	,21,22
IR 10031:22	10275:20	10145:20	22	10093:1,23
10047:11	10283:15	10147:23	10051:15,1	10094:3,4
10049:12	isolated	it'll	7	10096:9,13
10058:23	10008:8	10096:24	10052:16,1	,24
10059:8	issue	10099:4	8,19,21	10098:11
10073:13	10029:10	10131:15	10053:2,15	10099:3,10
10128:15	10036:22	10146:12	,16,18	,24
10219:20	10063:19	it's	10054:13,1	10101:11,1
10237:12	10080:1	10000:11	4,15	9,20
10292:20	10094:15	10001:5	10055:11,2	10102:2,3,
IRP 10040:9	10112:14	10005:8	1	5,18
10052:18,2	10120:1	10009:16	10056:2,21	10103:4,6,
1	10123:23	10011:15	10057:7,10	9,20,23,24
IRR 10040:8	10128:5	10013:8	,19	,25
irrational	10129:1	10014:23	10058:2,3,	10104:1,12
10245:1	10187:14	10018:5	4,6,11	10106:2,14
irrespective	10196:24	10019:5,6,	10059:9	,15,18
10061:4	10197:3	24 10020:4	10060:2,4,	10107:9,20
IRs 10026:24	10200:21	10021:2,3,	5,13,23,24	10109:12,1
10030:24	10233:7,8,	5,16	10061:14	3,18,19
10031:5,13	15 10250:2	10022:20	10062:10,2	10111:2,3,
10047:7	10251:8	10023:12	5	8 10113:1
10187:24	10258:10	10024:13	10064:9,10	10114:17
10237:6	10291:1	10025:8,15	10065:6	10116:4,13
island	10309:16	,20	10066:9,10	,14
10007:21,2	issued	10028:25	,11,12	10117:12,1
3,25	10147:3	10032:9	10067:21	7
10073:25	issues	10033:6	10069:18	10119:7,17
10074:2	10015:24	10034:19,2	10070:19,2	10121:15
10133:22	10016:5	2,23	0,21,22,24	10122:3,4,
islanded	10018:2	10035:11,1	10071:2,7,	20
10074:18	10022:2	5	9	10123:9,10
Islands	10026:7	10036:13,1	10072:8,19	,16
10007:22	10028:16,1	7	,24	10124:22,2
isn't	9	10038:17,1	10073:11,2	3
10025:14	10040:5,10	8,19,25	2,24	10125:3,10
10078:19	10050:4	10039:12	10075:22	,11
	10094:14	10040:20,2	10076:2,7,	10126:12,1
	10115:12	1,22	14	3,22,24
	10139:20	10041:4	10077:8,10	10127:9,12
	10152:24		,20	,13,17,25
			10078:22,2	10128:4
			3 10079:25	10129:4,8,

15,16,20,2 2,23 10130:1,7, 9,11 10131:6,15 ,21 10132:1,2, 20 10133:23 10134:23 10136:18 10143:3 10146:2 10153:9,12 ,22,23,24 10154:3,4, 5 10158:11 10160:7 10161:18 10165:2,22 10168:12 10169:2,20 10170:4,7 10171:5,24 10172:4,10 ,21,24 10173:12,1 5,16 10175:10,1 4 10180:2 10181:23 10182:6,7 10183:14,1 5 10184:7 10185:20 10186:4,22 ,23 10189:6,8, 10 10190:6,25 10191:19 10192:4,15 ,21 10193:1,13 10194:3,4, 15 10195:16 10196:19 10197:4,5, 7,24 10199:22,2 3,24 10200:11,2 3 10201:10	10202:12,2 2 10204:5,6, 7 10205:25 10206:21 10207:15 10208:9 10210:16 10212:4 10215:4 10217:9,10 ,16,17 10218:12,1 3 10219:2 10220:4,23 10221:5,14 ,15 10222:10 10223:24 10224:3,6, 14 10225:4,8 10226:5,6, 24 10227:3,12 10228:7,15 ,16 10231:9 10233:22 10235:18 10237:17,1 9 10239:8 10241:7 10244:2,14 ,20 10246:6 10247:11,1 4 10248:2,5, 6,17,19 10250:1 10253:2,14 ,15,22 10254:15 10259:2 10261:4 10263:6,21 10264:21 10267:22 10269:21 10272:7,16 10273:8 10274:16 10275:1,22	10277:8,9 10278:22 10279:6,22 10283:4 10284:11 10285:1,23 10287:2,3 10288:2 10289:21 10290:14 10292:9,12 ,24 10293:10,1 2,14,24 10294:2,10 ,12 10296:18,1 9 10297:14,1 5,16,23,25 10298:4,5, 25 10304:24 10306:2,6, 8,15,16,19 ,21 10309:16 IV 10289:22 I've 10015:3 10016:2 10017:9,13 ,15 10018:10,2 0 10019:14,2 0 10020:14 10022:13 10023:15 10024:5,17 10025:21 10026:6,12 10027:16 10032:10 10039:3 10044:9 10055:25 10056:11,2 2 10058:1 10064:11 10076:3 10078:17 10079:2 10080:18	10081:11 10085:10,1 1 10090:9 10091:25 10109:3 10111:9 10116:14 10118:17 10120:6 10131:13 10143:10 10156:13 10167:23 10185:17 10186:18 10213:4 10229:8,9, 18 10230:1 10243:5 10248:18 10260:21 10265:19 10268:5 10281:22 10308:6 <hr/> J <hr/> Jack 9993:12 Janet 9993:11 Jennifer 9993:9 jeopardize 10009:20 Jessica 9994:3 JKDA 10003:6 JOANNE 10309:3 job 10010:15 10020:25 10036:17,1 9 10039:17,2 0 10121:13 10150:8 10219:23 10288:21 jobs 10076:24	10235:22 10236:4 joint 10007:24 jointly 10019:8 judge 10287:13 judging 10169:16 judgment 10245:23 juggling 10227:25 jump 10034:11 10097:21 10103:4 10104:8 10114:2 10164:3 10181:24 10245:9 jumped 10001:8 10168:6 10179:5 jumping 10159:21 jumps 10199:20 June 10052:15 10282:23 junior 10060:4 jurisdiction 10263:6 jurisdiction s 10112:16 10142:6 10238:17 10239:12 10264:15 10287:6 justified 10084:1
---	---	--	---	--

10125:2,4 10126:1 justifying 10064:21 <hr/> K <hr/> K19/C31/750 10304:22 Kapitany 9992:14 10085:20 10088:15 10153:2 10154:6 KCNs 10002:14 10003:5 10004:21 10005:17 KCN's 10002:25 10004:23 Keey 10083:4 Keeyask 10000:18,1 9 10001:7,20 10002:8 10003:18 10004:12 10005:23 10006:21 10008:2,18 10011:4,5 10020:16 10043:23 10044:10 10045:18 10047:25 10048:10 10051:7 10055:20 10057:4,14 10062:12 10070:6,10 10079:10 10081:19,2 3 10082:4,8, 12 10083:5 10085:6	10086:7,18 10096:1 10100:6,10 10158:10,1 7 10160:16,2 2 10169:4 10185:24 10198:24 10207:12 10211:3,6, 14 10220:18 10223:16 10227:19 10228:5 10237:7,17 10258:21 10259:6,7, 13 10281:21 10298:11 10302:20 10306:13 10307:11,1 2 Keeyask/750 10095:24 10210:21 Keeyask/ Conawapa/7 50 10096:4 Keeyask/Gas 10102:15 10134:19 Keeyask/ Gas/750 10211:12 Keeyask19 10063:11 10180:10 Keeyask's 10093:17 key 9999:5 10032:22 10040:18 10043:20 10053:25 10168:10 10190:12	10216:24 10218:4 10227:12 10257:12 10287:4 Keystone 10264:16,1 9 KHLP 9996:18 10158:10 10159:1 kids 10145:18 10149:19 kilometres 10008:3,4 kilowatt 10077:24 10112:3,4, 5 10123:12 10124:18 10190:6 10219:24 10220:1,17 10275:13 10278:9 10281:25 10310:6 knew 10095:13 10164:15 10202:21 knock 10296:16,2 3 knocked 10297:9 10298:2 10299:15 knocking 10263:16 knocks 10297:18 10300:1 knowledge 10031:4,12 10174:14 10183:6 10185:22	10232:21 10286:7,19 known 9999:14 10059:23 10062:2 10150:24 10202:22 Kubursi 10045:9 10105:16 <hr/> L <hr/> La 10001:17 10039:20 10120:7,8, 10,24 10167:10,1 1 10251:8,13 ,17,24 10252:1,20 ,21,23,25 10253:9,13 ,16,25 10254:9,12 ,18,22 10255:5,15 ,21 labour's 10048:1 lack 10034:22 10094:11 ladies 10138:19 laid 10240:25 10259:19 lake 10004:4,8, 17 10006:14 10007:4,9, 14,22 10008:2,8, 10,12 10203:14 lament	10051:20 lamenting 10051:19 10107:17 lands 9998:25 language 10032:20 10287:19 large 10008:9 10059:13 10080:9,12 10081:10 10091:23 10095:21,2 4 10098:23 10100:17 10105:1 10135:8 10164:9,21 ,22 10169:22 10170:11 10187:18,2 1 10188:1 10258:15 10266:10 10272:4 10278:2,4 largely 10134:6 10151:1 10180:14 10189:20 larger 10013:22 10037:12 10060:21 10097:17 10191:21 10207:2 10262:13,1 7 10263:10 10269:2 largest 10006:11 10021:15 10088:21 10301:10
--	--	---	--	--

Larry	10208:2	10090:8,10	10077:22	10190:2
9992:15	10224:6		legislative	10206:5
last 10000:1	10258:16	leased	10115:21	10207:9,13
10003:18	latest	10240:23	legitimate	10208:3,13
10010:5	10084:10	least	10216:25	10222:22
10014:12	10134:15	10009:9	10217:3	10276:7
10026:5	10247:8	10014:14	leisure	10304:21
10036:24	10260:17	10016:16	10147:25	letting
10037:24	latter	10053:22	lengthier	10116:5
10060:19	10001:18	10056:1	10181:1	10170:17
10061:9	10178:1	10063:10	lengthy	lev 10285:9
10066:9	laundry	10092:1,8	10024:5	level
10093:11	10147:14	10113:6	less 10003:4	10009:4
10101:16	Lavigne	10137:5	10010:10	10035:3,4,
10104:14	10314:12	10198:8	10042:8	11 10037:9
10107:16	Law 10139:4	10213:3	10049:6	10038:16
10114:10	lawyer	10223:15,1	10071:2	10041:14,2
10189:22	10004:7	9 10235:8	10074:7	0 10051:23
10192:4	layer	10273:16	10087:6,7	10086:1,6,
10195:18	9999:12	10277:19	10090:2,11	8
10251:7	laying	10279:23	10096:5,12	10097:13,1
10268:14	10083:17	10284:9	,13	4,15,21,23
10291:18	lead	10286:1	10108:3	,24,25
10297:22	10001:18	10291:19	10109:22	10098:11,1
10302:11	10004:2	leave	10124:24	4,15
10313:7	10018:13	10019:21	10167:5	10101:6
late	10094:13	10053:10	10170:1	10106:20
10115:16,2	10116:7	10237:23	10177:22	10107:18
0 10129:3	10168:5	leaves	10274:9,19	10118:5
10208:6	10187:9	10054:16	,22	10122:17
10291:17	10249:13	10055:1	10277:5	10126:24
lately	10275:17	leaving	10278:10	10143:9,17
10017:13	leader	10139:19	10284:13	,19
later	10011:9	10279:8	lesser	10144:25
10010:6	leading	led	10121:7	10145:1
10046:21	10019:4	10018:16,2	lessons	10169:18,1
10048:24	learn	4 10021:18	9999:5	9
10053:11	10047:14	10094:12,2	let's	10170:4,6,
10063:16	10063:20	0 10118:24	10071:10	9,11,14,21
10075:11	10143:21	left-hand	10079:12,1	10171:1
10084:11	learned	10034:15	3,25	10176:23
10089:8	10027:13	10035:1	10081:16	10177:4
10094:2,17	10089:25	10160:11	10083:15	10179:8,12
,18	10116:14	10293:11	10098:6	,13
10096:24	10138:19	10297:7	10137:15,1	10180:1,13
10102:24	10246:18	legal	9,22	,23,24
10124:6	learning	10151:20	10148:25	10185:10
10132:16,2		10241:9	10150:2	10188:15,1
2 10134:11		legally	10172:6	7 10189:11
10166:4			10181:24	10191:15,1
10189:21				6
10207:6				10194:19,2

0 10195:11	licences	1	1	10146:3,4
10199:1	10228:12	limitations	10179:11,1	10148:18,1
10204:22	life 10091:1	10167:11	2,13	9,24
10221:8,15	10109:16	10172:15	10180:11	10157:3
10237:13	10147:7	10236:18	10182:4,5,	10227:24
10245:20,2	10148:23	10244:11	6,23	10229:15
1	light	10251:11,1	10184:6	10268:23
10246:8,20	10033:16	2,18	10192:23	listed
10248:23	10066:17	10253:9	10198:13	10190:9
10249:1	10131:4	10254:24	10211:7	listen
10250:1	10179:11	10255:1,4,	10226:24	10200:17
10257:1,3	10220:7	17 10274:5	10227:3,20	listening
10260:12,1	10264:20	limited	10231:3	10040:3
6,19	lightest	10158:10,1	10237:19,2	literature
10261:2	10097:12,2	8 10173:15	1	10126:13
10262:9	0	limits	10252:2,24	10128:2
10265:11	lighting	10276:2	10253:1	litre
10271:6	10118:24	line 9999:23	10265:5,16	10117:12,1
10272:8	lightly	10019:17	,22	7
10278:5	10122:1	10023:8	10278:24	little
10284:7	lights	10037:8	10279:11,1	9998:16
10289:12,1	10122:3	10043:24	4 10286:11	10006:8
4 10294:19	likelihood	10044:1,5,	10307:20	10014:12
levelize	10174:11	7 10050:8	lines 9999:1	10019:22
10178:8	likely	10054:16	10036:8	10033:7
levelized	10011:22	10063:12	10062:22	10038:20
10178:12	10048:13	10066:19	10097:10,1	10042:6
levels	10077:9	10067:9,10	1 10106:15	10056:18
10038:10	10078:22	,14	10133:10	10057:19
10053:20	10081:13	10068:2	10135:5	10062:5
10054:8	10110:1	10069:1	10175:8,9,	10069:15
10067:21	10139:18	10070:22	10	10086:24
10097:11	10173:12	10075:13	10180:18	10088:6
10100:13	10192:20	10082:12	10182:25	10096:5
10143:6	10197:17	10084:6,7,	10188:6	10098:19
10152:13	10202:15	9,13,18,23	10208:22	10099:11
10169:14	10273:16	10085:18	10231:9	10143:10,1
10170:23	10284:6	10086:7	10246:11	2,24
10178:23	likened	10088:13	10279:24	10147:7
10179:3	10020:14	10097:12,1	liquid	10159:12,2
10198:21	Limestone	9,20	10119:2	0
10246:12	10114:21	10101:17,2	liquified	10160:17,2
10247:24	limitation	1	10118:1	5 10161:9
10260:10,1	10124:10	10102:6,8	10118:3	10167:6
5	10177:10	10117:6	liquify	10169:25
10261:21,2	10238:1	10164:7,11	10118:3	10170:1
5 10272:3	10253:14	10167:12	list 9995:3	10180:2
liability	10254:20,2	10171:6	9996:1	10184:8
10032:19		10175:25	9997:1	10196:6
licence		10176:2,12	10017:6	10198:23
10203:14		10177:5,8	10144:2,6,	10207:12
		10178:20,2	12	
			10145:11	

10218:16	10094:4	locate	10062:6	10061:8
10231:9	10106:25	10184:15	10136:3,8	10099:2
10251:17	10107:6,11	10304:13	10186:21	10100:16
10267:14	10111:14,1	lock	10205:15	10169:20
10295:12	7,19	10193:18	10220:16	lot 10003:4
10300:2	10112:4,6,	locking	10230:21	10010:19
10309:6	9	10109:25	longer-term	10013:8
live	10118:16,1	10193:17	10286:16	10033:17
10103:21	8,21,22	10194:12	10287:14,1	10035:7
10139:25	10119:20	lock-solid	6	10036:12,1
10140:20	10121:9,19	10075:15	long-term	3,14
10141:7	,23	logic	10019:4	10039:4
10142:13	10131:13	10079:18	10032:16,1	10040:5,7
10144:19	10156:24,2	10081:17	8	10046:1
10145:11	5	logical	10037:7,9,	10054:5
10148:11,2	10157:1,9,	10095:11	13 10085:9	10055:1
2 10195:4	11,13	London	10134:17	10057:24
10291:4	10177:13,1	9993:12	10183:21	10068:2
lived	5,16,18	long	10207:7,17	10069:2,3
10005:15	10178:9	10016:11	10261:13,2	10070:20
10142:12	10179:15,1	10051:1	1 10269:25	10075:17
lives	7 10196:16	10057:10	10271:14	10077:5
10084:23	10220:15	10058:3	Loni	10082:19
living	10222:6	10062:24	10258:12	10088:6,10
10143:9,16	10259:25	10064:9	lose	10096:9
,19	10260:4,8	10083:1	10045:25	10099:10
10144:24,2	10261:8	10110:9	10087:4	10101:21
5 10153:25	10262:14,2	10128:12	10111:12	10104:10
LNG 10065:3	2,23	10129:12	10227:20	10108:1,3
load	10263:11,1	10166:15	10228:24	10109:8,10
9996:10,12	3,17,24	10179:3	loses	,11
,13	10264:1	10189:6	10001:9	10111:8
10019:10	10274:10,1	10190:10	10187:7	10113:15
10022:17,1	5,23,24	10195:16,1	losing	10115:8
8,20	10275:16	8 10202:1	10054:21	10116:17
10054:15	10292:21	10205:12	loss	10118:13,1
10055:19,2	10294:19	10227:24	10183:18	8
1 10057:18	loaded	10229:15	10259:14,1	10121:6,15
10058:18,2	10061:22	10230:23	6,18	10130:15
5	loads	10246:9	10296:6	10136:9
10059:1,6	10057:16,1	10253:2	10299:17	10145:20
10060:17	7 10060:10	10255:24	10300:3,5	10153:14,1
10062:1,5,	10070:17	10264:11,1	losses	6,18
16	10078:2	2,13	10183:12	10164:7
10066:2,18	10090:1	10271:9	10185:15,1	10167:5
,19	10261:13	10275:17	6,22	10169:20
10067:18	10263:21	10300:21	10187:10	10170:15
10068:2	10264:22	10307:8	10189:14	10176:5
10074:23	10265:8	longer	10289:12	10179:16
10087:7	10293:3	10059:12	lost 10045:2	10180:5
10090:13	local			10186:8
	10102:7			10193:1
				10195:6

10203:19,2	10090:1	luxury	10287:1,5	10027:10
0 10204:24	10112:4	10145:20	10289:5	10029:6
10216:17	10118:19	Lyna 10152:6	10300:25	10032:19
10222:2,8,	10125:14		majority	10034:15,1
15	10126:18	<hr/>	10005:20	8
10243:25	10131:13	<hr/> M <hr/>	10082:16	10035:2,19
10260:24	10132:22	macroenviron	Man 10202:25	10036:1,21
10263:9	10154:14,2	mental	manage	10037:5
10264:17	3 10155:1	10005:21	10023:11	10038:14
10270:25	10160:11	10008:20	10135:16	10039:11,1
10275:13	10173:19,2	Magee	10198:21	2,15
10277:24	2 10174:2	10045:10	10268:2	10045:21
10283:18	10176:19	10105:16	managed	10046:18
lots 10018:6	10209:7,11	10258:12	10035:14	10056:23
10043:15	,13	magnifying	10203:10	10059:4
10105:21	10223:7	10180:19	10228:15	10060:14
10125:1	10297:2,4	10248:20	10276:22	10063:1
10128:1,3	lowest	magnitude	management	10064:13
10155:11	10002:19	10090:7	10011:10	10065:23
10156:14	10097:24	10093:24	10016:20	10066:8
love 10082:8	10286:14,1	10269:18,2	10020:25	10069:8,20
low 10009:4	5	0 10270:9	10032:18	,24
10049:16	10287:7,14	10271:13	10147:23	10073:3,20
10106:12,1	low-grade	10279:10	10190:17	10074:9
3 10107:18	10093:1	mailing	manager	10076:20
10117:10	low-income	10268:23	10020:9	10080:16
10119:20	10139:19	main	managers	10082:3
10126:6,9	10140:11,2	10005:12	10268:9	10086:11,1
10127:12,2	5	10026:25	10269:3,4,	4 10087:8
2 10143:4	10141:13,2	10076:18	5 10270:25	10088:19
10150:17,2	5	10080:17	managing	10089:6
2 10155:12	10142:5,9,	10105:20	10039:14	10092:17
10174:8,13	18,20	10179:24	Manito	10094:4
10204:1,20	10143:7	10190:15	10140:15	10111:24
,24,25	10144:23	10204:1	Manitoba	10114:23
10207:9	10151:3,8	10225:9	9992:3,7,9	10121:18
10260:24	10153:4	10270:14	,23 9993:5	10129:4
10283:14	lows	mainly	9999:1,6	10130:1
10285:10,1	10172:19	10152:3	10010:22	10133:8
3,22	lump	maintain	10011:1,8	10137:2
10295:20	10240:19	10054:7	10013:7,21	10138:21
10296:15	lumpy	10182:9	10015:20	10139:1,2,
10297:8	10091:18	10246:25	10016:11,1	18
10298:1	lunch	major	4,16	10140:7,18
10300:5,7	10137:19,2	10009:7	10021:16	,21,23
low-end	2 10159:21	10015:13	10022:15	10141:1,5,
10284:23	10171:17	10018:14	10025:25	10
lower	10212:15	10019:7	10026:1,2,	10142:16,2
10006:21	Lutheran	10070:6,7	6,12,13,16	5
10062:6	9999:3	10205:4		10151:5,6,
10067:3				15
10087:7				10152:4,19
				,21,24
				10155:8

10157:4,16	Manitoba's	10287:21	math 10280:3	10121:23
10166:7	10006:10	marketplace	mathematical	maximum
10177:15	10121:9	10231:19,2	ly 10253:3	10121:10
10179:11	manmade	4	matrix	10196:14
10181:16	10006:17	markets	9996:6	10254:1,2
10184:16		10218:21	10013:19,2	may 9992:24
10188:14	manner	10228:11	5	10010:18,2
10191:2	10255:24	10275:24	matter	3 10029:20
10205:16	10308:19	marks	10000:24	10032:2,3
10207:1	map 10006:7	10041:10	10038:9	10042:10,1
10210:3	10007:22	Marla 9993:6	10040:9,21	7 10048:17
10219:5,21	10212:5	9995:21	10044:24	10050:18,2
10224:25	10252:7	10029:23	10045:4	0 10054:18
10230:12	10265:1	10030:3	10062:16,1	10063:5
10231:16	march	10136:23	7	10066:9
10234:16	10161:24	10156:17	10080:2,6	10074:13,1
10235:1	marginally	10157:15	10084:17	4
10237:20	10130:9	10256:6,7,	10092:21	10077:22,2
10240:10,1	margins	22	10098:2	3 10084:2
2	10084:20	10257:6,17	10104:23	10091:6
10247:8,21	Marilyn	10258:7,18	10140:20	10092:5,6
10251:25	9992:14	,23	10154:1	10095:2
10256:4	10085:20	10259:4,12	10159:13	10102:22
10261:12,1	10088:15	,24	10163:23	10105:5,18
9	10153:2	10260:7	10164:21	,19
10263:11,1	10154:6	10261:6,11	10187:15	10106:24
8,24	marked	,18	10207:7	10109:9
10268:3,7,	10013:11,1	10262:11,1	10213:2	10122:23,2
8 10269:10	2,21,22	7,21	10231:6	5 10125:24
10277:13	10030:17	10263:1,23	10243:20	10136:11
10288:20	10157:4	10265:3,10	10247:11	10137:5
10301:9,22	market	,14,24	10254:15,1	10153:1
,23,24	10059:23	10308:14,1	6 10261:16	10154:17
10303:21,2	10061:5	7	10269:16	10155:5,10
2	10065:16	massive	10285:7	10169:8
10304:5,12	10066:21	10076:19	10294:16	10186:25
10306:16	10068:20,2	10093:7	10305:13	10187:9
10312:1,16	1 10096:8	10094:1	10309:2	10191:9
Manitoban	10101:3,7,	match	10312:9	10193:25
9998:21	12,22	10252:18	matters	10197:11
10114:20	10102:7,8	material	10014:18	10203:7
10218:18	10110:24	10024:4	10016:4	10205:18,1
10271:5	10111:6,9	10167:17	10031:7	9 10206:17
Manitobans	10116:19	10210:16	10081:12	10207:23
10052:5	10117:18	10283:5	10137:8	10227:1
10066:3	10204:4,23	materials	10139:5	10228:9
10139:19	,25	10091:8	10266:7	10243:8
10140:12	10205:3	10274:8	10304:7	10245:9
10144:19,2	10231:23	10277:12	maximize	10247:20
3 10150:23	10233:20		10121:24	10248:8
10177:21			maximized	10263:13,1
10178:13				4
				10275:5,7

10283:21	10281:25	10152:2	10014:12	10251:1
10307:15	10293:19	medium	10015:2	10256:3
10308:13	10294:13	10187:16,1	10025:25	message
10311:14,1	meaning	7	10026:22	10004:17
8,25	10179:22	meet 10108:8	10027:9	10216:24
maybe	10191:1	10111:23	10029:6	10230:6
10000:19	meaningful	meeting	10032:1	messages
10011:2	10253:18	10199:20	10035:20	10277:6
10064:23	means	10268:21	10069:19	metaphors
10067:16	10006:14	meetings	10092:1	10201:7
10091:3	10022:21	10269:10	10138:19	method
10118:2,6	10045:6	mega-dams	10139:9,11	10040:8
10146:5	10046:6	10010:17	10142:10,1	10041:21
10149:21	10055:7	megawatt	2 10144:1	10105:7
10198:23	10083:21	10050:8	10151:23	methodologie
10237:22,2	10087:3	10054:16	10152:6	s
3 10276:21	10098:25	10057:8	10195:15	10188:24,2
10280:3	10130:20	10063:12	10232:1	5 10189:12
10297:3	10155:20	10075:4,13	10267:18,1	methodology
10298:23	10183:1	10084:5,9	9,20	10178:25
Mayo	10191:3	10100:23,2	10270:12,1	10182:1,9
10020:10	10244:25	5 10101:17	5	10188:23
10133:14	10293:5	10164:7,10	memorized	10280:16
10238:18	meant	10171:6	10305:21	Metis
Mayor	10036:5	10180:11	10307:8	10073:13
9993:11	10044:22	10225:10	Mennonite	10139:1
mean	10066:9	10265:5,15	9999:3	metres
10035:10	10097:9	megawatts	mentioned	10006:16
10055:6	10109:13	10057:6,7	10015:24	metrics
10072:24	10175:21	10073:9	10017:21	10063:13
10100:1	10182:25	10095:25	10058:18	MH-1
10153:10,1	10245:19	10115:15	10140:12	10219:21
5	10292:23	10116:1	10153:3	MH-104-5
10155:1,16	measure	10193:6	10166:16	9996:8
10178:24	10127:16	10309:13	10185:14	10157:6
10179:14	10194:16	Meghan	10204:4	MH-138
10188:7,10	measurement	9993:15	10223:13,1	10069:24
10194:25	10282:8	Melissa	5 10252:22	MH-171
10195:9,11	measures	10197:13	10273:9,14	10060:20
10204:12	10143:17	10216:10	10282:6	MH-190
10211:19	10146:21	melt 10119:5	10307:19	9996:14
10212:3	10260:20	member	mentioning	10157:24
10219:22	10262:7	9992:14,15	10253:11	MH-192-1
10230:7,8	mechanism	,16,17	10214:5	9996:6
10244:24	10239:4	10032:1	menu	10013:24
10245:16	10243:1	10140:14	Menzies	MH-95
10250:8	Medicine	10152:5	9993:15	
10260:8	10155:7	members	merci	
10262:2	medicines		10029:15,1	
10265:1			7 10030:15	
10271:5,8,			10071:21	
22			10159:11	

10247:20	10163:13,2	minimize	6 10013:11	10016:19
Michael	4 10165:18	10076:15	10014:6	10194:11
9993:24	10169:20	10246:23	10031:9	mix 10049:22
9994:7	10170:20	minimized	10032:14	10067:25
10003:19	10187:21	10054:11	10034:2	10208:22
micro	10238:2	minimizing	10035:3	10278:14
10290:3	10294:21	10220:24	10159:6	mixing
microphone	10302:6,21	minimum	10199:19	10180:7
10012:18	10303:15	10002:17	10215:24	mixture
microscope	10304:22	10194:19,2	10219:21	10294:10
10290:4	10305:3	1,25	10232:10	MKO 9993:23
middle	millions	10195:10	10234:10	MMF 9994:3
10113:13	10079:15	minimum-wage	10242:1	10311:20,2
10118:25	10178:11	10150:8	10250:21	1
10119:8	mind 10050:2	mining	10266:7,14	MNP 10234:2
10163:25	10052:14,1	10117:23	10270:12,1	model
10184:5	7 10054:4	Minnesota	5,23	10019:5
10203:3	10093:4	10043:22	10280:22	10026:19
10302:13	10126:1	10044:8,9	10289:22	10057:12,1
10304:21	10175:7	10227:13	10292:1	3 10064:5
mid-eighties	10182:16	10281:20,2	MIPUG-24	10066:11
10185:9	10199:2,3	4	9996:3	10166:9
milk	10213:14,1	minor	10012:23,2	10292:19
10145:20	8 10218:10	10155:18	5 10273:9	10293:18
10149:19,2	10241:5	10287:2	MIPUG-9-4	10306:19
0	10254:25	minus	9996:4	modelled
mill	10301:13	10294:21	misinterpret	10019:13
10059:12	mind-	10295:14,1	ation	10099:18
Miller	bogglingly	5	10253:10	10106:7,8
9993:19	mindful	10298:11,1	MISO	10111:17
10250:20	10118:12	3	10231:18,2	10204:20
million	minds	minute	3	10283:11
9999:18,22	10061:15	10097:3	miss 10125:4	10285:25
,25	10178:2	10140:12	10219:7	modelling
10000:2,10	10272:6	10150:1	missing	10019:10
,15	mine	10256:9	10046:3	10105:12,1
10004:1	10022:17	10290:9,21	10083:11	5,20
10020:12	10024:11	minutes	10096:18	10166:23
10086:16	10135:23	9998:15	10173:5	10278:22
10087:9,13	miner	10012:3	mission	10292:18
10088:13	10060:4	10071:11	10139:22	10294:15
10093:19,2	mineral	10103:5	misstate	models
2 10097:12	10059:24	10109:22	10226:21	10166:18
10098:12	mini	10206:5	mistaken	10172:15
10099:13	10194:20	10291:6	10003:11	10173:11
10100:17	minimal	MIPUG	misunderstood	10239:9,17
10101:14,1	10147:9	9993:21	10228:19	10294:17
8 10161:21	10198:12	9995:8,15	mitigation	mom 10145:18
10162:21		9997:3,7,1		10149:18

10150:8	9995:20	Morrison	10094:8	10130:23
moment	10029:14,1	10021:3	10096:10	10133:23
10003:23	5,18	10039:16	10108:24	10135:7
10056:16	10250:23,2	10070:23	10109:20	10164:13
10139:13	5	10076:4	10114:11	10194:4
10142:2	10251:1,16	10090:15	10118:14	10228:14
10144:4	10254:19	10197:1	10120:1	10229:10
10146:19	10256:1,3	10201:10	10123:20	10230:9
10164:2	Monte	10228:3	10166:12	multibillion
10196:13	10105:12,1	10259:20	10171:9	10010:11
10303:23	3,14,22	mortar	10174:6,7,22	multibillion
moments	10106:4,6,10,11	10054:7	10175:24	-dollar
10225:22	10256:9,19,23	Mortgage	10176:25	10009:6
Monday	10257:19	10146:25	10177:2	multiple
10311:14,1	10258:3	10147:1	10179:25	10111:2
8 10312:24	month	mostly	10180:1	multiples
10313:23	10146:3	10015:15,16,19	10181:7	10035:17
money	10229:18	10016:18	10192:11,18,23	municipal
10001:21	months	10111:22	10197:18	10015:17
10011:5	10037:24	10128:11	10222:10,15 10228:9	10016:3
10038:20	10093:11	10129:4	10245:8	10269:1
10045:2	10094:17	10227:2	10246:11	municipaliti
10059:22	10168:15	10239:12	10255:19	es
10079:7,21,24	10195:17	10247:12	10278:24	10015:23
10086:15	morale	10268:24	10279:11,14 10297:3	municipality
10111:19	10153:23	mother	moved	10017:18
10115:8	morning	10149:24	10051:20	Muskrat
10129:13	9998:3,13,15,20	10150:6	10090:14	10133:19
10130:11	10003:7	Mouland	10093:25	
10141:17	10012:13	10139:7,11	10171:14	N
10143:18	10014:11	10140:12,14 10141:21	10179:6	narrowed
10167:8	10015:1,2	move 10017:3	10197:25	10283:13,22
10170:16	10024:25	10028:20	10246:12	
10188:3	10027:9	10031:24	10269:8	Nation
10195:7	10029:24	10032:11,21 10038:1	10283:16	9997:15
10222:2	10030:12	10039:25	10284:2,6	9999:10
10225:25	10031:7	10041:4,8	10307:12,13 10311:14	10000:7
10300:5	10072:16	10042:16	movement	10002:17
monies	10135:22	10044:21	10077:7	10003:19
10186:15	10164:5	10048:13	10248:7	10004:4
10245:4	10166:16	10058:15	moving	10016:6
monitor	10171:3	10064:3	10042:11	10235:16
10090:24	10226:25	10069:15	10063:10,19 10069:15	10237:25
10232:11	10256:11	10071:5	10073:20	10242:12,25 10243:24
10257:24	morning's	10074:24	10109:19	10244:10
monitors	9998:4	10075:24	10116:2	Nations
10232:19	Moroz 9993:9	10085:24		10130:14
Monnin		10090:19		10161:19
9994:6				

10162:11	10274:18	net	10019:21	9999:15
10243:19	10277:22	9999:16,21	10043:3	Nobody
10259:6	10279:5	10093:22	10051:20	10080:3
Nations's	10288:2	10097:17,1	10062:3	nod 10215:10
9999:15	10293:19	9,22	10063:9	nodding
natural	necessary	10099:12	10076:13	10216:12
10117:1,3,	10023:12	10130:18	10090:12	nominal
10,14	10040:20	10163:15	10094:12	10280:11,1
10118:1	10042:21	10165:16	10095:14	5
10152:2	10193:13	10183:12,1	10104:18	non 10066:1
10204:9,22	10195:3	8	10215:2	10089:1
10223:1	necessities	10187:7,10	10256:16	10110:22
10309:23,2	10143:18	10189:14	10266:16	non-
4	10144:3,7	10207:9	nice	controllin
nature	10148:6	10236:19,2	10160:14	g 10185:18
10055:3	need-based	2 10237:1	10190:25	10236:11,2
10065:4	10051:22	10260:8	10260:24	3
10077:2	10054:2	10261:8	nicely	non-
10078:18	10055:5	10289:12,1	10259:19	dependable
10203:15	10222:21	4	night	10066:21
10243:6	10225:21	10296:3,4,	10014:12	non-
10246:24	10231:1	5,6,9,12	10195:18	dependent
10257:25	negative	10298:20	10291:18	10143:2
NCN 9999:25	9999:18	10299:17,2	10297:22	none
10000:7,9	10151:19	0,25	nine	10036:21
10004:25	10170:20	10300:3,5	10057:15	10070:3
NCN's	10240:24	10304:20,2	10062:13	nonetheless
9999:19,20	10293:17	5 10306:25	10131:18	10019:7
10000:1	negatively	10307:1	10149:16	10049:8
10001:9	10152:1	neutralize	10295:6,10	10176:21
nearly	negotiating	10253:7	,14	10240:25
10020:17	10237:13	Newfoundland	10297:14	non-
10042:9	negotiations	10015:20	10298:5	interconne
10209:9	10003:25	10024:20	nine-five	cted
nece 10144:2	10004:9	10064:17	10183:16	10069:13
necessarily	10021:24	10065:1,17	nineteen	non-
10021:9	10022:4	10067:8,24	10037:5	participat
10104:2	neighbourhoo	10074:1	10110:11	ing
10113:17	d 10302:6	10132:10	10162:1	10125:13
10134:7	neighbours	10133:19	nine-two-one	nonprofit
10165:21	10068:22	news	10307:3	10139:22
10166:8	Nelson	10048:11	ninety	nonrenewable
10179:14,2	10006:11,1	10114:22	10003:25	10007:25
2 10187:6	3,19,21	newsletter	ninety-eight	normal
10203:23	10017:17	10266:15	10294:22	10066:15
10220:21	10072:15	newsletters	ninth	10076:13
10228:20	nervous	10269:9	10090:19	
10230:16	10110:25	NFAT	Nisichawayas	
10252:18		10000:22	ihk	
10253:18		10006:5		
		10017:4		

10109:14	10073:11	10115:17	10107:3	10145:4
north	nothing	10222:12	10300:7	10155:5
10002:1	10016:25	nudge	10305:1	10161:25
10005:13	10085:5	10068:25	occurring	10207:8
10006:12	10170:17	number's	10120:6	10208:3
10112:6	10193:19	10298:12	10183:22	10228:16
10133:9	10292:24	numerically	10312:2	10234:11,1
10240:13	notice	10278:24	occurs	2 10257:15
northern	10247:8	NWT 10022:1	10048:24	10261:15
9999:1	10264:7		10295:18	10275:21
10002:5,7,9	noticed		odds 10042:4	10299:1
10004:19,24	10156:13	<u>O</u>	Odette	10304:17
10005:1,2,20	noting	O&M 10086:25	9993:10	oil 10064:23
10010:14	10023:7	10098:21	offer	10065:1
10016:20	10073:2,14	10161:1,2	10000:9	10067:22
10048:2	10258:19	10162:6	10039:13	10132:9
10141:7	notion	10303:4	10140:1	okay
10152:20	10083:16	10304:6	10143:10	10030:4,8
Northwest	notionally	10307:15	10262:22	10056:6
10017:9	10218:22	objection	offering	10057:5
10018:20,25	10242:22	10029:24	10004:22	10081:16
10019:2,16	10243:1	objections	offers	10086:6,9
10021:14	10307:21	10027:11	10051:2	10087:2
10023:5	nowhere	10029:16	10262:13	10089:15
10024:21	10006:5	obligation	off-grid	10097:7
10064:18	10308:7	10227:14	10202:2	10098:2
notable	np	10282:1	office	10099:15,2
10105:8	9993:3,5,7	obligations	10232:4	3 10119:23
note	,8,9,11,12	10229:9	10266:16	10128:21
10001:16	,15,16,18,	observations	official	10131:15
10103:21	19,23,24	10112:15	9999:2	10145:5,10
10168:7	9994:3,4,7	obviate	offline	10155:21,2
10237:24	NPV 10040:7	10095:5	10137:12	2 10160:10
10269:9	10089:3	10110:15	10251:6	10171:8
10309:15	10093:16	obvious	10312:2	10179:1
noted	10234:20	10154:3	offset	10181:23
10004:6	10238:2	obviously	10065:18	10183:4
10060:8	10280:11,15	10115:2	10067:2	10195:13
10072:7	10302:15,2	10237:13	o-five	10196:5
10166:19	1 10304:22	occasion	10128:11	10206:10
10251:20	NPVs 10076:9	10016:10	10177:7	10212:10
10255:6	10078:4,5	10250:19	of-service	10219:4
10258:13	10090:3	occur	10017:17	10221:1
10262:11	10246:10	10073:6	oh 10049:16	10222:25
10268:5	10248:19	10122:22	10087:1	10223:4
notes	10301:10	10184:4,9	10117:21	10224:19
	10303:1	10188:1	10144:10	10225:20
	nuclear	occurred		10226:16
				10230:24
				10231:5,12
				10232:14
				10234:1,9
				10236:12,2

5 10241:4	o 10298:1	10058:15	10069:21	10023:11,1
10244:5		10070:24	10163:17	6 10027:20
10245:7,22	ongoing	opportunitie	10247:24,2	10048:20
10246:2	10005:6	s 10056:18	5 10289:12	10051:12,1
10248:25	10007:7	10091:10,1	opposite	4
10253:3	10015:20	9,23	10009:24	10074:7,10
10292:11	10017:9	10095:1	10015:9,11	10075:13
10294:12	10076:15,2	10140:1	opt 10002:14	10091:3,16
10295:7,11	1 10110:8	10196:17,2	optimization	10108:18
,16	10232:3	0 10209:17	10253:24	10110:9
10296:8,20	10268:21	10227:20	Optimize	10113:6
10298:8	10269:10	10235:25	10055:4	10116:11
10305:23	online	10236:3	optimized	10223:16
10306:2	10115:16	10270:5	10053:12	10224:7,18
old 10000:4	Ontario	opportunity	10220:14	10239:11,2
omission	10045:14	9998:21	optimizing	1 10241:10
10031:14	10114:24	10038:19	10050:25	10243:19
One-quarter	10115:1,5	10045:2	10051:1	10274:15,2
10005:22	10207:19,2	10046:1,4	optimum	3 10275:20
ones	4	10051:11	10045:5	10276:10,1
10019:23	Ontario's	10052:20,2	opting	2 10312:19
10101:7	10115:13	3 10054:16	10002:18	oral
10102:5,6	onto	10056:8	option	10312:16,1
10105:20	10120:14	10063:10	10001:22	7
10146:10	open	10065:14	10002:25	orange
10147:9	10011:13	10070:3,25	10009:5,8,	10179:12
10203:16,2	10059:18	10074:5,6	22	orchestrate
5	10116:11	10075:3,19	10011:2,3	10228:1
10207:2,20	10220:10	10076:7	10049:3,4	order
10214:18	openly	10080:16	10054:20	10008:13
10255:1	10153:15	10082:3	10074:1	10063:24
10272:8	operating	10090:16	10081:25	10093:24
10287:1,2,	10113:2	10108:5	10091:2	10126:17
7 10289:4	10120:16,1	10125:5	10095:7	10142:16
10295:4	7 10122:22	10137:1	10117:25	10175:23
one's	operation	10152:22	10195:2	10187:21
10129:13	10024:7	10181:11	10228:8	10252:23
10203:24	10059:13	10183:7	10237:3,8,	10275:9
one-six	10203:4	10217:20,2	19	ordering
10162:24	operational	2 10218:1	10239:14	10094:5
one-six-	10236:4	10220:13	10258:24	orders
nine-six	operations	10223:11	10259:21	10104:18,2
10307:7	10059:11	10228:24	optionality	0
one-third	10092:17	10229:7	10040:17	organization
10005:2	10147:13	10231:2	10047:4,6	10139:23
one-two-	10270:13	10236:20	10049:12	10156:4
eight-nine	opinion	10308:25	10075:10	10271:1
10298:3	10194:15	opportunity-	10116:10	organization
one-two-two-	opportune	based	options	s 10047:3
		opposed		original
		10052:5		

10000:11	10072:7	outcomes	10284:20	10308:6,7
10013:12	10090:20	10095:11	overall	p.m
10031:10	10120:9	10173:10	10024:3,6,	10138:3,4
10032:22	10171:19	10177:9	7,12	10156:9,10
10033:4	10176:8	10252:10	10054:25	10206:7,8
10047:9	originals	outdated	10060:22	10291:9,10
10061:21	10184:10	10277:13	10072:20	10314:3
10072:7,14	Orle 9993:23	10304:9	10073:12,2	P10 10176:12
10090:22	others	outer	3 10089:5	10193:24
10094:11,1	10010:7,19	10107:11	10098:5	P10s
2 10095:13	10015:17	outflow	10099:4,8	10193:25
10107:18	10019:20	10218:20	10107:20	P90 10176:12
10132:2	10054:23	outlet	10172:8	P90/P10
10158:17	10092:25	10098:20	10252:17	10175:22
10159:23,2	10095:19	10099:21	10289:6	10176:4,16
4 10162:23	10114:15	10100:1,15	10293:20	10178:17
10163:17	10139:19	outline	10296:6	pace
10171:19	10162:13	10239:22	10299:25	10032:10
10174:25	10190:7	10240:3	overflow	PACT 10099:8
10178:17,1	10243:22	10241:10	10006:16	page 9995:2
8,19,22,24	10283:9	outlined	over-	9996:2
10181:25	10305:21	10030:2,10	focussing	9997:2
10184:7,10	other's	outlook	10046:20	10032:13
,24	10042:4	10284:1	over-	10034:14
10185:24	Others	10310:19	interpreti	10037:14
10187:13,2	10017:12	output	ng 10167:7	10055:22
0 10188:22	otherwise	10059:21	overlap	10100:21
10189:10	10058:25	10077:22	10024:2	10146:6
10190:5	10188:2	10092:23	overlapping	10148:2,18
10192:4	10196:4	10257:9	10105:22	10171:12
10197:23	10238:25	10286:1	overly	10188:20
10200:11	10256:17	10293:2,18	10189:1	10212:22
10208:14	10289:14	,23,25	overstated	10214:1
10212:22	10296:17	10306:18	10227:2	10220:6
10213:2	Ottawa	outputs	overtime	10227:6
10214:18	10019:20	10295:5	10014:13	10234:11
10215:2,5,	ought	outset	overtop	10256:12
6,7	10111:7	10028:15	10212:5	10257:6
10217:11,1	10126:21	10032:24	Overuse	10259:25
9	ours 10120:8	10129:14	10130:19	10262:12
10233:17,2	10268:18	10272:23	owned	10286:9
5 10234:25	ourselves	outside	10015:16	10288:11
10235:5	10079:14	10024:18	10017:17	10289:22
10240:11	outcome	10038:16	10133:10	10290:10,1
10269:16	10045:22	10140:9		4,15
10283:13	10046:2	10179:5,6,	<hr/>	10292:1
10299:22	10047:24	25	P	10297:5,24
10305:12,2	10048:6	10180:1,15	P.K	10298:23
3 10306:5	10094:22	10272:23		10301:24
originally				10304:18,2
10003:6				
10057:5				
10063:24				

1	10277:14	g 10125:12	3	paths
10305:16,2	10280:22	participatio	10004:2,3	10094:17
4	10282:14,1	n 10104:15	10158:11,1	10116:12
10306:3,24	7,20,22	10127:19	8 10236:16	10224:24
pages	10288:14,2	particular	partnerships	10225:2
9992:25	1 10292:7	10026:14	10004:19	10229:17
10158:15,1	10301:8,25	10039:25	party	pathway
7 10249:24	10302:24	10050:7	10144:17	10047:13
pagination	10308:11	10145:17	10148:1	10049:13,1
10289:23	10311:6,9,	10187:16	10229:17	5
paid	22	10188:20	pass	10050:8,10
10035:23	10312:11	10250:2	10063:12	10053:10,1
10036:1	panic	10282:11	10076:8	2 10054:10
10041:17	10230:14	10283:14	10113:23	10055:4,5
10128:13	paper	10292:25	10147:13	10163:10
10142:22	10021:7	particularly	passes	10186:10
10150:25	10033:17	10018:22	10125:11	10201:15
10177:14	10092:9	10033:16	10130:8	10216:25
10179:6,10	10100:8	10037:14	past	10217:3,10
10184:3	10156:14	10169:22	10007:18	,16,20,21,
panel	10159:17	10171:6	10011:20,2	22 10218:1
9995:8,15	paragraph	10185:23	2 10017:10	10219:16
9997:3,7,1	10157:18	10207:2	10063:19,2	10220:5
6 9998:5	parallel	10247:19	0 10152:7	10223:11
10014:6,12	10006:11	10249:25	10240:2	10224:21
,21	10062:23	10272:1	10241:19	10231:1
10015:3	paraphrasing	10301:24	10248:12	10274:8
10025:25	10226:21	parties	10261:1	pathways
10026:22	parentheses	10015:9,11	10277:25	10046:13,2
10027:9	10251:10	10039:22	10292:23	1 10047:4
10029:6	Park	10042:3	paste	10050:21
10032:1	10039:16	10267:7	10240:5	10056:5,15
10058:21	10070:23	10269:3	path	10058:8
10059:7	10076:4	10312:4,5	10004:21	10135:7
10069:19	10090:15	partner	10044:24	10274:8
10091:5	10201:10	10000:7	10045:5	patience
10093:10	10228:3	10004:2	10075:3	10207:4
10137:3,13	10259:20	10044:7,8	10108:16	patient
,24	Park's	10059:21	10173:16	10038:23
10139:8,10	10021:3	10267:21	10186:13	PATRICK
10141:21	10197:1	partners	10221:2	9995:9,16
10144:4	partially	10005:1	10223:15,2	10014:8
10145:9	10110:6	10161:19	3 10229:1	10015:1,10
10155:25	participants	10162:11	10275:2,3,	10016:15
10156:3	10089:2	10228:12	6 10276:11	10017:8
10159:6	participated	10235:16	10296:16,2	10018:3
10189:20	10091:14	10238:1	3	10020:7
10195:15	participatin	partnership	10297:10,1	10022:11
10215:24		9999:11	9 10298:2	10023:24
10242:1		10000:16	10299:16	10025:5
10272:2		10003:21,2		10026:4
10273:7				

10028:12	10168:4	10229:8	10272:21	10227:8
10030:22	10169:8	10230:16	10273:13	10238:5,10
10031:2,8	10170:5	10231:4,6,	10274:13,1	10239:25
10032:7	10171:11	20,25	6 10275:21	10241:15
10033:11	10172:18	10232:7,12	10277:8,22	10249:19
10038:4	10173:7	,16,20	10279:13,2	10250:5
10041:13	10174:24	10233:4,10	0 10281:22	10271:18
10042:22	10175:4	,17	10282:10,1	10281:10,1
10043:1	10181:10,2	10234:5,12	5,19	6 10289:25
10046:17	3 10184:19	,23	10284:17	10290:6,17
10050:18	10185:21	10235:4,13	10285:6,21	10303:25
10053:8,15	10187:19	,18,23	10286:17,2	10304:15
10056:9	10188:21	10236:1,5,	1,25	10305:8,18
10058:22	10190:1	8,13,22	10287:11	10307:25
10061:11	10192:2	10237:5	10288:10,1	10311:1
10063:6,23	10193:11	10238:3,15	8 10290:8	pay 10057:17
10066:7	10194:23	,20	10291:24	10060:7
10069:22	10196:1,6	10239:7,23	10292:4,8,	10080:15
10072:3,6	10197:7	10240:1,8	14	10081:9
10076:1	10200:8,13	10242:21	10299:1,5	10086:21
10079:19	,16	10243:3,18	10300:20	10091:24
10082:1	10202:12	10244:13,2	10301:4,11	10105:5
10084:3	10206:19	0,23,25	10302:3,9,	10123:17
10085:23	10208:19	10245:14,1	17,22,25	10131:12,1
10087:19,2	10209:4,8,	9,25	10303:16,2	5 10132:21
1	19	10246:6,16	0	10141:1,3
10088:1,18	10210:6,9,	,22	10304:1,19	10161:1
10089:15,2	15,23	10247:7	,23,24	10169:21
4 10090:21	10211:5,18	10248:13	10305:5,10	10175:6
10091:12	,23	10249:1,15	,20,25	10177:6,21
10092:13	10212:1,11	10251:15,1	10306:4	10178:8
10093:14	,19	9 10255:3	10307:23	10179:19
10094:9	10213:1,12	10256:21	pattern	10196:20,2
10096:22	,17,22	10257:2,15	10182:7	2,23
10099:21,2	10214:4,9,	,20	Patti 9993:5	10198:19
4 10102:21	17,25	10258:17,2	pause	10207:4
10103:17	10215:10,1	2	10007:11	10294:6
10104:7	5 10216:18	10259:1,10	10027:3	10304:5,6
10109:1	10217:2,12	,16	10030:6	paying
10112:17	,16,24	10260:6,14	10042:25	10126:16
10114:13	10218:3,8,	10261:9,15	10087:24	10179:22
10116:13	12	,23	10103:15	10200:6
10118:15	10219:12,1	10262:16,2	10104:5	payment
10119:14,2	8	0,25	10146:19	10002:17
4	10221:4,10	10263:3	10154:10	payments
10120:3,5	10223:1,9,	10264:3	10195:20,2	10000:9
10123:25	12,19	10265:9,13	5 10201:1	10004:1
10126:5	10224:3,13	,17	10202:10	10055:3
10127:25	10225:3	10266:12,1	10214:13	10303:18
10129:2	10226:2,7,	7,20,23	10216:5	10305:2
10131:2	13,17	10267:4	10217:7	pays 10153:6
10134:9	10227:1,10	10269:19	10219:10	
10159:8,18	,16,21	10270:1,14		
10166:13	10228:25	10271:20		

PDA 10000:12	10048:10	10221:17	4	10128:12
PDF 10306:3	10049:9	10222:11	10121:9,18	10168:14
PDP 10000:18	10054:25	10229:14,1	10126:24	10184:4,5
10001:17,2	10056:22	6 10234:7	10127:2,23	10186:2
5 10004:20	10057:17	10240:21	10128:8,14	10192:10
10005:12,1	10059:17	10245:1	10129:7,12	10202:1
8,22	10060:7,15	10251:21	10130:11	10205:17
10006:1,23	10062:3	10257:23	10142:17	10214:1,2,
10009:13,2	10074:11	10258:2	10149:4	3 10240:24
0	10075:17	10262:9	10150:3	10246:9
10010:22,2	10078:22,2	10263:15	10166:1	10264:21
4,25	4 10081:13	10268:19,2	10174:7,8	10273:17,2
10011:6	10088:20	0 10273:18	10182:19	1 10274:20
10180:17	10090:2	10274:2	10188:16,1	periods
10183:21	10091:24	10287:15,2	7,18	10122:4
10298:15	10093:4,17	0 10292:19	10309:22,2	permits
10300:5	10095:1	10301:13	3	10257:10
PDP's	10105:12	10304:2	10310:2,9,	persist
10002:7	10110:3	10307:2,3	10,14,16	10117:18
10007:2	10111:1,7,	peoples	percentage	persistent
10008:21	9 10112:23	10002:1	10174:18	10001:13
peak 10035:3	10115:19	10010:14	10182:1,2	10185:15
10068:21	10116:18	10073:18	10303:5	person
10070:14	10117:2,21	10074:3	perception	10037:6
10121:8,20	10118:5	10152:3,11	10139:18	10089:1
,23,24	10119:4	10272:6	perfectly	10110:12
10123:8	10120:15	people's	10184:21	10147:11
10198:24	10124:3,5,	10061:15	10283:15	personally
peaks	20 10125:5	10152:19	performance	10255:2
10067:16	10127:17	10153:22	10252:17	10309:4
10198:25	10139:25	10175:7	performing	perspective
pegged	10140:1,8	per 10000:10	10115:17	10022:21
10176:10	10141:16	10020:15	10193:15	10023:21
pejorative	10144:11	10142:17	perhaps	10036:5,23
10202:23	10145:10	10148:3	10010:19	10037:8
10230:7	10146:6,14	10190:5	10027:20	10038:22,2
pen 10078:10	10149:25	10263:25	10066:5	5
10121:3	10151:17	percent	10069:14	10086:12,1
10239:15	10152:11	9999:15	10119:25	4 10088:20
people	10153:18	10000:3	10181:1	10089:7,8
9998:25	10154:2	10001:8,12	10189:23	10097:4
10003:8	10171:2	10002:11,1	10218:10	10098:1,5
10004:25	10177:6	6	10228:19	10124:7,8
10005:3,4,	10178:8	10003:3,4,	10239:17	10129:15
13,15	10179:1	12,15	10247:5	10203:18
10008:15	10181:24	10004:24	10266:8	10268:18
10012:3	10197:9	10005:7,25	10277:16	10287:23
10039:14,1	10202:20	10006:12,2	period	10288:2,3
6 10044:4	10204:7	0 10022:18	10001:19	10306:12
10045:19	10207:6,22	10029:2	10015:6	perspectives
	,23	10036:3	10026:6	
	10208:4	10064:22,2		
	10209:21			

10034:1	10289:18	picked	10199:12	9999:8
10042:7	10290:9,13	10175:12	10209:23	10002:4
10056:15	,14	10292:23	10228:6	10009:3,25
10109:11	10291:2,4,	picking	10278:10	10012:15
10120:11	13,15,16,2	10048:21	10296:10	10018:9,14
10128:1,3	5	10054:23	10300:9	,18
10177:19	10292:5,9,	picture	10306:25	10035:6,12
persuasive	10	10034:19	pieces	,24,25
10063:10	10298:25	10088:19	10055:16	10037:2,11
10261:1	10299:3	10160:5	10066:4	10038:8,10
pessimistic	10300:11	10161:25	10096:10	10043:11
10080:7,12	10301:2,6,	10163:8	10160:3	10047:21,2
,24	20	10169:14,1	10228:2	2
Peter	,18,23	6,18	10283:12	10048:7,9,
9993:19	10303:11,1	10173:6,13	10284:19	16
Peters	7	,17	pile	10049:13
9993:2	10304:8,17	10175:24	10162:14	10050:13
9995:22	,20	10186:17	pill	10051:8,9,
10029:18,1	10305:24	10192:5	10011:6	21,22
9 10136:25	10306:2	10197:25	pipeline	10052:4,18
10137:9,11	10307:18	10202:14	9996:10,11	10054:2,10
,20	10308:1,10	10212:6	,13	,11,14,23
10156:21	,12,15	10303:21,2	10057:16	10057:23
10250:17,1	10311:4,5	2	10058:25	10061:16,2
8,23	10313:2	pictures	10059:1	0
10266:2,4,	phase 9999:7	10007:8	10083:19	10063:8,10
5,13,18,21	10269:8	pie	10093:3	,11,14,25
10267:1	phases	10081:2,10	10107:13	10064:1
10269:15,2	10076:25	10082:18,2	10119:16	10072:22
3 10270:11	philosophy	1	10156:24,2	10075:7,9
10271:12	10140:16	10161:4,10	5	10086:3,6
10272:18	10145:7	10162:8	10157:1,9,	10087:12,2
10273:5	phonetic	10194:4	11,12	2 10094:21
10274:7,14	10059:14	10200:17	10276:3	10095:24
,18	10258:12	10278:23	places	10096:4,5
10275:17	photos	10279:2	10064:11,1	10097:6
10276:17	10007:19	piece	5 10093:3	10098:2,16
10277:11	phrase	10021:6	10170:12	10099:11
10279:8,18	10058:1	10035:11	10172:10	10100:5,9,
,21,25	10073:22	10036:10	10186:19	18,19,20,2
10280:2,11	10230:8	10037:4	10187:4	2 10101:16
,13,18	physical	10052:1	10203:22	10103:1
10281:12,1	10123:13	10076:2	10204:14	10107:20
3,18	pick 10045:4	10111:15	plait	10108:2,7
10282:4,11	10048:19	10117:23	10029:14	10117:9
,16	10049:16,1	10162:7,10	10206:12	10122:15,1
10284:15	7,18	10163:4,6	10250:23	6,25
10285:3,18	10254:6,7	10167:24	10313:3	10127:19
10286:9,18	10304:21	10178:4	plan 9992:10	10132:2
,22		10192:4	9996:8,9,1	10134:15,1
10287:9		10194:4	1,12	6,18,21
10288:6,11			9997:3,4	10136:13
				10141:10
				10156:23,2

4,25	10214:6,8,	9 10028:13	10085:14,1	Plans
10157:7,8,	22,23	10029:7	5 10086:1	10056:4
10,11	10215:4,5,	10043:4	10087:10	10156:23
10160:6,8,	6,9,11,19,	10044:23	10094:5	10175:6
13,23	24,25	10072:12,2	10095:4,15	plant
10161:8,23	10220:8	1	,16,18,19,	10057:11
10162:23	10224:24	10073:12,2	21	10065:1,11
10163:9,10	10225:22	3 10075:23	10096:21	10067:17
,17	10226:8	10077:25	10098:14,2	10068:11
10165:1,5,	10228:2	10090:22	4 10099:18	10070:6
7 10168:24	10234:21,2	10094:14,1	10102:3,4	10086:19
10169:17,2	2 10245:24	5 10095:12	10103:2	10088:8
2,24	10252:3,6,	10106:19	10107:23	10091:22
10170:4,6	17 10254:6	10107:10	10111:20,2	10092:15
10171:4,5	10260:18	10108:4,13	2,23	10105:1
10172:2	10265:2,11	10109:4,5,	10112:1	10152:12
10173:14,1	10268:17	14,17,18	10132:1,5	10224:16
6 10175:12	10269:18	10112:14,2	10138:22	10263:16
10176:1,2,	10270:9	0	10139:18	10270:25
7,8,13,15	10271:13	10113:4,11	10142:7	plants
10177:3,5,	10272:13	10114:4,17	10152:5,19	10006:25
8 10178:19	10275:23	10115:7	10163:18	10056:23
10180:7,17	10279:15	10119:17	10168:22	10065:4,8
10182:5,6,	10293:1	10120:16,2	10169:1	10074:21
20	10294:19	0 10121:2	10171:1,4	10091:1
10183:21,2	10295:20	10136:21	10175:21	10092:24,2
3	10297:2,4,	10143:15	10176:9	5 10110:4
10184:2,7	5,12,13	10171:25	10183:25	10112:8
10185:9,23	10298:1,2,	10172:8	10184:11	10115:17,1
10186:14	3,10,11,13	10185:25	10189:2,12	8,23
10188:15	10299:8,21	10186:18	10191:11	10218:19
10190:4,9	,23	10189:4,16	10210:24	10222:12
10191:16,2	10301:19	10194:24	10211:20,2	10263:9,10
1	10302:15	10195:8,10	2	10287:4
10192:5,6,	10304:22	10221:18	10226:5,9,	play
8	10305:23	10222:9	10,13	10024:11
10195:22,2	10306:5	10226:1	10245:13,1	10054:3,6
3	planned	10261:14,2	7	10103:21
10196:4,9,	10266:22,2	2 10264:16	10246:5,8	10133:7,14
16,18,22	3 10311:13	10297:18	10252:8	10146:10
10197:18,2	planning	plans	10254:2	10168:17
2,24	10001:19	10035:12,2	10262:6,13	10183:9
10198:7,18	10009:11	4 10037:12	,18	10249:5
10199:5,6,	10016:21	10043:11	10265:12	10308:7
7	10017:1,25	10045:3	10271:10	playing
10200:1,2,	10018:2,4,	10046:13,2	10282:12,1	10068:8
21,23	5,12,21,23	0,25	8	10199:21
10207:1	10019:5	10048:5	10289:6,8	10284:4
10210:20,2	10020:4,6	10050:20	10293:8,14	plays
1	10022:14	10051:14	10296:22	10183:16
10211:2,3,	10023:25	10060:21	10311:9	please
11,12,14	10025:9	10061:14	plan's	
10212:7	10027:18,1	10062:4	10189:10	
10213:5				

9998:9	10055:8,15	10301:7,21	portion	10177:8
10014:3	10059:17	10304:11	10008:9	10197:13
10015:8	10070:21	10309:11	10027:25	10244:2,20
10022:8	10073:16	10310:10	10059:6	10248:17
10027:7	10075:21	pointed	10066:1,2	10267:5
10032:6	10078:24	10010:20	10171:9	10270:8
10041:12	10080:3,11	points	10193:17	10287:3
10056:6	,14,17	9996:7	10273:16	10312:17
10061:9	10081:8	9999:4	portray	possibly
10123:24	10088:16	10000:13	10169:14	10048:9
10136:6	10103:8,9	10013:20,2	10170:8	10131:18
10137:10	10104:12,1	5 10024:24	10288:15	10168:21
10159:4,15	9 10116:10	10041:1	portrayals	10267:12
10232:23	10117:6	10151:18	10289:3	post-
10251:4,17	10119:9,13	10277:2	posed	constructi
10263:17	10126:17,1	10309:14	10045:16	on 10236:3
10266:2	8	poke 10106:4	position	post-in-
10288:17	10127:1,9	policy	10012:10	service
10289:20	10128:10	10121:3	10079:14	10192:17
10311:4	10132:12	10140:18,2	10082:21	potatoes
pleased	10133:1,4	1,24	10139:16	10146:1
10055:17	10134:1,12	10141:11	10206:11	potential
10156:20	10151:15	10151:13,1	10210:11	9996:10,11
PLIL	10163:22	6 10184:17	10265:4	,12
10263:24	10165:14	10190:16	10272:19,2	10003:2,22
10264:2	10168:10	10269:11	4 10300:14	10054:21
plug	10170:16	politicians	positions	10078:21
10008:19	10177:7	10115:22	10012:3	10094:13
plugging	10182:21,2	polluted	positive	10095:6
10010:17	4 10183:16	10152:13	9997:23	10156:24,2
plus	10184:18	poor	10005:19	5
10121:23	10185:2	10144:11	10168:25	10157:9,10
10124:12	10200:9,10	10150:2	10280:9	,12
pocket	10201:9,21	poorly	10281:8	10201:22
10055:12	10204:6	10080:11	10303:6	10238:14
point	10222:7	10083:13	possibilitie	10241:10
10001:5,25	10224:8	10129:23	s 10059:4	potentially
10004:23	10245:3	popular	10176:20	10258:15
10005:21	10247:9	10199:19	possibility	poverty
10006:3	10248:19	porch	10002:12	10138:15
10008:18,2	10267:17	10287:12	10003:13	10139:14,2
2	10274:17	Portage	10045:20	5
10011:16,1	10289:11	9992:22	10239:8	10140:2,15
7 10021:18	10290:25	portfolio	possible	10142:10,1
10033:17	10292:25	10275:22	10012:4	3 10146:22
10040:15	10295:6,10	10310:8	10068:21	power
10045:13,1	,14	portfolios	10094:22	10005:6
9	10297:11,1	10113:9	10103:9	10009:2
10046:9,23	2,13,16		10106:24	10017:9
10048:8,17	10298:3,4,		10172:24	10018:21
10049:2	5,6			
	10299:18,2			
	4			

10023:16	10021:9	13	10231:15	10175:5,18
10043:22	practitioner	10161:7,22	prepare	10176:9
10044:8,9,10	s 10021:11	10162:23	10206:2	10178:7,11
10066:25	pre 10020:17	10163:10	prepared	10204:7
10083:20	10131:11	10182:5	10019:23	10236:19,2
10087:7	10208:14,1	10190:3,8,	10030:20,2	3 10237:1
10092:19	7 10212:22	9 10191:21	5 10034:17	10251:8
10095:9	pre-build	10192:5	10046:18	10259:5,11
10099:12	10085:16	10237:2,7,	10059:20	10272:24
10101:14,24	precedent	18	10076:11,1	10274:17
10115:7,13	10077:24	10268:17	3 10081:14	10306:25
10120:21	precise	10269:18	10120:8	10307:1
10122:5	10186:6	10271:13	10135:19	presentation
10151:21	10245:16	10279:15	10156:2	9995:6,13
10160:18	precisely	10302:15	10159:23	9998:8,11
10162:5	10238:21	pre-file	10166:20	10011:16
10165:1,2,6 10193:17	precursor	10063:4	10167:24	10028:14
10203:21,22	10077:23	pre-filed	10168:7	10032:2,6,8 10039:24
10204:2,16	predates	10032:23	10213:8	10069:16
10220:10	10003:8,9	10050:16	10224:17	10071:9,23
10221:18	predictably	10104:11	10240:2	10096:23
10222:7	10039:22	10131:11	10243:16	10138:12
10227:13	predicted	10213:11	10285:15	10156:2
10231:17	10001:3,6	10233:13	10288:20	10159:14,2
10260:24	preface	10286:10	10289:10	2 10171:10
10275:1,10,25	10039:24	10288:12	preparing	10177:11
10276:8	10255:5	10290:11	10019:15	10212:4
10281:20,24 10286:15	prefer	pre-hearing	10136:10	10238:13
10294:10	10304:2	10066:8	pre-project	10239:3
PowerPoint	preference	pre-	10020:10	10247:21
10227:6	10135:21	investment	present	10251:4
10232:23	preferred	10196:20,21	9998:21	10258:8
10238:8	9992:10	preliminary	10007:18,1	10288:25
10245:11	9999:8	10020:20	9 10014:22	10290:25
pr 10211:12	10002:15,2	10033:10,1	10027:11	presentation
practical	5 10012:14	4 10036:16	10035:23	s 10010:5
10036:8	10037:2,11	10039:2	10036:2,22	10072:17
10192:20	10043:11	10201:6	10049:13,1	10311:23
10273:10,15	10047:21	premise	4 10086:15	presented
practice	10048:7	10067:5	10093:19,2	10042:8
10052:6	10051:21	10083:25	2	10048:5
10069:25	10054:22	10129:6,9	10097:9,23	10049:12
10184:1	10061:15	10144:18	10098:10	10080:8
practitioner	10096:5	10220:24	10129:5	10087:9
	10103:1	premium	10139:15	10131:25
	10134:16,21	10084:19	10144:15	10181:17
	10160:6,7,	10085:22	10152:23	10212:8,22
		preparation	10160:10	10235:18
		10024:7	10161:1,5,20	10283:6
			10162:22,25	presenter
				10012:11

10137:23	10149:5	10111:4	10243:23	10276:19
10138:8	10175:8	10117:1,2,	10268:25	10283:17
presenting	10185:14	10	10269:6	10285:5
9998:20	10188:7	10146:23	privately	10300:23,2
10158:11	10198:25	10166:24	10311:11	4 10301:5
10300:9	10202:14	10174:6,10	pro 10133:4	10309:16
President	10219:23	10194:13	probabilisti	10310:2
10012:20	10225:8	10203:21,2	c 10256:24	probing
10029:16	10244:2	2	10257:18	10206:3
10030:16	10276:12,1	10204:2,9	probabilitie	problem
10071:22	4	10233:3,20	s 10027:24	10078:23
10159:12	prevailing	10234:4	10105:24	10080:25
10251:2	10078:6	10283:7,10	probability	10183:18
press	prevented	,20	10173:10	10222:12
10040:25	10150:19	10284:13,2	10233:8	10255:11
presses	preventing	3 10287:21	10234:3	10274:22
10168:12	10284:20	10289:8	10256:24,2	problems
pressure	previous	10293:13	5	10094:14
10110:20	10045:9	10295:20	10282:7,12	10096:25
10177:24	10063:25	10296:15,1	10284:22	10252:1
pressures	10070:4	8,19	10285:8	proceed
9997:10	10101:20,2	10297:9,15	probably	10014:3
10040:25	5 10168:13	,16	10012:2	10031:24
10185:17	10169:15	10298:1,4,	10029:2	10033:9
10187:3	10172:17	5 10299:19	10067:1	10048:3
10198:4,16	previously	10300:4,5,	10069:7	10050:16
,17	10109:3	7	10075:2,23	10056:7
10199:16	10159:8	pricing	10083:2	10125:15
10238:24	price	primarily	10091:13	proceeding
10241:25	10067:3	10013:7	10104:8	10016:10
10242:6	10110:20,2	10108:5	10107:11	10026:20
presumably	2,23	10129:11	10114:16	10114:7
10003:1	10117:5	10174:3	10126:15	10258:20
10209:6	10174:13	10189:14	10130:19	10259:13
10221:7	10179:10	10310:21	10135:15	proceedings
presume	10204:20,2	primary	10174:15	9998:5,7
10003:3	2,24,25	10129:18	10193:1	10002:14
pretty	10233:1,7,	principal	10198:20	10012:10
10020:16	15 10234:4	10023:4	10199:18	10015:11
10025:10	price/no	principle	10203:8	10071:18
10026:5	10232:25	10044:23	10206:1	10138:7
10033:6	priced	10070:14	10207:20,2	10156:13
10036:8	10111:6,7	10141:8	1 10208:4	10231:15
10045:11	prices	principles	10209:12	10313:21
10048:18	10047:15	10109:5	10220:19	process
10069:11	10059:24	priorities	10224:15	10009:17
10070:15	10064:23	10287:25	10230:20	10043:4
10075:6	10066:24	private	10241:18	10089:25
10117:10	10067:4		10248:5	10092:16
10148:20	10101:7,8		10261:4	10112:15,1
			10263:21	9

10113:10,1 2,17 10114:2 10116:12 10129:4 10197:16 10214:19 10221:16 10230:13 10247:12 10260:11 10266:16 processed 10004:1 processes 10039:4 10040:24 10113:25 prod 10106:4 produce 10041:5 10065:8 10112:2 produced 10013:19 10066:8 10119:16 10172:22 producing 10143:16 product 10052:21 10065:12,1 4 10066:22 10067:10 10068:12,1 9 10084:14,1 9 10085:22 10118:2 production 10001:4 10003:10 10084:14 10122:10 products 10065:9 10092:18 10093:5	profess 10231:22 professor 10045:13 10142:4 professors 10105:16 10106:6 profile 10025:17 10050:1 10055:24 10088:2 10123:14 10133:4 10169:25 10282:9 10283:5 10284:3 10287:24 profiles 10282:25 10285:5 program 10016:20 10026:9 10087:13 10088:13,1 4 10103:19 10104:15,1 6 10125:11,1 6 10142:22 10143:5 10150:24 10151:20 10153:5,8 10155:9 programs 10023:17 10032:18 10053:22 10091:13 10142:5 10260:11 10267:21 progress 10200:20 prohibiting 10151:6	project 10000:25 10002:18,2 2 10016:5 10018:5 10019:17 10020:4,5, 9,11,15,18 ,25 10021:4,13 ,15,23 10022:12,2 2 10023:9,16 ,25 10024:2,14 ,15 10025:9,15 ,17 10027:19 10029:7 10038:19 10062:1,19 10077:5,10 10078:13 10080:1 10085:16 10090:4 10112:12,2 1 10130:8 10131:12,1 3,20 10132:13 10160:19 10163:3 10192:24 10207:15,1 8 10238:25 10240:14 10248:8 10270:5 10279:12 10288:4 10310:15 projected 9999:17,21 10003:11 10296:3,12 10310:20 projecting 10309:21 projection	10310:18 projections 10001:9 10010:12 projects 9997:9 10016:7 10018:17 10020:8 10022:7 10023:3 10024:1 10025:11,1 3 10027:19 10038:14,2 1 10062:2 10068:1 10072:15,2 2 10073:6 10077:2,3, 4 10129:11 10130:17 10131:5,7 10132:8 10133:2 10192:13 10205:13 10227:24 10232:5 10241:25 10242:5 10275:5 10278:3 10286:11,1 2,15 10287:13,1 5 10288:4,5, 8 10289:5 10298:19 10303:5 10309:12 10310:11,1 9 promise 10003:14 10082:12 promised 10159:12 promises 10131:13	proper 10077:17 10078:2 10095:3 10119:17 10202:18,2 0 10258:5 properly 10009:22 10070:12 10113:2 property 10269:3 proponent 10004:17 proponents 10002:18,2 2 proposal 10026:15 10104:14 10113:21 10140:13 10142:15 10199:3 10267:24 proposals 10152:24 10220:10 10267:13 proposed 10000:12 10019:16 10023:8 10069:20 10070:20 10072:22 10077:20 10095:18 10097:5 10151:2,3 10157:3 10262:6 prospect 10037:12 prosperity 10004:21 protect 10000:7
---	--	---	---	---

10023:2	10251:17	provision	10219:5	10216:25
10076:16	10268:15	10151:20	10247:22	10258:13
10079:22	10280:4,22	prudence	10258:8	pursued
10194:25	10288:12	10246:20	pulled	10137:17
10246:21,2	10292:1	prudent	10032:9	10217:3
3,24	10310:24	10261:12,1	10086:5	pursuing
10247:5	10312:16	9	10169:1	10161:7,22
10258:24	10313:18	PUB 9999:14	10197:22	10260:11
protected	provided	10011:20	pulling	pursuit
10110:1,6,	10053:17	10022:3	10300:17	10180:21
8 10151:1	10058:23	10045:8	pulse	push
protecting	10109:7	10047:7	10266:9	10184:24
10078:20,2	10120:15	10201:17	purchase	pushed
3	10157:3	PUB/MIPUG-13	10087:7	10061:2,3
10079:4,16	10174:17	10031:15	10099:12	10062:10
10080:21,2	10190:23	pubic	10101:14,2	10075:16
2 10195:1	10193:14	10243:22	4 10118:2	10084:20
10246:15	10257:9	public	10160:18	10102:17,2
10259:13	10260:10	9992:3,21	10162:5	2 10111:2
protection	10297:21	10009:14	10165:6	10224:8
10191:6	10301:25	10035:18	10294:10	pushes
10194:17,1	provides	10059:16	purchased	10184:8,25
9,21	10070:10	10138:20,2	10164:25	pushing
10195:12	10232:5	1 10139:4	10165:2	10064:21
10262:13	10257:18	10141:24	10178:9	10197:6
prov	10265:22	10142:14	pure	putting
10268:15	providing	10143:25	10284:20	10046:10
prove	10280:19	10144:22	purple	10050:25
10000:18	10300:13	10152:17	10066:19,2	10073:21
10011:7	province	10249:12	3,25	10127:5
10258:16	10004:21	10267:23	10068:25	10129:13
10288:4	10005:11	10311:23	10069:1,2	10300:13
provide	10037:7	10312:11,1	10070:4	puzzle
9997:7,16	10076:20	5	10179:13	10036:11
10010:13	10077:4	publically	purposes	10160:4
10031:15	10140:20	10060:12	10036:8	10194:4,6
10095:1	10141:1,12	publicly	10041:25	10278:10
10106:3	10151:1,6	9997:13	10063:1	PV
10112:14	10153:6	10242:9	10186:3	10310:13,1
10133:16	10207:18	10244:8	10187:1,3	9
10137:18	10264:2	10311:10	10210:2	
10140:7	10267:16	published	10233:15	
10152:19	10268:5	10143:20	pursing	<u>Q</u>
10158:8	provincial	pull	10258:15	Qual
10159:16	10016:3	10001:18	pursue	9995:9,16
10190:11	10078:12	10055:22	10047:21,2	10014:8
10212:16	10080:10	10103:19	4 10090:24	10159:8
10241:10,1	10110:10	10193:13	10182:15	qualification
2,23	10140:22	10197:22	10191:20	n 9995:10
10242:1	10151:7			
10244:1	10307:19			

10014:10	3 10121:12	10250:16,2	10123:22	1
10024:25	10123:11	0 10256:2	10130:24	raised
10029:25	10151:24	10265:25	10166:5,7	10031:21
qualificatio	10160:1	10282:5	10167:24	10114:6
ns 10014:4	10168:20	10298:17	10169:23	10133:1
qualified	10169:3	10308:4,13	10177:9	10194:17
10026:23	10175:15	,18	10185:1	10253:15
qualifier	10178:2	10312:3,6,	10203:7	10254:22
10004:3	10192:8	13	10246:9	10258:10
qualitativel	10194:18	quick	10253:21	raising
y 10064:4	10195:8	10028:24	10267:25	10133:25
10075:17	10196:8	quicker	10273:1	10313:11
quality	10197:8	10085:25	10295:23	Ramage
10039:6	10199:18	10260:3	10301:11	9993:5
10115:19	10202:13	quickly	10304:13	ramp
quantified	10205:16	10032:12	Quilliq	10207:10
10054:24	10206:17	10051:21	10017:15	ramped
quantifying	10213:7,19	10055:13	quotation	10310:22
10076:21	10214:10	10087:11	10041:10	ramping
quantity	10215:1	10118:14	quotations	10115:18
10177:15	10218:5,11	10130:24	10041:9	ran 10062:4
quarter	,13,14	10145:19	quote	10082:2
10309:10,1	10219:2	10147:6,15	10002:2	10085:23
2,17	10223:22	10148:20	10003:20,2	10092:14
10310:2	10243:8	10160:21	4	10178:6
quarterly	10251:3	10187:14	10004:8,9,	range
10000:1	10261:7	10221:25	12,13,18	10002:16
que 10192:7	10287:12	10229:20	10007:15	10020:19
Quebec	10290:23	10244:2	10008:12,1	10038:13,1
10024:19	10295:22	10245:8	7	4 10082:23
10263:14	questions	10274:24	10045:7,12	10126:24
10287:10	10011:13,1	10276:12,1	quoted	10133:5
query	5 10014:20	4	10038:23	10175:11,2
10030:11	10016:25	quilt	10187:19	2
quest	10024:13	10049:15	quotes	10176:4,17
10200:16	10027:6	10167:1	10158:19	,20
question	10028:4,25	10172:22	quoting	10177:3,8
10031:16	10029:18	10193:14	10249:2	10179:5,25
10044:3,13	10031:21	10283:6	<hr/>	10180:2,16
,19	10032:1,4	10284:8,21	R	10185:5
10047:8	10079:3	quilts	radically	10188:10
10050:22	10099:16	10167:6	10203:14	10190:6,22
10060:18	10121:1	quite	10204:15	10198:20
10075:5	10130:25	10018:7	Rainkie	10249:4
10078:19,2	10152:25	10033:3,4,	10038:24	10263:20
0 10118:8	10153:11	23 10047:2	10056:16	10271:3
10120:22,2	10155:25	10055:13	raise	10283:3,10
	10189:21	10061:1	10142:17	ranging
	10193:5	10065:5	10179:20,2	10113:10
	10206:20	10092:20		
	10245:9	10100:19		
	10249:22			

rapidly	10225:5	rate-related	10240:23,2	10243:4
10202:3	10238:24	10017:1	4	reading
Rapids	10241:25	rates	10260:22,2	10156:18
10143:24	10242:5	10022:12	3 10261:3	10191:24
rare 10150:9	10271:21	10026:14	10267:19	readjusting
10171:25	10272:3,5	10032:16	10270:3,16	10192:11
Rat 10006:17	10307:22	10035:23	10271:24	reads
rate 9997:10	ratepayer	10036:7	10283:23,2	10251:7,10
10003:15	10036:2	10037:8,9,	4,25	ready 9998:4
10005:7,10	10076:12	13	10284:14	10059:15
,14	10088:22	10041:16,1	10287:7	10136:19,2
10016:5	10089:7,8	7 10061:22	10295:3	0 10138:7
10023:11	10143:2,7	10088:21	10310:6	10201:17
10026:17	10151:3	10128:13	rather	10230:3
10036:15	10244:7	10131:12,1	10029:4	real 10021:3
10037:17	ratepayers	3,15	10033:19	10067:4
10064:2	9997:12	10132:22	10084:19	10080:14,2
10126:3,6,	10009:15	10133:12	10085:6	4 10105:13
8,13,23	10023:2	10134:17	10100:10	10110:20
10127:3,12	10028:21	10140:19	10129:3	10111:10
10128:18	10077:3,10	10141:1,2,	10173:11	10126:14
10131:19	10080:10	11,12	10178:10	10127:12
10133:21	10081:6	10142:17	10185:4	10128:8,14
10134:14	10082:10,1	10151:8	10189:16	10188:7
10140:11	1 10088:17	10154:23,2	10191:23	10258:14
10144:23	10105:5	4 10155:2	10233:8	10280:11
10151:2	10133:22	10159:13	10237:3	realistic
10154:14	10140:25	10162:22	10249:6	10279:12
10155:1	10141:2,4,	10163:23	10252:2	realize
10163:5	13,14	10166:4	10301:3	10165:15
10165:21,2	10142:18,1	10167:2,8,	rating	really
4 10166:4	9,20,21	14	10035:10	10001:17
10167:18,1	10151:8	10172:4,6,	ratio	10005:8
9,22	10160:2	7	10064:22	10042:4
10177:4,7	10161:20	10175:11,1	ratios	10043:4
10179:19	10162:15,2	8	10028:24	10044:12
10181:12	0 10163:15	10176:16,1	10029:2	10045:16,2
10182:14,1	10165:18	7,20,23	10185:3,6	3 10050:8
7,19	10166:8	10177:4,25	razor	10051:6,15
10183:10	10175:6,16	10178:25	10146:7	10055:10,1
10184:23	10179:5	10179:14	re 9992:7	7 10062:16
10186:9	10181:3	10180:13,2	10081:14	10063:15
10187:1,9	10191:4	3 10181:12	10083:5	10068:10
10188:16,2	10200:18	10182:2	reach	10077:10
2	10221:12	10183:10	10183:3	10111:7
10189:9,13	10242:8,18	10184:3,4,	reached	10117:14
10190:3,10	10243:15	9	10092:2	10125:10,1
10191:20	10244:8	10187:8,15	readily	8
10196:24	ratepayer's	10191:3	10056:14	10129:23,2
10197:2	10098:5	10197:4		4 10136:3
10198:16,1	Ratepayers	10199:22,2		
7 10199:15	10162:14	5 10204:16		
		10207:10		

10147:17	10123:1	10312:10,1	recollection	10134:18
10162:4	10209:25	2	10026:8	10163:25
10168:16	10217:4	recalled	10045:14	10176:3
10173:25	10221:12	10137:4	10059:14	10182:5
10190:7,13	10225:8	recalling	10101:25	10189:11
10197:5	10255:24	10312:15	10115:3	10301:6
10202:25	reasonably	receive	10117:13	reduce
10203:10,1	10198:20	10013:9	10209:8	10144:22
7,24	reasons	10194:16	recommend	10151:21
10204:3	10005:9	received	10010:25	10152:10
10207:7,9,	10060:13	10312:4	10026:17	10193:23,2
16	10105:19	10313:7,11	10121:25	4
10209:14	10124:25	recent	recommendati	reduced
10225:13	10125:25	10018:18	on 10050:3	10010:16
10239:14	10135:4	10143:1,19	10081:20,2	10140:11
10240:17	10209:6	recently	2 10090:20	10151:24
10250:1	10228:9	10009:2	10228:23	10152:4
10265:20	10237:13	10019:14	recommendati	10191:14
10267:11	10277:23	10241:1	ons	10284:11
10268:7	reassuring	recess	10261:17	reduces
10279:4	10000:23	10135:15	recommended	10002:25
10312:3	re-balancing	recessing	10126:25	10003:1
realm	10083:6	10012:6	reconcile	reducing
10090:15	rebar	10071:14	10302:23	10140:5
reaped	10048:1	10138:3	reconsider	10151:8,10
10082:17	rebuild	10156:9	10229:19	10193:19
reason	10021:14	10206:7	reconvening	redundant
10041:5	rebuttal	10291:9	10308:10	10050:19
10065:4	10117:7	recession	record	10051:15
10100:2	10131:23	10001:3	9999:6	10262:3
10112:10	10137:2	10003:9	10064:8	ref 10174:12
10128:8	10312:16,1	10115:6	10120:14	10182:14
10134:3	7,19	10116:20	10121:15	10285:10,1
10136:13	recall	recipients	10156:15	3
10153:19	10025:6	10153:5	10175:3	ref/ref/high
10172:11	10034:2	recognition	10213:16	10047:20
10178:3	10079:24	10118:20	10243:22	10048:6
10180:22,2	10105:17	10261:14	10248:17	ref/ref/low
4 10191:4	10212:18	recognize	10249:13	10048:10
10192:19,2	10213:4	10124:5	10280:3	ref/ref/ref
1 10196:1	10234:6,7	10228:4	10290:23	10061:13,1
10197:3	10244:18	10261:20	10300:13	7 10166:23
10204:1	10248:21	recognized	recovered	10173:12,2
10225:9	10253:11	10120:19	10245:5	0
10229:2	10256:20	recognizing	Recreation	10178:20,2
10230:21	10257:14,1	10238:1	10147:25	1 10189:10
10282:24	5 10262:15	10244:11	red 9999:21	10209:2,7
10284:1	10269:14	recollection	10037:15	10210:4
10285:14	10302:2	10026:8	10097:19	10214:11,2
reasonable	10303:13	10045:14		2
10063:13		10059:14		
10081:13		10101:25		

10215:3,12	10129:9	10056:10	10113:17	10225:11
10252:3	10141:2	10061:7	10131:21	10230:18
10305:23	10146:22	10168:8	10257:21	relaxed
10306:5	10152:6	10171:22	reins	10122:19
10307:5	10182:14	10254:18	10271:23	relea
ref/ref/refs	10184:2	10259:21	relate	10120:25
10174:3	10236:19	region	10037:17	release
reference	reflected	9996:16	10203:2	10122:12
10001:23	10151:16	10158:9,23	related	relevant
10002:1	reflecting	regional	10016:4,5,18,25	10007:1,2,6
10005:17	10129:6,23	10017:21	10022:11	10017:4
10007:15	reflects	Regis	10058:2	10104:1,2
10032:15	10090:9,11	9992:13	10123:6	10127:15
10047:11	10121:15	regret	10124:18	10177:20
10126:11	10185:24	10040:8	10161:19	reliability
10157:18	regard	10253:24	10182:10	10018:23
10174:6	10015:23	10254:1	10266:15	10019:1
10198:9	10016:22	10255:7	10309:13	reliable
10210:20	10023:4,23	regret-based	10310:4	10078:5
10211:1,12	,25	10253:19,20	relates	reliance
,19,24	10024:2,16	0	10159:13	10090:2
10232:25	,20	regrets	10187:16	10281:19
10251:13	10026:15	10201:18	10310:3	10282:23
10258:12	10055:19	regular	relation	relied
10284:23	10058:11	10011:20	10007:3	10281:23
10285:23	10073:7	regularly	10041:14	relief
10296:18	10074:4	10001:15	10079:3	9997:11,13
10297:15	10167:22	10232:4,10	10081:18	10192:9
10298:4	10221:13	,11	relationship	10238:14,2
10299:19	10231:18,2	regulated	10078:11	1 10239:4
referenced	3 10268:1	10024:1	10139:5	10242:7,9,
10092:14	10270:2	10112:24	10267:23	17,19
10093:7	regarding	regulation	relative	10244:7,9
10130:25	10081:21	10007:4	10016:12	relies
10157:22	10259:25	10014:25	10028:6	10240:17
references	10265:4	10015:4	10179:18	relieve
10241:13	regardless	10026:1	10208:21	10122:12
10293:10	10254:4,8	regulations	10211:13	10194:16
referred	regards	10110:23	10294:15	relieves
10002:2	10016:4,6,20	regulator	relatively	10120:25
10156:19	10017:19	10144:22	10035:5	rely 10008:4
referring	10018:11,18,23	regulators	10046:21	10118:9
10233:3	10020:7	10229:16	10095:21	10121:10
10245:17	10024:7	regulatory	10108:15	10210:3
10262:18	10025:11	10019:15,2	10123:6	10256:25
10308:6	10026:8	3 10020:22	10153:20	10257:2
refinery	10031:13	10021:24	10160:24	10267:19
10059:12	10044:15	10106:2	10165:10	10271:10
reflect	10046:9		10217:21	

10286:6	10153:20	10059:16	10077:22,2	10075:2
relying	10154:4	represent	4 10113:25	10303:14
10193:12	repairs	10004:20	10135:14	resist
10210:2	10153:18	10008:15	10142:25	10010:1
10283:8	repeat	10015:9,10	10185:1	resolved
10286:5	10006:7	10017:5	10221:25	10109:15
remainder	10061:9	10066:10	required	10168:1
10011:11	10210:23	10137:2	9997:18	resource
remember	repeated	10186:4	10084:2	10009:3,7
10039:5	10038:24	10262:1	10130:10,1	10016:7
10114:21,2	replaced	representati	8 10228:22	10017:1,25
2 10115:19	10091:19,2	on 9999:2	10280:6,25	10018:2,4,
10162:3,24	0	10173:13	10313:9	8,12,14
10203:17	replacing	10209:12,1	requirement	10020:3
10270:22	10118:25	7	10099:1	10022:2
10307:15	report	representati	10143:4	10027:18
remind	9996:4	ons	requirements	10029:7
10012:11	10000:1	10281:23	10074:23	10043:4
10234:25	10001:17	representati	requires	10044:23
10308:10	10013:4,5,	ve 10161:4	10000:15	10051:6
reminding	12,14	representati	10168:13	10052:18
10272:9	10026:24,2	ves	10281:24,2	10066:20
reminds	5	10270:23	5 10282:1	10074:13
10103:22	10027:1,12	represented	10310:9	10075:12
remote	,17,22	10135:10	requiring	10096:12,1
10141:7	10028:7	10142:6	10010:11	3
renewable	10030:17,1	10189:6	rerun	10107:5,10
10310:8,9,	9 10031:4	10224:24	10257:24	,20
11	10090:20	representing	res 10056:12	10108:2,4,
rent	10108:24	9996:6	10080:20	13,18
10056:16	10143:9,17	10013:24	research	10109:17
10147:3	,19	10207:16	10142:3	10112:20
rental	10144:1,6,	represents	10155:8	10113:4,11
10055:3	13 10145:1	10149:11	10269:13	10114:6,16
10101:24	10147:3	10236:14	researcher	10117:8
10278:8	10149:12	10258:14	10269:13	10124:2
rentals	10150:4	10310:14	reserves	10136:21
10076:22	10158:15	reputation	10130:17	10152:9
10087:6	10234:6	10117:5	10161:17	10171:24
10099:9	10256:12	request	10162:10,1	10172:2,8
10100:17	10257:7	10013:18	6 10163:2	10194:23
10106:7,12	10282:23	10065:22	10165:25	10224:5,12
10161:12	10287:17	10136:8	10299:4	10261:14,2
10277:25	reported	requested	residential	2 10272:13
10278:1,10	10099:25	10171:16	10179:19	resources
10294:7	reporter	10209:21	residents	10011:9
10306:20	10032:12	require	10127:16	10043:9,15
repair	10215:18	10020:19	resides	10056:12
	10280:20			10066:15
	reports			10109:24
				10120:21
				10136:10

10218:20	10240:11	10078:23	10115:6	10249:12
10220:3	10246:8,9	10130:25	retired	10272:13
10221:20,2	10251:16	10141:12,1	10142:3	reviewing
1,22	10261:20	6 10161:22	retirement	10234:6
10222:6,18	10285:7	10164:10	10001:21	10287:17
,23	10309:1	10165:9	RETIREES	revise
respect	respectfully	10174:12	10138:1	10078:11
10016:1	10142:14	10177:25	retrospect	10164:4
10023:5,16	respective	10207:5	10267:15	revised
,20	10179:8	10260:2	return	10031:5
10026:1,2	respects	10283:22	10003:3	10157:16,1
10030:23	10109:9	10295:24	10126:14	7 10234:10
10034:24	respond	10302:7,18	10129:23	10286:10
10035:8	10047:14	10303:9	10142:2	10313:9
10039:11,2	responded	10305:1	10143:1	revision
0 10040:16	10253:17	10308:13,1	10163:3	9996:14
10043:16	responding	8	returns	10060:20
10048:7	10031:19	results	10127:7	10129:5
10053:10	response	10106:17	10130:10	10157:24
10054:1	10030:10	resume	10188:4	revisions
10072:25	10031:15	10012:4	revenue	10030:18,2
10073:15	10035:2	10071:11,1	10056:19	0 10031:8
10074:10	10058:23	8 10156:13	10087:4	Richard
10080:20,2	10059:8	RESUMED	10099:1,2,	9992:16
1,22	10117:19	9995:15	7,8	10195:22
10081:21,2	responses	10159:6	10100:16	10196:5,8
2 10086:1	10026:24	resuming	10125:20	10199:24
10093:10,1	10030:24	10012:7	10169:20	10200:10,1
5 10102:25	10031:5	10071:15	10183:1	4
10104:25	responsibili	10138:4	revenues	ride 10006:8
10106:25	ty	10156:10	10192:25	right-hand
10107:10	10009:14	10206:8	10277:16	10034:16
10110:20	responsible	10291:10	10279:9	10035:22
10122:19	9998:14	retain	10294:4	10135:5
10125:8	10266:16	10231:17	reversal	10245:10
10133:8	rest 10005:4	retained	10185:18	10297:4,7
10139:10	10076:5	10015:12	review	10298:7,9
10159:14	10137:21	10021:13	9992:9	RIM 10099:7
10164:25	10145:24	10023:9	10019:18	10125:9,11
10166:11	10168:22	10105:16	10085:13	rings
10170:14	10214:10	10106:16	10104:17	10227:25
10174:6	result	10187:6	10199:3,7	rise
10178:16	10005:12	10189:17	10220:8	10192:25
10179:3,7	10006:1,22	10191:2,13	10264:25	risk
10184:17	10008:5	,15,17	10312:5	9995:8,15
10187:2	10046:23	10298:21	reviewed	9999:12
10188:24	10053:13	retaining	10052:13	10003:1
10189:3	10072:1	10189:18	10084:8	10011:8
10190:3		rethinking	10104:14	
10191:2,11				
10193:7				
10205:23				
10237:7				

10014:6	10298:8,13	10023:22	rule	
10022:17,2	,15	10024:5,11	10085:17	<u>S</u>
0 10023:2	10299:21	10027:19	10150:20	sake
10024:25	10300:9	10054:3,6	10191:19	10102:11
10025:7,13	risk-free	10068:8	10220:20	sale
,16,19	10126:14	10133:7,14	10247:12	10114:25
10027:25	risks	10199:21	10266:24	10125:15
10029:11		10267:7,11	ruling	10193:6,15
10032:16	10022:23	roll	10247:7	10194:3
10036:12	10032:19	10025:13	run 10037:1	10195:23
10044:25	10057:18	roll-in	10088:11	10196:3
10045:1,2,	10063:21	10025:11	10122:6,8,	10249:12
17	10167:7	roof	10,11,20,2	sales
10046:7,8,	10198:19	10148:16	3 10166:9	10276:22
10	10203:20,2	room	10172:20	sands
10054:15	1 10204:24	10032:11	10203:25	10232:25
10060:17	10230:21	10033:25	10215:6	Saskatchewan
10062:1	10258:19	10059:17	10220:8	10275:25
10123:13,1	10271:15	10139:3	10225:16,1	10276:18
4	10283:2,6	10197:9	8 10265:2	sat 10000:22
10127:11,1	10291:22	10202:16	10271:11	10207:22
3	risky	10204:21	10275:9	10260:21
10147:8,23	10000:21	10207:23	10276:12,2	10284:22
10159:6	10001:20	10227:22	1	satisfactory
10176:16,2	10010:10,1	10248:7	10279:21,2	10244:12
1 10177:3	1 10286:13	10251:21	5 10284:21	satisfied
10180:16,2	10288:8	10253:10	10294:17,1	10196:15
5 10181:3	river	10272:15	8	10237:9
10190:20,2	10005:24	10304:2	runners	saturated
1	10006:1,5,	10311:7	10146:9	10095:8
10191:6,11	11,13,15,1	rosy 10001:1	running	Saunders
,18	8,21,22	10204:7	10067:15	9994:3
10193:24	10010:18	roughly	10073:25	sausages
10203:4,7,	10072:15	10006:11	10172:15	10145:23
23	10152:13,1	route	10257:22	save
10209:17	6	10099:15	10276:1,2,	10094:25
10216:8	rivers	10255:16	18,20	10096:24
10253:5,6,	10006:9	10259:17,1	10292:17	10097:7
11 10255:8	road	8 10264:23	runs	10099:9,11
10258:15	10016:24	row 10215:11	10069:12	10124:22
10259:13	10049:2	10216:9	10091:14	saved
10274:10,1	rocking	10237:15,1	10172:17	10102:16
5 10279:2	10205:19	6 10302:10	10256:25	saving
10282:5,9,	10206:16	rows	10257:3	10040:16
18,25	role	10234:18	rural	10260:24
10283:21	10017:9,15	10235:15	10141:7	savings
10284:7	10018:11,2	10302:11	10152:20	10084:15
10285:19	0	rude 10216:8	Russell	
10286:14,1	10020:5,8	ruin 10000:8	10311:21	
5	10021:8			
10287:14,2	10022:6			
3				
10291:1,2,				
3				

10126:14	,18	10224:25	10240:17	10077:6
10141:25	10296:15	school	10249:17	10092:6
10160:18	10306:8,10	10147:16,1	10253:13	10119:3
10162:5	scenarios	9	10254:22	10192:19
10179:16	10000:25	scope	10266:19	seen 10024:4
saw 10028:19	10009:3	10032:13	10269:23	10061:16
10070:1	10052:9,11	10051:10	10283:7	10062:9
10102:16	10053:17	10091:6	10285:11	10064:11
10105:14	10062:4,8	10266:6	10306:18	10072:18
10163:12	10084:16	10267:2	Secondly	10077:7
10164:13	10085:1	Scott	10142:19	10078:17
10182:7	10088:16	10111:14	section	10095:17
10183:22	10093:20	screen	10024:25	10105:4
10298:1	10101:5	9999:24	10161:2	10111:9
scale	10106:12	10032:9	10193:3	10117:21
10009:9	10107:4,11	10145:4	sections	10128:24
10020:15	10111:5	scroll	10255:22	10130:5
10021:16	10112:10	10145:19,2	sector	10131:14
10033:24	10121:17	3	10015:7	10170:7,12
10034:8	10122:24	10146:5,15	10035:18	10174:9,19
10036:17,1	10135:2	10299:9,13	10091:10	10178:5
9 10057:1	10164:6	10306:23	10159:14	10247:25
10141:20	10171:20	S-curve	seeing	10248:14,2
10221:23,2	10172:20	10252:11,1	10101:23	1 10249:3
4	10173:11	3,23	10179:16	10299:7
10262:13,1	5 10181:25	S-curves	10286:2	10308:6
7	10184:24	10167:20	10302:6	self 10035:8
10278:7,8	10185:8,11	10251:22,2	seek 10134:4	self-
10300:25	,14	4 10253:18	10313:15	explanator
scaled	10202:15	search	seeking	y 10189:20
10059:10	10204:20,2	10006:3	10022:9	10292:9,13
scan	5	seasonality	seem	self-
10297:11	10205:1,2	10070:13	10046:21	generation
scenario	10212:3	second	10077:1	10044:16
10047:20	10233:21	10001:25	10078:21	10090:25
10062:14	10237:11	10006:10	10081:13	10092:7,11
10083:22	10246:5	10013:2	10206:19	sell
10088:10	10252:10	10036:19	10248:12	10068:19
10097:14	10257:24	10039:2	10265:21,2	10069:2,3
10100:21	10260:2	10043:24	2 10283:4	10114:25
10103:24	10265:23	10044:22	seemed	10267:20
10105:11	10283:12	10065:14	10051:20	send
10126:9	10285:23	10070:7	10063:12	10144:16
10127:11	10289:3	10084:24	10064:2	senior
10167:15	10299:22	10110:10	seemingly	10270:24
10173:12	scheduled	10120:23	10000:15	sense
10185:12	10012:12	10125:22	10001:15	9998:23
10225:8	10224:5	10132:4	seems	10037:21
10235:3	10311:14,1	10224:16	10062:8	10043:3
10256:10,1	8			10063:24
4,24	schematic			
10257:8,10				

10075:22	10067:19	10306:7	10278:23	shortage
10083:23	10193:22		10279:1	10115:13
10114:3,4	10275:3	seventy-	shebang	10149:24
10116:17	10276:8	eight	10156:21	shorter
10174:21	served	10001:19		10039:24
10176:5	10081:6	10056:2	sheepish	10098:10
10263:7	10281:21	10098:9	9998:16	10230:19
10281:25		10133:2	sheet	shortfalls
10282:2	server	10171:14	10186:21	10220:25
sensible	10060:10	10306:7	10191:1	Shortly
10112:1	service	seventy-five	10248:18	10115:5
10221:5	10024:17	10150:13	10292:7	short-term
sensitivitie	10026:9,14	seventy-six	10305:22	10229:1
s 10107:1	,15	10295:6,10	sheets	10275:19
10119:11	10059:15	,13	10305:24	shot
10261:13	10065:10,1	several	Shelman	10272:11
sensitivity	3 10076:17	10009:25	9994:4	shovel
10119:9,13	10104:16	10264:1	shelter	10113:24
10300:19	10141:5,6	severe	10146:18	10228:5
sent	10162:3	10007:6	she's	10229:23
10143:21,2	10187:17	10072:13	10149:20	10230:1
2	10266:9,10	severely	10216:17,2	shoving
separate	10271:16	10010:18	1 10308:24	10004:10
10004:23	10272:5,20	shading	shift	showed
10076:3	10281:5	10175:22	10062:10	10181:5
10078:15	10293:1	shale	10197:6	10247:17
10086:13	services	10001:4	shifted	10302:24
10099:25	10148:13	10003:9	10180:15	showing
10112:24	10151:14	shame	Shifting	10098:8
10113:24,2	10153:3	10218:23	10232:25	10159:16
5	10177:22	shampoo	shiny	10162:4
separated	10267:20	10146:7	10219:8	10176:7
10123:16	serving	share	ship	10178:17
separating	10066:18	9999:15,21	10083:20	10179:2
10184:12	10067:20	10000:2	shopping	10181:22
sequence	sets	10001:9	10146:3,4	10234:19
10049:14	10113:25	10139:24	10148:10	10235:7
sequential	setting	10162:16	shoreline	10294:12
10042:8	10178:25	10200:11,1	10007:14	shown
series	10219:23	4 10206:18	10008:7,10	10187:11,1
10178:6	settle	10237:2,3,	short	5 10189:12
10294:24	10137:17	8,18	10122:4	10212:9
serious	seven	10268:12	10168:2	10224:16
10149:24	10049:15	shared	10208:7	10265:12
seriously	10102:1	10126:13	10230:23	10284:8
10008:25	10131:18	sharing	10254:7	10298:12
10070:22	10307:6	10079:1	10264:6,21	10302:19
serve	seventy	10196:12	10274:20	10307:20
	10010:12	10269:8		shows
	10089:2			

10035:24	10301:16	simulations	10278:15	10287:19
10037:9	significantl	10105:22	sitting	skip
10045:1	y 10001:15	10106:5,6	10205:10	10147:16
10069:25	10191:14	10257:19	10210:10	skips
10070:18	10223:8	sing	10311:8,17	10167:17
10106:17	signs	10228:15	situation	slash
10128:15	10078:17	Singh	10064:19	10009:22
10134:16	s'il	10012:22	10107:7	sli 10034:14
10160:23	10029:14	10013:11	10120:13	slice
10163:9,12	10206:11	single	10208:5	10161:19
,13	10250:23	10099:10	10293:21	slide 9996:3
10176:11,1	10313:3	sir 10017:5	situations	10012:21,2
2 10189:9	sim 10183:14	10020:1	10252:14	2,25
10190:2	similar	10022:5,10	10287:3	10031:24,2
10225:4	10007:3	10023:19	10293:22	5 10032:21
10236:11	10169:25	10025:23	six 10007:8	10033:10
10265:11	10182:7,23	10029:19	10014:24	10034:14
10278:23	10190:6	10031:1,23	10057:15	10036:20,2
shut	10201:10	10075:25	10062:13	4,25
10115:22	10222:14	10089:20	10073:9	10037:1
shutting	10258:19	10091:9	10093:11	10038:3,5
10273:18	similarly	10120:2	10094:17	10041:8
sic 10014:24	10174:2	10127:21	10117:11,1	10042:22
sides	10180:18	10166:12	5 10139:2	10044:21,2
10190:15	10186:12	10171:10	10198:24	5 10046:12
10260:25	10203:11	10174:23	10234:18	10050:17
sidewalks	simple	10181:9	10297:16	10053:5,10
10119:5	10055:9	10194:14	10298:6	10056:7
sight	10061:2	10212:25	sixteen	10058:15
10111:12	10153:20	10213:7	10015:4	10063:3
signed	simpler	10214:8	10026:5	10065:21
10003:5	10019:6	10216:17	sixty	10069:15
10196:17	simplified	10217:10,1	10010:12	10071:23,2
10268:21	10107:17	8 10218:7	Sixty-four	5
significance	simply	10221:9	10192:2	10072:4,6
10173:2	10042:18	10224:12,2	sixty-three	10074:24
significant	10049:22	0 10227:17	10102:1	10075:25
10001:4	10105:6	10228:18	size	10077:16,1
10003:9	10144:16	10229:7	10262:23	9 10079:3
10009:12	10170:15	10233:11	sizeable	10085:5
10024:2	10179:18	10238:13	10270:7	10087:18
10054:20	10183:15	10245:18	skeptic	10089:18
10060:2	10255:16	10273:6	10039:13	10090:19
10061:17	10273:24	10281:19	sketching	10093:7
10168:12	simulation	10282:5,16	10021:6	10094:8
10191:6	10256:10,1	10291:22	skew 10123:2	10096:25
10196:17	9,23	10302:2,16	skills	10098:6
10225:4	10258:3	sit 10090:3	10231:14	10100:4,6,
10262:8		10096:2		22
10265:23		10135:22		10101:17
		10137:24		10102:1

10104:8,9	10118:13	snow 10119:5	solved	10283:3
10108:25	10130:24	soap	10167:3	somewhere
10118:14	10166:11,1	10147:14	solves	10002:15
10119:9	2 10212:8	social	10251:25	10045:15
10120:1	10213:7	10054:21	somebody	10051:7
10123:21	10265:6	10126:19	10066:24	10067:7,15
10126:3	slip	10143:15	10070:21	10089:14
10128:23,2	10114:14	10154:1	10074:4	10162:8
5 10130:22	slope	socially	10109:21	10207:22
10131:3	10182:23	10154:5	10123:8	10208:5
10134:5,11	10184:10	society	10144:10	10303:15
10135:7,9	slow 10179:2	10124:11,1	10183:6	sooner
10164:4	slowly	3,14	10199:8	10010:6,7
10168:3,11	10160:22	10159:15	10203:9	10198:23
10169:7,24	slumping	socioeconomi	10228:1	soothing
10170:8	10007:14	c 10002:3	10239:16	10109:13
10171:12	10008:7	solar	10278:14	sorry
10174:23	small	10201:23,2	somebody's	10029:21
10175:3,4	10021:16	4 10204:4	10264:25	10061:8
10176:6,7,	10031:10	10309:1,9,	10278:25	10072:4
25 10180:6	10040:4	13,17,22,2	somehow	10120:4
10181:10,2	10062:17,2	5	10128:19	10121:24
4,25	1,25	10310:13,1	10218:24	10123:20
10189:7,23	10088:5	9	10262:1	10155:5,15
,24	10094:5	solar's	someone	,23
10190:1	10099:9	10204:5	10040:3	10170:3,6
10191:25	10121:13	sold	10042:2,11	10175:4
10195:14	10157:21	10066:20,2	,12	10179:1
10197:12	10161:18	2	10067:1	10250:7,8
10212:11	10187:24	Soldier	10074:6	10297:4,6,
10232:23	10203:7	9992:15	10080:21	7
10238:8	10225:11	solely	10082:23	10299:1,2
10245:10,2	10271:1	10161:12,1	10123:16	10307:2
5 10251:3	10290:3	3,14	10168:15	sort 10008:8
10258:8	smaller	solidified	10187:1	10023:1
10273:8	10013:20	10009:5	10190:7	10038:7
10274:7	10045:3	solution	10204:19	10043:5
10276:25	10175:13	10192:20	10208:2	10044:12
10277:11	10268:25	10199:20	10229:23	10062:15
10281:13,1	10287:4	10278:15,2	10261:24	10084:25
4	smallest	1	10263:12	10088:22
10300:15,1	10254:8	10279:5,7	10276:2	10102:13,1
6	smile	solve	sometime	6 10135:4
10301:6,23	10014:15	10021:23	10115:3	10141:19
,24	smooth	10042:15	somewhat	10154:14
10302:24	10000:6	10043:17,1	10026:11	10161:10
10304:12,1	10197:4	8 10078:22	10046:19	10170:23
8	smoothing		10092:4	10192:14
slides	10196:11		10096:12,1	10193:3
10034:12			3 10120:13	10201:22
10053:19				10209:25
10086:5				10221:20
10114:12				

10231:8	10137:8	10100:7	10295:5	STANDS
10261:6	10138:9	10105:2	10306:18	10314:1
10278:15	10139:11,1	10111:19	spoke	staples
sorted	2	10124:1	10259:15	10145:25
10053:22	speaks	10166:1,17	spreadsheet	stark
10192:21	9999:12	10171:3	10292:2	10170:10,2
sorts	10273:2	10192:3	spreadsheets	3
10127:17	spec	10222:8	10029:4	start
sound	10077:21	spending	10201:4	9998:4,9
10040:9	special	10060:3	square	10012:10
10042:10,1	10026:20	10072:20	10008:3,4	10032:6
7	10292:24	10079:25	St 10291:4	10042:22
source	species	10093:21	stability	10050:21
10005:22,2	10203:4	10136:16	10273:24	10083:25
5 10007:2	specific	10170:12	stacks	10098:6
10008:21	10020:8	10188:1	10252:16	10115:2
10093:2	10023:17	10195:7,9	staff	10138:7
10149:4	10024:3	10209:22	10136:15	10145:16
10223:23	10025:7,20	10256:9	10142:12	10147:5
10279:9	10027:14	spent	stage	10162:13,1
sources	10088:23	10011:5	10019:19	4 10180:1
10092:21	10096:2	10028:7,14	stake	10206:11
10275:12	10112:21	10079:15,2	10002:11,1	10207:9
south	10114:5	1,24	6 10003:12	10208:13
10275:24	10193:5	10090:8	stakeholders	10219:19
Southeast	10213:7	10124:7	9997:14	10227:18
10152:8	10239:4	10168:6	10242:11	10256:9
southern	10281:19	10170:25	10243:16	10311:10
10006:14	specifically	10186:16	10244:10	started
10007:8,14	10018:11	10260:17	stale	10020:3
,21	10081:18	10263:8	10033:4	10057:5
10008:1,7,	10132:25	10277:24	stand	10065:24
10,12	10243:19	spike	10033:19	10079:8
10204:13	10267:3	10003:9	10061:4	10115:10,1
southward	10272:22	10183:1,2,	10062:19,2	8 10206:16
10006:17	spectacularl	22	3 10064:4	10252:4
space	y 10001:2	10187:16	10112:8	10273:22
10096:7	speculative	10190:5	10196:10	starting
spades	10124:16	spilled	10198:1	10022:19
10050:4	speed	10033:18	standard	10027:7
10257:16	10173:8	spits	10108:15	10136:9
speak	spend	10293:16	10124:3	10171:11
10025:2,24	10039:18	10294:23	10310:8	10207:8
10139:20	10046:1	SPLASH	standards	10225:10
10250:19	10053:17	10019:5	10018:25	10286:11
10259:6	10063:17	10122:8	10108:11	10289:4
speaking	10064:6	10292:19	10274:2	starts
10004:7	10086:15	10293:2,18		10001:18
	10089:9	,23,24		10123:2
		10294:18,2		10127:2
		0,23		10162:14,1

9 10227:3	10113:4	10059:21	10163:5	10160:24
State	10140:1		10202:15	10165:6
10310:3	10161:23	strategies	10237:1,4	10167:3,25
stated	10203:19	10181:13	10265:18	10264:22
10256:12	stepped	10187:9	10273:17	substantiall
10257:7	10133:7	10190:3,11	10308:24	y 9996:16
10280:18	stepping	strategy	subjects	10064:24
statement	10133:13,1	10023:6	10039:5	10158:9,24
10139:22	5 10245:20	10182:14,1	10189:23	10174:15
10245:11	steps	7 10190:8	submission	success
10246:3	10070:5	10191:20	10042:15	10267:25
10288:7	10080:4	striking	10046:19	succinct
statements	10113:3	10073:3	10158:17	10290:25
10032:5	10213:3	string	10190:24	sudden
10235:20	10245:2	10085:7	10313:10	10049:19
states	stick	stroke	submissions	10062:22
10204:13	10122:11	10078:10	10011:21	10100:23
10232:6	10183:16	10121:2	10138:23	10265:1
10309:11	stock	10239:15	10312:22	sufficient
station	10010:16	strong	submit	9997:22
10020:12	10090:6	10077:13,1	10007:1,6	10002:23
10024:12	stood	4 10194:8	10009:11,1	10011:9
10306:13	10000:2	10197:3	3 10010:23	10118:19
stations	10064:1	stronger	submitted	10280:8,19
10222:11	stop	10271:7	10151:12	10281:6
10286:20,2	10009:12	strongly	subparts	sufficiently
3	10146:19	10121:25	10219:22	10255:12
statistic	10148:3	structured	subset	10279:14
10146:20	10181:15	10083:14	10218:14	suggest
statistical	store	stuck	subsidiary	10005:11
10001:14	10149:18	10073:24	10044:6	10008:9
10146:21	10150:12	10074:7	10236:16	10061:24
status	stores	studied	subsidize	10072:19
10026:11	10148:10	10009:18	10133:16	10077:8
10034:3	story	studies	10141:6	10104:22
stay	10117:21	10017:17	subsidizing	10118:21
10117:14,1	10163:7	stuff	10151:7	10143:8
6 10134:24	10172:1	10146:16	subsidy	10144:25
10230:4	10296:1	10168:22	10023:12,1	10150:16
staying	straight	10204:18	7 10150:19	10193:15
10050:10,2	10000:9	10294:14	10199:22,2	10205:9
4 10198:12	10117:6	style	5 10200:4	10216:24
10278:5	10174:25	10252:12,1	substantial	10217:25
stays	stranded	6,24	10037:19	10260:1
10118:4	10286:24	subject	10040:10	10277:18
step	Stranding	10022:6	10069:10	10283:20
10070:6,7	10011:5	10023:20	10079:7	suggested
10106:19	strategic	10142:2	10114:25	10105:10
				10126:7
				10223:7

suggesting	10072:25	10276:13	10240:8	10011:6
10073:19	10079:6,23	support	10251:23	swan 10118:7
10079:11,2	10160:21	9996:15	10253:21	10201:22
1 10099:6	10189:4	9997:9	10257:4	10202:19
10104:25	10196:24	10004:12	10260:18	swans
10228:20	10225:24	10023:16	10262:5	10202:18
10235:9	10244:17	10035:6	10265:4	sweeten
10255:8	10245:4	10036:15	10276:22	10277:4
suggestion	10273:10,1	10064:4	10288:13,2	swing
9996:15	5	10134:4	3 10289:16	10009:10
10154:20	superior	10158:8,22	10290:22	10287:12
10158:8,22	10010:24	10241:24	10303:6,7,11	switch
10276:17	supervision	10242:4	surpassing	10006:7
10277:3,15	10030:21	10253:25	10176:22	10048:17
10278:20	10031:1	10285:4	surplus	switching
10282:17,1	supplement	supported	10066:22	10009:1
9,22	9996:4	10089:19,2	10088:7	10091:3,6
10290:20	10000:12	2	10139:24	sworn
suggests	10013:4,6,14	supporting	surprise	9995:9,16
10044:1	10030:19	10035:9	10180:3	10014:3,8
10084:8,11	10206:21	10068:8	surprised	10159:8
10283:9	supplemental	10125:24	10265:20	syrup
suitable	10313:6,10	10216:10	10267:14	10147:6
10108:15	supplementar	supports	surprises	system
suitably	y 10026:25	10068:22	10119:20	10017:20
10053:21	10031:20	supposition	10169:17	10018:22
suite	10108:23	10285:4	surprising	10019:10,1
10022:23	10118:16	sure 10018:5	10267:10	2
10038:18	10136:5	10021:1,10	surprisingly	10024:3,6,7,13
10051:12	10191:24	10036:12	10094:5	10039:15
10057:20	supplemented	10045:7	10251:2	10064:13,2
10108:17	10031:5	10056:9	10264:21	1
10224:7,18	supplements	10079:6	10297:1	10066:10,1
sum 10079:7	10030:18	10083:7	survive	3,14,17
10130:10	supplier	10091:4,8	10247:1	10067:8,14
summarized	10051:2	10109:2,6	suspect	,24
10297:20	supplies	10118:8,10,19	10102:21	10068:7
summary	10059:25	10119:17	suspicion	10069:6,13
9997:7	10147:17,20	10130:22	10051:24	10070:16
10032:22	0	10145:3,15	10101:5	10073:25
10102:13	supply	10166:13	sustainabili	10074:18
10189:24	10009:8	10168:25	ty	10094:4
10195:14	10057:9	10199:24	10008:20	10095:8,12
10241:23	10058:4	10200:13	Sven 9993:3	10105:15,1
10242:2	10070:11,1	10203:8	swagger	9,21
summer	5 10112:6	10204:6	10001:14	10106:16
10227:19	10204:15	10207:14	swallow	10108:8
10228:6	10219:24	10219:14		10119:1
sunk		10220:14		10122:8
		10239:23		

10123:3,4	tail	10182:11	10166:2	TCN 10004:1
10124:15,1	10195:17	10230:19,2	10182:10	team
8 10185:1	taking	0 10238:13	targeted	10142:11
10198:10	10011:25	10241:21	10199:23	10207:24
10203:11,1	10035:18	10246:14	10277:18	10231:16,1
3 10219:25	10036:6	10249:10	10289:14	7
10222:17	10050:7	10272:8,17	10299:4	10232:10,1
10225:10	10101:3	10274:8	targeting	1
10292:16,1	10112:19	talking	10299:25	teapot
8 10299:24	10117:5	10003:14,2	targets	10040:6
systems	10141:17	1 10020:3	10183:3	10128:9
10006:18	10148:12	10024:10,1	10184:18,2	tease
10010:18	10156:1	4 10025:12	4 10189:6	10170:15
10024:18	10162:5,16	10035:16	10190:14	Technically
	10167:4	10037:3	10191:10	10229:8
<hr/>	10190:20	10057:14	task	techniques
T	10207:6	10060:5,6,16	10010:21	10256:18
tab 10143:21	10220:21	10063:15	10011:12	technologica
10145:9	10252:4	10064:6	tasked	1 10063:22
table 9995:1	10270:20	10070:9	10081:18	technologies
10046:8	10273:24	10076:20	10138:16	10118:22,2
10054:17	10279:14	10090:15	10139:13	4 10119:6
10063:15	10292:16	10108:5	10266:7	10125:2
10075:5	10298:8,16	10131:4	Tataskweyak	10202:6
10077:15	talk 10004:2	10132:12	10003:18	technology
10163:8	10019:20	10163:19	tax 10081:9	10202:2
10168:21	10022:19	10171:22	10086:25	telephone
10192:22	10041:6	10172:5	10098:20	10147:22
10195:3	10063:7	10175:14	10143:1	tempest
10196:17	10089:5	10180:22	10154:15	10040:6
10197:19	10093:17	10191:16	10161:13	10128:9
10199:9	10118:18	10197:10,1	10303:8	ten 9997:5
10278:17	10164:1	9 10198:5	10304:6	9999:16,19
10288:16	10191:13	10201:20	10310:7,13	10001:10
10289:16	10193:5	10203:20	,15,22	10016:16
10290:10,1	10203:12	10224:11	taxes	10060:16
5,22	10297:18	10241:2	10076:23	10071:11
10296:8,9,21	10312:18	10256:9	10148:12,1	10108:9
10298:21	talked	10270:2	3 10192:14	10118:3
10299:6,14,18	10024:23	10277:24	10277:16	10150:11
10300:10	10025:9	10291:22	10278:11	10160:10,2
10302:11	10062:20	10309:8	10303:3	5 10161:6
10304:2	10064:23	taller	10306:15	10186:22
10305:11	10096:3	10068:14	10307:14,1	10201:14,1
tables	10098:15	tangentially	7	9,24
10093:17	10105:12	10058:2	taxpayers	10204:11
10276:14	10109:3	tangible	10200:5	10205:9,14
10305:14	10118:17	10124:25	T-bills	10206:5,21
tackle	10153:15	target	10127:14	10212:24
10267:1	10155:23	10109:19		
	10165:16	10133:24		
	10181:16			

10213:8	10027:13	10023:5	10107:1	10215:21
10214:1	10028:6	10024:22	10127:22	10223:5
10215:11,1	10033:13	10064:18	tests	10231:12
3,16,20	10052:16	territory	10041:23	10235:6
10216:1	10053:16	10077:4	10076:8	10241:4
10223:24	10060:16	10239:1	10113:7	10250:11,2
10285:20	10061:20	test	10123:22	2 10254:19
tend 10055:1	10064:1	10040:7,8	10221:13	10256:1,7
10074:15	10076:9	10041:23	thank	10258:7
10096:23	10094:10	10053:25	9998:12,20	10259:24
10110:8	10118:24	10058:10	,21	10265:24,2
10197:20	10121:21	10063:12	10011:12,1	5
10239:13	10125:12,1	10095:20	4,17,21,24	10266:1,5
10287:6	4 10137:13	10099:7,9	10012:1	10269:15
tended	10153:25	10111:23	10015:2	10271:12
10028:9	10155:12	10113:23	10016:9	10273:5
10204:1	10157:2,21	10123:1,21	10017:23	10282:4
10209:7	10161:1,3	10124:3,4,	10020:1	10288:6
10239:11	10172:9,21	5,8,10	10022:5	10290:1
10246:4	10186:16	10125:3,9,	10028:3	10300:11,1
tendency	10189:1,12	10,11,17	10029:13,1	3 10307:18
10046:24	10190:5,16	10129:18	7,22,23	10308:2,7,
10179:10	10198:8	10130:8	10030:3,4,	9,14
tends	10224:21	10197:1	11	10311:3,5
10247:25	10225:25	10282:24	10031:23	10312:5
tenth	10227:11	tested	10032:7	10313:1,20
10104:10	10232:5	10258:5	10050:15	thanked
ter 10027:13	10233:12	testified	10063:18	10311:11
term	10235:7	10026:2,10	10071:4,12	thanks
10034:23	10236:4	10194:15	10094:7	10011:24
10035:5	10237:1	10234:8	10114:9	10138:20
10064:9	10238:2	testifying	10118:11	10154:7
10079:23	10244:6	10022:1	10123:19	10155:14
10110:9	10245:23	10026:13	10126:2	10156:3
10116:6	10247:2	testimony	10135:6	10250:2
10136:8	10249:10,1	10018:16,2	10137:14	10257:16
10149:5,6	1 10262:21	4 10024:24	10138:13,1	that'll
10179:4	10273:10,1	10031:20	8	10063:16
10194:24	5 10278:3	10032:23	10139:3,9	that's
10208:7	10281:20	10033:2,4	10148:4	9999:18
10230:23	10282:18	10045:11	10150:15	10000:2
10244:21	10300:3,18	10050:17	10152:22	10001:5,22
10269:24	10309:25	10063:4	10154:8	10020:16
10271:10,1	10310:14	10104:11	10155:25	10025:3
4	territorial	10131:11	10156:5,6,	10026:25
terms	10016:3	10234:6	7,17	10027:22
10001:23	Territories	10258:11	10157:22	10032:3
10002:1	10017:9	10290:11	10158:1	10033:24
10005:17	10018:21,2	10308:3	10159:3,18	10035:4,17
10007:15	5	testing	10181:6	10036:12
	10019:2,16	10024:8	10191:22	10037:21
	10021:14		10195:15	10041:2
			10208:8,12	

10044:18	12,25	10283:17	10024:1	10187:22,2
10048:23	10149:5,6,	10284:18	10028:24	3 10192:20
10050:12	9,24	10286:4	10033:17,2	10195:6
10053:2	10150:1,16	10288:1	5	10200:17,1
10054:4	10153:17	10289:22	10037:4,7,	8 10201:25
10058:12,2	10155:21,2	10292:18	24	10202:5
0 10059:23	4 10157:1	10293:16	10038:12,1	10208:4
10061:6	10160:15,2	10295:2	7 10040:5	10222:5
10062:9	2 10161:13	10296:8,20	10041:20	10227:21
10063:1	10165:11,2	10297:17	10042:9	10228:9
10067:3,11	1 10172:7	10298:21	10043:21	10262:3
,23	10177:22,2	10300:8	10045:2,17	10263:1
10069:11,1	3 10179:9	10301:5,19	,19,22,24	10264:8,10
5 10070:25	10186:21	10302:13	10046:24	10270:7
10072:23	10187:2,17	10303:17	10047:1	10274:4
10073:22	,25	10305:5	10056:10	10278:23
10076:23	10188:8,9,	10307:16,2	10060:9	10284:16,1
10079:22	11,19	1,23	10072:1	7 10285:6
10083:14	10190:15	10310:23	10074:4,6	10288:7,19
10084:4,20	10192:19	10313:13,1	10075:2	10295:4
,22	10197:13	7	10077:12	10306:20,2
10085:2,10	10199:17	theatrics	10079:23	4
,14	10200:6,10	10159:12	10080:4,6	10313:13,1
10090:7	10202:13	theirs	10082:10,1	6,17
10091:1	10204:18	10042:13	1,12,13,14	thermal
10092:20	10205:7,20	10204:17	,21	10067:22
10095:18	10213:5	theme	10085:4,5,	10068:3
10097:5	10214:21	10056:8	17 10087:1	10069:10
10098:13	10215:16,2	10069:19	10096:9	10074:7,8
10100:2	2 10216:18	10119:10	10098:17	10086:19
10103:18	10217:17	themselves	10109:2,8	10087:6
10107:1	10218:10,1	10150:5	10111:22	10088:5,9
10108:6	7,23	10175:10	10113:3,4	10098:18
10109:7	10220:11	10202:21	10118:17,1	10099:10
10111:10	10226:17	10206:2	9,23	10100:2,14
10112:10	10228:8	10251:21	10120:15	10101:13,2
10114:6	10230:5	10254:22	10123:21	4 10102:16
10117:17,2	10231:7	theory	10124:1,13	10164:25
4	10232:19	10067:3	10128:1,3,	10165:2,5
10119:10,2	10233:24	10070:1	23	10169:22
4 10120:18	10240:7	10259:19	10129:13	10170:1
10121:10,2	10241:22	thereabouts	10130:2,24	10306:14
0 10124:24	10244:21	10076:17	10131:6	thermal-
10127:15	10253:3,8,	10134:3,23	10137:23	based
10129:19	21	there's	10146:23	10064:25
10130:18	10260:24	10012:15	10148:21	they'd
10132:3,10	10264:5	10013:18	10149:22	10263:17
,20,23	10270:6,25	10020:20,2	10157:20	they'll
10133:6	10271:6,22	1,22	10162:2	10118:7
10135:3,13	10275:15	10022:14,2	10168:17,2	10176:5
,16	10278:12	5 10023:1	5 10170:19	10264:22
10136:12	10279:5		10174:11	10304:6
10144:15	10281:24		10176:3	
10148:1,9,	10282:21		10186:8,14	

they're	10278:2,4, 5 10309:6	10131:10	throws	10227:6,12
10005:5,24	10312:7	Thompson	10127:7	10231:22
10036:24	they've	10059:10,1	thumb	10238:13
10037:19	10059:11	8 10311:22	10100:9	10244:16
10042:4	10092:2	Thomson	thumbs	10246:14,2
10049:17,2	10098:15	10052:3	10194:3	4,25
4	10126:7	10055:18	thus 10141:8	10249:6
10059:19,2	10127:4	10062:20	10151:1	10258:9,20
2,25	10129:20	10111:14	tightened	10265:7
10065:2	10222:16	Thomson's	10174:12	10273:9
10073:8	10239:11,1	10058:12	till	10281:14
10075:19	7 10245:2	thoughtful	10135:18	10297:21
10078:5	10253:17	10202:13	10247:1	10300:16
10080:12,1	10311:14	thoughts	timeframes	10311:15,2
4 10083:2	thir 10168:4	10202:8	10057:2	4
10088:5	third	thousand	10060:6	10313:11,2
10090:5	10005:21	10037:5	timid	1
10098:23	10045:22	10110:11	10301:19	today's
10105:23,2	10060:20	10115:15,2	tired	10012:10
4 10113:24	10072:11	5 10148:7	10213:20	10053:23
10116:20	10100:21	10149:13,1	titles	10117:5
10118:6	10110:17	6 10150:10	10269:14	10218:25
10119:21	10132:7	thousands	today	10276:20
10129:6,12	10157:17	10106:15	10003:16,2	toll
10132:8	10180:17	thread	2 10012:12	10152:10
10136:16	10215:1	10004:13	10033:24	Tom 10142:4
10137:7	10232:24	thresholds	10034:25	tomorrow
10147:16	10266:21	10076:8	10040:11,2	10135:22
10154:4	10283:23	threw	1,22	10186:11
10161:21	10312:14	10170:15	10043:6	10195:4
10164:22	Thirdly	throat	10049:10,2	10247:1
10165:6	10142:21	10004:11	2 10069:6	tonight
10167:22	thirds	throughout	10070:19	10014:14
10172:5	10005:12	10005:19	10073:7	10291:19
10177:21	thirty	10009:17	10076:6	tonne
10180:10	10117:13,1	10026:6	10094:6	10310:8
10184:11	6,24	10216:10	10095:4	tool
10187:25	10162:1,12	10260:9	10104:24	10047:16
10188:9	,13	10268:4	10134:8,24	10199:23
10190:18	10213:9	throw	10135:17	10256:16
10196:4	10214:2	10155:6	10138:17	tools
10203:22	10215:14	10293:3	10154:25	10023:13
10204:12	thirty-eight	throwing	10155:25	10077:5
10205:13,1	10148:7	10025:14	10195:2	10243:9
4	10149:12	thrown	10208:3	10255:18
10209:9,11	10168:5	10000:25	10210:11	toothpaste
10215:15	thirty-six	10149:23	10217:15	10146:7
10222:1,7,	10168:15	Thirty-two	10218:13	top 9999:23
9 10237:16	Thirty-two		10219:2	10015:25
10243:23				
10255:6,7				
10262:1				
10273:20				
10275:14				

10220:6	10147:18	10202:6	10165:23	10146:24
10240:4	10195:8	transition	10233:14,1	try 10022:21
10293:9	towards	10108:22	9	10039:17
10299:6	10001:18	transitions	treatment	10040:13
topic	10028:10	10118:4	9998:25	10041:3
10025:21	10191:17	transmission	tree	10042:16
10033:18	town	9999:1	10256:25	10113:6
10058:23	10057:25	10019:17	10282:7,12	10121:12
10105:9	10135:9	10023:8	10285:8	10136:4
10116:24	track 9999:6	10024:11	tremendously	10143:12
10168:6	10079:12	10044:5,7,	9998:22	10168:19
10272:2	10083:17	14 10050:9	10000:21	10174:21
topics	10084:2	10051:16	trend	10179:1
10016:18	10203:25	10068:9,18	10116:6	10181:11
10017:2	tracked	10069:3,5	trick	10182:15
10025:9,10	10099:3,25	10074:2	10213:19	10183:11,1
10042:11	tracking	10075:5	trickle	7 10188:5
10166:14	10248:19	10086:25	10044:13	10191:20
10203:2	tracks	10095:22,2	tried	10209:21
Toronto	10009:13	5 10096:7	10085:25	10211:9
10115:19	tradeoff	10099:22	10166:25	10266:8
10146:23	10087:5	10100:1,7,	tries	10277:19
total	traditionall	15,23	10124:8	10305:16
9999:17	y 10064:22	10101:1,17	10170:8	trying
10036:1	10092:5	10114:25	triggered	10051:13
10124:2,11	train	10169:4	10121:19,2	10063:1
,12	10117:22	10198:13	0	10105:15
10130:10	training	10218:6	trouble	10112:20
10148:5	10002:10	10219:3	10065:25	10114:4
10177:14,2	10005:5	10220:21	10156:1	10124:11
0 10310:14	10139:23	10226:24	truck	10125:3
totals	10140:1	10227:3,14	10117:23	10126:19
10148:3	10267:21	,20	trucking	10129:9
touch	tranche	10231:2	10270:6	10148:15
10021:18	10104:2,3	10240:13,1	true 10011:2	10149:10
10040:13	trans	5,18	10047:17	10163:22
10041:3,12	10240:16	transmission	10048:20	10175:5
10043:8	transactions	s 10074:16	10111:1	10181:21
10056:15	10243:23	transparency	10120:18	10187:7
10060:19	transcript	10257:19	10121:11	10197:8
10082:25	9995:24	Transportati	10132:3,6,	10201:16,2
10165:12	10042:18	on	10	1 10221:17
Touche	10311:8	10147:13	truly	10228:1
10306:4	transformati	travelling	10004:20	10229:15
touched	on 10205:4	10311:22	trust	10282:24
10041:10	transformati	TRC	10004:18	10287:24
10251:5	onal	treated	truth	10301:7,12
10256:10				tuna
10308:16				10145:22
tough				tune 9999:22
				Turkey

10204:14	10191:7	10106:2	unable	underreflect
turn	10204:11	10124:4	10220:4	ing
10012:17	10205:23	10125:8	unavoidable	10189:5
10127:18	10213:9	10126:24	10035:11	understand
10128:5,13	10214:2	10127:19	unbelievable	9998:8
10129:24	10215:13	10131:14,1	10272:3	10012:22
10131:15	10224:6	8,20	uncertain	10013:10
10162:14,1	10295:14	10133:5	10274:25	10014:19
9 10189:2	twenty-eight	10134:2	uncertaintie	10054:3
10197:2	10149:16	10135:2	s 10049:7	10091:25
10198:19	twenty-five	10177:11	10262:3	10114:18
10199:7	9999:20	10191:18,2	uncertainty	10133:23
10208:9	10191:5	0 10207:2	10049:6	10175:23,2
10227:6	twenty-four	10222:14	10109:8,9,	5 10181:11
10232:23	10168:15	10227:23	14	10185:25
10234:10	twenty-nine	10239:9	10175:11	10186:12
10273:6	10150:10	10243:1	10176:11,1	10221:18
10276:25	twenty-one	10253:19	4 10204:8	10229:22,2
10282:5	10295:15	10254:13	10261:8,14	5 10230:9
10289:16	twenty-seven	10263:13	,20	10233:12
10300:15	10171:20	10274:1	10262:10,1	10237:18
turnaround	10172:20	10276:12	4,22	10254:21
10133:4	10173:10	10293:25	10272:3	10263:4
10181:4	10214:18	10304:7	uncommitted	10265:4
turned	two-eight	types	10283:12	10292:13
10052:17	10297:13	10043:9	uncommon	understandin
10246:10	two-hundred	10113:9	10171:24	g 10013:20
Turner	10110:12	10218:21	10273:22	10014:23
10092:14	two-six-two-	10275:8	undergoing	10024:6
turning	one	typical	10017:16	10033:13
10002:24	10307:1	10262:23	10019:18	10035:12
10131:20	type	10263:2,5,	underline	10059:19
10171:12	10015:18	22	10034:20	10103:6
10259:24	10016:25	typically	10047:18	10120:24
turns	10017:5	10025:14,1	10130:7	10123:1
10128:19	10018:1	5 10206:3	underlined	10137:1
10163:16	10022:8	10257:1	10077:20	10143:3
10219:3	10026:1	<hr/>	10095:17	10164:6
10225:6	10029:11	ultimate	10111:16	10172:14
10253:23	10035:17	10140:3	underlines	10181:21
tweaking	10060:10	10198:25	10044:11	10182:18
10050:25	10064:5	10228:23	underlying	10183:14
twenty	10068:23	ultimately	10094:4	10198:9
10000:10	10074:13	10090:5	10172:2,7	10207:3
10035:6	10081:12	10098:25	10207:17	10226:18
10049:14	10092:15	10213:25	10208:23	10237:5
10060:16	10095:20	10218:5	undermine	10260:13,1
10149:15	10098:7	10288:4	10181:2	4 10273:14
10150:9	10099:8	umbrella		10285:24
10187:22		10268:3		10287:20
				understands
				10239:3

10277:14	unfortunatel	10249:13	10266:15	10237:2
10288:14	y 10006:8	unravel	10282:12	10248:11
understood	10087:3	10229:20	10283:3	10251:5
10194:15	10180:8	10230:15	10284:21	10291:9,10
10270:2	10197:11	unrealistic	10297:21	10314:3
undertake	uniform	10299:8	10300:21	upping
10213:24	10141:11	10048:6,9		10250:1
10241:23	unintended	10081:3	updates	ups 10166:1
10261:12	10151:19	unreasonable	10013:8	10253:6
10280:4	unions	10129:8	10056:11	upside
undertaken	10228:13	unrelenting	10063:5	10107:15
10153:21	unique	10005:14	10064:7	10110:14
10158:8	10287:3	unused	10072:2	10112:6
10208:17	uniquely	10073:11	10089:20	10195:6
undertaking	10025:10	update	10168:8	10254:4,8
10019:7	unit	9997:3	10177:17	upsides
10035:3	10178:10	10026:11	10210:2	10037:2
10055:18	10237:3	10031:20	10212:2	up-size
10102:10,2	United	10042:21	10232:5	10119:3
3 10213:15	9999:3	10043:25	10235:5	upwards
10215:24	10204:13	10044:2	10268:12	10162:8
10240:7	10232:6	10050:7	10302:1,5,7,19	urge
10241:9	10309:11	10062:3	updating	10008:19
10242:1	units	10074:24	10177:11	10010:25
10244:6	10088:11	10077:16	10215:19	urges
10280:18,2	universal	10094:10	updatings	10151:18
2	10246:7	10136:4	10215:18	10152:17
Undertakings	university	10168:7	upfront	useful
9995:4	10142:4	10171:19	10043:18,19	10036:23
9997:1	10155:8	10172:24	9	10039:22
undertook	10257:22	10173:24	upgrade	10058:13
10233:13	unless	10183:7	10075:20	10171:24
underway	10048:4	10215:9,11,24	10095:1	10290:20
10072:23	10171:2	10311:6	10124:21	10313:17
10198:10	10172:18,23	updated	upon 9997:4	users
unexpected	3	9997:4	9998:1	10231:17
10074:22	unlikely	10013:9,19	10012:6,7	10267:8
10202:19	10224:4,15	10033:1	10027:5	usual
10274:10	unlimited	10061:21	10071:14,15	10249:23
unfold	10122:20	10159:25	10138:3,4	Usually
10085:14	10229:12	10172:19,24	10156:9,10	10131:17
unfolded	10259:2	10178:23	10206:7,8	10172:4
10052:7	unnecessary	10180:8	10208:18	util
unfolding	10011:7	10181:7,12,22,25	10210:2	10017:20
10040:17	unpredictabl	10187:13,2	10215:19,25	utilities
unfortunate	e 10001:5	2 10189:10	10217:13,2	9992:3,21
10073:5	unqualified	10215:3,5,19	10234:25	10015:13,1
10075:22		10217:14,2	10235:8	5,16,18
		3 10233:14		

10017:6,21	10036:2	Vancouver	vast	viable
10018:16	10065:15,1	10146:23	10082:16	10275:20
10022:25	6 10067:11	variability	vegetables	view
10023:21	10084:12	10106:25	10146:1	10011:16,1
10024:9	10086:15	10167:18,1	10152:12	7
10138:20	10092:23	9	vented	10034:7,20
10141:24	10093:19,2	10175:9,20	10092:18	,21,23
10142:14	2	10177:3	verging	10036:17,1
10144:1	10097:9,23	10180:5	10057:20	9 10046:14
10152:18	10128:24	10298:18	vernacular	10074:14
utility	10160:10	variable	10251:6	10081:2
10004:22	10161:1,5,	10106:8,9	versed	10088:17
10009:5,21	20	10177:18	10130:4	10089:23
10010:1	10162:22,2	variables	version	10107:7,8
10014:25	5 10166:2	10000:24	10013:21,2	10119:13
10015:3	10174:6,7,	10105:22	2	10125:18
10016:1,4,	8,12	10175:13	10101:4,20	10152:23
7 10018:21	10175:6,18	10257:12	10168:13	10233:7
10020:8,23	10176:1,2,	10284:5,6	10289:10	10262:9
10021:15	9,10,13	10285:9	versus	views
10023:9,25	10177:5	10293:25	10018:9	10034:5,6
10026:19	10178:7,11	10294:2,24	10024:14	10109:10
10027:21	,20	variant	10028:8	10126:4
10039:1	10186:16,2	10053:13	10038:15	10175:24
10064:15	1,23	10055:5	10056:8	10193:7
10065:25	10192:7	10183:8,15	10089:1	10194:9,22
10080:10	10193:23	variations	10107:8	vision
10093:21	10211:19	10166:24	10112:15	10050:22
10098:4	10218:5	varied	10121:8	10058:16
10113:20	10236:19,2	10306:9	10122:15	10062:25
10125:13,1	3 10237:1	varies	10160:6,8,	visiting
4 10150:25	10239:4	10177:18,1	13 10176:7	10250:9
10171:25	10282:13	9 10299:20	10192:6	visual
10238:23	10307:1	variety	10196:3	10065:22
10265:2	values	10154:18	10210:20,2	10181:24
10273:23	10098:10	various	2	10197:9
	10167:1	9997:8	10211:3,4,	10251:21
	10172:16,2	10014:21	15	10304:1
	1,25	10024:24	10212:3,7	visually
Valet	10173:3,8,	10241:24	10245:24	10089:10
10059:10,1	9,18,20,24	10242:2	10248:17	10182:15
9	10174:1,12	10252:10	10249:4	vitae
valid	10208:18,2	10265:7	10299:11	10014:16
10034:21	3	10282:18	vertical	voice
10073:24	10209:1,2,	10252:3	10167:12	10140:17
10131:6	6,7,24	vary	10252:2,24	voices
valuable	10210:4,5,	varying	,25	10139:2
10096:12,1	8,13,20	10053:20	10253:7	volume
3 10143:23	10211:1,12	10067:21	via	10272:4
value	,24			
10000:3	10212:2			
10035:23	Van 9993:8			

10289:22	wasn't	10306:19	weighted	10204:5
volunteer	10021:8	waterbed	10129:7,9	10214:22
10139:7	10059:6	10096:10	10173:10	10215:18
volunteers	10075:15	waterfall	weighting	10245:8
10142:12	10091:4	10098:7	10214:19	10276:23
10145:8	10114:22	10102:25	10284:8,10	10280:14
vote	10132:16	ways	,11,12,16,	10299:11
10003:16	10213:19	10028:19	18	10301:2
10168:24	10234:5,8	10036:12	weightings	10310:2,5
voted	10273:22	10107:5,7	10284:22	10313:15,2
10003:8,10	10307:20	10118:23	10285:16	2
vous	waste	10120:20	Weinstein	well-known
10029:14	10092:17	10154:18	9994:7	10059:3,10
10206:12	10093:1	10186:8	welcome	we're 9998:4
10250:23	wasted	10236:14	9998:6,7	10003:21
10313:3	10067:11	10238:23	10000:4	10010:4
	watch	10255:14	10138:8	10017:16,1
	10204:19	10270:10	10152:25	8 10025:12
	10271:23	weak	welfare	10035:16
	10291:20	10090:23	10149:4,5	10036:14
wait 10116:2	watching	weak-kneed	10150:24	10037:3
10137:17	10204:23	10230:2,8	10151:17	10042:10,1
10228:16	water	weather	10153:17	1 10043:8
10229:17	10005:23	10229:24	10154:2	10050:8
10308:20	10006:20	we'd	we'll	10052:4
waiting	10015:17,2	10145:12,1	10031:24	10057:1,2,
10157:2	3	3 10159:20	10034:12	14
walk	10017:20,2	10182:24	10037:25	10060:5,6,
10032:24	1 10019:5	10190:9	10054:12	16
10033:8	10022:1	10195:11	10065:20	10061:1,3
10034:12	10033:16	10214:18	10071:4	10062:11,1
10046:7	10055:2	10283:17	10082:25	2,13,18
10099:17	10076:21	Wednesday	10084:11,2	10063:3,15
10115:14	10087:6	10311:23	1 10085:11	10069:18
10277:24	10099:9	week 10010:6	10089:5	10070:9
10288:22	10100:17	10156:18	10103:4	10075:21
walked	10101:24	10311:18,2	10104:17	10076:20
10112:18	10106:7,12	3	10120:17	10079:14
10115:5	10152:13,1	10313:22,2	10135:24	10082:20,2
10285:12	5,16	3	10136:18,1	1 10086:4
10288:20	10161:12	3	9	10089:13
walking	10277:15,2	weekend	10137:12,1	10093:20
10054:19	5	10276:21	7,23	10094:2
warned	10278:1,8,	10312:21	10143:11	10098:7,16
10206:4	9 10286:14	weigh	10144:3	10100:5,6
warning	10288:9	10105:9	10149:25	10107:12
10037:22	10292:17	10267:13	10164:1	10108:5
warnings	10293:5	weight	10166:4	10112:19,2
10115:20	10294:1,3,	10285:11	10168:22	0
	7,8		10189:23	10114:3,4
	10295:1,24		10202:18	10116:2,3
				10130:23
				10135:6,11

,19	10034:17,2	whatever's	10272:11	10283:21
10136:9,18	1 10035:19	10289:1	10281:20	widening
10138:7	10047:17	whenever	10282:24	10006:15
10147:11	10052:7,9	10264:20	10287:13	widens
10148:2	10062:9,15	whereas	10288:3	10211:17
10154:22,2	10071:8	10275:3	10300:22	wider
4 10158:11	10072:9	10276:10	10312:3,5,12	10176:20
10159:16	10079:15	wherein	10313:8,12,13,17,18	10177:9
10169:11	10089:17,2	10292:2	whichever	10283:3,4
10170:16	5 10090:8	Where's	10097:6	widespread
10171:12,1	10095:17	10102:4	10201:15	10005:19
3 10172:5	10100:22,2	whether	whisper	10007:7
10174:17	5 10105:3	10015:8	10237:23	William
10175:2,13,16,17	10109:10	10021:19	white	9993:18
10178:16	10121:6	10024:13	10045:18	10008:12
10180:6,22	10124:7	10030:19	Whitfield	Williams
10185:4	10126:25	10043:22,2	10311:20	9993:14
10186:9,10	10127:10	4 10048:23	whole	9995:19
10188:16	10128:24	10049:1	10009:17	10027:7,8
10190:21	10135:15	10059:4	10104:9	10028:2,3,12
10194:20	10145:8	10077:12	10113:5	10029:5,14
10195:17	10146:9,10	10084:24	10124:1	10136:6,7
10196:14,1	10147:6	10092:20	10153:16	10158:4,6,7
5,18	10168:6,7	10096:14	10156:21	10159:4
10197:10	10170:7,12	10099:4	10195:1	10166:16
10199:12	10171:2,13,14	10106:11	10199:4	10208:9,11,12,25
10200:2,4	10174:18	10107:22	10207:21	10209:5,15
10202:15	10176:25	10110:19	10222:2,6	10210:1,7,10,18,25
10203:2,20	10177:23	10117:20	10229:15	10211:8,21,25
10211:23	10178:19,2	10119:12	10239:1	10212:10,13,20
10213:20	2 10179:4	10120:12	10287:25	10213:6,14,18,23
10220:4	10182:11	10122:25	10290:25	10214:5,7,15,21
10224:10	10186:5	10128:4,5	10296:1	10215:8,13,17
10237:11	10193:5	10168:16	whom	10216:15,16,20
10241:2	10199:10	10184:15	10142:12	10217:9,13,18,25
10245:16	10220:1	10187:15	10292:12	10218:4,9
10250:8	10227:22	10188:8	who's	10219:4,13
10268:6	10239:9,10	10194:2	10074:4	10221:1,7
10272:14	10240:10	10198:11,1	10271:2	10222:25
10276:1	10243:18	2 10211:16	whose	10223:4,10,13,21
10289:17	10247:25	10215:4	9998:19	
10291:17	10249:23	10216:13	10010:2	
10300:16	10280:16	10220:11	10142:21	
10302:5	10299:8	10227:12,1	wide	
10308:10	whatever	3 10234:17	10020:19	
10312:11	10100:11	10238:17	10113:9	
we've	10188:2	10245:23	widened	
10022:12	10199:17	10253:10		
10023:4,14	10207:15	10260:18,2		
10024:16	10245:4	0 10262:6		
10025:21	10254:6	10270:6		
10026:12	10270:6,7			

10224:10,1 9 10225:20 10226:4,10 ,16,19 10227:5,11 ,17 10228:18 10229:4,5 10230:11,2 4 10231:5,12 ,21 10232:2,9, 14,18,22 10233:5,11 10234:1,9, 13,24 10235:6,14 ,21,24 10236:2,7, 12,17,25 10237:22 10238:7,12 ,16 10239:2,19 10240:6 10241:4,23 10242:15,1 6,22 10243:10 10244:5,14 ,21,24 10245:7,15 ,22 10246:2,13 ,17 10247:2 10248:10,1 4,25 10249:9,16 ,21 10250:7,12 10277:1 10308:23,2 4 10309:5 10311:24 10312:21 Williams's 10030:10 10206:2 willing 10005:5 10092:6	10190:17,1 8 wind 10074:5 10220:11 10222:4 10309:23 window 10125:5 10229:7 windows 10124:22 winners 10205:14,1 5 Winnipeg 9992:23 9995:13 10007:4 10019:9 10138:10,1 2,15,20 10139:6,7, 15,17,21 10140:7,10 ,17 10141:6,18 ,23 10142:2,4, 11 10143:14,1 5,18,25 10144:4 10145:7,11 10147:4,20 10148:10,1 7,23 10149:1 10150:3,18 ,22 10151:18 10152:17,2 3 10203:14 10268:15 10269:1 winnipeg harv est.org 10143:21 winter 10122:5 win-win	10125:9,11 wish 10011:11 10047:11 10313:21 wishes 10004:7 10154:18 witness 10014:10 10030:9 10138:1 10213:24 10250:21 10314:1 witnesses 9995:10 10027:7 10137:7 10206:2 10234:17 10259:5 10266:8 10312:7 witness's 10029:24 Wojczynski 10047:17 10237:23,2 4 10250:9,13 wonder 10071:6 10156:14 10219:5 10232:22 10234:9 wonderful 10093:2 wondering 10058:20 10154:12 10158:18 10201:13 10274:17 wont 10188:13 worded 10211:9	work 9998:14,18 ,22 10005:5 10015:6,19 10016:1,16 10017:7,10 ,12,18 10018:1 10019:13 10021:2,10 ,18,25 10022:12 10023:14,1 5 10024:8,17 10025:4 10032:13 10033:15 10039:10,1 8,21 10047:2 10048:12 10051:10 10052:22 10057:5 10067:24 10068:4 10069:11 10070:21 10078:24 10079:1 10082:8 10085:15 10104:25 10107:22 10110:14 10135:18 10136:1 10137:21 10139:15 10140:6 10141:19 10145:6,7 10152:10 10156:4 10182:24 10199:8,13 10202:6 10216:17 10222:15,2 3 10232:3 10238:23 10241:7,8,	12,19 10243:13 10266:7 10268:9 10278:25 10296:14 10305:15 10306:9,14 ,17 worked 10021:11 10026:6 10133:12 10143:15 10145:10 10233:21 10287:8,14 workers 10192:14 working 10015:13,1 4 10016:22 10019:8 10040:18 10065:2 10082:9 10138:25 10150:2,4 10203:18 10230:5 10243:11 10263:9 10267:8 10312:21 works 10293:23 10306:8 world 10074:10 10119:19 10127:13 10160:2 10175:15 10205:5 worried 10202:25 10205:9 worry 10084:1 10204:2 10205:8
---	--	---	---	--

10230:4	10258:11	10070:3	10295:12	10265:12
worse	10273:11	10234:19	10296:11	10267:3
10011:7	10282:23	Yellowknife'	10297:8	10275:4
10295:23	10312:19	s 10065:3	10306:8,18	10276:10
10296:25	wrong	yellows	,24	10293:1
10300:2	10001:2	10067:16,1	10307:14	10299:7,23
worst	10094:21	7 10088:3	young	10304:25
10252:17	10199:11		10147:10	10307:16
10254:5	10254:9	yesterday	yourself	Yukon
10293:8	wrote	10012:20	10074:17	10017:10,1
10297:17	10050:2,3,	10013:3,10	10125:19,2	3
worth	19 10075:4	,19	3 10231:22	10018:14,1
10065:6	10117:7	10091:5	yourselves	6 10019:4
10073:2	Wuskwat	10156:19	10144:6,8	10020:11,1
10078:23	10008:6	10308:22	you've	6 10022:16
10087:13	Wuskwatim	10309:9	10005:9	10023:14,1
10102:4	9999:5,16	yet 10011:22	10011:17,1	5 10024:21
10117:12	10000:1,2,	10048:23	9 10020:2	10064:17
10193:1	17,22	10071:1	10021:5	10065:2
10243:8	10001:9,20	10092:2	10026:2	
10313:14	10003:13	10181:17	10039:11	<hr/> Z <hr/>
worthwhile	10008:11,1	yield	10046:7,8	zero
10099:5	3 10016:22	10191:9	10049:19	10111:14
10128:4	10056:24	yielding	10051:11	10184:18
worthy	10126:23	10092:7	10067:10	10233:9
10309:6	10132:14,1	10122:2	10072:17	10310:20
would've	6	10192:9	10079:5	zone 10201:5
10034:9	Wuskwatim-	you'll	10080:1	zoom 10290:3
WPS	style	10034:2	10086:7,18	
10193:6,15	10058:7	10039:9	10095:8	
10194:3		10049:6,8	10100:15	
10195:23	<hr/> X <hr/>	10056:20	10107:25	
10196:3	X-axis	10068:13	10111:17	
10249:11	10176:10	10097:20	10134:6	
10286:8	10177:1	10123:8	10135:7	
wrestle	XL	10124:6	10156:2	
10033:23	10264:16,1	10146:11	10172:19	
10051:14	9	10149:8,9	10178:4	
10105:4		10160:15,2	10179:18	
10107:22	<hr/> Y <hr/>	1 10161:25	10187:15	
10114:5	year's	10174:10	10194:14	
writing	10143:1	10178:14	10195:7	
10186:10	yellow	10180:18	10210:3,7	
written	10066:21	10182:4	10220:14	
10092:9	10067:1,20	10184:6	10223:7	
10140:23	,25	10190:4	10228:14	
10186:1	10068:13,1	10193:21,2	10229:6,14	
10208:15	4,19	2 10201:4	,15	
10247:20	10069:3	10226:21	10234:14	
		10237:1	10238:16	
		10275:13	10255:1	
		10293:9	10258:1,4	