

**Manitoba Hydro**

**Book of Documents**

**MMF - WRA**

# LCA's Plan 17 Looks Promising

Plan 17, the LCA No New Generation scenario is a new scenario developed in the reports and testimony of La Capra. Because of Plan 17's low cost, low risk and substantial economic benefits, La Capra makes a strong case for refining this option into a full-fledged plan or an early stage of a long-term plan in order to reduce risk and cost. LaCapra recognizes that Plan 17 is not a fully fleshed out plan, but asserts that its benefits are so significant that its elements warrant serious consideration by the PUB. Transcript at 6071-78.




<p style="text-align: right;">5626</p> <p>1 effort does it take to move -- move the year of need up  2 to that point in time. And -- and it -- it's -- it  3 manifested in this plan, and it's obviously shown up in  4 the -- in the level 2 DSM analysis that Hydro has since  5 put together.  6 The other thing we learned is the -- the  7 potential drought hedge value of increased import  8 limits. In these cases, whether it's the Preferred  9 Development Plan that we saw or the -- or in comparing  10 it to the -- to the plan that we have with -- with the  11 added import capabilities, we didn't really see as much  12 -- you know, it -- it gives an opportunity to take more  13 advantage of the market during dry conditions with  14 added import capability.  15 It illustrates the impact of DSM and  16 imports on thermal generation. So the -- the other  17 thing was, by adding this amount of DSM and fuel  18 switching, we saw that it largely mitigated the need to  19 run internal thermal generation for quite some time.  20 And the -- while -- while it is a  21 hypothetical plan, the results do point to the  22 potential for added elements. DSM, import -- import  23 limit cap -- capabilities are all elements of -- of a  24 plan that -- that may be some -- may be of some  25 promise, either by themselves or in some combination.</p>	<p style="text-align: right;">5628</p> <p>1 of this plan to the Preferred Development Plan; and we  2 said, Oh, look at that. In the dry years, the  3 Preferred Development Plan is importing, and that was  4 not something that we'd really sort of thought about  5 before.  6 But when you -- when we look at it this  7 way, you could say the transmission line, even in that  8 case, clearly is being used in dry years, and would --  9 would mitigate the cost you would otherwise have by  10 running internal -- more expensive internal thermal  11 generation, and so even in the Preferred Development  12 Plan, you're seeing in -- in dry conditions, some  13 utilization of that export transmission line for import  14 purposes.  15 Is that -- so that -- that was kind of  16 the clue to me that said, If it -- if it works as a  17 drought hedge for the Preferred Development Plan, it's  18 got to work for -- for other plans as well. Does that  19 -- does that make sense?  20  21 (BRIEF PAUSE)  22  23 THE CHAIRPERSON: Now, you also  24 indicate the -- the -- sorry, the last -- the -- the  25 slide before this one (1), thirty-three (33) --</p>
<p style="text-align: right;">5627</p> <p>1 And, you know, the fact that the -- the  2 end -- the end result of this exercise came up with a  3 present value that was more or less akin to what was in  4 the current Preferred Development Plan indicates that --  5 - that, you know, there's a lot of interesting elements  6 from this -- from this analytical exercise that -- that  7 might suggest that we should -- that, you know, it  8 would be worth looking at -- at more -- more -- in more  9 detailed fashion, some of these alternatives, and how  10 they might play out in a -- in an alternative strategy.  11 THE CHAIRPERSON: You -- you haven't  12 discussed the -- the drought hedge as part of what  13 we've seen up to now. I guess that's embodied in some  14 other --  15 MR. DANIEL PEACO: Yeah, let me go back  16 --  17 THE CHAIRPERSON: Okay.  18 MR. DANIEL PEACO: -- and tell you why  19 I -- the -- and I guess there really was -- kind of  20 going back to this one, because when we looked at this  21 plan and we compared in this particular -- and I'm on  22 slide 30.  23 And part of what -- what I said about  24 the drought hedge, really had to -- what I -- what we  25 learned about put -- when we were doing the comparison</p>	<p style="text-align: right;">5629</p> <p>1 MR. DANIEL PEACO: All right. Okay,  2 thirty-three (33).  3 THE CHAIRPERSON: -- you indicated,  4 While it's a hypothetical plan. Now, why would you say  5 that?  6 MR. DANIEL PEACO: Well, the -- the --  7 you know, and I -- and I'm sure we'll hear Hydro say,  8 Hydro says we can't build the transmission line solely  9 for import. And they would, you would, so we -- the  10 way I view this plan, is I say I'd like to sort of  11 postulate this thing, these are things I think that we  12 could do, and we could at least -- at least do some  13 serious planning on, but the first thing you want to do  14 is to sort of just, let's -- let's postulate this with  15 some plausible numbers.  16 And, you know, if the -- if the answer  17 was, it was a clear loser, and we'd say, Well, we don't  18 even need to -- we don't need to do any more work, so -  19 - but I -- I feel like this was sort of a -- a test to  20 see whether -- whether the -- any of these concepts are  21 worth sort of investing planning time into them, to see  22 whether you could actually develop a specific plan to  23 implement this.  24 You wouldn't necessarily have to build  25 the transmission line to Minnesota, and in fact, I</p>

Update to MH Exhibit 171, Page 2  
Plan 12 K19/C40/750MW with Level 2 DSM is added to the chart

**Note: Plan 4 is considered hypothetical from a business perspective as a 250 MW interconnection would require renegotiation of a contract with Minnesota Power which would not be expected to result in the same level of benefits given that the entire economic analysis is now in the public forum. MP has taken the position in its Certificate of Need filing on October 21, 2013 (Section 7.4.2.1 page 77) that “such a project would not meet the long-term needs of the region and would not prove to be cost-effective for customers or environmentally preferable over the long-term.” The 250MW interconnection is not likely to be approved by US authorities and proceed.**

Economics of 750 MW Interconnection Plans including MH ROE Embedded in WACC

2014 DSM Levels 1-3, 2013 Reference Scenario Assumptions, 2014 Capital Cost, NPV Relative to All Gas



Note: Plan 4 is considered hypothetical from a business perspective as a 250 MW interconnection would require renegotiation of a contact with Minnesota Power and is not likely to be approved by US Authorities and proceed.

Millions of 2014 Net Present Value Dollars

5726	<p>1 LIST OF UNDERTAKINGS (Con't)</p> <p>2 NO. DESCRIPTION PAGE NO.</p> <p>3 106 La Capra to provide the correct</p> <p>4 figure for Figure 9-94 and Figure</p> <p>5 9-95 relating to the seventy-eight</p> <p>6 (78) year NVP for Plan 16; and then</p> <p>7 if there are any necessary</p> <p>8 reconciliations to do that 5908</p> <p>9 107 La Capra to provide 'S' curve graphs</p> <p>10 using Manitoba Hydro methodology 5910</p> <p>11 108 La Capra to redo Figure 9-99U 5976</p> <p>12 109 La Capra to indicate if the high</p> <p>13 and low estimates on page 177 of</p> <p>14 MIPUG Exhibit 20-5 are</p> <p>15 correspondingly used in the</p> <p>16 economic analysis 6004</p> <p>17</p> <p>18</p> <p>19</p> <p>20</p> <p>21</p> <p>22</p> <p>23</p> <p>24</p> <p>25</p>	5728
5727	<p>1 -- Upon commencing at 9:01 a.m.</p> <p>2</p> <p>3 THE CHAIRPERSON: Good morning. I</p> <p>4 believe that everybody is in position, so we will start</p> <p>5 today's proceedings. Go ahead, please.</p> <p>6</p> <p>7 IEC LA CAPRA ASSOCIATES PANEL CONTINUED:</p> <p>8 DANIEL PEACO, Previously Affirmed (Qual.)</p> <p>9 JOHN ATHAS, Previously Affirmed (Qual.)</p> <p>10 MARY NEAL, Previously Affirmed</p> <p>11</p> <p>12 MR. RICHARD BEL: Good morning, Mr.</p> <p>13 Peaco. I'm -- I'd like to examine in more detail the</p> <p>14 No New Gen case.</p> <p>15 MR. DANIEL PEACO: Okay.</p> <p>16 MR. RICHARD BEL: I want to try and</p> <p>17 understand it because I think I understand it, but I'm</p> <p>18 not -- I'm not sure. So the -- the two (2) base</p> <p>19 assumptions are the 750 -- I'm on page 59 -- slide 59.</p> <p>20 So it's -- we have the 750 megawatt</p> <p>21 interconnection and we have a raise in the import</p> <p>22 floor, so we double the amount of imports that are</p> <p>23 allowed?</p> <p>24 MR. DANIEL PEACO: Yes.</p> <p>25 MR. RICHARD BEL: So there's -- those</p>	5729

5730	<p>1 And when you do -- when we did those two                  2 (2) things, it obviously allows the opportunity for                  3 more imports to come in. Now, obviously, that's                  4 working with the existing hydro system. So there are                  5 times when the existing hydro system has a lot of water                  6 and it -- it is plenty. But when it doesn't, then it                  7 has access to an -- expanded paths to import power from                  8 MISO.                  9 Is that -- does that answer your                  10 question?                  11 MR. RICHARD BEL: I understand -- yeah,                  12 I understand that part. But I'm -- I'm trying to                  13 understand on the top of that S-curve where that net                  14 present value's coming from.                  15 And I'm wondering if, by changing that                  16 constraint, it allows us to utilize the existing hydro                  17 system more efficiently.                  18 MR. DANIEL PEACO: It would.                  19 MR. RICHARD BEL: In other words,                  20 export more --                  21 MR. DANIEL PEACO: It would.                  22 MR. RICHARD BEL: -- at any given                  23 situation, because you're kind of buying capacity, or                  24 you're --                  25 MR. DANIEL PEACO: Yeah, if you think</p>	5732	
5731	<p>1 about it, a lot of what -- the opportunity here is you                  2 -- to the extent you have the added ability, there's --                  3 there's more capacity spec -- particularly to import at                  4 night/weekends, when prices are low in MISO, and -- and                  5 then return it. In drought conditions the import                  6 capacity today limits the amount of energy you can                  7 import in those circumstances. So this gives you more                  8 -- more division freedom in order to take advantage of                  9 off-peak prices to import and -- and manage the                  10 reservoir differently than you can with the limitations                  11 on the import as it -- as it sits today.                  12 And I think that's what's -- what you're                  13 seeing in those numbers.                  14 MR. RICHARD BEL: Okay. And the -- the                  15 limit -- I read in one of the reports that the import                  16 level that's set right now is a convention. It's not a                  17 physical thing. It's --                  18 MR. DANIEL PEACO: Well, when you say--                  19 MR. RICHARD BEL: 'Convention' means                  20 that that rule could be changed.                  21 MR. DANIEL PEACO: Well, you said                  22 import limit. The import limit is -- is not a -- a                  23 convention. That's a -- it's an engineering                  24 determination of what the capacity of the interface is.                  25 But -- but the -- on the planning policy, in terms of</p>	<p>1 dependable energy --                  2 MR. RICHARD BEL: Right.                  3 MR. DANIEL PEACO: -- there's --                  4 there's a determination as -- it -- you know, how much                  5 -- how much are we going to rely on imports is really a                  6 -- a policy determination, because there's -- there's a                  7 policy that Manitoba Hydro uses in its planning. And                  8 it -- and it -- it could be different. And we've --                  9 we've talked about that issue separately in our                  10 reports.                  11 And -- and this -- this case was an --                  12 was an opportunity for us to test, you know, does it                  13 make any difference if we relax that. And -- and so --                  14 so you see the combined effect of both of those things                  15 in that case.                  16 MR. RICHARD BEL: Okay. And one last                  17 thing, there's another slide with a -- slide 71. So if                  18 we combined your -- the -- the No New Generation case,                  19 if we -- if we change the import limit -- I'm not --                  20 I'm not calling it the right -- the right way here.                  21 If we changed the known -- if we added                  22 the known -- if we made a hybrid plan between --                  23 between No New Generation and the K19 case, would that                  24 that shift the blue line to the right if we made a                  25 hybrid plan?</p>	5733

## Observations on “No Gen” Case Results

---

- **DSM and Fuel Switching deferred year of need to 2029**
- **Illustrates the Potential Drought Hedge value of increased import limits**
- **Illustrates the impact of DSM and imports on MH thermal generation**
- **While a “hypothetical” plan, the results point to potential for added elements to other plans, such as increased import capability and DSM**





**Plan 14, With the LCA Load Reduction, Compared to LCA No New Generation Plan**

Development Plan	Incremental NPV relative to All Gas, millions of 2014 Dollars @ 5.05% Discount Rate
	<b>All Gas</b>
<b>1 All Gas</b>	
No Load Reduction	
<b>17 LCA No New Generation</b>	
LCA Load Reduction 750MW Relaxed Import Criteria Extended Diversities	<b>\$1,421</b>
<b>14 K19/C25/750MW</b>	
No Load Reduction MP Sale WPS Sale & Inv	<b>\$1,696</b>
<b>14 K19/C30/750MW</b>	
LCA Load Reduction GRE Diversity Extension 2030 MP Sale WPS Sale & Inv	<b>\$2,607</b>
<b>14 K19/C27/750MW</b>	
LCA Load Reduction MP Sale WPS Sale & Inv	<b>\$2,594</b>