

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

RE:

CENTRA GAS MANITOBA INC.
2009/10 TO 2010/11
GENERAL RATE APPLICATION

Before Board Panel:

Graham Lane - Board Chairman
Monica Girouard - Board Member
Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
June 11, 2009

Pages 1083 to 1302

APPEARANCES

1
2 Bob Peters) Board Counsel
3
4 Marla Murphy) Centra Gas
5 Brent Czarnecki)
6
7 Kris Saxberg) CAC/MSOS
8
9 Rick Forster (np)) Direct Energy
10
11 Nola Ruzycki (np)) ESMLP
12
13 Dave Hill (np)) Koch Fertilizer Canada
14 Sandy Boyd) Communications, Energy &
15) Paperworkers Union
16
17
18
19
20
21
22
23
24
25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Undertakings	1086
4		
5	CAC/MSOS PANEL	
6	JOHN MCCORMICK, Resumed	
7		
8	Cross-Examination by Ms. Marla Murphy	1087
9	Cross-Examination by Mr. Bob Peters	1126
10		
11	CENTRA'S REVENUE REQUIREMENT, DSM, COST ALLOCATION,	
12	AND RATE DESIGN PANEL RESUMED:	
13	VINCE WARDEN	
14	WILLY DERKSEN	
15	GREGORY BARNLUND	
16	DAVID PETURRSON	
17	LLOYD KUCZEK	
18	Continued Cross-examination by Mr. Bob Peters	1074
19		
20		
21	Certificate of Transcript	1302
22		
23		
24		
25		

1		LIST OF UNDERTAKINGS	
2	No.	Description	Page No.
3	16	Centra to provide a copy of the	
4		Minutes of the December '08 Meeting	
5		of the Low Income Advisory Group	1264
6	17	Centra to confirm they are seeking a	
7		final approval of Interim Order-101	
8		of '07	1277
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 s--- Upon commencing at 9:04 a.m.

2

3 THE CHAIRPERSON: Okay, good morning,
4 everyone. And I believe, if there is not anything to be
5 filed, Ms. Murphy, then we will begin with you and your
6 cross-examination of Mr. McCormick.

7

8 CAC/MSOS PANEL RESUMED:

9

10 JOHN MCCORMICK, Resumed

11

12 CROSS-EXAMINATION BY MS. MARLA MURPHY:

13 MS. MARLA MURPHY: Thank you, Mr.
14 Chairman. Good morning. Good morning, Mr. McCormick.

15 MR. JOHN MCCORMICK: Good morning.

16 MS. MARLA MURPHY: I want to begin by --
17 if I could have you turn up CAC's book of documents to
18 Tab 30, please.

19

20 (BRIEF PAUSE)

21

22 MS. MARLA MURPHY: The document there is
23 your response to PUB-23. And I just want to look at page
24 5 of your evidence there, please.

25 At line 13, do you have it? At line 13,

1 you have it?

2 MR. JOHN MCCORMICK: Yes.

3 MS. MARLA MURPHY: At line 13, you've
4 indicated that you're recommending that the Board adopt a
5 ten (10) year forecast rate of 3.6 percent for the first
6 quarter of 2010, is that right?

7 MR. JOHN MCCORMICK: Not completely. The
8 -- the difficulty that I had with your spread of sixty
9 (60) was I was unable to determine, based on the
10 information which had been provided in response to my IRs
11 at the time I crafted my evidence, whether you had a ten
12 (10) year or a ten (10) year plus data source and how
13 your spread had been crafted.

14 It now appears to me that, say, four (4)
15 of your dozen data points were, in fact, ten (10) plus
16 data or some development of the ten (10) plus data and
17 eight (8) of your data points appeared to be generally
18 ten (10) data point -- ten (10) year data points.

19 So, because of my inability to see what it
20 was you had done, I wasn't in a position where I could,
21 at that time, attempt to craft or improve on your spread.
22 I didn't know whether it was simply a term spread, a
23 combination of term and credit, so I adopted your spread
24 in the absence of any other information.

25 MS. MARLA MURPHY: And the Centra spread

1 has been revised based on the updated forecast but you
2 haven't adopted that, have you?

3 MR. JOHN MCCORMICK: Well, I think my
4 commentary yesterday based on -- beginning with your one
5 sixty (160), one ten (110), sixty (60) analysis was to
6 suggest that the sixty (60) does not appear to me to be
7 the appropriate spread. It might be forty-eight (48),
8 some number in that range.

9 MS. MARLA MURPHY: I'm sorry, forty-eight
10 (48)?

11 MR. JOHN MCCORMICK: Forty-eight (48), I
12 think was the arithmetic average of the ten (10) year
13 grouping of twenty (20) year Canada's to twenty (20) year
14 Manitoba's, which I use, drawn from Bloomberg monthly
15 data series.

16 And in my mind, that would be the
17 reasonable mean point for the long-term twenty (20) year
18 spread which I, again, have used as a proxy for a ten
19 (10) plus. And looking at current market conditions, the
20 current, say hundred and five (105), hundred and sixish
21 current market spreads for a long-term issue, which I
22 think was a thirty-seven (37), or I'm sorry, a twenty-
23 seven (27) year issue, or a thirty-one (31) year issue.
24 A very long-term issue discussed in that IR.

25 I thought perhaps seventy (70) might be an

1 appropriate spread for the first quarter of 2010 when you
2 had forecast the preponderance of financing for long-
3 term.

4 MS. MARLA MURPHY: If I can turn you to
5 Tab 3 of your book of documents. The very last page of
6 that tab is the attachment to CAC/MSOS/CENTRA-198.

7 That was filed at the request of CAC by
8 Centra, correct?

9 MR. JOHN MCCORMICK: Yes.

10 MS. MARLA MURPHY: And that is the
11 Bloomberg F302 table?

12 MR. JOHN MCCORMICK: It is, 302 against
13 101.

14 MS. MARLA MURPHY: As of June 1st, 2009,
15 correct?

16 MR. JOHN MCCORMICK: Yes.

17 MS. MARLA MURPHY: And you testified
18 yesterday that Bloomberg was a respected source of
19 information --

20 MR. JOHN MCCORMICK: Yes.

21 MS. MARLA MURPHY: -- correct? So when I
22 look at the ten (10) year line on that graph, or the
23 chart above the graph, we can see that the Bank of Canada
24 benchmark rate is three point five eight two five
25 (3.5825), correct?

1 MR. JOHN MCCORMICK: Yes.

2 MS. MARLA MURPHY: And looking across
3 that line, the spread indicated is a hundred and three
4 (103) basis points, correct?

5 MR. JOHN MCCORMICK: On that date, yes.

6 MS. MARLA MURPHY: And that indicates a
7 ten (10) year Manitoba rate of 4.61 percent, correct?

8 MR. JOHN MCCORMICK: Correct.

9 MS. MARLA MURPHY: And in calculating
10 it's all in co -- cost of financing, Centra would have to
11 add some commission costs in the order of something like
12 seven (7) basis points, correct?

13 MR. JOHN MCCORMICK: I have not studied
14 your commission costs, but I'm perfectly willing to
15 accept that as a number but it's wholly dependent on the
16 size of the issue, and legal fees.

17 MS. MARLA MURPHY: So given the Bloomberg
18 information showing 4.61 percent, would you continue to
19 advocate that the Board be using 3.6 or 3.7 percent --

20 MR. JOHN MCCORMICK: For --

21 MS. MARLA MURPHY: -- for a ten (10) year
22 rate?

23 MR. JOHN MCCORMICK: -- for today,
24 clearly not. For the first quarter of 2010, where we
25 have forecasts of the base rate that are in the 3 percent

1 range from a host of more current sources than were
2 provided in your evidence, yes, I would start with a
3 different base rate, and I would also start with a
4 different term spread, and credit spread, to get to the
5 twenty (20) year number.

6 So yes, these are, if you like, data
7 points which I have considered in arriving at my three
8 sixty (360) type number which was the initial number, and
9 the three seventy (370) number which seemed to flow out
10 of the additional information which was provided by you
11 after my evidence was filed.

12 MS. MARLA MURPHY: The one (1) thing that
13 I took from your evidence is that you're a big fan of
14 using current information --

15 MR. JOHN MCCORMICK: Yes, I am.

16 MS. MARLA MURPHY: -- is that fair? And
17 I guess the one (1) thing that the forecast that you've
18 provided has in common with ours is that the data has now
19 been superceded, correct?

20 MR. JOHN MCCORMICK: Yes.

21 MS. MARLA MURPHY: There will, in fact,
22 be June forecasts available today.

23 MR. JOHN MCCORMICK: For some of these
24 entities. Not everyone has a regular cycle.

25 MS. MARLA MURPHY: And have you looked at

1 any of the June forecasts?

2 MR. JOHN MCCORMICK: I have not. In
3 preparing some of my IRs, I, when using the Bank of
4 Montreal item, went and updated it to the May 22nd
5 forecast which was the then most recent forecast, and I
6 believe I identified that in one (1) of the IRs.

7 But for the purposes of this Hearing, I
8 have not, once again, updated everything to reduce the
9 number of changes that would be on the table.

10 MS. MARLA MURPHY: Now, would it surprise
11 you to hear that the June forecast of the ten (10) year
12 Canada rate would be in the order of 3.49 percent as
13 opposed to the 3 percent contained in your evidence?

14 MR. JOHN MCCORMICK: Well, if you'll
15 forgive me, I don't know your source. I don't know if
16 it's an end-of-period source, I don't know if it's an
17 average source, but in the sense that certain
18 forecasters, such as National Bank, have higher forecasts
19 than others, it would not surprise me that at least one
20 (1) of the forecasters would have that.

21 But if you're telling me that this is
22 derived from your methodology, where you're including the
23 BC and Federal numbers as part of the derivation, then I
24 would discount the number you're offering me because of
25 the manner in which it is developed with seriously stale

1 dated data, so...

2 MS. MARLA MURPHY: And if I was telling
3 you that that was derived in the same methodology in
4 which you calculated the response to PUB-23, using the
5 same forecasters, would you accept that the rate is 3.49
6 percent?

7 MR. JOHN MCCORMICK: Subject to check, I
8 would be happy to agree that the forecasters may have
9 changed. And assuming that the data is correctly dealt
10 with, I'm happy to say, yes, it could have changed, and
11 it could have changed up or down.

12 MS. MARLA MURPHY: Yes, and -- and that's
13 to be expected.

14 MR. JOHN MCCORMICK: Forecasts do change;
15 market conditions do change.

16 MS. MARLA MURPHY: And do you understand
17 now, having read the evidence, that Centra's long-term
18 debt ranges from ten (10) year to thirty (30) year debt?

19

20 (BRIEF PAUSE)

21

22 MR. JOHN MCCORMICK: Well, looking at
23 page 15 of my evidence, I would certainly agree that
24 there are maturities in the long ranges. I'm showing
25 that for the period as of March 2011 you were forecasting

1 a, probably, 2037 maturity.

2 But it seems to me that the long-term debt
3 today might also include something maturing in 2012, so
4 when you put to me the long-term debt in the range of ten
5 (10) to thirty (30) years, I would think that is not the
6 complete range today.

7 MS. MARLA MURPHY: It would be a range up
8 to thirty (30) years.

9 MR. JOHN MCCORMICK: Well, you have a --

10 MS. MARLA MURPHY: Something in the order
11 of thirty (30) years.

12 MR. JOHN MCCORMICK: Yeah, something in
13 the order of thirty (30) years.

14 MS. MARLA MURPHY: And would you agree
15 that, when you're looking at long-term debt for those
16 kind of ranges, that a forecast of a ten (10) year plus
17 rate is acceptable?

18 MR. JOHN MCCORMICK: Well, in my evidence
19 I've suggested that if we are forecasting for ten (10)
20 year debt, we should use ten (10) year debt. If we're
21 forecasting for twenty (20) year debt, we should use
22 twenty (20) year debt data, if in fact we have that.

23 If we're forecasting for a blended
24 uncertain period, say the ten (10) plus, which isn't
25 necessarily a firm twenty (20), it might be nineteen

1 (19), or twenty-one (21), or some other number, depending
 2 on how the authors of the ten (10) plus factor have
 3 chosen to weigh the -- the debt their analysing, yes, I'm
 4 a great believer that we should use relevant data on a
 5 relevant basis and consistently applied.

6 MS. MARLA MURPHY: And so, to the extent
 7 that the -- the forecasts were to use a ten (10) rate, as
 8 you suggest, that would somewhat understate the interest
 9 forecast, wouldn't it?

10 MR. JOHN MCCORMICK: If you only have
 11 available ten (10) year data from which to address your
 12 items, then you would need to add both a credit spread
 13 and a yield spread to put us in a position where we are
 14 giving the best estimate of data.

15 And if you look at the development of my
 16 spread, it was originally done on twenty (20) year data.
 17 So if you're suggesting to me there is a mismatch in the
 18 term spread, because I used ten (10) year data, and then
 19 adopted your own data, I'd be willing to accept that and
 20 give you the few basis points that are required to
 21 reflect the term spread. I have no difficulty with that.

22 I would though note that in Centra's
 23 approach for addressing term spread in the discussion of
 24 the short-term debt, they have suggested that the
 25 difference between one (1) and three (3) month BAs, which

1 I -- I estimated one (1) data series might be in the
2 order of five (5) basis points; that was ignored. So, in
3 terms of the precision of forecasts, yes, my preferred
4 method using ten (10) year data to do a twenty (20) year
5 bond would be to fully reflect both term and credit
6 spread, accurately estimated.

7 MS. MARLA MURPHY: You said in your
8 evidence yesterday that you see no reason to term out any
9 of Centra's short-term debt to long-term debt.

10 Are you aware of any utility that, on an
11 on-going basis, finances the construction of significant
12 long-lived capital assets without securing long-term
13 debt?

14 MR. JOHN MCCORMICK: Well, the question
15 you put to me was absolute and I'm quite sure I said, I
16 don't believe utilities should use short-term debt
17 exclusively. So, I'm also unsure whether the transcript
18 actually has the words you've put to me because, frankly,
19 I don't believe that 100 percent short-term debt is the
20 appropriate way to carry on business.

21 I also don't believe that consolidating
22 all your debt for refinancing in a time period is the
23 most wise structure. So, we have a balance that must be
24 achieved. A little five (5), a little ten (10), a little
25 twenty (20), a little thirty (30) could be demonstrated

1 to provide a debt optimal solution.

2 And with respect to this time in the
3 market, as I believe -- I tried to rush through in my
4 evidence, I think was Tab 23...

5

6 (BRIEF PAUSE)

7

8 MR. JOHN MCCORMICK: Pardon me. It's Tab
9 24. Right now, it looks like short-term debt is on
10 special. The longer term rates are much more constant,
11 although there is oscillation in the long-term rates
12 right now.

13 Reducing the percentage of short-term debt
14 in your capital structure, which was one (1) of the
15 points raised in my evidence, seemed to me not to be the
16 most compelling case based on the really cheap, on a
17 relative basis to historic times, rates at which short-
18 term debt is available.

19 MS. MARLA MURPHY: So you wouldn't
20 disagree with the proposition that Centra utilizing the
21 short-term revolving line of credit for financing of its
22 long-term capital program has brought an advantage to the
23 ratepayers?

24 MR. JOHN MCCORMICK: Well, you describe
25 it as an advantage. I would suggest using short-term

1 debt, which in a normal yield curve is generally cheaper,
2 is also a good and prudent business practice. So, the
3 way you've structured your sentence, it sounds to me like
4 you're putting to me that Centra has done something
5 special and I would suggest that they have a portfolio of
6 debt.

7 They've made a number of debt decisions,
8 going back years. I don't know what year they did the
9 transaction that's going to mature in 2012. It's
10 somewhere in the evidence but that decision was made
11 years ago and so we carry that decision with us.

12 But every time we're confronted with an
13 opportunity to finance, say for the gas costs that are
14 apparently the major factor that drives up Centra's
15 short-term debt perhaps to 170 million at the end of one
16 (1) quarter or other, ideally I'd like to see 170 million
17 at short-term rates being reflected for that type of
18 transaction.

19 And with respect to the concept that we
20 should finance a -- an asset -- a long-lived asset with a
21 particular maturity of debt, to me that's a very
22 difficult thing to create in the sense of a perfect
23 simile.

24 If you built a gas-fired electrical
25 generation plant, it might last for twenty-five (25) or

1 thirty (30) years. Going out and doing a single twenty-
2 five (25) or thirty (30) year bullet maturity puts you in
3 a -- a difficult position in that the value of the asset
4 may decline over time.

5 You haven't matched the -- the cash flows
6 from the asset to your debt repayment structure, so,
7 there is a host of subtleties that should be considered
8 in formulating a debt program to match your assets long
9 life or average life. It's not just we're building a
10 thirty (30) year asset, we need to get a thirty (30) year
11 debt on.

12 MS. MARLA MURPHY: I take it you wouldn't
13 disagree with the proposition that although you don't
14 want to match it perfectly, or can't match it perfectly,
15 that it makes sense to consider the service life of the
16 asset in determining the appropriate length of the debt
17 that you're -- you're going to finance it with.

18 MR. JOHN MCCORMICK: Both service life,
19 current market conditions, depreciation cycle, cash flow
20 generating capabilities, a host of factors, and in
21 particular current market conditions.

22 I'm not sure how anyone else in this room
23 does their shopping, but periodically I will go and stock
24 up on things that are just tremendously on sale.

25 I know that homeowners when facing

1 mortgage decisions, having bought a very long life asset
2 and are confronted with a choice of mortgages, both fixed
3 and variable for perhaps one (1) to ten (10) years, or
4 six (6) months to ten (10) years, often take advantage of
5 the shorter-term, generally lower rate, in hopes of
6 securing a financial advantage over time.

7 MS. MARLA MURPHY: Mr. McCormick, would
8 you agree that although homeowners may make that
9 decision, if they're not looking at the long-term
10 potential of their interest that, in fact, that's
11 resulted in a number of homeowners losing their homes
12 today?

13 MR. JOHN MCCORMICK: Well, I -- I wish I
14 could tell you that it was that simple, but there will be
15 a myriad of stories.

16 And if we're dealing with the programs in
17 Canada that allowed people to finance 107 percent of
18 their home, that program was fraught with problems from
19 beginning.

20 The US sub-prime mortgages, which had
21 short-term bonus rates with automatic raises built into
22 them were, for most people, train wrecks waiting to
23 happen, both because of the credit worthiness of the
24 people undertaking the obligation and the structure of
25 the debt.

1 So not every security offered in the
2 market is without difficulty, so...

3 MS. MARLA MURPHY: Well, I certainly
4 agree there's a number of issues that need to be
5 considered, and as a prudent Utility when we're making
6 investment decisions based on a thirty (30) or a fifty
7 (50) year time horizon, or perhaps longer, it would be
8 important to look at the long-term interest rates,
9 wouldn't it?

10 MR. JOHN MCCORMICK: When you're making a
11 investment decision, it is very important to look at your
12 cost of capital. Your cost of capital includes both the
13 short-term and the long-term rates available at the time.

14 MS. MARLA MURPHY: And to the extent
15 possible, it should be an objective of the Utility to
16 take the variability, or uncertainty, out of the
17 investment decision by locking in financing costs over
18 the term of the investment. Isn't that right?

19 MR. JOHN MCCORMICK: I don't accept that
20 proposition. You have too many factors in there. I've
21 addressed a number of them in my evidence, and so I -- as
22 attractive as that proposition is, I cannot accept it.

23 It is one (1) of many factors that you
24 have -- sorry. You have identified in that sentence too
25 many factors that need to be judged based on whether the

1 yield curve is positive or negative.

2 Right now, if we were in a reversed yield
3 curve as opposed to a normal yield curve, I wouldn't be
4 as enamoured with short-term debt, but I might still
5 suggest that we should be doing shorter-term long-term
6 debt, say five (5) or ten (10) years, as opposed to
7 twenty (20) years, because the yield curve in that
8 environment would give us information that would suggest
9 that things were less friendly in the markets at this
10 point in time than they might be at a future time.

11 MS. MARLA MURPHY: Well, given that long-
12 term borrowing rates are close to historic lows at this
13 point, why is it that you would advocate gambling with
14 five (5) year borrowing, or shorter-term borrowing, with
15 the hope of rates going even lower on renewal?

16 MR. JOHN MCCORMICK: Well, I have to
17 specifically reject the word "gambling". I would not
18 want to be in a position where I am suggesting that the
19 persons making the choice of a particular term are
20 choosing to gamble on twenty (20) year.

21 One would hope that they're making a wise
22 choice related to their view of portfolio theory, one (1)
23 that I clearly don't share because I don't believe
24 loading up your maturities in a thirteen (13) month
25 period represents a good approach.

1 Frankly, I -- it compounds your financing
2 risk into a very short cycle of the market. If, in fact,
3 there was never any intention to do those debt issues on
4 a twenty (20) year basis, or -- there is only a slight
5 possibility.

6 I'm not -- after hearing your oral
7 evidence, I -- I'm uncertain the weight that we should
8 attach to the twenty (20) year aspect. But if there is
9 no commitment or thought that that is the right time, I'm
10 troubled that we would be importing a twenty (20) rate
11 that is generally higher than a ten (10) year rate say,
12 or a five (5) year rate, into the mix.

13 But I've only addressed a couple of
14 elements of your question, so if -- if you could try it
15 again, without gambling, I may be able to give you a more
16 full answer.

17 MS. MARLA MURPHY: Well, you've suggested
18 in your evidence that the reward -- or the hope of the
19 reward that people have in -- in taking a five (5) year
20 term as opposed to a twenty (20) year term or thirty (30)
21 year term, matching the life of the asset, is that
22 there's the hope that the interest rates will be lower
23 when you renew.

24 And I'm suggesting to you that, if long-
25 term borrowing rates are already at close to a historic

1 low, that this wouldn't be an appropriate time to look
2 for that hope.

3 MR. JOHN MCCORMICK: Well, I'd like to
4 talk about that for a little bit of time, and if you can
5 assist me by turning to 24 in the book of charts. Thank
6 you. This is a comparative yield graph of the province
7 of Manitoba on two (2) different dates. It's a snapshot.

8 As I suggested in my evidence, my task was
9 not initially to address borrowing costs, it was to focus
10 in on the base rate changes, which seem to me to be
11 completely out of whack.

12 So, as the Board triggered an IR that
13 asked me to address borrowing costs, I -- I pulled
14 together some data on this point. This chart compares
15 the white line, which is the June '05 Manitoba Bloomberg
16 curve against 2003.

17 And in the lefthand side, we have the
18 short-term grouping of maturities; we have three (3)
19 month, six (6) month, and one (1) year. And the chart
20 shows that, right now, we would be able to borrow at
21 fifty (50) basis points or less at the -- the shortest
22 end of the cycle.

23 Were we having this discussion in 2003, we
24 would have been facing rates at that time which were over
25 3 percent. This chart demonstrates, in part, that we

1 were -- we're in a position where now short-term rates
2 are on sale.

3 To go to the long end of the curve, there
4 we have a spread that may be forty (40) basis points at
5 thirty (30) years, dropping say to ten (10) or fifteen
6 (15) at twenty (20) years.

7 And when we get into the fifteen (15) year
8 period, fifteen (15) year money is more dear at this date
9 than it was a number of years ago. So when you say that
10 long-term rates are close to historic lows, I haven't
11 done the full analysis of whatever time period you might
12 think is historic, but I'm looking at the difference on
13 this chart and seeing that the twenty (20) year money
14 that you're speaking of, as something that you're basing
15 your application on, or were once basing your application
16 on, is virtually indifferent.

17 So we're not dealing with a situation
18 where the ratepayers will have any substantial financial
19 advantage on the financings you're proposing at this time
20 were we to do these. So, we're in a position where I say
21 the benefit of being long isn't immediately apparent to
22 me.

23 Flipping ahead a year for the snapshot, at
24 that point in time, just another example, we've got the
25 2009 rates are generally lower than we had existed at

1 2004. So, in terms of impact, there is a saving. There
2 is a benefit on these rates for a long-term financing
3 over the rates that existed in 2004.

4 Moving ahead to 2005, again we see a
5 substantial advantage in short-term rates, something more
6 than two hundred (200) basis points. And again, in long-
7 term rates, we have the long-term rates in 2009 being
8 more dear, more expensive than the long-term rate that
9 Bloomberg suggests would have prevailed in the market in
10 the year '05, June 6th.

11 So, there's an oscillation here.
12 Sometimes in history, we would have been better off doing
13 longer term than short term. At other times -- at other
14 points in the historical chart, just looking year over
15 year, frankly, I would have preferred to be doing short-
16 term debt to a lesser degree or to a greater degree.

17 Now, with respect to the real numbers, at
18 both the twenty (20) year point in the 2003 and 2009
19 time, it looks like Bloomberg is telling us your market-
20 clearing rates were approximately 5 percent. They moved
21 up to 6 percent in 2004. In 2005, your market-clearing
22 rate for twenty (20) year had dropped to four point eight
23 (4.8) approximately, looking at the chart.

24 So, I'm seeing in this chart, compared to
25 what we know about the current market - and again, I'm

1 speaking about the recent current market as opposed to
2 the forecast market that is relevant for this proceeding
3 - but if I had had the opportunity to do twenty (20) year
4 debt in 2004 on that date, I would feel a little bit
5 better than I would if I had the opportunity or the
6 compulsion to do twenty (20) year debt on the date this
7 chart was made because it would have been cheaper.

8 And so, rather than go through the rest of
9 the charts, we have oscillation. Sometimes, conditions
10 are better; sometimes, conditions are worse.

11 Again, in the final chart in the group,
12 comparing 2008, we have the yield curve for 2008 being
13 lower than the yield curve for 2009. So, when you say
14 we're close to historic lows, there's an awful lot of
15 symmetry between these lines, admittedly five (5) or six
16 (6) snapshots and they aren't consistently pointing out a
17 superior advantage for twenty (20) year financing now.

18 MS. MARLA MURPHY: Is the perhaps simpler
19 way to look at that picture at Tab 23 of your book of
20 documents? As I understood your evidence, this is the --
21 the Canada and the Manitoba rates.

22 MR. JOHN MCCORMICK: For twenty-three
23 (23)?

24 MS. MARLA MURPHY: Yes, it's your graph.
25 Those are ten (10) year rates?

1 MR. JOHN MCCORMICK: The two (2) line
2 graph?

3 MS. MARLA MURPHY: Yes, your two (2) line

4 -- MR. JOHN MCCORMICK: No, it -- those are
5 twenty (20) years.

6 MS. MARLA MURPHY: Those are twenty (20)
7 years. So, when I look at that, you can -- you can see
8 certainly the decline in interest rates that we've been
9 discussing, correct?

10 MR. JOHN MCCORMICK: Yes, there is a
11 decline in interest rates.

12 MS. MARLA MURPHY: So, my suggestion that
13 long-term might be on sale, may be just not as good a
14 sale as the short-term, isn't -- is supported by that
15 graph?

16 MR. JOHN MCCORMICK: Well, you don't
17 borrow as Canada.

18 MS. MARLA MURPHY: True. We borrow as
19 Manitoba.

20 MR. JOHN MCCORMICK: That's right. And
21 that would be the blue line.

22 MS. MARLA MURPHY: Yes.

23 MR. JOHN MCCORMICK: And --

24 MS. MARLA MURPHY: And you've seen a
25 reduction there from -- in the order of 6 1/4 percent

1 January 1. It's come down. Certainly hit its low in
2 '06.

3 MR. JOHN MCCORMICK: Oh, yes. But your
4 point is well taken, if we're going back to the '01
5 period, yes.

6 Even at the horrible spreads that moved in
7 say October '08, where Manitoba pumped up to say five
8 seventy five (575), or whatever the graph demonstrates,
9 you were happier to be financing there.

10 But if we go back only to October '04, in
11 the recent memory, there's really nothing thrilling in
12 saying, "Oh gee, we're at bargain rates."

13 And if I may comment, there was a mention
14 that the long-term rate changes and spreads move in some
15 way in tandem. I -- that statement confused me, and I
16 certainly don't see it in this chart with spreads
17 widening in this example, but yes, this chart clearly
18 puts forth the long long-term picture.

19 It was developed because I had difficulty
20 in understanding where the long-term spreads that you had
21 at sixty (60) were coming from, and I wanted to see
22 whether the forty-five (45) that had once been used as
23 the long-term element had any foundation.

24 So I'm quite happy to discuss long-term
25 data. You're completely correct when you say that, say

1 five (5) years ago, we would have been in an inferior
2 rate position when we went to the market than we are
3 today, but during the period April '05 to perhaps July
4 '08, we've been in a better position. And right now,
5 shorter-terms are on sale.

6 MS. MARLA MURPHY: I just want to look at
7 your comments regarding the spread for a moment. I take
8 it you'd agree that it's not appropriate to look at
9 spreads in isolation without considering the yield rates?

10 MR. JOHN MCCORMICK: Well, what's the
11 purpose of our examination? I -- I look at the bond
12 market. I'm interested in spreads, I'm interested in
13 base rates.

14 So if I'm trying to determine whether
15 spreads are going up or down, I need to look only at
16 spreads. I don't care about base rates, so I'm not sure
17 what the goal of the inquiry is, so, I don't know how to
18 respond to your question.

19 MS. MARLA MURPHY: Well, I'm -- I'm
20 puzzled, I suppose, by your position that although you
21 need to use current market information in every respect
22 that you can, that it's all right to revert to the mean
23 for the credit spreads, and to suggest that the hundred
24 and eleven (111) or hundred and three (103) basis points
25 that we see on the Bloomberg graph that we've looked at

1 earlier isn't the appropriate spread to use.

2 MR. JOHN MCCORMICK: Well, it's certainly
3 an appropriate indicator. If I'm going to the market
4 today, I want to know what today's spreads are.

5 If I'm in a position where I'm forecasting
6 the probable spread that will exist in the first quarter
7 of 2010, I frankly have a lot of difficulty in saying,
8 "Well, we recently had one sixty (160). I think it'll be
9 one sixty (160) again."

10 When the trend line is down, the -- the
11 market news and tone is improving, but you could form
12 that opinion. You could say whatever has happened once
13 will happen again. We could have the Great Depression,
14 and it will start in January 1st, 2010.

15 But considering the actions of government
16 to increase liquidity, which has particularly affected
17 the short-end of the spectrum, the efforts of government
18 to support various industries in difficulty to maintain
19 employment, to encourage consumer confidence, to do all
20 these things, I have no trouble in suggesting, yes, we
21 might want to consider a different number for your
22 Appendix A, where you have us gravitating towards a sixty
23 (60) basis point spread for your calculation when I think
24 forty-five (45) may be as appropriate and, in fact, more
25 appropriate. It's -- may only be a question of how long

1 it will take us to get there.

2 MS. MARLA MURPHY: What are the market
3 fundamentals that would cause the credit spread to
4 narrow?

5 MR. JOHN MCCORMICK: Term -- or at what
6 term? Are we talking ten (10) or are we talking three
7 (3) months?

8 MS. MARLA MURPHY: Well, talk in the
9 longer term, in the ten (10) year term. What are the
10 market fundamentals that are going to cause the spread to
11 narrow?

12 MR. JOHN MCCORMICK: Well, I don't think
13 I could give you an exhaustive list. The credit spreads
14 for longer term obligations are determined by a host of
15 factors. If we start off with things that will affect
16 forecasts for long-term rates, excess government
17 borrowing -- excess --

18 MS. MARLA MURPHY: Sorry to interrupt but
19 let's just look at the spreads first.

20 MR. JOHN MCCORMICK: Well --

21 MS. MARLA MURPHY: What's going to cause
22 the spread to narrow?

23 MR. JOHN MCCORMICK: Umm...

24 MS. MARLA MURPHY: You're going to be
25 looking at things like improved market confidence, those

1 types of issues, correct?

2 MR. JOHN MCCORMICK: Improved market
3 confidence would be one (1) principal factor. The
4 improved individual credit for the particular issuer or
5 for whom we are speaking, in this case, Manitoba.

6 If Manitoba's running big surpluses or
7 it's perceived to have some near-term financial advantage
8 accruing because of its particular industrial base or
9 agriculture base, mining base, becoming more profitable
10 and generating more tax dollars, things like that, when
11 we move off into corporates, again, the individual
12 company performance will be a key factor. The sense of
13 the capital markets with respect to inflation will also
14 affect spreads.

15 There's sort of a multiplier effect there.
16 I'm afraid I didn't need to develop an opinion on all
17 those factors in formulating my evidence but at this
18 moment, that's all I've got to say on the subject.

19 MS. MARLA MURPHY: Okay. And -- and my
20 point was simply that when you look at those factors,
21 those are the same factors that are going to cause the
22 long-term benchmark rates to rise, aren't they?

23 MR. JOHN MCCORMICK: No. The long-term
24 benchmark rate rise will not be affected by the change in
25 the taxable performance of companies that pay tax in

1 Manitoba, which would give rise to more revenue which
2 would improve Manitoba's credit position.

3 MS. MARLA MURPHY: Turn with me to Tab
4 23, please. I think maybe you already have it turned up.
5 I'm looking at the third page in of that tab which I
6 understood or surmised to be the data points on which you
7 drew the graph, is that right?

8 MR. JOHN MCCORMICK: Yes.

9 MS. MARLA MURPHY: And if I look at the
10 last six (6) months from December '08, to May of '09,
11 that would demonstrate the proposition that I was just
12 advancing to you that as the spreads increase, the rates
13 decrease; that they move in tandem, correct?

14

15 (BRIEF PAUSE)

16

17 MR. JOHN MCCORMICK: I -- I'm sorry. Can
18 you take me through that -- can we use, say, the change
19 from September '08, to October '08, to show me the point
20 you're attempting to make?

21 MS. MARLA MURPHY: Well, let's look at
22 December '08, to January '09. There you see the three
23 (3), the Canada rate, three point six (3.6), the spread,
24 one point five (1.5). When you move between December and
25 January, the Canada rate increased three point nine

1 (3.9), the spread decreased one point two (1.2), correct?

2

3 (BRIEF PAUSE)

4

5 MR. JOHN MCCORMICK: Well, the change in
6 the Canada spread is thirty-six (36) basis points, the
7 difference between three point six (3.6) and three point
8 nine eight (3.98), is that correct? That's how I read
9 it.

10 MS. MARLA MURPHY: Oh, lawyers doing math
11 on a mic is always fun. Sorry, you looked at...?

12 MR. JOHN MCCORMICK: I looked at the
13 Canada change, and it seems to have changed by thirty-six
14 (36) basis points.

15 MS. MARLA MURPHY: Yes, from three point
16 six two (3.62) to three point nine eight (3.98).

17 MR. JOHN MCCORMICK: Yes.

18 MS. MARLA MURPHY: Yep.

19 MR. JOHN MCCORMICK: And the Manitoba
20 change is twelve (12) basis points. Pardon me, it's from
21 twelve (12) to twenty-eight (28), which is sixteen (16)
22 basis points.

23 MS. MARLA MURPHY: And the spread from
24 one point five (1.5) to one point two nine (1.29)?

25 MR. JOHN MCCORMICK: Well, we may be

1 bandying words, but the change in the Canada rate is
2 thirty-six (36). The change in the Manitoba rate is
3 sixteen (16).

4 MS. MARLA MURPHY: Directionally the
5 same.

6 MR. JOHN MCCORMICK: Directionally the
7 same, yes, but not -- not in tandem.

8 MS. MARLA MURPHY: And the spread
9 directionally opposite.

10 MR. JOHN MCCORMICK: Oh, directionally
11 opposite?

12 MS. MARLA MURPHY: The spread is
13 directionally opposite between December and January.

14 MR. JOHN MCCORMICK: Yes.

15 MS. MARLA MURPHY: Thank you.

16 MR. JOHN MCCORMICK: But I'm not seeing a
17 tandem relationship here. The -- neither one (1) has
18 moved by the same element, nor have they moved in the
19 same percentage, as far as I can tell.

20 MS. MARLA MURPHY: Okay, and "tandem" is
21 probably the wrong word to use but, directionally, they,
22 in this case, and you'll see over the six (6) months
23 there, operate so that as the fundamental that drives the
24 credit risk narrower, the interest rate will increase.

25 MR. JOHN MCCORMICK: May increase, but

1 may not increase by a factor that has any relationship to
2 the change in base rate.

3 MS. MARLA MURPHY: Thank you. I want to
4 turn to the evidence that you gave with respect to the
5 interest rate deferral account.

6 MR. JOHN MCCORMICK: Now, which element
7 is that? Is that my written evidence or is that my oral
8 evidence?

9 MS. MARLA MURPHY: Well, I'll start with
10 your response to PUB/CAC-20, which I'm sorry, I don't
11 know whether it's in your book or not, but --

12 MR. JOHN MCCORMICK: Okay.

13 MS. MARLA MURPHY: -- I don't intend to
14 get very technical, just to confirm on the record that
15 you indicated that you haven't done an exhaustive study
16 of the use of the interest rate deferral accounts by
17 other utilities; is that fair?

18 MR. JOHN MCCORMICK: That is fair.

19 MS. MARLA MURPHY: And would you agree
20 with me though that these accounts are not very common?

21 MR. JOHN MCCORMICK: I haven't done a
22 study. My view would be that they are not common.

23 MS. MARLA MURPHY: Would you agree that
24 there are elements of interest rates imbedded in Centra's
25 overheads in cost allocations, in deferral accounts, and

1 in capitalization practices?

2 MR. JOHN MCCORMICK: Again, please.

3 MS. MARLA MURPHY: Yes, would you agree
4 that there are elements of interest rates imbedded in
5 overheads, cost allocations, deferral accounts,
6 capitalization?

7 MR. JOHN MCCORMICK: I'm quite confused
8 by your question. When I look at interest rates being
9 say 6 percent, I would say, no, I -- I don't see the
10 correlation.

11 If you're talking about interest costs,
12 that Centra may recognize that it has interest costs,
13 some of which might be attached to a particular capital
14 asset, or some of which might be necessary to fund
15 working capital for the head office, I would suggest, on
16 a cost allocation basis, you might put the interest
17 expense into areas where you have financed desks or other
18 property.

19 But in terms of interest rates, I'm not
20 sure how the 6 percent would flow into your overhead
21 costs, for example.

22 MS. MARLA MURPHY: There are interest
23 costs imbedded in a number of areas.

24 MR. JOHN MCCORMICK: Yes, you can apply
25 your interest expense to various areas in an attempt to

1 create an appropriate accounting, if you like, for the
2 full cost of those areas.

3 MS. MARLA MURPHY: And the overall
4 interest rate would be comprised of a number of
5 components. There will be different mixes of debts and
6 rates, correct?

7 MR. JOHN MCCORMICK: And different
8 principal amounts from time to time.

9 MS. MARLA MURPHY: Yes.

10 MR. JOHN MCCORMICK: So the interest
11 costs that appear on the financial statements will show
12 the various balances as they occurred from time to time,
13 and the various rates as they existed from time to time.
14 And those may be allocated in various ways in the
15 financial statements by accountants.

16 MS. MARLA MURPHY: So the two (2)
17 utilities you mention in your evidence are Pacific
18 Northern Gas and the Maritimes & Northeast Pipeline.

19 Do you understand them to be regulated on
20 a rate -- base rate of return methodology?

21 MR. JOHN MCCORMICK: I didn't look at how
22 they were regulated.

23 MS. MARLA MURPHY: You make a suggestion
24 in your evidence, I think, at the response to PUB-20,
25 it's on page 2, that it seems to imply to me that because

1 Centra is owned by a Crown corporation, that an interest
2 deferral account is a recommended aspect of our rates.
3 Is that correct?

4

5 (BRIEF PAUSE)

6

7 MS. MARLA MURPHY: I was reading page 2,
8 lines 2 to 4.

9 MR. JOHN MCCORMICK: Oh, I -- I'm reading
10 it, but I am struggling to find the inference that you're
11 adding to it.

12 MS. MARLA MURPHY: Well, I guess I was
13 struggling to understand your meaning. You suggest that
14 because -- I -- I don't have your words right in front of
15 me but, essentially, that because it's a Crown
16 corporation, it makes a deferral account even more
17 appealing, if you will.

18 Did I -- did I misunderstand your
19 evidence?

20 MR. JOHN MCCORMICK: I believe we should
21 look at each sentence separately. My sentence is:

22 "The fact that Manitoba Hydro is a
23 Crown corporation is an important point
24 of distinction from many other
25 utilities."

1 And I've dealt with two (2) privately
2 owned utilities, and I wanted to make sure that we were
3 demonstrating that this is a different beast. It's owned
4 by, if you like, a very strong shareholder that can
5 assist it in financial difficulty among other things.
6 The profit is different.

7 I wanted to differentiate, or make clear,
8 that PNG, which is a very small utility with some very
9 high customer risks and some special financing problems,
10 isn't the same. I'm not saying these two (2) beasts are
11 identical. I was asked a specific question, "Do I know
12 of deferral accounts?"

13 Yes. Maritimes & Northeast is again
14 another beast, again privately owned, not a Crown
15 corporation, and it was a -- essentially a green field
16 utility which began at one (1) point incurring costs of -
17 - to build a gigantic new pipeline that didn't have any
18 initial revenue, but it wasn't complete. Manitoba Hydro
19 is a mature utility with expansions from time to time.
20 There are a host of differences.

21 The next sentence goes on to suggest that
22 Centra is "indirectly owned," in quotation marks, by the
23 people it serves.

24 I then go on and note that I believe
25 deferral treatment would be appropriate in this case if

1 it is the Board's goal to get closer to the market
2 reality of interest rates.

3 And at the time I wrote this evidence, the
4 forecasts that had been put forward were dramatically
5 different from the market reality, and my quick look back
6 suggested that there had been instances where the rates
7 forecast had differed from the interest charges that I
8 was identifying.

9 And so I thought it completely appropriate
10 that if the Board wishes to ensure a perfect match with
11 no forecasting error, we put a deferral account in.

12 If we undershoot, if my three point six
13 (3.6) or three point seven (3.7) long-term forecast does
14 not come to bare, you'll be made whole. I have no
15 difficulty with that.

16 It's not a big issue for me that -- I'm
17 sorry, it would be a big issue for me for a utility to be
18 deprived of its appropriately incurred financing costs,
19 and if you read my resume you'll see that I was hired by
20 AltaGas Utilities to appear in a Review and Variance
21 Application when, in my opinion, the Alberta Board did
22 not give it adequate financing costs.

23 So I've no desire to see Centra burdened
24 with incorrect interest costs, and similarly I have no
25 desire to see the interest costs mis-forecasted in a way

1 that cost customers more money in the near term.

2 MS. MARLA MURPHY: So I -- do I
3 understand you to be suggesting that those two (2)
4 sentences aren't necessarily related. The -- the fact
5 that they're a Crown Corporation isn't tied to the
6 suggestion that interest deferral is warranted.

7 It's -- it's an observation that it's
8 different than what you knew.

9 MR. JOHN MCCORMICK: Yes.

10

11 (BRIEF PAUSE)

12

13 MS. MARLA MURPHY: Mr. McCormick, do you
14 acknowledge that you've heard the evidence that Centra
15 and Hydro operate as a totally integrated utility; we
16 have integrated employees; we have integrated assets,
17 integrated operating procedures and billing, and
18 integrated bank accounts?

19 MR. JOHN MCCORMICK: I -- I've heard some
20 of that testimony. I don't know that I heard integrating
21 operating procedures in the time I've been here. I think
22 I heard a finance panel, so I -- I have only heard what
23 I've heard, and I have understood that you don't operate
24 separate books, if you like --

25 MS. MARLA MURPHY: Fair enough.

1 MR. JOHN MCCORMICK: -- pools of
2 accounts.

3 MS. MARLA MURPHY: You understand there's
4 no separate pool of cash dedicated to Centra?

5 MR. JOHN MCCORMICK: That is my
6 understanding.

7 MS. MARLA MURPHY: And is it -- are you
8 able to -- to say you're aware that -- that it's
9 necessary to have reasonable cost drivers in place to
10 allocate the cost between the two (2) utilities.

11 MR. JOHN MCCORMICK: Well, I can
12 absolutely assure you, Counsel, that I have used the
13 phrase "prudently incurred costs" a number of times in my
14 testimony, and so I believe that we should prudently
15 incurred costs recovered from the ratepayers.

16 My area of expertise is not cost
17 allocation between GNA, and labour costs, and things
18 along that line. So to the extent that you have any
19 question about my view that we should be recovering
20 prudently incurred interest costs, I assure you I believe
21 Centra should recover prudently incurred interest costs.

22 MS. MARLA MURPHY: And you accept that,
23 for the purposes of allocating short-term borrowing costs
24 from Manitoba Hydro to Centra, that Manitoba Hydro has
25 consistently used the one (1) month BA rate?

1 MR. JOHN MCCORMICK: I believe one (1) of
2 your witnesses seated at this end of the table made the
3 comment that had been in place since inception of -- or
4 since the time of purchase.

5 And the fact that you have used that rate,
6 doesn't mean that that is the flowthrough funding rate,
7 nor does it mean that Hydro has, in my mind, maintained
8 the optimal mix of short-term debt, but I understand you
9 have a proceeding underway or a report underway that will
10 address some of those things.

11

12 (BRIEF PAUSE)

13

14 MS. MARLA MURPHY: Thank you, Mr.
15 McCormick. Those are my questions.

16 THE CHAIRPERSON: Thank you, Ms. Murphy.
17 Mr. Boyd, do you have any questions?

18 MR. SANDY BOYD: No, I do not.

19 THE CHAIRPERSON: Thank you. Mr. Peters,
20 do you have any questions?

21

22 CROSS-EXAMINATION BY MR. BOB PETERS:

23 MR. BOB PETERS: Yes, thank you, Mr.
24 Chairman. Good morning. I have some questions for you,
25 Mr. McCormick. And I --

1 MR. JOHN MCCORMICK: Good morning, sir.

2 MR. BOB PETERS: I guess -- I guess
3 batting cleanup, I get to -- to deal with some of the
4 points that I hope the Board will have a clearer
5 understanding of when -- when you're --- when you've
6 left.

7 One (1) of the messages I believe you
8 tried to leave with the Board yesterday is that there
9 needs to be a robust methodology for assessing the
10 financing expenses, correct?

11 MR. JOHN MCCORMICK: The forecast
12 financing expenses, yes.

13 MR. BOB PETERS: When you say "robust,"
14 what do you mean by that?

15 MR. JOHN MCCORMICK: At the risk of
16 repeating myself, there would be, I think, three (3)
17 principle elements that we would use good data, the most
18 current data available, at some point in time.

19 That we would, secondly, in developing the
20 forecast, approach our data inputs on a manner that deals
21 with their particular characterization, that we would not
22 misconstrue a data point which is a period average data
23 point with an end period data point.

24 And at the risk of belabouring the topic,
25 Centra forecast methodology used one (1) period average

1 data point and many end period data points. My view is
 2 that the end period data points should be averaged or
 3 adjusted in some way that we have a -- a statistical
 4 confidence that we're making the right adjustment so that
 5 we are dealing with period average data because our goal,
 6 in this case, is to determine the forecast average
 7 interest costs for whatever our debt will be during that
 8 time period.

9 And finally, to have a robust methodology,
 10 I believe you should test your inputs. Manitoba Public
 11 Insurance has a methodology that uses six (6) inputs.
 12 The Centra methodology uses twelve (12). The members of
 13 that constituent group have changed overtime. The -- I
 14 believe, at one point in time, the Manitoba Bureau of
 15 Economics was an input.

16 I may have misstated that name but, as we
 17 add or subtract people in our sample group, I'd like to
 18 know that we're getting a better forecast as opposed to
 19 going into the kitchen and grabbing every ingredient and
 20 throwing it into the pot, thinking that will make the
 21 most delicious item.

22 MR. BOB PETERS: So those three (3) items
 23 comprise, to you, a robust methodology?

24 MR. JOHN MCCORMICK: They would be the
 25 principle rules and we can discuss refinements, if you

1 like.

2 MR. BOB PETERS: Well, let's -- let's
3 just deal with the testing of the inputs. What you're
4 suggesting is that every forecaster utilized is given a
5 report card to see how close their forecasts were,
6 correct?

7 MR. JOHN MCCORMICK: Well, that would be
8 the first step; that we might look back and see if you
9 like how we did with our 2003/'04 forecast and whether,
10 from the say ten (10) or twelve (12) inputs we have,
11 there was a different combination of those ten (10) or
12 twelve (12) inputs that might have given us something
13 closer.

14 And if then, we perform the same task in
15 the three-o -- '04/'05 period, and then we look back
16 after that period is done and say, Hmm, is one of these
17 guys an outlier? Again, the Federal government -- I'm
18 sorry -- the BC government disclosed the banks that it
19 used. Manitoba Public Insurance disclosed the people it
20 used.

21 My memory is that they did not use the
22 National Bank forecasts in those forecasts. I've
23 observed the National Bank seems to be higher than many
24 of the other banks. They may be right but, similarly,
25 they may be consistently high. And if there's somebody

1 who's consistently high and adding additional basis point
2 error to our estimates, well, let's exclude them. You
3 know, get a better forecast with one (1) less input.

4 MR. BOB PETERS: You can't sit here and
5 tell the Board which of the twelve (12) forecasters used
6 by Centra would be an outlier?

7 MR. JOHN MCCORMICK: Not on a long-term
8 basis. I don't know who's been off the most. I can tell
9 you that the use of the Federal government and BC
10 government forecasts, to me, is a terrible inclusion into
11 the methodology because they are outdated and I would
12 exclude them on a number of reasons.

13 And I would also exclude consensus
14 estimate on the same reason. They are both late and they
15 are not an independent forecast.

16 MR. BOB PETERS: Let's just deal with
17 that carefully. Maybe you answered it with your last
18 answer but BC, the Federal government and consensus,
19 they're not statistically independent in your evidence
20 and that is one (1) reason why you think you should not
21 use them and just go to the source data if you're going
22 to use any other -- any of the contributors to those
23 three (3) forecasters.

24 MR. JOHN MCCORMICK: That is one (1) of
25 two (2) reasons for excluding those.

1 MR. BOB PETERS: All right. And you said
2 the -- the second reason is that they are consistently
3 lagging behind time wise. They're late. They're always
4 --

5 MR. JOHN MCCORMICK: They are stale
6 dated. They are milk past its due date.

7 MR. BOB PETERS: What's your
8 understanding as to why they are slow in getting out
9 there -- a current forecast?

10 MR. JOHN MCCORMICK: Well, in the various
11 budget forecasts that may have come out in February, the
12 text of that budget document, and I provide a link, in my
13 evidence says these were the January estimates of a
14 number of Canadian economic forecasters.

15 So I know right then, it's not a February
16 forecast, it's a January forecast, so it's stale dated.
17 And while I come along in May and look at January data,
18 I'm not impressed because I know it's been revoked, it's
19 been replaced, it is no longer valid.

20 MR. BOB PETERS: All right, thank you.
21 I'm going to come to other specific points that you've
22 included in your robust methodology, but before I get
23 there, I wanted to deal with the deferral account needed
24 as a positive step, according to your evidence.

25 If you could turn to your book of

1 documents, 17.

2

3

(BRIEF PAUSE)

4

5

MR. BOB PETERS: Tab 17 of the CAC/MSOS
6 book of documents contains a response that was given to
7 CAC/MSOS/CENTRA-78, and I'm looking at page 2 of 2.

8

MR. JOHN MCCORMICK: Yes, sir.

9

MR. BOB PETERS: In the middle of the
10 page, approximately, there's a line talking about the
11 difference between the weighted average of short-term
12 debt outstanding at a quarter end and the average one (1)
13 month bankers' acceptance.

14

Have you found that line?

15

MR. JOHN MCCORMICK: Yes, sir.

16

MR. BOB PETERS: Your point in
17 highlighting this line item to the Board is to
18 demonstrate that Centra is paying more for its short-term
19 debt than the parent company would even be paying, would
20 that be correct?

21

MR. JOHN MCCORMICK: Yes, but I must
22 underscore this is what I describe as end-of-period data.
23 So in terms of a point in time we took a snapshot, the
24 rate that prevailed for the end-of-period short-term
25 notes of Manitoba Hydro in December 31st, '08, the last

1 column on the page, was one forty one (141), and the
2 average one (1) month BA rate, which I assume is the
3 average one (1) month BA rate identified at December, is
4 two point four (2.4).

5 So, in this instance, Hydro was -- Hydro
6 had on its books debt at a significantly lower price than
7 we were being charged. The lower half of the table
8 addresses period average data.

9 MR. BOB PETERS: Oh, I understand that,
10 but when you say "we being charged," you mean the
11 consumers were paying in their rates.

12 MR. JOHN MCCORMICK: Yes.

13 MR. BOB PETERS: And the -- the reason I
14 bring to that line is, Mr. McCormick, if that -- do you
15 think that line has been -- does it show that there's a
16 bias in terms of the calculation of the short-term debt
17 rate that should be actually paid by the gas company?

18 MR. JOHN MCCORMICK: Well, I'm not sure
19 if I like the word "bias" in your sentence, but --
20 because that seems to create a mean spiritedness thing.
21 I -- I'm biassed against people of a particular race, and
22 I don't think there's an institutional bias, necessarily,
23 in Manitoba Hydro against Centra. It seems to me there's
24 one (1) pot.

25 But in terms of our forecast methodology

1 and the determination that we will charge a one (1) month
2 BA rate on our short-term borrowing, I'm not sure that
3 makes a lot of sense to me, because what I know about the
4 capacity of Hydro to borrow, up to 500 million, their
5 policy of terming out, that is taking short-term debt and
6 making it long-term debt when they hit say 200 million,
7 which is somewhere else in this book.

8 And I look at that and say, Gee, you can
9 get me a lot of short-term debt at very nice prices, why
10 don't you just do that?

11 MR. BOB PETERS: All right, thank you.
12 I'm -- I'll still come back and give you a chance to talk
13 about those items a bit further, but sticking with this
14 line showing the differences that you've highlighted, if
15 there were pluses and minuses on this line such that what
16 you lost on the swings you made up on the merry-go-round,
17 would you even be suggesting a deferral account would be
18 necessary?

19 MR. JOHN MCCORMICK: I probably wouldn't
20 be here. I likely wouldn't have identified forecasting
21 errors, differences in what we're paying and what's being
22 charged, so no.

23 If we were basically breaking even on our
24 short-term, both on the end-of-period and the average, I
25 would have no complaint.

1 MR. BOB PETERS: And you'd have no
2 recommendation for a deferral account?

3 MR. JOHN MCCORMICK: Only if the Board
4 wished to bring the precision down to a perfection level,
5 but you know, we're starting with estimates. Estimates
6 can be wrong, both high and low.

7 It's somewhat surprising to me that the
8 top line, there's only one (1) quarter where we have a
9 value that is the positive number. All the rest are the
10 negative numbers.

11 MR. BOB PETERS: Do you know the capital
12 structure with dollar amounts of Centra as you sit here
13 today?

14 MR. JOHN MCCORMICK: I'm not sure that I
15 could recall it. If I wanted to, I would look at the
16 debt numbers which I know are in one (1) of my pages here
17 showing the short-term and the long-term debt, and the
18 increasing proportion of long-term debt, but I haven't
19 focussed in on the capital structure.

20 MR. BOB PETERS: All right. We'll --
21 we'll come to that. If you can just take it subject to
22 check in any event that Schedule 573 and 574 of this
23 proceeding, which aren't in either of our books of
24 document by the way, it shows long-term debt for the
25 Utility around 265 million in the first test year, going

1 up to 298 million in the second test year. That sounds
2 familiar? You're nodding yes?

3 MR. JOHN MCCORMICK: Yes.

4 MR. BOB PETERS: Thank you. And in terms
5 of short-term debt it's 87 million in the first test
6 year, and 75 million in the second test year, correct?

7 MR. JOHN MCCORMICK: With respect to
8 short-term debt, I think you may be giving us the end
9 numbers because it's higher during certain portions of
10 the year.

11 MR. BOB PETERS: Yes, and we've seen your
12 compilation of the four (4) quarters, the quarterly
13 results, but I'm just giving you the forecast which could
14 be in period data.

15 MR. JOHN MCCORMICK: Thank you.

16 MR. BOB PETERS: I take it your
17 recommendation to the Board is, in the vernacular in any
18 event, maxed out on that short-term debt, and you've just
19 told the Board that -- that Manitoba Hydro apparently has
20 capacity to go as high as 500 million, and so you'd like
21 to see the gas company at about 200 million on probably
22 every quarter.

23 MR. JOHN MCCORMICK: No.

24 MR. BOB PETERS: Just the quarters in
25 which they buy their most gas?

1 MR. JOHN MCCORMICK: Yes. If we go to my
2 quarter-by-quarter chart, my assumption will be that in
3 quarters where we have dropped from say 100 million to 68
4 million during that quarter, we would have short-term
5 debt in amounts that approximate those numbers. And --

6 MR. BOB PETERS: Just to interrupt you,
7 you're looking at Tab 18 of your book of documents, or
8 you're -- you're perhaps thinking of that as you're
9 giving that answer to me?

10 MR. JOHN MCCORMICK: I was thinking of
11 Tab 18. And again those are end-of-period. The period
12 average numbers will change.

13 MR. BOB PETERS: And the -- the substance
14 of that is that in the months in which the Company is
15 buying lots of gas for its consumers, those would be the
16 quarter periods in which you'd like to see the short-term
17 debt get up to \$200 million?

18 MR. JOHN MCCORMICK: Certainly, and
19 beyond in the sense that I suspect that Hydro itself will
20 have some incremental requirement for short-term debt
21 which would need to be considered in the 500 million
22 limit.

23 So rather than term out when we hit 200
24 million, if that is the Hydro policy, in those particular
25 quarters I would be quite happy to go a little further in

1 interest rate curves that look like today's, because
2 there is a substantial sale on short-term money.

3 MR. BOB PETERS: Mr. McCormick, would you
4 agree that based on the record in this Proceeding before
5 the Board, you don't have an absolute forecast of short-
6 term debt rate or long-term debt rate that you want to
7 leave with this Board?

8 MR. JOHN MCCORMICK: I'm sorry. I don't
9 understand the word, "absolute".

10 MR. BOB PETERS: Let --

11 MR. JOHN MCCORMICK: I believe I have put
12 forward debt rates for each of the short-term debt
13 periods in the IR to the Board. I think they were
14 twenty-seven (27) and eighty-one (81) basis points.

15 MR. BOB PETERS: Yes. And -- and you
16 said that yesterday, that your short-term debt for the
17 first test year, based on what you see in these
18 proceedings, twenty-seven (27) basis points seems
19 appropriate and we're now talking excluding the
20 provincial debt guarantee fee, sir?

21 MR. JOHN MCCORMICK: Yes, these are --

22 MR. BOB PETERS: And all of our
23 discussion will be excluding the provincial debt
24 guarantee fee, unless we say otherwise; would that be
25 fair?

1 MR. JOHN MCCORMICK: Yes, sir.

2 MR. BOB PETERS: And you also said in the
3 second test year, an eighty-one (81) point -- eighty-one
4 (81) basis point short-term debt rate would be your
5 recommendation at this point in time. That would be
6 correct?

7

8 (BRIEF PAUSE)

9

10 MR. JOHN MCCORMICK: Yes, sir, and those
11 numbers appear on page 2 of 8 of --

12 MR. BOB PETERS: Tab 30.

13 MR. JOHN MCCORMICK: -- and Board IR to
14 us of 23.

15 MR. BOB PETERS: But having said that,
16 sir, my -- my question -- and I may have used
17 inappropriate words or I may have confused you with them,
18 is that you come up with those numbers based on the data
19 that you've been able to obtain in this proceeding so
20 far, correct?

21 MR. JOHN MCCORMICK: No, sir. I came up
22 with those numbers based on data that I pulled from the
23 internet from six (6) Canadian banks. I had no data.
24 The company had not responded to my IR requests. So,
25 this was my fully developed data.

1 MR. BOB PETERS: Is there any additional
2 data that you would need to know from the company before
3 you would have a higher degree of comfort in that
4 recommendation?

5 MR. JOHN MCCORMICK: The twenty-seven
6 (27) and eighty-one (81) basis point estimates were done
7 based on the assumption that the Bank of Montreal average
8 forecast was the best forecast. So, it is dependent on
9 that assumption.

10 I have not tested the averages of the six
11 (6) banks with respect to the development of this
12 particular rate and so, one could repeat the long-term
13 methodology that I use on page 4 to determine a different
14 rate. And I would be indifferent because we haven't
15 tested what's the optimum inputs for developing the
16 forecast.

17 MR. BOB PETERS: And I think that's
18 getting to my point, sir, that based on what you've done
19 and the record of this proceedings to date, you've come
20 up with some recommendations to the Board but those
21 recommendations, you will acknowledge, could use the
22 benefit of perhaps testing out some of the data points
23 and the forecasters involved?

24 MR. JOHN MCCORMICK: Yes, sir, and -- but
25 I must add, my data and methodology is consistently

1 developed. The alternative, if you are about to propose
2 the alternative of using Centra's forecasts which I think
3 may be sixty (60) and a hundred and thirty (130), that
4 alternative to me is less attractive than my own rates.

5 I would prefer my own rates because
6 Centra's data has been corrupted or tainted through the
7 methodology -- methodological failures which we've
8 already talked about.

9 MR. BOB PETERS: I've got your point on
10 that and I wasn't going to suggest that to you so you --
11 your anticipation is incorrect.

12 But I wanted you to indicate to the Board
13 what further work would be needed to gain the highest
14 degree of confidence in your recommendations and I take
15 it from your second last answer to me that you would want
16 to test the averages of the six (6) banks that you've
17 used to make sure that a -- that their data is -- their
18 forecasts are considered acceptable.

19

20 (BRIEF PAUSE)

21

22 MR. JOHN MCCORMICK: Sir, I think I would
23 put it differently.

24 MR. BOB PETERS: Please do.

25 MR. JOHN MCCORMICK: In developing the BA

1 rates in this, I used one (1) unit, or one (1) data
 2 source. I would be quite happy if the Board would say,
 3 John, well, we thank you for your view, and we want to
 4 use the six (6) banks that you've identified, or we'll
 5 exclude National Bank and Institute, or bring in data
 6 from Global, such as our friends at Manitoba Public
 7 Insurance use. And that decision or recommendation would
 8 be quite acceptable to me in the near term.

9 In the longer term, I would really find it
 10 quite interesting, and important, and helpful to see
 11 whether the data say from spatial economics actually adds
 12 anything to the robustness of the forecast, and test the
 13 entire group, or -- and perhaps other forecasters.

14 There were a number of entities used in
 15 the consensus forecast, which is derived for equities,
 16 that weren't included in the Centra methodology or the
 17 Manitoba Hydro methodology.

18 MR. BOB PETERS: And your point is you'd
 19 like to do more testing before you had a higher degree of
 20 confidence in your recommendations.

21 MR. JOHN MCCORMICK: More testing would
 22 give me a higher degree of confidence in my
 23 recommendations.

24 MR. BOB PETERS: Can the same be said,
 25 sir, for your long term debt recommendations that you

1 made yesterday be found on page -- again, Tab 30 of your
2 book of documents, probably page -- page 5 of 8?

3 And you revised this yesterday, sir. The
4 recommendation you left the Board with at the close of
5 your evidence yesterday with Mr. Saxberg was -- was a
6 rate of about 3.03 percent, and then a spread of about
7 seventy (70) basis points, if I recall the transcript
8 correctly.

9 MR. JOHN MCCORMICK: I -- I don't
10 specifically recall a three point zero three (3.03)
11 number, but we're talking about three (3) basis points
12 from the number on page 5 which is, as a base rate, 3
13 percent, which was the then forecast.

14 With respect to the spread being seventy
15 (70) as opposed to sixty (60), yes, I'm happy to include
16 the higher spread in my forecast.

17 MR. BOB PETERS: And just so you're clear
18 that on page 4 of 8 of your answer to PUB-23, the 3.03
19 percent was used, and I won't disagree that you may not
20 have testified to that, but I was looking -- orally
21 yesterday, but I was looking at your written evidence as
22 well.

23 MR. JOHN MCCORMICK: Thank you, that is
24 on line 13 on page 4, but if you go over to line 14 on
25 page 5, you'll see that I round slightly.

1 MR. BOB PETERS: Noted. I got your
2 point.

3 MR. JOHN MCCORMICK: Thank you.

4 MR. BOB PETERS: And that long-term debt
5 rate, is that the -- is that for both test years or just
6 the first test year?

7 MR. JOHN MCCORMICK: I only need to
8 forecast for the quarter in which they're doing the
9 issue.

10 So with respect to the issue that should
11 have been done in March, my understanding is there may be
12 some degree of participation in a more recent issue
13 that's reflected in the update of one (1) of the IRs.

14

15 (BRIEF PAUSE)

16

17 MR. JOHN MCCORMICK: But for your
18 convenience, sir, I should add that the methodology that
19 we're discussing on page 4 and 5 of this particular IR
20 could be reworked for 2009/'10 period, or 2011.

21 MR. BOB PETERS: And would it be more
22 appropriate to rework it for those test years if you're -
23 - if you're including that in the -- in the forecast, or
24 do you think that the actual quarter in which there is
25 potential long-term debt issued would be the appropriate

1 number to include?

2 MR. JOHN MCCORMICK: I like the actual
3 quarter in this case because we have two (2) maturities
4 that will likely be refinanced about that time, and it's
5 conceivable they may be slightly delayed.

6 Again, it's not my desire here to drive
7 the last penny out of the forecast borrowing costs. My
8 desire is that we have a robust consistently applied
9 methodology with good data.

10 And were we to want to develop an annual
11 forecast for some purpose other than issues forecasted at
12 a particular time, that's fine with me, too.

13 MR. BOB PETERS: And not to -- not to be
14 too brief with it, but your evidence identified a number
15 of problems that the Utility was -- that -- that faced
16 the Utility in your view in its forecasts of finance
17 expense.

18 Their update that they did was a -- was
19 better. It was on the -- directionally their -- their --
20 the -- directionally in the right direction.

21 Do you agree with that?

22 MR. JOHN MCCORMICK: Their update was
23 better in that it was more current, save and except for
24 how they handled the bridging into the first quarter of
25 calendar 2011 where they brought back all the really

1 spoiled milk that was contained in those ancient
2 forecasts.

3 And they provided us with a gigantic rate
4 step that is not supported by my analysis of ten (10)
5 year history of up-ticks in three (3) month or short-term
6 rates, or --

7 MR. BOB PETERS: And that was your
8 comment yesterday about the 2011 forecast being
9 discontinuous, I think was your words, or something to
10 that effect?

11 MR. JOHN MCCORMICK: That's a good
12 phrase, but yes. Since I think you asked me several
13 questions at once, the improvement that we got from the
14 initial forecast to the more recent forecast was an
15 improvement in relative timeliness.

16 But there was no improvement in -- pardon
17 me, because I didn't have all the data that related to
18 the first forecast, I don't know whether there was any
19 improvement in the methodology, but the methodology
20 remains fraught with internal conflicts, and data misuse.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: From the research you
25 did, Mr. McCormack, in preparing for this case, are you

1 aware of any large utilities that have, perhaps in your
2 words, loaded up with short-term on sale debt?

3 MR. JOHN MCCORMICK: I haven't done that,
4 sir.

5 MR. BOB PETERS: Do you expect there are
6 utilities that have done that, or do you expect there are
7 not utilities that have done that?

8 MR. JOHN MCCORMICK: I would expect that
9 there are utilities that are taking advantage of the
10 current short-term bargain pricing, and may be deferring
11 their long-term debt issues simply because of the
12 gigantic difference in term spreads from three (3) months
13 to five (5), or twenty (20) years.

14 And in fact, one would hope Treasury
15 departments across the land are paying attention to the
16 yield curve when they're making their investment
17 decisions.

18 I certainly know from my experience as an
19 investment banker where I worked with Nova and Alberta
20 Natural Gas on long-term debt issues, that their timing
21 of going to market was quite focussed on getting an
22 excellent deal at every time, and it wasn't always twenty
23 (20) year debt.

24 MR. BOB PETERS: How could you determine
25 whether there are utilities that are stocking up on this

1 short-term debt opportunity?

2 MR. JOHN MCCORMICK: There would be a leg
3 in doing that calculation. The information that would be
4 available would either be from the financial statements
5 or regulatory reporting of the various companies, and
6 there would be new information, perhaps, from Bloomberg
7 showing the timing of issues and whether particular
8 utilities are proceeding to rush to the market today to
9 enter into long-term obligations or are permitting their
10 short-term financing to increase.

11 It would be a very time-consuming task and
12 there would be a data delay. We also would not have the
13 benefit of knowing what the internal motivations may have
14 been, whether a particular utility is negotiating with
15 its bankers for changes in its short-term line, or there
16 may be other factors affecting their determination of
17 current borrowing needs, so it would be a difficult
18 assignment to demonstrate that.

19 MR. BOB PETERS: Without knowing the
20 specific utilities with some, perhaps, intimacy or inside
21 knowledge, you wouldn't be able to determine whether they
22 are deliberately loading up on the short-term debt at
23 this point in time, rather than making longer term debt
24 issues.

25 MR. JOHN MCCORMICK: Well, what we can

1 tell from financial statements is the amount of debt that
 2 is on their books. We can observe, through paying
 3 attention to organizations like boom -- Bloomberg and
 4 long-term debt notes in the financial statements, whether
 5 they're moving long or short in this time period.

6 The difficulty for us is knowing the
 7 internal motivation and whether they're being driven more
 8 by the bargains that I see in short-term rates currently,
 9 or whether they're being driven by some other long-term
 10 concern related, say, for an integrated utility like
 11 TransCanada Pipelines, the actions of some of their
 12 unregulated subsidiaries.

13 So there is some information we can glean,
 14 but it would be a difficult task.

15 MR. BOB PETERS: I want to turn to the
 16 second criticism you had with the methodologies or the
 17 lack of robustness of Centra's forecasting, and that was
 18 to do with the use of data.

19 In -- in summary form, your criticism was
 20 that the data may be -- what -- the data was not used
 21 properly, is that correct?

22 MR. JOHN MCCORMICK: Much of the data, in
 23 my mind, was not used properly.

24 MR. BOB PETERS: And to be specific, you
 25 -- you pointed out already in your evidence the -- the

1 mixing of end-of-period data with average period data,
2 correct?

3 MR. JOHN MCCORMICK: Yes. Yes.

4 MR. BOB PETERS: And is it your
5 recommendation that only average period data should be
6 used or should be calculated?

7 MR. JOHN MCCORMICK: Again, in the IR
8 that addressed this, I pointed out, when you're taking a
9 data point into an analysis, the question is, what are
10 you trying to estimate.

11 And if you're trying to estimate the
12 average of BA rates in a particular time period, then
13 forecasts that get you to the average are going to be
14 superior than a forecast that tells you what it would be
15 on the 17th day of the second month or the last day of
16 the third month.

17 But if all we have is end point data for a
18 series of quarters, I have used, in many instances, as a
19 default for an average, the starting and ending values,
20 which I average as being a reasonable proxy for the
21 average during that period.

22 And if I can take you to the IR number 17,
23 which may not be in your book. On page 5, there's a
24 little chart which shows the two (2) data points for the
25 National Bank and we have the March 31st data point and

1 the June data point.

2 MR. BOB PETERS: Just give me a second to
3 catch up to you, if I could. Mr. Saxberg, that's not in
4 the -- is that in the book of documents?

5 MR. JOHN MCCORMICK: PUB 17.

6 MR. KRIS SAXBERG: Twenty-eight (28).

7

8 (BRIEF PAUSE)

9

10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: So, Mr. McCormick,
12 you're looking at the CAC/MSOS response to PUB
13 Information Request 17, found at Tab 28 of the CAC/MSOS
14 book of documents, is that correct?

15 MR. JOHN MCCORMICK: Yes, and in
16 particular, page 5 of 5.

17 MR. BOB PETERS: I'm sorry. Would you
18 mind repeating? You were looking at the National Bank
19 end period forecast chart.

20 MR. JOHN MCCORMICK: Yes.

21 MR. BOB PETERS: And a...

22 MR. JOHN MCCORMICK: The National Bank
23 and many of the banks forecast end-of-period data. They
24 don't give us the period average data. And so, when I
25 look at this chart, I see that we have a -- a

1 recommendation or a forecast for the March 30th date of
2 2010, of ninety-two (92) basis points for the T Bill
3 rate. And we have a forecast for June of a hundred and
4 forty-two (142) basis points.

5 And when I look at this chart, I know that
6 the markets are volatile so I -- I have taken my pencil
7 and I've drawn a -- a squiggly line across that nice
8 straight line and said, well, this is one (1) outcome
9 which may be possible.

10 And that is completely possible and it
11 will probably -- were that to take place, that would
12 probably average a -- about the mid-point, one point one
13 seven (1.17). But it's equally possible that we could
14 have rates shoot up very quickly on the first day of the
15 quarter and then remain flat throughout the quarter which
16 would give us an average, much closer to the end point
17 but much less likely.

18 We could also have rates remain relatively
19 constant until the very end day and then rush up. Again,
20 much less likely. Because there are a virtual infinite
21 number of possibilities of how the real interest rates
22 may perform over this period.

23 I like the simple average as a convenient
24 methodology and I know it's not perfect but I look at the
25 likelihood that the 1st of April, the rates will go to a

1 hundred and forty-two (142) as being very low. And so I
2 am disinclined to use the end-of-period data as
3 representative of the average in this time period.

4 MR. BOB PETERS: I think the Board has
5 your point on that. In terms of the long-term spread
6 methodology, your -- you commented yesterday, I believe,
7 on Centra's new methodology of using one (1) forecaster's
8 spread, correct?

9 MR. JOHN MCCORMICK: Yes, we did discuss
10 that.

11 MR. BOB PETERS: Centra's old methodology
12 was not carried forward to their updated materials. Do
13 you agree with that?

14 MR. JOHN MCCORMICK: They had used sixty
15 (60) basis points in the old -- or the original
16 application and now have used a step function from one
17 sixty (160) to one ten (110) to sixty (60).

18 MR. BOB PETERS: In your development, you
19 focussed only on the twenty (20) year bond spreads to
20 come to your decimal seven (.7) or your seventy (70)
21 basis points spread, correct?

22 MR. JOHN MCCORMICK: Yes.

23 MR. BOB PETERS: And while the twenty
24 (20) year bond is -- is greater than ten (10), it's less
25 than thirty (30).

1 Do you think in that instance the
2 methodology could be refined to use bond spreads that
3 mirror the intended term of the issue?

4 MR. JOHN MCCORMICK: Sir, my bond spread
5 does mirror the intended term of the issue. They're
6 talking about issuing twenty (20) year paper. I'm
7 looking at twenty (20) year spreads, so I'm already
8 there.

9 The area in which we differ is the
10 starting point, and the long-term mean to which we should
11 assume we're eventually going to gravitate down to.

12 They've got sixty (60) as their floor
13 rate. I think it should be say forty-eight (48), fifty
14 (50). They want to incorporate one sixty (160) as the
15 starting point. That moment has passed. It may come
16 again, but we're clearly on a downtrend as I've
17 demonstrated in the graph in Tab 23.

18 MR. BOB PETERS: And I suppose not only
19 does the graph show the downtrend, you've cited the 1.6
20 percent spread, or a hundred and sixty (160) basis points
21 used by -- by Centra.

22 You talked about the actual May '09 number
23 being down closer to a hundred and eleven (111), and then
24 you also commented on the recent actual issue being
25 closer to one-0-five (105).

1 MR. JOHN MCCORMICK: Yes, sir.

2 MR. BOB PETERS: All of which is you're
3 telling the Board that, if the words are right,
4 regressing to the mean is apparent. It's heading in that
5 direction.

6 MR. JOHN MCCORMICK: Yes.

7 MR. BOB PETERS: And whether it gets to
8 forty-eight (48) basis points as found in Tab 23 of your
9 document -- book of documents, the last page, or not,
10 it'll probably get down if the quarter -- if the quarters
11 mirror each other, it'll drop another fifty (50) basis
12 points and get you down to point seven (.7).

13 MR. JOHN MCCORMICK: In fact, sir, if the
14 recent change from one sixty (160) a few months ago to a
15 hundred and five (105) or a hundred and ten (110) in this
16 current time period is continued, we would go down much
17 faster because we dropped fifty (50) basis points in two
18 (2) or three (3) months.

19 If we drop another fifty (50) basis points
20 in the next two (2) or three (3) months, well before the
21 first quarter of 2010, we will be down to the seventy
22 (70) level, and through the seventy (70) level in no time
23 at all.

24 But I'm not here to try and grind the last
25 cent out of this company. I would like to use some

1 reasonable forecasting methodology.

2 MR. BOB PETERS: Mr. Chairman, this might
3 be an opportune time for the morning recess.

4 THE CHAIRPERSON: Very good.

5 MR. BOB PETERS: Thank you.

6 THE CHAIRPERSON: We will see you back at
7 11:00.

8

9 --- Upon recessing at 10:45 a.m.

10 --- Upon resuming at 11:08 a.m.

11

12 THE CHAIRPERSON: Okay, Mr. Peters.

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Thank you, sir. I have
16 just a couple of areas left to -- to discuss with Mr.
17 McCormack, and then maybe a couple of clean-up questions
18 but, Mr. McCormack, the next issue is the funding from
19 Manitoba Hydro to Centra for the short-term borrowings
20 that -- that are done.

21 You've talked at some considerable length
22 for that, but I want to make sure the Board clearly has
23 your position.

24 In the rebuttal evidence of Centra, page
25 19 of 24 if you wish to turn to it, Centra came up with

1 three (3) factors that would influence the short-term
2 borrowing costs and needs of the Gas Utility.

3

4 (BRIEF PAUSE)

5

6 MR. JOHN MCCORMICK: The page again,
7 please, sir?

8 MR. BOB PETERS: Page 19 of 24.

9 MR. JOHN MCCORMICK: I'm there.

10 MR. BOB PETERS: And Centra indicates
11 that, under the heading of Different Terms to Maturity,
12 if Manitoba Hydro issues short-term debt with terms
13 between one (1) and three (3) months, sometimes Centra
14 needs longer short-term debt.

15 What's your solution to that concern?

16

17 (BRIEF PAUSE)

18

19 MR. JOHN MCCORMICK: Sir, in the
20 beginning of their rebuttal, they note that Manitoba
21 Hydro can issue debt for as short as one (1) day. The
22 fact that not all debt might be issued for one (1) month
23 or three (3) months doesn't trouble me.

24 There will be market windows where for a
25 moment in time on the quote machine, you'll be able to

1 get a fabulous rate on forty-seven (47) days because
2 someone on another side of a transaction wants that
3 maturity for some purpose known only to them.

4 My imagination is that with billions of
5 dollars of debt outstanding in Manitoba, that Manitoba
6 could provide through to Manitoba Hydro and through to
7 Centra, short-term debt at impressive rates in keeping
8 with the current Bloomberg curve for a reasonable rate
9 that would be superior to the one (1) month BA rates.

10 And there will be market opportunities
11 that will present themselves which will be positive.
12 There will be days when the market conditions will not be
13 as good but I don't see problems in running a portfolio
14 that provides short-term debt for reasonable terms at
15 good rates.

16 And if my memory of CAC-4 is correct, I --
17 I think there was a reference to a ten (10) month
18 floating rate instrument...

19

20 (BRIEF PAUSE)

21

22 MR. JOHN MCCORMICK: Which I think was
23 done at a BA reference rate less ten (10), if my memory
24 is correct. But it was an issue that apparently neither
25 Centra or Hydro participated in. I'm sorry, it's BAs

1 plus ten (10) and it was in response to the inquiry CAC-
2 168.

3 So, I'm not saying we always have to
4 finance in the shortest term. We're running a portfolio
5 here. Let's proceed to come up with a rate that works
6 and we have evidence that in IR-78, which we discussed,
7 both on an end-of-period basis and on an average-term
8 basis, they've been doing better for the Hydro portfolio
9 of short-term debt in terms of rates than we are seeing
10 being flowed through to Centra consumers.

11 So, all I want is them to continue to do
12 their piece of the action. And if that means they have
13 to move from a two hundred (200) to three hundred (300),
14 let's do a long-term deal trigger in their policies to a
15 two seventy-five (275) to three seventy-five (375)
16 trigger so that we get say 75 million more short-term
17 debt available through to us, I don't have any problem
18 with that recommendation.

19 My memory is the Manitoba Hydro portfolio
20 is in the order of twenty (20) plus bil -- sorry, the
21 Manitoba debt portfolio is in the port -- range of 20
22 plus billion. And, in addition, it also includes
23 something in the order of 940 million of floating rate
24 debt.

25 So I don't particularly care how we match

1 Centra's short-term needs with short-term funding at
2 highly advantageous rates. I'm sure there's a solution.

3 MR. BOB PETERS: Well, the solution that
4 you appear to recommend then is just for the parent
5 company to provide a revolving short-term facility.

6 MR. JOHN MCCORMICK: Generally, yes, I
7 would have put it differently, in that I suspect the
8 parent company acts in concert with someone in the
9 Manitoba treasury operation that that is the province and
10 says, here's what we want, here's what we need, let us
11 know when it's available, or we're changing our policies
12 a little bit so we're going to have more short-term debt
13 because of our need to fund Centra's say 68 million debt,
14 which I think was the number of the fourth quarter of
15 2011 in one (1) of the IRs that we've been speaking about
16 today.

17 MR. BOB PETERS: I want to turn with you,
18 Mr. McCormick, to the distribution of the long-term debt
19 issue -- issues.

20 And, Mr. Chairman and Board members, that
21 -- we might need a juggling of books of documents here,
22 but if we start with Tab 22 of the Board's book of
23 documents, there will be a three (3) page insert of
24 CAC/MSOS/CENTRA-1-8 -- I'm sorry, 1-5(a).

25

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: If you haven't located
4 that, Mr. McCormick, I'm sure Mr. Saxberg can put it up
5 on the screen.

6

7 (BRIEF PAUSE)

8

9 MR. JOHN MCCORMICK: I'm there, sir.

10 MR. BOB PETERS: All right, when we look
11 at -- at Tab 22 then of the PUB book of documents, we see
12 that as at March 31 of 2004 98.8 percent of the long-term
13 debt was maturing in one (1) to ten (10) year terms,
14 correct?

15 MR. JOHN MCCORMICK: Yes, sir.

16 MR. BOB PETERS: And if we -- if we go
17 down this chart and follow through to the next page, on
18 page 203, we start to see a shift, perhaps, at March
19 31st, 2007 where only 65 percent of the long-term debt is
20 maturing in one (1) to ten (10) years, but there's 20
21 percent that's twenty (20) years or longer, correct?

22 MR. JOHN MCCORMICK: 20.8 percent, sir?

23 MR. BOB PETERS: Yes, sir.

24 MR. JOHN MCCORMICK: Yes.

25 MR. BOB PETERS: And if we continue to

1 turn the page, and appreciating that there's some -- some
2 new debt with some forecast -- forecast being involved,
3 we go the very last chart, as of March 31st of 2012, the
4 end of the second test year, now it's going to be 78.9
5 percent of the long-term debt maturing greater than
6 twenty (20) years out, correct?

7 MR. JOHN MCCORMICK: Yes, sir.

8 MR. BOB PETERS: In your discussions in -
9 - with Mr. Saxberg, and also with Ms. Murphy, you've
10 indicated that you believe it's a benefit to the
11 consumers to go shorter terms now, correct?

12 MR. JOHN MCCORMICK: Yes.

13 MR. BOB PETERS: And in terms of what to
14 do, I think one (1) of your answers to Ms. Murphy
15 included that it's better to use the shorter-term long-
16 term debt of five (5), ten (10), twenty (20), and thirty
17 (30) years in some blended portfolio. Words to that
18 effect.

19 MR. JOHN MCCORMICK: Yes, sir.

20 MR. BOB PETERS: When we look at Tab 22
21 of the book of documents that we've done, what is your
22 recommendation to this Board as to what would be the
23 appropriate distribution of the maturity periods?

24 MR. JOHN MCCORMICK: Sir, I don't think I
25 can offer you a specific. This distribution is the best

1 because the markets are volatile. There will be changes.

2 The feature that I most dislike about the
3 proposed consolidation of debt isn't that 78.9 percent
4 will be in the twenty (20) or more years, it's that in a
5 thirteen (13) or so month period we will have the
6 preponderance of the maturities in the March 2012 chart.

7 The March '29 to March 2030 maturities,
8 which represent probably 50-some percent of the total
9 debt that's forecast, are going to be in a thirteen (13)
10 month period. So that's my problem, particularly with
11 this proposed allocation.

12 With respect to the benefits of staggering
13 the maturities, we created an IR which I think was 1-5J
14 where I proposed just an example to underscore for the
15 Board the potential for interest savings based on the
16 normal yield curve that's prevailing now.

17 MR. BOB PETERS: If I could just
18 interrupt you, Mr. McCormack. I was going to actually
19 take you to the book of documents 23 of the Board, if
20 that's the next tab in the Board's book of documents, and
21 that contains, I think, the very Information Request
22 chart that you're discussing.

23 I would note that the most current version
24 I have has been revised for June 1st, 2009. Mine's on
25 yellow paper, but I just want to make sure you're

1 speaking from the most current version, Mr. McCormack.
2 Top right-hand corner would indicate, "Revised June 1,
3 2009".

4 MR. JOHN MCCORMICK: This doesn't have
5 that revision, but I'm sure we can manage...

6 MR. BOB PETERS: It's en route.

7 MR. JOHN MCCORMICK: Thank you. I now
8 have it before me.

9 MR. BOB PETERS: All right, sir. Where
10 we were going here was you've made it clear you're not
11 happy with the thirteen (13) months in which 50 percent
12 of the long-term debt could come in and mature for the
13 Utility.

14 And you've gone on to say that by having
15 shorter periods of -- of debt there's a significant
16 financial savings to consumers. Is that your point?

17 MR. JOHN MCCORMICK: The point would
18 include that, and also go beyond it. The first point is
19 with a normal yield curve, shorter term maturities are
20 cheaper.

21 So if we enjoy a rate saving for the
22 first, say, ten (10) years by doing a ten (10) year
23 instrument as opposed to a twenty (20), we will grab some
24 number of basis points which protects us on the potential
25 to refinance at a slightly higher rate.

1 The staggering of maturities, the second
2 point, is we put ourselves in a position where we're
3 refinancing at a number of different times, so we're
4 unlikely to be walking into that horrible time period I
5 identified through IRs where we had 18 percent interest
6 rates back in the late '70s or early '80s.

7 And I would prefer not to cause rate shock
8 by loading maturities into a point in time so far out it
9 would be very difficult to accurately forecast.

10 MR. BOB PETERS: And so when we look at
11 the CAC/MSOS/CENTRA-1-5J revised June 1st document found
12 at Tab 22 of the PUB book of documents, you're looking in
13 the first test year, the top -- the top chart on that
14 page, as an indication that there's interest savings of
15 seven hundred and eighty-eight thousand dollars
16 (\$788,000) per year under the different -- under the
17 methodology that you've proposed

18 MR. JOHN MCCORMICK: Well, these are the
19 maturity dates that I suggested. I -- I haven't double-
20 checked this calculation. I was only interested in
21 providing the Board with a sample that would suggest a
22 different capital structure would provide a significant
23 saving to consumers of interest in the near term, in --
24 by going out to ten (10) year terms as opposed to locking
25 everything in to twenties (20).

1 MR. BOB PETERS: And the same on the
2 bottom half of that schedule, you looked at the second
3 test year and the proposed new issues.

4 MR. JOHN MCCORMICK: Yes, sir.

5 MR. BOB PETERS: And is it -- is it in
6 the bottom right-hand corner, the suggestion that there's
7 a \$3 million annual savings if you -- if you stagger the
8 terms, as -- as your hypothetical example would do?

9 MR. JOHN MCCORMICK: Yes, sir, that seems
10 to be the calculation.

11 MR. BOB PETERS: And your point to the
12 Board is that, what you gain by going shorter terms, you
13 may lose it next time you refinance, but as long as you
14 don't lose more than what you gained, you at least break
15 even.

16 MR. JOHN MCCORMICK: Yes, sir, that would
17 be my point. And, if you like, we could go look at the
18 series of charts that we've spoken of at least once this
19 morning would show con -- relative consistency of longer
20 term rates in the ten (10), fifteen (15) years, to show
21 that we probably have a pretty good chance of getting
22 into those rates at a later time, but the short stuff is
23 really nice now.

24 MR. BOB PETERS: No, I think you've --
25 you've made your point on that earlier, I don't need to

1 visit those -- those colourful -- colourful graphs, but
2 thank you.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: In the answers you've
7 given me, you haven't indicated how you would know how
8 much to stagger when, or how to -- how to plant the
9 portfolio out there.

10 What would be the determinations that
11 would result in the action you would take to determine
12 whether it was going to be a ten (10) year, twenty (20)
13 year, or a thirty (30) year issue?

14 MR. JOHN MCCORMICK: Well, there are some
15 difficulties in that. It is, in my view, highly unusual
16 for the Board to say we want you to stagger the
17 maturities. It would be more usual for a regulator to
18 say, as the Alberta regulator said to Nova, we think you
19 have overpaid for debt, we're disallowing a portion of
20 the interest cost.

21 But to signal the Board's interest in
22 having different maturities, were the Board to award or
23 indicate that it is receiving a forecast that says, we
24 have assumed that you will do some five (5) year with
25 whatever appropriate rate spread would be different from

1 the twenty (20) year, that would give the company an
2 incentive to actually achieve that rate, as opposed to
3 necessarily going long.

4 It would not prevent them from waiting
5 until an optimum moment, where through the volatility of
6 the available interest rates in the market, they might
7 actually be able to achieve a twenty (20) year issue at
8 the forecast five (5) year rate, but it would signal a
9 desire of the Board to not load up the maturity schedule.

10 And, sir, if I could take you to page 16
11 of my evidence -- actually, 15, to begin. At the bottom
12 of page 15 we have a chart which shows the debt
13 maturities in years as anticipated in 2011.

14 And there are many open years between 2012
15 and 2029, where a maturity could be fit in quite handily.
16 The next chart, on page 16, is the comparable chart for
17 the 15J suggestion, and it is staggered, there's no more
18 than about 75 million in any year, and it is loaded
19 towards the front which should, in the short-term,
20 provide some interest saving.

21 If you flip to the next page, you have the
22 Manitoba debt distribution. This is how the Province
23 finances and, as you'll see from that chart, a very small
24 proportion of their total debt matures in the years, 1928
25 -- or, sorry, 2028 and beyond. The preponderance of

1 their debt runs from this year, 2009, to 2021 or '22.

2 So, within the -- the Manitoba family, if
3 you like, there is a tremendous amount of financing going
4 on at attractive short-term rates where this yield curve
5 would not -- I'm sorry -- this debt distribution graph
6 could not look as it does.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: That last answer then
11 suggests that Centra should follow more closely the debt
12 distribution used by the province of Manitoba rather than
13 what is being proposed in this Application.

14 MR. JOHN MCCORMICK: No, sir. I -- I
15 would not suggest that there's an identical curve. The
16 Province of Manitoba is a taxing entity but they're
17 certainly interested in having a reasonable portfolio of
18 debt.

19 Centra, on the other hand, is a utility
20 which has a different structure of capital assets in
21 proportion to its notional business. But to contrast
22 page 17 with page 15, I think the impact that Centra is
23 overloading the really long stuff may become apparent.

24 It's certainly my conclusion looking at
25 the two (2) charts and I would be not offended if Centra

1 said, we'll do some seven (7) year or we'll do some
2 twelve (12) year. I did not intend that 15J represent
3 the ultimate financing curve for the organization based
4 on forecast -- future market conditions that I would not
5 dare to forecast on a particular day when they have debt
6 coming due.

7 MR. BOB PETERS: I'm not sure you
8 answered my -- a previous question of mine about how --
9 how one would know -- or how would you determine what is
10 the optimum mix.

11 Your answers to me seem to suggest, well,
12 maybe the Board can give some directions but, ultimately,
13 it's going to be for the Utility to do -- to react as the
14 market reacts and...

15 MR. JOHN MCCORMICK: Yes, sir. I don't
16 believe the Board can micro manage the choices that
17 Centra/Manitoba Hydro or the Manitoba Treasury make in
18 terms of how they enter the market or how they choose to
19 share the really cheap money with this particular entity.

20 So, if the Board, though, shares my view
21 that it is unwise to load up all the debt into a thirteen
22 (13) month period, they can certainly signal that by
23 saying we will give you the twenty (20) year rate
24 forecasted by Mr. McCormick for 2010 for one (1) portion
25 of that debt and we will give you whatever the resulting

1 ten (10) year or five (5) year rate would be; perhaps a
2 few basis points less for some other portion.

3 MR. BOB PETERS: All right. I've got
4 your point on that.

5 I think the last point that I did want to
6 ask you about was you acknowledged to Ms. Murphy that
7 there's more current information than that was included
8 in -- and then -- then what has been included in your
9 evidence and even in the Centra updated materials.

10 MR. JOHN MCCORMICK: Yes. sir.

11 MR. BOB PETERS: And the question then
12 becomes for forecasting purposes and presenting it at
13 rate cases, when do you stop updating?

14

15 (BRIEF PAUSE)

16

17 MR. JOHN MCCORMICK: I know of no perfect
18 date. I would suggest to you that the Company would be
19 well-advised for the convenience of the Board and the
20 Intervenors to provide a timely forecast update as we
21 come to the oral Hearing. Hopefully the forecast update
22 would be based on methodologies that were well
23 understood, and worked.

24 I would suggest as a matter of law that
25 under the Northwest Utilities case, which I referred to

1 in my evidence, that the Board is entitled, in my view
2 and maybe well advised to, on its own volition, select
3 rates that are reflective of a good methodology, and the
4 most current update, if in fact there are material
5 changes in the May material that I have used into the
6 June material which I have not investigated.

7 MR. BOB PETERS: You're aware that Centra
8 updated their cost of gas information approximately a
9 month before the Hearing?

10 MR. JOHN MCCORMICK: Yes, sir.

11 MR. BOB PETERS: A similar time frame for
12 the updating of the forecast finance expenses would be
13 appropriate?

14 MR. JOHN MCCORMICK: Sir, I think I'm a
15 financial expert. I'm not sure that I am the ideal
16 person to speak to the convenience of the Board, but it
17 would have certainly helped me appear here today if I had
18 had their more recent forecasts available as a point of
19 discussion as opposed to the historic ones.

20 MR. BOB PETERS: All right, thank you.

21 Mr. Chairman, with those answers from Mr.
22 McCormack, I'd like to thank him. Those are my questions
23 of him.

24 THE CHAIRPERSON: Thank you, Mr. Peters,
25 and thank you, Mr. McCormack.

1 Mr. Saxberg, do you have any re-direct for
2 Mr. McCormack?

3 MR. KRIS SAXBERG: No, I don't.

4 THE CHAIRPERSON: That brings to end your
5 testimony. We appreciate your attending. Thank you very
6 much. I hope you have a good trip back to Calgary.

7 MR. JOHN MCCORMICK: Thank you, Mr.
8 Chairman, and panel members, counsels.

9
10 (WITNESS STANDS DOWN)

11
12 THE CHAIRPERSON: So we will return now
13 back to the panel, and I think that would take us back to
14 Mr. Peters, or would it be better, Ms. Murphy, if we had
15 an early lunch, or are you ready to go now?

16
17 (BRIEF PAUSE)

18
19 MS. MARLA MURPHY: Mr. Chairman, we're
20 prepared to start. Mr. Warden has an -- an appointment
21 over the lunch hour, so if -- if we can stick to our
22 normal lunch hour that will assist him.

23 THE CHAIRPERSON: Okay, let's do that
24 then. Mr. Peters...?

25 MS. MARLA MURPHY: I might also indicate

1 at a -- at a moment that's timely, I have some additional
2 direct evidence prepared that may assist the Board in
3 terms of walking through the material that was filed.

4 There's some peach coloured updates that
5 include the rate schedules and -- and impacts that I
6 expect Mr. Peters will be getting to.

7 I can do that at your leisure; whether you
8 want to deal with DSM and then have that, or whether you
9 would like me to do that now.

10 THE CHAIRPERSON: Do you have a
11 preference, Mr. Peters?

12 MR. BOB PETERS: No preference.

13 THE CHAIRPERSON: Well, let's start then
14 with you, and then we will get that afterwards.

15 MR. BOB PETERS: All right.

16

17 CENTRA'S REVENUE REQUIREMENT, DSM, COST ALLOCATION,
18 AND RATE DESIGN PANEL RESUMED:

19

20 VINCE WARDEN, Resumed

21 WILLY DERKSEN, Resumed

22 GREG BARNLUND, Resumed

23 LLOYD KUCZEK, Resumed

24

25 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

1 MR. BOB PETERS: Mr. Chairman, I'd like
2 to turn to the demand side management issues with Centra,
3 and perhaps we can agree, Panel, that gas demand side
4 management is relatively new to the Corporation, starting
5 in approximately October of 2004.

6 MR. LLOYD KUCZEK: Yes.

7 MR. BOB PETERS: And at that time, gas
8 DSM was added to the Power Smart program of the parent
9 company Manitoba Hydro in approximately the 2005 Power
10 Smart plan?

11 MR. LLOYD KUCZEK: Correct.

12 MR. BOB PETERS: And the 2008 Power Smart
13 plan that's been filed as Attachment 2 to Tab 12 of
14 Centra's Application, and it includes the most current
15 gas DSM plans. Would that be correct?

16 MR. LLOYD KUCZEK: That's correct,
17 although we do make updates during the course of the year
18 to some of the programs, but that's the -- the most
19 recent formal document that we have that articulates our
20 overall plan.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: Mr. Kuczek, with that
25 answer, are you indicating to the Board that there are

1 material revisions to the 2008 Power Smart Plan that --
2 that aren't in the Power Smart Program at this point in
3 time, but will be in the next draft or the next version
4 of it?

5 MR. LLOYD KUCZEK: I'm not sure if I'd
6 say material, but we make adjustments to our programs
7 during the course of the year if we think they're --
8 they're necessary. For example, the -- the program design
9 in the OA Plan for the lower income program has been
10 changed since this document was crafted, so it has
11 changed.

12 MR. BOB PETERS: All right, we've got
13 your point. If you could turn to Tab 37 of the book of
14 documents, and maybe I can pose a question to Mr. Warden
15 also on this document. It's a copy of PUB/CENTRA-113
16 Attachment 1, page 1 of 1, again, found at Tab 37.

17 Mr. Warden, this appears that, for the
18 test years, there's going to be DSM spending of about
19 14.1 million in the first test year and 13.3 in the
20 second test year, does that appear accurate to you?

21 MR. VINCE WARDEN: Yes, it does.

22 MR. BOB PETERS: Would it also be correct
23 to say that, by spending approximately \$14 million a
24 year, there is no benefit in that expenditure for Centra
25 Gas?

1 MR. VINCE WARDEN: Well, there's no
2 benefit from a financial perspective, Mr. Peters. In as
3 much as Centra Gas exists for the benefit of its
4 customers, there is a benefit in that respect in -- in
5 terms of meeting our mandate.

6 MR. BOB PETERS: All right, that's --
7 you're saying that there's goodwill that's engendered by
8 the spending of that money, but there's not a financial
9 return, necessarily, to Centra.

10 MR. VINCE WARDEN: There's no -- there's
11 no financial return.

12 MR. BOB PETERS: But there is goodwill
13 engendered.

14 MR. VINCE WARDEN: Well, I would go
15 beyond goodwill. I think it's an important part of being
16 the mandate of -- of Centra Gas to -- to satisfy the
17 needs of its customers, so it's more than goodwill.

18 MR. BOB PETERS: Would you agree with me
19 that, and maybe Mr. Kuczek can help us, that -- that most
20 of that 13 and \$14 million expenditures will be by way of
21 customer incentives?

22

23 (BRIEF PAUSE)

24

25 MR. LLOYD KUCZEK: I don't have the

1 percentages handy, but I would suggest that there would
2 be a significant portion that are not incentives. And
3 when I say "significant," if I had to estimate, I'd say
4 30 percent, anyways.

5 There's administration costs, there's
6 promotion marking, and those sort of things, so -- but
7 it's in that range, but it's significant, anyway.

8 MR. BOB PETERS: All right. And -- and I
9 appreciate -- the ballpark figure is close enough for --
10 for my questioning on this, Mr. Kuczek, but approximately
11 70 percent -- the vast majority of this 14 and \$13
12 million expenditures will be in incentives offered to the
13 up taking consumers.

14 MR. LLOYD KUCZEK: Yeah, let's estimate
15 it at 60, 70 percent, somewheres in there.

16 MR. BOB PETERS: All right, if you're
17 happier there, that's where we'll go. And you're telling
18 the Board that the difference in cost relates to human
19 resource costs and the marketing and promotional
20 expenses.

21 MR. LLOYD KUCZEK: Correct.

22 MR. BOB PETERS: So you're spending
23 money, encouraging consumers to take advantage of the
24 incentives that the Corporation has available, that would
25 be the marketing program boiled down.

1 MR. LLOYD KUCZEK: We're spending money
2 to encourage customers to pro -- to implement energy
3 efficient measures is the way I'd characterize it.

4 MR. BOB PETERS: But not only do you
5 encourage them to do it, you have to encourage them
6 financially to do it.

7 MR. LLOYD KUCZEK: We actually don't have
8 to. It's a choice the company makes, because without
9 doing it, you're going to -- you may end up achieving the
10 same result, but it would take consider -- considerably
11 longer period of time to do that, and by offering some
12 incentives, you achieve the end result earlier.

13 MR. BOB PETERS: Have you tested that
14 last answer to see if it -- if it plays out in reality,
15 that you can promote a program with no financial
16 incentives and still get the anticipated result, albeit
17 over a longer period of time?

18 MR. LLOYD KUCZEK: Well, it depends
19 what's happening in the marketplace overall but if -- if
20 we took, for example, today and we stopped our furnace
21 incentive program right now, since we launched the
22 program, other things have happened in the marketplace.
23 The Federal government's offering incentives.

24 There are regulations that are going to
25 come into place. So, in -- one could conclude that

1 without us intervening any further, over time, all the
2 standard efficient furnaces would be replaced with high-
3 efficient furnaces.

4 MR. BOB PETERS: And if that's the case,
5 why do you spend money on the -- on the furnace program?

6 MR. LLOYD KUCZEK: We spend money on the
7 furnace program... Well, first of all, there -- there's
8 two (2) components to our furnace program. One -- one of
9 the -- the furnace program that we originally launched
10 was to encourage customers to go from standard to high-
11 efficient furnaces.

12 At the time we launched the program, a
13 number of customers were going from standard to mid and
14 so our program was designed to encourage those customers
15 to go to the higher level. And so, by offering a small
16 incentive, we -- which was two forty-five (245), what
17 we're trying to do is encourage -- encourage those
18 customers to take the leap up to the higher level. We
19 weren't encouraging customers to advance the replacement
20 of their furnaces, just to upgrade from mid to high.

21 MR. BOB PETERS: Mr. Warden, the
22 consumers save money through DSM, correct?

23 MR. VINCE WARDEN: Correct.

24 MR. BOB PETERS: They consume less gas
25 and, therefore, their bills will be smaller?

1 MR. VINCE WARDEN: Yes, most especially
2 the participants in the DSM programs.

3 MR. BOB PETERS: And there's also, I
4 suppose, an added benefit that global greenhouse gas
5 emissions will also be reduced through the DSM programs
6 of the company?

7 MR. VINCE WARDEN: Yes.

8 MR. BOB PETERS: And presently, Centra
9 gets zero credit for the reduction of global greenhouse
10 gases, is that correct?

11 MR. VINCE WARDEN: That's correct.

12 MR. BOB PETERS: In terms of total
13 dollars for the life of a DSM program, at least at the
14 planning horizon, your budget, Mr. Kuczek, is \$138
15 million?

16 MR. LLOYD KUCZEK: That's correct.

17 MR. BOB PETERS: And on top of that, you
18 have some affordable Energy Fund money which is of the 35
19 or \$36 million set aside by provincial legislation, \$26
20 million would be available for, I suppose, DSM programs.
21 And that -- of that 26 million, some of that would be gas
22 side and some of it would be electric side?

23 MR. LLOYD KUCZEK: That's correct.

24 MR. BOB PETERS: And then, on top of
25 that, the Public Utilities Board has permitted the

1 Corporation to include in its last two (2) fiscal years
2 amounts and rates that will be used -- are to be used for
3 the lower income energy efficiency program and
4 particular, the furnace replacement program?

5 MR. LLOYD KUCZEK: That's correct.

6 MR. BOB PETERS: And there's
7 approximately -- I guess we'll come to that but it's
8 between 5 and \$6 million still available for that program
9 in the -- in the funds of the Corporation?

10 MR. LLOYD KUCZEK: Correct.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: On the bottom half of
15 the document at Tab 37 of the PUB book of documents --
16 and that is the bottom half of PUB/CENTRA-113, Mr.
17 Derksen, it is correct that the DSM amortization
18 allocated in base rates is now representing a five (5)
19 year amortization period, as opposed to the previous
20 fifteen (15) year period?

21 MR. WILLY DERKSEN: Yes.

22 MR. BOB PETERS: And when it says,
23 "allocated in base rates," is that to distinguish it from
24 allocation in any other fashion 'cause it's not going to
25 show up in any riders, is it?

1 MR. GREG BARNLUND: No, it would be in
2 base rates.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: If we please turn to Tab
7 38 of the book of documents, Mr. Kuczek, these are the
8 programs that are listed on the gas side of the DSM
9 program, correct?

10 I'm sorry, Tab 38, sir, of the PUB book of
11 documents, and I have that as a -- a response to
12 PUB/CENTRA-135B

13 MR. LLOYD KUCZEK: That's correct.

14 MR. BOB PETERS: So when the Board looks
15 at this, and they look at the residential programs,
16 they'll see that there are, in essence I suppose, six (6)
17 residential DSM programs?

18 MR. LLOYD KUCZEK: Plus some cu --
19 customer service initiatives which involve three (3)
20 programs.

21 MR. BOB PETERS: All right. Let -- maybe
22 just explain to the Board why the customer service
23 initiatives are dem -- or shown separately.

24 MR. LLOYD KUCZEK: The -- we've just de -
25 - decided to characterize them separately. They're

1 usually in support of the other specific programs.

2 And so we have our customer -- or Power
3 Smart Programs that we refer to generally as the
4 incentive base programs, and then the support programs,
5 which some are cost recovery programs, and others are
6 just pure supportive of the other programs, such as the
7 ecoEnergy Program.

8 MR. BOB PETERS: Help the Board
9 understand, are the customer service initiatives Human
10 Resource expenditures as opposed to incentive
11 expenditures?

12 MR. LLOYD KUCZEK: Well, the -- the
13 customer service initiatives that we have listed here are
14 -- there's three (3), and two (2) of them are loans.

15 So they're financial services to help
16 customers finance their costs associated with
17 implementing the measures.

18 The other ones, the ecoEnergy Program, and
19 that -- we're delivering the Audit Program for the
20 Federal government, and it just supports achieving the
21 other energy efficient programs that we have, such as
22 insulation of furnaces.

23 MR. BOB PETERS: And -- and the ecoEnergy
24 Program is shown at accumulative cost of \$1.5 million;
25 is that reimbursed by the Federal government?

1 MR. LLOYD KUCZEK: No.

2 MR. BOB PETERS: Is that paid for by
3 individual customers?

4 MR. LLOYD KUCZEK: It's actually paid for
5 by three (3) parties; Manitoba Hydro, the Provincial
6 government, and the customers.

7 MR. BOB PETERS: In equal shares?

8 MR. LLOYD KUCZEK: No, again. The -- it
9 -- it depends on whether it's rural or urban, but
10 generally if you want to come up with a ballpark figure,
11 the total cost of offering that service is in the four
12 hundred dollar (\$400) range.

13 Customers pay -- there's two (2) audits,
14 the pre- and the post-audit. The pre-audit we charge a
15 hundred and eighty dollars (\$180) for the customers, and
16 the post-audit they pay either a hundred and twenty-five
17 (125) or twenty-five dollars (\$25).

18 And the -- they pay twenty-five (25) of
19 the implement measures whereby they get more than four
20 hundred dollars (\$400) back from the Federal grants. And
21 the balance of that difference that I'm talking about is
22 about two hundred dollars (\$200), and that is split
23 between the Provincial government and Manitoba Hydro.

24 MR. BOB PETERS: In terms of the programs
25 that are listed, Home Insulation Program is by far and

1 away the -- the largest program financially, Mr. Kuczek?

2 MR. LLOYD KUCZEK: Correct.

3 MR. BOB PETERS: And under this Home
4 Insulation Program, insulation is available free of
5 charge to consumers, but they pay any installation costs?

6 MR. LLOYD KUCZEK: It's not free of
7 charge. What we do is offer so much, depending on
8 whether it's a basement or attic, and it doesn't cover
9 the entire cost of the insulation, so we just offer them
10 a certain amount and the rest is paid for by the
11 customer.

12 MR. BOB PETERS: Well, in terms of, let's
13 pick basement insulation. There would be a specific R-
14 factor that would be targeted by Mani -- by Centra?

15 MR. LLOYD KUCZEK: Correct.

16 MR. BOB PETERS: And your contribution
17 will be only to materials used to achieve that R-factor,
18 and nothing in excess of that?

19 MR. LLOYD KUCZEK: We pay -- the
20 incentive is based on a per square, and per R value, with
21 them having to meet a minimum R-20, I believe, in the
22 basement.

23 But it doesn't necessarily cover the -- in
24 fact, I'm sure it doesn't cover the entire cost of the
25 insulation. It depends on how much you pay for the

1 insulation, of course, but it covers a significant
2 portion of that. That -- that would be different in our
3 lower income program or maybe you're thinking of we pay
4 for the entire costs of the insulation.

5 MR. BOB PETERS: All right. We'll come
6 to that later but in terms of the home insulation program
7 that is not part of the lower income energy efficiency
8 program, approximately how much of the cost is borne by
9 Centra?

10

11 (BRIEF PAUSE)

12

13 THE CHAIRPERSON: Why don't you just take
14 it as an undertaking?

15 MR. LLOYD KUCZEK: They're trying to get
16 that number for you. I don't know that off the top of my
17 head.

18 MR. BOB PETERS: I thank you and I do
19 appreciate the efforts being made and, if it becomes
20 available, feel free to... Well, maybe I'll give you a
21 minute.

22

23 (BRIEF PAUSE)

24

25 MS. MARLA MURPHY: Perhaps we can offer

1 up an undertaking to advise us to that...

2 MR. LLOYD KUCZEK: Well, I can give you a
3 ballpark and if you want more details, I can get it for
4 you but the basement/attic insulation, our incentives
5 cover about 70 percent. The one (1) time, it was closer
6 to 100 percent and you may recall, we advertised that up
7 -- up to a 100 percent. We quit advertising it in that
8 manner because prices have gone up since then.

9 And attic insulation, I know we used to
10 cover close to 100 percent at one time too, again, but
11 depending on whether you hired us -- or just the
12 insulation material -- and again, I think the costs have
13 gone up so...

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: Would it be correct, Mr.
17 Kuczek, when the Board looks at this schedule to say that
18 the -- the programs for commercial customers seems to
19 have expanded -- and is expanding from what they've seen
20 last time?

21 MR. LLOYD KUCZEK: That would be correct.

22 MR. BOB PETERS: And the industrial
23 program, that would be brand new, wouldn't it?

24 MR. LLOYD KUCZEK: It -- it's brand new
25 but I don't recall whether we had it in our '06 planner

1 or not.

2 MR. BOB PETERS: Is there a policy reason
3 as to why the efforts for commercial DSM appear greater
4 than those for residential DSM?

5 MR. LLOYD KUCZEK: No, the instructions
6 to staff, whether they're -- we have different people
7 working in the residential and the commercial and
8 industrial sections -- or areas is to -- the instructions
9 are for them to go and capture all energy -- all economic
10 energy-efficient opportunities.

11 So, the -- the programs that we have
12 listed here are based on the opportunities that are
13 available and nothing to do with the sector itself.

14 MR. BOB PETERS: In my words, Mr. Kuczek,
15 there's more low-hanging fruit in the commercial industry
16 -- area than -- than the residential?

17 MR. LLOYD KUCZEK: I actually wouldn't
18 characterize it that way. I view furnace -- a furnace is
19 an installation opportunities in the residential market
20 as low-hanging fruit and then in the commercial side, the
21 furnaces as well are low-hanging fruit.

22 And those are usually your -- your great
23 opportunities and some of the other ones, like a clothes
24 washer program we have on the commercial side, we
25 actually ran a program like that on the -- I guess that

1 was the residential appliance program in the residential
2 sector. So it -- it's not necessarily low-hanging fruit.

3 MR. BOB PETERS: Mr. Chairman, this might
4 be an appropriate time for the lunch recess and I'll
5 continue at 1:15.

6 THE CHAIRPERSON: Yes, and that will
7 allow Mr. Warden to attend his meeting then, correct?
8 1:15 okay?

9 MR. VINCE WARDEN: Yes, that's good.
10 Thank you.

11 THE CHAIRPERSON: Very good, thank you.

12

13 --- Upon recessing at 11:58 a.m.

14 --- Upon resuming at 1:18 p.m.

15

16 THE CHAIRPERSON: Okay. Welcome back,
17 everyone. Apparently, spring has finally arrived in
18 Winnipeg, at least it would appear that way, but we are
19 all in here, so we will make the best of it as we can.

20 Mr. Peters --

21 MR. BOB PETERS: Yes.

22 THE CHAIRPERSON: -- do you want to try
23 and keep us awake?

24 MR. BOB PETERS: I will do that. Just as
25 I will say, fasten your seatbelts, as Mr. Kuczek and I

1 are going to take you through the world of DSM. Mr.
2 Chairman, before lunch we were looking at PUB book of
3 documents Tab 38, and I just have a couple more questions
4 with Mr. Kuczek on that.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: Mr. Kuczek, the customer
8 payback column shown in years in approximately, excuse
9 me, the middle of the page, is that the theoretical
10 calculation that was used when the program was developed
11 or is that based on actual testing?

12 MR. LLOYD KUCZEK: Theoretical.

13 MR. BOB PETERS: So the new home program,
14 that's a series of DSM initiatives that new homeowners
15 can opt for, and collectively, it has a payback period of
16 four (4) years.

17 MR. LLOYD KUCZEK: Correct.

18 MR. BOB PETERS: Does the Corporation
19 know how long these DSM programs last or provide benefits
20 to customers?

21 MR. LLOYD KUCZEK: They last for the life
22 of the measure, so it varies by the measure that we're
23 talking about. A furnace would be twenty-five (25)
24 years; insulation would be much longer, in the range of
25 forty (40), fifty (50) years and plus.

1

2

(BRIEF PAUSE)

3

4

5

6

7

8

MR. BOB PETERS: In terms of deciding which programs to use, Mr. Kuczek, I don't want to get into too much detail, but there are at least two (2) -- two (2) tests or filters that the program has to be put through, is that correct?

9

10

11

12

13

14

MR. LLOYD KUCZEK: Yeah, three (3) would be more accurate. And in our future Power Smart plans, we intend to include the utility cost in the document. We use it all the time with our programs, but we just didn't articulate that within the response to the IR, as well as the Power Smart Plan.

15

16

17

MR. BOB PETERS: Well, let's just make sure the Board's aware then, that the first test is the total resource cost test.

18

19

20

21

MR. LLOYD KUCZEK: That's correct.

MR. BOB PETERS: And this is really where you weigh the marginal benefit and you compare it to the various costs.

22

23

24

MR. LLOYD KUCZEK: That's correct.

MR. BOB PETERS: And the costs include the utility costs though, do they not?

25

MR. LLOYD KUCZEK: The -- the -- it

1 includes all benefits and costs from the utility and the
2 customer's perspective, basically, regardless of who
3 pays.

4 MR. BOB PETERS: And so the benefits that
5 it would include, that would include the avoided cost of
6 buying natural gas, perhaps the avoided cost of
7 additional infrastructure for the Corporation, that you
8 don't have to build up your plant, and it may also
9 include the greenhouse gas values?

10 MR. LLOYD KUCZEK: Those are the three
11 (3) categories of benefits that we primarily use, yes.

12 MR. BOB PETERS: And in terms of
13 including the greenhouse gas emission reductions, if
14 there's no benefit to the Corporation, how do you value
15 those?

16 MR. LLOYD KUCZEK: We -- we have a group
17 within Manitoba Hydro that estimates what the forecast
18 value of those greenhouse gas emissions are, and so we
19 place a value based on that forecast.

20 MR. BOB PETERS: You place a value
21 whether or not the financial benefit is returned to Mr.
22 Warden?

23 MR. LLOYD KUCZEK: That's correct.

24 MR. BOB PETERS: All right. The Table 6
25 from your evidence, Tab 12 -- it's also found at Tab 39

1 of the book of documents that I've handed out earlier,
2 this contains a listing of most of the programs, and it
3 also then has the -- the TRC test, the Total Resource
4 Cost test, correct?

5 MR. LLOYD KUCZEK: Correct.

6 MR. BOB PETERS: And for a program to get
7 off the ground at Centra Gas, it has to have a ratio of
8 one point zero (1.0) or better.

9 Would that be generally correct?

10 MR. LLOYD KUCZEK: That's generally
11 correct.

12 MR. BOB PETERS: The exception appears in
13 front of us as to the lower income Energy Efficiency
14 Program, which doesn't even pass the total resource cost
15 test, correct?

16 MR. LLOYD KUCZEK: That's correct, and we
17 also have a solar heating program right now that doesn't
18 pass TRC either.

19 MR. BOB PETERS: I don't see that on the
20 schedule, do I?

21 MR. LLOYD KUCZEK: No. This is a new
22 program that we just launched last fall, I believe.

23 MR. BOB PETERS: So when the -- when
24 these -- when these programs don't pass the TRC test in
25 the language we're talking about, what that means is that

1 the costs outweigh the benefits.

2 MR. LLOYD KUCZEK: That's correct.

3 MR. BOB PETERS: And yet on some
4 instances you still go ahead with the program.

5 MR. LLOYD KUCZEK: That's correct.

6 MR. BOB PETERS: Now just tell me about
7 the solar heating program. The costs outweigh the bene -
8 - the benefits of that program?

9 MR. LLOYD KUCZEK: Yes.

10 MR. BOB PETERS: And if that's the case,
11 why are you -- why are you continuing with it?

12 MR. LLOYD KUCZEK: Well, we -- we
13 generally only promote energy, or cost effective energy
14 efficient programs.

15 With the solar panel program there was an
16 opportunity that came up last year, and -- it's an
17 emerging technology, and the Federal government was
18 offering a program to help stimulate, or grow this
19 market. And so it's a -- it's a technology that's
20 emerging, and the incentives and grants that were offered
21 through the Federal government were fairly aggressive.

22 And so we thought that it only made
23 logical sense that if somebody was going to offer that to
24 customers, and for Manitobans to have access to it, that
25 we would support that program, and promote it in

1 Manitoba.

2 MR. BOB PETERS: If the Federal
3 government share of the cost was added to the enumerator
4 in your ratio, would it then pass the TRC test?

5 MR. LLOYD KUCZEK: No. When we do a
6 Total Resource Cost test, we look at the benefits and the
7 costs regardless of who pays.

8 MR. BOB PETERS: What I was -- I guess
9 another way of my asking that question, Mr. Kuczek, is if
10 you're -- if you -- if you excluded the Federal
11 government contribution as a subsidy, does that -- would
12 it pass the test in that case?

13 MR. LLOYD KUCZEK: I think I know what
14 you're asking. If -- if we assume the incremental cost
15 of that opportunity was lowered by the amount that the
16 Federal government's offering, then would it pass that
17 test.

18 MR. BOB PETERS: You asked it better than
19 I did, but as I intended to.

20 MR. LLOYD KUCZEK: Yeah. Well, a true
21 TRC benefit cost test is supposed to look at all costs
22 and benefits regardless of who pays.

23 So I -- we -- we internally have tended to
24 do what you -- you are suggesting, as well sometimes just
25 to see what the benefit costs are from a provincial

1 perspective. So it's a reasonable thing to do but one's
2 got to be careful not to call that a TRC test.

3 But to answer your question, if you took
4 that assumption the -- it would be marginal whether it
5 was cost effective or not. I think the payback period
6 would still be in the twenty (20) year range, possibly.

7 MR. BOB PETERS: The second test that you
8 put your perspective programs through is the rate impact
9 measure test, correct?

10 MR. LLOYD KUCZEK: That's correct. We
11 call it --

12 MR. BOB PETERS: Sometimes called the RIM
13 test, and it's also a cost benefit test.

14 MR. LLOYD KUCZEK: Correct.

15 MR. BOB PETERS: It compares the marginal
16 benefit that we've talked about to the lost revenue and
17 utility costs, plus incentives?

18 MR. LLOYD KUCZEK: Correct.

19 MR. BOB PETERS: And in this case, if the
20 benefits are greater than costs, then theoretically there
21 will be no negative impact on consumer rates.

22 MR. LLOYD KUCZEK: Correct.

23 MR. BOB PETERS: And conversely, I
24 suppose, if the costs exceed the benefits, then there's
25 upward pressure on consumer rates to subsidize or cross-

1 subsidize this DSM item.

2 MR. LLOYD KUCZEK: Correct.

3 MR. BOB PETERS: Now, when -- when we
4 look at the RIM test ratio column on book of documents
5 Tab 39, it looks like virtually every one (1) of the
6 programs fails the RIM test, correct?

7 MR. LLOYD KUCZEK: Yes, with gas DSM
8 programs it's virtually impossible to have a program and
9 pass the RIM test if you consider the -- the benchmark to
10 be one point zero (1.0). What we do -- maybe -- just to
11 add to this is we use the TRC test to determine whether
12 or not an opportunity makes sense, regardless of who
13 pays.

14 In other words, the benefits are greater
15 than the costs. What we do next is we go -- we use the
16 RIM test and the utility cost test to, as a measure or
17 gauge to figure out what the impacts are to the
18 ratepayers of Manitoba, generally speaking, and what the
19 cost is to achieve those energy savings by using the
20 utility cost test measure.

21 And we use that to help us determine how
22 much of the ratepayers' money we should be using to help
23 encourage customers to participate in the -- those
24 energy-efficient opportunities.

25 MR. BOB PETERS: Does that answer

1 suggest, Mr. Kuczek, that not only do you use money to
2 subsidize the participant, but consumers who don't
3 partake in the program continue to subsidize that -- that
4 consumer as well?

5 MR. LLOYD KUCZEK: Yes. The non-
6 participants, clearly through rates, help participate --
7 or help contribute to the participant's costs.

8 MR. BOB PETERS: All right. Will it make
9 any difference if you bundle some of the programs
10 together before you put them through the RIM test or will
11 they still fail the RIM test because they're all lower
12 than one point zero (1.0)?

13 MR. LLOYD KUCZEK: They'll all fail the
14 RIM test.

15 MR. BOB PETERS: You mentioned a third
16 test and a -- is the -- the levelized utility costs that
17 you're showing here in the third column?

18 MR. LLOYD KUCZEK: That's correct.

19 MR. BOB PETERS: Can you explain to the
20 Board how that is a test as to whether or not a DSM
21 initiative gets the green light?

22 MR. LLOYD KUCZEK: Oh, it's a test in a
23 different way. It's not a benefit cost test. It's a --
24 it's a measure of what it's costing you to achieve the
25 energy savings.

1 MR. BOB PETERS: Put another way, if you
2 are -- if -- if a program is costing you two (2) cents
3 per cubic metre, you'd want to make sure you were getting
4 at least two (2) cents per cubic metre benefit back?

5 MR. LLOYD KUCZEK: With natural gas
6 programs, the way I -- I look at it is you probably don't
7 want to spend more than what it would cost customers --
8 or just what it would cost you just to pay the customers'
9 bills, as opposed to offering some portion of the
10 incentive -- or the incentives.

11 MR. BOB PETERS: Do you communicate this
12 levelized utility cost to consumers at all?

13 MR. LLOYD KUCZEK: No, this is a cost to
14 Manitoba Hydro and it's a metric that we use to gauge how
15 much we're spending to achieve the energy savings through
16 our programs.

17 MR. BOB PETERS: So, if we go down to the
18 home insulation program, would it be correct to interpret
19 the document at Tab 39 of the book of documents to
20 suggest that Centra is paying fifteen point one (15.1)
21 cents per cubic metre for the home insulation program.
22 That is fifteen point one (15.1) cents per cubic metre of
23 -- of gas saved?

24 MR. LLOYD KUCZEK: That's correct.

25 MR. BOB PETERS: Is there a threshold

1 that's used at all from the Corporation or is this simply
2 a -- a measuring stick once the program has been dealt
3 with by the TRC and the RIM test?

4 MR. LLOYD KUCZEK: It's used in aggregate
5 with the other two (2) tests to determine whether or not
6 the Corporation's gonna approve the -- proceeding with
7 the program.

8 MR. BOB PETERS: Before I leave these
9 tests, one (1) of the CAC/MSOS witnesses, Mr. Oppenheim,
10 suggested that the marginal benefits in both the TRC and
11 the RIM test be increased for the non-energy benefits.

12 Do you recall a recommendation to that
13 effect?

14 MR. LLOYD KUCZEK: Yes.

15 MR. BOB PETERS: And in essence, what
16 you're -- what that was suggesting is that the -- the
17 numerator in both of those ratios be increased for what
18 he calls non-energy benefits?

19 MR. LLOYD KUCZEK: Correct.

20 MR. BOB PETERS: Or non-resource
21 benefits, I suppose?

22 MR. LLOYD KUCZEK: Correct.

23 MR. BOB PETERS: And as an example, a
24 non-resource benefit would be not having to disconnect
25 customers?

1 MR. LLOYD KUCZEK: That's correct.

2 MR. BOB PETERS: And maybe fewer account
3 writeoffs by Mr. Derksen and his colleagues?

4 MR. LLOYD KUCZEK: Correct.

5 MR. BOB PETERS: And maybe lower
6 collection costs, I suppose I should credit those to Ms.
7 -- Ms. Murphy?

8 MR. LLOYD KUCZEK: Yes.

9 MR. BOB PETERS: Those would be -- those
10 -- those are all -- are those capable of being quantified
11 and included or -- because presently, they're not,
12 correct?

13 MR. LLOYD KUCZEK: No, and that's --
14 that's the struggle and -- and that's a discussion a lot
15 of companies like ourselves that are involved in energy
16 conservation programs struggle with is, if you could
17 quantify the -- the amounts you -- you likely would and
18 you would include them in the benefits category because
19 they clearly, if you could quantify them, are actual
20 numbers and they're -- they're economic benefits to the
21 utility.

22 MR. BOB PETERS: Before you would include
23 them in any of the existing ratios, Mr. Kuczek, you would
24 have to be satisfied that that DSM initiative directly
25 led to one (1) of those non-energy benefits and could

1 measure it.

2 MR. LLOYD KUCZEK: Or at least reasonably
3 come up with some estimate that we felt comfortable with.

4 MR. BOB PETERS: Presently, you don't do
5 that.

6 MR. LLOYD KUCZEK: No, but we have looked
7 at it, and I believe those -- whether it was during an
8 electric or gas Hearing, there was another Intervener
9 that suggested the same thing, and went through that
10 Intervener's analysis and suggestions for what the
11 possible values were and thought about and discussed them
12 with some other staff in terms of if we could quantify
13 them.

14 And we concluded that it -- it is very
15 difficult to measure, and we didn't really believe that
16 the number would be significant, and so we didn't pursue
17 that. And then adding to that, we didn't think it would
18 make a significant difference in terms of whether or not
19 we would be promoting a program, because most programs,
20 the benefit/cost ratios are -- are not right at the
21 margin, and given that our judgment of the non-energy
22 benefits being small, it wouldn't change the benefit/cost
23 ratios that much.

24 MR. BOB PETERS: Well, in any event, your
25 -- every one (1) of your gas programs fails the RIM test

1 and you still proceed with them.

2 MR. LLOYD KUCZEK: Yes, but that is not a
3 requirement for us to proceed with those programs.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: I think what you're
8 telling me in your last answer, Mr. Kuczek, is that the -
9 - the RIM test doesn't disqualify any program, it just
10 perhaps more sharply focusses how close to passing it is,
11 to give you some comfort if it -- if it passes the TRC
12 test.

13 MR. LLOYD KUCZEK: Yeah, and I -- I guess
14 it's a guideline -- or it's really not a hard pass/fail
15 test that we use it for, and we use it for two (2)
16 things. One (1) is to just get a general sense of what
17 the impacts are to our customers, but -- and, more
18 importantly, how it benchmarks against some of the other
19 programs.

20 But the -- the utility cost gives us
21 another measure which is, in some ways, better because it
22 tells you how much you're spending to actually get the
23 per unit energy savings.

24 MR. BOB PETERS: And the RIM test will
25 also help you figure out the level of incentives.

1 MR. LLOYD KUCZEK: The combination helps
2 us do that, yes.

3 MR. BOB PETERS: I'd like to turn, Mr.
4 Kuczek, to the Lower Income Energy Efficiency Program,
5 which I may abbreviate as the acronym LIEEP, L-I-E-E-P.

6 MR. LLOYD KUCZEK: Okay.

7 MR. BOB PETERS: And, as I understand it,
8 the LIEEP Program is considered one (1) residential DSM
9 program.

10 MR. LLOYD KUCZEK: Correct.

11 MR. BOB PETERS: And it was launched in
12 approximately December of 2007.

13 MR. LLOYD KUCZEK: Correct.

14 MR. BOB PETERS: And the intent is to
15 target lower income Manitoba consumers.

16 MR. LLOYD KUCZEK: Correct.

17 MR. BOB PETERS: At Tab 40 of the book of
18 documents is the -- is the Statistics Canada information,
19 I believe, relative to the low income cutoff.

20 MR. LLOYD KUCZEK: Correct.

21 MR. BOB PETERS: And is that the -- is
22 that the information that presently Centra is using?

23 MR. LLOYD KUCZEK: No, we update those
24 numbers on an annual basi -- or those numbers are updated
25 on an annual basis and we use the most current data for

1 qualifying our customers.

2 MR. BOB PETERS: So while what's
3 published here is the ni -- is the 2003 low income cutoff
4 numbers, you have a more current forecast that's
5 presently being used?

6 MR. LLOYD KUCZEK: That's correct. And
7 there was an IR by the Consumers' Association that asked
8 us for the more current numbers, and we've provided that.

9 MR. BOB PETERS: And generally, what's
10 happening with the -- with the more current numbers?

11 MR. LLOYD KUCZEK: They're going up.

12 MR. BOB PETERS: Which means the low
13 income level will now include more persons.

14 MR. LLOYD KUCZEK: I'm not sure if it
15 includes more people. I -- I think this takes into
16 account inflation and other things that are occurring in
17 the economy, people's income, cost of living, and so the
18 number needs to be adjusted to reflect all those things
19 each year, and Stats Canada does that.

20 THE CHAIRPERSON: Just as an addition to
21 that, the updated table, what year is that of?

22 MR. LLOYD KUCZEK: It should be this year
23 as I understand it, and the -- the reference would be
24 CAC-2-127.

25 THE CHAIRPERSON: Thank you.

1

2 CONTINUED BY MR. BOB PETERS:

3 MR. BOB PETERS: The intent of the lower
4 income energy efficiency program, Mr. Kuczek, is to -- is
5 to leaver not only Centra's money but the money that's
6 available from other sources.

7 Would that be fair?

8 MR. LLOYD KUCZEK: Correct.

9 MR. BOB PETERS: So that would include
10 the Affordable Energy Fund, which is notionally Manitoba
11 Hydro's money?

12 MR. LLOYD KUCZEK: Correct.

13 MR. BOB PETERS: And ecoEnergy from the
14 Federal government?

15 MR. LLOYD KUCZEK: Correct.

16 MR. BOB PETERS: And the Provincial
17 government also has efficiency incentive programs?

18 MR. LLOYD KUCZEK: No, there's -- when we
19 first started the program there was -- we started with
20 the Centennial group, or a community group, and with that
21 group there was other funds provided by the Provincial
22 government.

23 And they're also providing them for the
24 Brandon Community Initiative, but those funds are used
25 primarily for the labour cost and the -- labour cost and

1 administration of running those community based programs.

2 MR. BOB PETERS: And --

3 MR. LLOYD KUCZEK: And I should add, it's
4 not just the labour, too, because the funding for the
5 labour is also coming from the ecoEnergy grants as well
6 that go to those community-based organizations.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: From the materials, Mr.
11 Kuczek, it appears that potential LIEEP applicants learn
12 of the program either individually or through a community
13 based organization.

14 Would that be a correct assessment?

15 MR. LLOYD KUCZEK: Yes, if -- as long as
16 your category of individually includes through friends,
17 community groups, churches, or whatever means they might
18 hear about it from.

19 MR. BOB PETERS: There's not a lot of
20 advertisement from Centra targeting the lower income
21 potential customers, is there?

22 MR. LLOYD KUCZEK: Not at this time, no.

23 MR. BOB PETERS: Is there none other than
24 the website?

25 MR. LLOYD KUCZEK: We -- we haven't done

1 any advertising in the paper at this point, if that's
2 what you're referring to.

3 MR. BOB PETERS: Well, I'm just trying to
4 ex -- have you explain to the Board how the word gets out
5 that these low income energy efficiency programs are
6 available, and you've indicated that there's community
7 based organizations.

8 And I take it they're -- you leave it to
9 the community groups to -- to find the applicants, and
10 then Centra will screen them. Is that correct?

11 MR. LLOYD KUCZEK: The community groups
12 actually screen them themselves, although the -- we still
13 see the paperwork.

14 But in terms of getting out into the
15 public, I guess we're right now reviewing options for
16 increasing awareness. Right now we're looking at
17 possibly doing some direct mailing to certain areas that
18 we think might have more low income people residing, and
19 considering other options at this point, but...

20 MR. BOB PETERS: Have you done a --
21 perhaps a look for potential applicants through the
22 accounts that they have with the company?

23 MR. LLOYD KUCZEK: We -- we -- our Credit
24 and Collection group is aware of the program, as well as
25 our contact centre. So there's potential leads that come

1 through those venues as well.

2 If you're referring to the -- the actual
3 bills, we've talked about target marketing but -- through
4 that avenue, but it's very difficult to figure out who's
5 low income and who's not based on the actual bills.

6 MR. BOB PETERS: And I'm sure there's
7 more -- more brain power in your back row than in my
8 head, but it -- wouldn't postal codes or other filtering
9 mechanisms give you an idea as to where some of the lower
10 income centres would be, and then cross-referencing it to
11 the accounts would be one (1) way to check that?

12 MR. LLOYD KUCZEK: I don't know if that
13 would actually give you any more information about who
14 actually is low income.

15 I think we generally know from speaking to
16 different people about what particular areas of an urban
17 community might be low income, and so those were just two
18 (2) of the areas that, right now, we're looking at
19 targeting a direct mailing to.

20 We've had -- worked with a community-based
21 group that's done drop-offs, door-to-door, in a
22 neighbourhood, so that's another way we've tried to get
23 consumers aware of the program.

24 MR. BOB PETERS: When I look to the book
25 of documents, Tab 40, and turn to page 3 of 6 of

1 PUB/CENTRA-186, is the suggestion on that third page that
2 Centra believes there are forty-four thousand six hundred
3 and sixty-one (44,661) lower income customers in its
4 service territories?

5 MR. LLOYD KUCZEK: That's our best
6 estimate of what there is in ter -- in terms of the
7 market for lower income people, yes.

8 MR. BOB PETERS: And when -- when
9 applications come in under the lower income program, has
10 Centra refused some of the applicants?

11 MR. LLOYD KUCZEK: Yes.

12 MR. BOB PETERS: And is it based on their
13 income cutoff?

14 MR. LLOYD KUCZEK: That would be the
15 primary reason that I could think of.

16 MR. BOB PETERS: How does Centra verify
17 the income?

18 MR. LLOYD KUCZEK: Income tax statements,
19 copies of.

20 MR. BOB PETERS: And if per chance the
21 individual doesn't file income tax re -- tax returns?

22 MR. LLOYD KUCZEK: I don't believe we've
23 come across that yet.

24 MR. BOB PETERS: Okay.

25

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: If I have your direct
4 evidence from the transcript correct from June the 3rd, I
5 think you told Ms. Murphy that, under the individual
6 program, you've had nine hundred (900) applications under
7 the Low Income Energy Efficiency Program.

8 MR. LLOYD KUCZEK: Yes, over nine hundred
9 (900).

10 MR. BOB PETERS: When you say "over nine
11 hundred (900)," does that mean that's how many you have
12 approved or is that how many have applied?

13 MR. LLOYD KUCZEK: I believe over a
14 thousand (1,000) have applied.

15 MR. BOB PETERS: Okay. And do I read
16 into that that maybe 10 percent are rejected, refused?

17 MR. LLOYD KUCZEK: That's a reasonable
18 number.

19 MR. BOB PETERS: And of those nine
20 hundred (900) applications, or over nine hundred (900)
21 applications, on the individual side of the program
22 delivery, there have been forty (40) homes that have been
23 retrofit or the envelope has been enhanced?

24 MR. LLOYD KUCZEK: It -- it's in that
25 range that have completed the entire process. There's

1 vary -- various numbers that are in between the process.
2 For example, over eight hundred (800) -- or around eight
3 hundred (800), I think, have had their pre-audit done at
4 this point.

5 And I mentioned in my direct evidence,
6 there was a number of furnaces installed, so they're
7 further down the process.

8 MR. BOB PETERS: I think you mentioned
9 six hundred and ten (610) of those nine hundred (900)
10 were recommended for furnace and insulation, and that
11 would have been by way of the audit.

12 Have I got that right?

13 MR. LLOYD KUCZEK: That's correct. And I
14 -- I believe I said roughly six hundred (600) of each,
15 and that's not necessarily the same homes. There could
16 be some recommendations which have just a furnace
17 recommendation, and some homes that just have an
18 insulation, and also, other homes that have both.

19 MR. BOB PETERS: And I also took from
20 your direct evidence, Mr. Kuczek, that on the community
21 side of the delivery, that oppose -- sorry, as compared
22 to the individual side, but on the community side, two
23 hundred and eighty-five (285) projects have been
24 finished.

25 MR. LLOYD KUCZEK: Correct.

1 MR. BOB PETERS: And what was the nature
2 of those projects?

3 MR. LLOYD KUCZEK: Most of those were
4 insulation upgrades and included the low cost measures as
5 well.

6 MR. BOB PETERS: Ninety-six (96) more
7 were in progress on the community based organization
8 delivery model.

9 MR. LLOYD KUCZEK: That's correct.

10 MR. BOB PETERS: Absent from what you
11 told Ms. Murphy, is that you don't yet have a rental
12 property program for tenants who pay their utility bills,
13 do you?

14 MR. LLOYD KUCZEK: What we have is, on
15 the insulation, we have approval to proceed with --
16 working with our -- with landlords to come up with an
17 arrangement so that they can participate, with the --
18 with the objective of trying to develop what would be a
19 reasonable sharing of the costs and the incentives with
20 the landlord and we're currently discussing how we can
21 proceed with expanding our furnace replacement program to
22 include the landlords as well.

23 MR. BOB PETERS: From the materials, it
24 appears that the low income energy efficient program is
25 targeting three thousand three hundred and thirty (3,330)

1 households over the two (2) test years, is that correct?

2 MR. LLOYD KUCZEK: I have to find my
3 reference but that sounds about right. Those would be
4 the natural gas heated homes. The -- the target overall
5 is fifty-six fifty (5,650) for electric and gas.

6 MR. BOB PETERS: Will Centra deliver a
7 program dealing with the gas side only or does it have to
8 -- does it have to fit under both the gas and electric
9 side for the low income customers before you'll get
10 involved?

11 MR. LLOYD KUCZEK: I'm not sure what you
12 mean by that. We're -- we're pursuing homes, whether
13 they have natural gas, electric heated or oil propane.
14 It really doesn't matter. They -- they all qualify under
15 our program, provided they meet our other qualifications.
16 And gas customers are also -- our electric customers as
17 well, so they -- they qualify.

18 MR. BOB PETERS: All right. Do I take it
19 then the difference between the fifty-six fifty (5,650)
20 and the thirty-three thirty (3,330) numbers that we've
21 used represents a number of all electric households who
22 will be applicants for the low income energy efficiency
23 program?

24 MR. LLOYD KUCZEK: What we did is -- it's
25 a high level estimate of that fifty-six fifty (5,650)

1 number that we figured would be natural gas heated and --
2 well, we broke the number down into natural gas heated,
3 electric heated and other, basically, and it's a high
4 level estimate.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: You've taken, subject to
9 check, and agreed with me, Mr. Kuczek, that the three
10 thousand three hundred and thirty (3,330) is the correct
11 number for the forecast LIEEP program for the two (2)
12 test years?

13 MR. LLOYD KUCZEK: I actually just found
14 the reference. It's in response to IR -- PUB IR-2 --
15 207. The number is thirty-three thirty-four (3,334) and
16 in that response, I believe -- well, we do provide you
17 with our estimate of those three (3) different categories
18 that I talked about that add up to the fifty-six fifty
19 (5,650).

20 MR. BOB PETERS: All right. Thank you.
21 When you talk about the -- the low income energy
22 efficiency program to the Board, they would be correct in
23 understanding it to be delivered in -- on three (3)
24 different levels?

25 MR. LLOYD KUCZEK: What would those three

1 (3) levels be?

2 MR. BOB PETERS: All right. In my mind,
3 there's three (3) levels but you tell me if -- the first
4 level would be what -- what might be considered the audit
5 and no cost matters.

6 The second level would be the insulation
7 and other envelope preparers and then for level three
8 (3), I put the Furnace replacement Program there.

9 MR. LLOYD KUCZEK: I guess you could call
10 it levels but it really is just three (3) different areas
11 of opportunity that are available so if you qualify under
12 the program and -- and meet our criteria in terms of
13 income, we do an audit of the home and with that, you get
14 the low cost measures that come with that.

15 Now, have -- if we go into the home and,
16 obviously, if there's CFLs already in the sockets, we
17 don't add more CFLs. So, the measure's general --
18 generally wouldn't be installed and so all customers get
19 that that participate in the program.

20 And then the other two (2) categories, as
21 opposed to levels, would be the furnace or the insulation
22 measures and the customers participate in those
23 opportunities if they're available within the home and
24 also if the customer is willing to participate. It's
25 still their choice.

1 MR. BOB PETERS: All right. Call them
2 different aspects of the program or levels, as -- as I
3 have, but in dealing with the first one, audit, and I
4 called it no cost items. You called it, I think, low
5 cost items.

6 Who's right to the -- from the consumer's
7 point of view?

8 MR. LLOYD KUCZEK: Well, from the
9 consumer's point of view it's no cost, but from our point
10 of view it's either low cost and no cost. I think we --
11 if I were to categorize it, we usually write low cost/no
12 cost.

13 No cost would be things like turning back
14 your thermostat if you want to. Turn back the -- the
15 temperature setting of your hot water tank.

16 Low cost items would be like your dollar
17 fifty (\$1.50) CFL, or caulking around doors and windows,
18 or weather stripping, putting the pipe rack -- wrap
19 material around the -- a certain length of feet leaving
20 the hot water tank.

21 The aerators low flow -- low flow aerators
22 are fairly cheap. If I'm not mistaken they're just a
23 buck or two (2) as well, so they're pretty low cost. And
24 some people might say they're no cost, but they're low
25 cost.

1 MR. BOB PETERS: Well, the -- they're no
2 cost to the consumer, and they're arguably low cost to
3 Centra.

4 MR. LLOYD KUCZEK: Correct.

5 MR. BOB PETERS: Now, when we say "low
6 cost," those would be -- those are things you mentioned
7 like turning back the thermostats, the CFLs, and the
8 caulking, that would be done by the person who was
9 considered the auditor who goes into the home.

10 Would that be correct?

11 MR. LLOYD KUCZEK: That's correct, on the
12 individual track.

13 MR. BOB PETERS: And the auditor goes in
14 because the Federal government requires a pre- and post-
15 audit for its programs, correct?

16 MR. LLOYD KUCZEK: Well, the auditor goes
17 in because it's a requirement of our program. We -- we
18 require that the customer participate in that manner
19 because it only makes sense to, if we're going to pursue
20 those opportunities, that we leverage the Federal
21 dollars.

22 MR. BOB PETERS: Maybe you put it much
23 nicer than I did, but Centra does the pre-audits and the
24 post-audits to get Federal government money.

25 MR. LLOYD KUCZEK: Yes. And you know, we

1 haven't really thought about it but if there wasn't those
2 dollars available, we may still have that as part of our
3 program.

4 It's a -- it's a really good fit in terms
5 of how do you figure out what the opportunities are
6 anyways. So you would have to send a person in to -- to
7 do this regardless probably, so.

8 MR. BOB PETERS: Well, there was -- there
9 was discussion last GR -- GRA, I believe, where Centra's
10 need for audit wasn't as onerous as the Federal
11 government's need. Do you recall that?

12 MR. LLOYD KUCZEK: That's correct.

13 MR. BOB PETERS: And it was Centra's
14 position, was it, to the Board that rather than doing
15 post-audits on each and every home, the money might be
16 better spent on doing more DSM initiatives?

17 MR. LLOYD KUCZEK: Oh, on the post-audit,
18 if -- if we knew the -- you know, for example if a
19 furnace was being replaced and that's all that was being
20 done, we have an inspector that goes through there
21 anyways, so there would be no -- no real added value for
22 us to send an auditor in just to go find out if the
23 furnace was replaced.

24 We don't need an auditor to go in after
25 the fact to see if the -- the low cost/no cost items were

1 installed. So it really depends on, you know, the
2 particular opportunity.

3 The other thing you could do, and we do it
4 with our insulation program, is instead of auditing --
5 and these are the post-audits I'm talking about --
6 instead of auditing all customers, you audit just a
7 sample; that might make economic sense.

8 So we'd have to review that, but the
9 statement that I made at the last Hearing still stands.
10 It -- it doesn't necessarily make sense to do post-
11 audits, at least in all cases.

12 MR. BOB PETERS: And -- and the Board
13 must have agreed with you because in their Order they
14 suggested as well that spot audits post-renovation or
15 post-repair would be sufficient.

16 MR. LLOYD KUCZEK: I can't speak for the
17 Board, but I do recall reading that.

18 MR. BOB PETERS: And -- but the reason
19 that pre- and post-audits are being done is to ensure
20 that there's qualification for the Federal government
21 money, such as the -- well the Federal government money.

22 MR. LLOYD KUCZEK: Yeah, from our
23 perspective it just makes economic sense to do that
24 because the -- the dollars that we get from the Federal
25 grants are greater than the cost of actually implementing

1 the audits.

2 MR. BOB PETERS: Now once the auditor is
3 inside the home, the auditor will not only look at these
4 no cost/low cost items, but will also look at the furnace
5 and the insulation upgrade possibilities.

6 Would that be correct?

7 MR. LLOYD KUCZEK: That's correct.

8 MR. BOB PETERS: And recommendations
9 might be given at that time by the auditor.

10 MR. LLOYD KUCZEK: Recommendations are
11 always given by the auditor in terms of what the
12 opportunities are.

13 MR. BOB PETERS: And does the auditor go
14 so far as to make recommendations as to appliances, and
15 replacement of dryers or refrigerators?

16 MR. LLOYD KUCZEK: No, there's no
17 recommendations being made for that, but what we have the
18 auditors doing is collecting information for us on --
19 from each home in terms of what the -- the fridge is
20 within the home because we're hoping to launch a program
21 in that area, and so this gives us an opportunity to find
22 out, at least, when those -- with those customers
23 participating, whether or not there is a real opportunity
24 in that home to capture energy efficiencies through
25 replacing the fridge.

1 MR. BOB PETERS: Just explain to the
2 Board then, Mr. Kuczek, if your auditor goes in and sees
3 the relative vintage of the refrigerator, they don't make
4 a recommendation to the homeowner about the appliances,
5 but they come back and put it in the database; is that
6 what your answer suggests?

7 MR. LLOYD KUCZEK: Yeah, I don't think
8 they explicitly recommend to the customer that they
9 should replace their fridge at this point. This -- we're
10 -- we're doing this as a proactive measure, knowing that
11 we're likely to have a program in the future.

12 And we would be going back to the customer
13 at that point and letting them know about the program and
14 encouraging them to participate; that would be target
15 marketing directly to those customers.

16 MR. BOB PETERS: And when you say that
17 you may have a refrigerator program in the future, we, I
18 think, heard last GRA, that there -- that old
19 refrigerators are very energy intensive.

20 MR. LLOYD KUCZEK: That's correct.

21 MR. BOB PETERS: And perhaps, unlike some
22 recent vintage automobiles, they seem to run forever.

23 MR. LLOYD KUCZEK: That's true.

24 MR. BOB PETERS: And do I take it from
25 your third last answer then, that there is a refrigerator

1 replacement program coming?

2 MR. LLOYD KUCZEK: There's certainly one
3 (1) in the -- the -- well, we have identified one (1) and
4 we have designed the program. The component that we're
5 struggling with right now is trying to figure out how
6 we're going to deal with the recycling part. This is on
7 the electric side of the business, by the way.

8 MR. BOB PETERS: Yeah, and I -- I -- the
9 way it came up, Mr. Kuczek, is once your auditor gets in
10 the house, I think we heard at the last GRA, or the Board
11 may have heard at the last GRA, that that may be the one
12 (1) and only opportunity there is to get somebody inside
13 the house who is knowledgeable in energy efficiency
14 matters because the homeowners are generally reluctant to
15 allow a number of different individuals to come through
16 their home, correct?

17 MR. LLOYD KUCZEK: Yeah, I'm a believer
18 in the -- the same theory, that once we're in, we should
19 take advantage of all the energy efficient opportunities,
20 whether it's gas or electric, and so that's why we're
21 trying to get the information on the refrigerators at
22 this point.

23 MR. BOB PETERS: And just perhaps a bit
24 of a sideline on this, it appears from the materials that
25 Manitoba Hydro uses Philippe Dunsky as a consultant on

1 DSM matters now.

2 MR. LLOYD KUCZEK: Yes, we do.

3 MR. BOB PETERS: And he had prepared a
4 report for the Board at the last GRA. I think he was --
5 I better be careful which GRA I'm thinking, but in any
6 event, are the initiatives that he put in his report ones
7 that are now being investigated through the Utility?

8 MR. LLOYD KUCZEK: Well, the report's not
9 finalized, but it would be fair to say that regardless,
10 yes.

11 MR. BOB PETERS: There was -- there were
12 minutes filed as -- and maybe I'll come to them, but
13 there was a suggestion that the Dunskey Report was
14 reviewed by the Low Income Advisory Group, do you recall
15 that?

16 MR. LLOYD KUCZEK: Yes.

17 MR. BOB PETERS: Which Dunskey Report was
18 reviewed?

19 MR. LLOYD KUCZEK: That was the one (1)
20 that -- that was before this Board last summer at the --
21 or last winter at the electric GRA.

22 MR. BOB PETERS: All right, thank you.
23 The Level 2 matters, in my mind, included the insulation
24 and other envelope repairs. You may not have categorized
25 it that way, Mr. Kuczek, but -- but that's the one (1)

1 that -- that level is going to require some customer
2 contribution, correct?

3 MR. LLOYD KUCZEK: For the most part,
4 not.

5 MR. BOB PETERS: Well, I think we started
6 off our discussion by looking at some of the programs,
7 but for the insulation, the consumer's going to have to
8 put up 30 percent of the cost?

9 MR. LLOYD KUCZEK: This was the -- that
10 third -- that was for our regular Power Smart Insulation
11 Program. The -- the insulation component of our Lower
12 Income Program is different. Similar with the furnace,
13 they're -- they're -- they are different.

14 MR. BOB PETERS: All right, my apologies
15 too. This Insulation Program would deal with walls and
16 attics, and the -- attics, and the -- the money would be
17 from the Power Smart Program?

18 MR. LLOYD KUCZEK: It includes basements
19 as well, and the money comes from -- comes from Power
20 Smart dollars. The Power Smart dollars are determined by
21 the same amount of dollars they would have got if they
22 participated in our normal Power Smart insulation
23 program. It's supplemented by our Bill 11 dollars, the
24 Affordable Energy Funds.

25 And it's also -- the funds are -- that go

1 -- come from the federal grants also help pay for the
2 insulation measures. And there's no cost to the consumer
3 for the insulation upgrades, provided they're just normal
4 insulation upgrades where you have to put up the studs,
5 for example, in the basement and insulate it and vapour
6 barrier it.

7 MR. BOB PETERS: Are the labour costs
8 likewise covered by those funding sources?

9 MR. LLOYD KUCZEK: That's correct.

10 MR. BOB PETERS: In turning to the
11 Furnace Replacement Program, you had mentioned that the
12 intention was to go from standard efficiency furnaces and
13 boilers, to have them replaced by high efficiency
14 furnaces, correct?

15 MR. LLOYD KUCZEK: That's correct.

16 MR. BOB PETERS: And in the Low Income
17 Energy Efficiency Program, there is no option of middle
18 ground or mid-efficiency furnace to be installed. It's
19 from standard efficiency, straight up to high efficiency.

20 Is that also correct?

21 MR. LLOYD KUCZEK: That's correct.

22 MR. BOB PETERS: And in this case, if
23 I've got it right, the consumer will pay nineteen dollars
24 (\$19) a month on their utility account for approximately
25 five (5) years?

1 MR. LLOYD KUCZEK: Correct.

2 MR. BOB PETERS: In doing the math in
3 terms of the costs, the Power Smart program, you said
4 there was a rebate of two hundred and forty-five dollars
5 (\$245)?

6 MR. LLOYD KUCZEK: Correct.

7 MR. BOB PETERS: And Federal government
8 money of -- I thought I noted three hundred (300) or five
9 hundred dollars (\$500)?

10 MR. LLOYD KUCZEK: Yeah. And that's
11 actually changed again. They modified their program to
12 help stimulate the economy so the funds available through
13 the federal government are -- are a little more
14 complicated now.

15 You can actually get up to seven hundred
16 and ninety dollars (\$790) if it's a first time -- if this
17 is a first time you're installing a high efficient
18 furnace from a standard and you install -- I believe it's
19 94 percent as well to get that seven hundred and ninety
20 dollars (\$790).

21 MR. BOB PETERS: With the DC variable
22 speed fan?

23 MR. LLOYD KUCZEK: That's correct.

24 MR. BOB PETERS: So that's the Cadillac?

25 MR. LLOYD KUCZEK: No, you can get higher

1 than that but I don't know if I would view that as a
2 Cadillac anymore. The way the industry's gone, I think
3 ninety-four (94) is not that difficult to achieve
4 anymore.

5

6 (BRIEF PAUSE)

7

8 MR. LLOYD KUCZEK: I didn't hear that.

9 MR. BOB PETERS: I did and it was good.

10 MR. LLOYD KUCZEK: Must have been -- must
11 have been my boss talking.

12 MR. BOB PETERS: It was. It was. Let's
13 look at the costs. For this Furnace Replacement Program,
14 the nineteen dollars (\$19) a month for five (5) years is
15 about eleven hundred and forty dollars (\$1,140)?

16 MR. LLOYD KUCZEK: That's correct.

17 MR. BOB PETERS: And then the Power Smart
18 program, you've told me is two forty-five (245) and then
19 seven hundred and ninety dollars (\$790).

20 Is it Centra Gas Furnace Replacement Fund
21 that would make up the approximate difference of two
22 thousand dollars (\$2,000)?

23 MR. LLOYD KUCZEK: That's correct. We
24 don't get seven ninety (790) all the time. This -- this
25 -- our contract with the -- with the contractors requires

1 a minimum of 92 percent, I believe. Some are installing
2 ninety-four (94) but the -- it's...

3 MR. BOB PETERS: Is ninety-four (94) the
4 highest on the market that you're aware of?

5 MR. LLOYD KUCZEK: No, there's higher
6 than that.

7 MR. BOB PETERS: Okay. There was no
8 mention of any provincial government money included in
9 that Furnace Replacement Program?

10 MR. LLOYD KUCZEK: That's correct.

11 MR. BOB PETERS: There is none?

12 MR. LLOYD KUCZEK: There's no money from
13 the provincial government.

14 MR. BOB PETERS: And likewise, is there
15 any money from the -- the AEF?

16 MR. LLOYD KUCZEK: Only with the oil and
17 propane furnaces being replaced. I guess there's a
18 category that would provide the two forty-five dollars
19 (\$245). They're comparable to the Power Smart dollars
20 but, other than that, the rest -- there is none from the
21 Affordable Energy Fund.

22 MR. BOB PETERS: Again, I recall the
23 evidence of Mr. Oppenheim and one (1) of his
24 recommendations, as I recall it, was that the Furnace
25 Replacement Program, as well as the Boiler Replacement

1 Program be open to every Manitoban at nineteen dollars
2 (\$19) a month, and that's to convert from a standard
3 furnace up to a high efficiency one (1), correct?

4 MR. LLOYD KUCZEK: I believe that's what
5 he recommended.

6 MR. BOB PETERS: And Centra's position
7 relative to that, sir?

8 MR. LLOYD KUCZEK: We -- we don't agree
9 with that.

10 MR. BOB PETERS: Is it a financial issue?

11 MR. LLOYD KUCZEK: It's a very costly
12 issue for ratepayers.

13 MR. BOB PETERS: Costly in the sense that
14 ratepayers are subsidizing two thousand (2,000) or
15 twenty-two hundred and fifty dollars (\$2,250) for a
16 furnace upgrade?

17 MR. LLOYD KUCZEK: That's where the money
18 comes from, yes; or it would have to come from there.

19 MR. BOB PETERS: Well, let's look with
20 the Board then at the -- the Furnace Replacement Program
21 to date at Tab 41 of the book of documents. There's a
22 response, PUB/CENTRA-6.

23 With your assistance, Mr. Kuczek, do we
24 take it from the first page that the program funding from
25 revenue in '07/'08 of \$2.3 million came from rate

1 increases approved by this Board?

2 MR. LLOYD KUCZEK: Yes.

3 MR. BOB PETERS: And likewise in '08/'09,
4 the \$3.8 million was on -- was on account of rate
5 increases by the Board?

6 MR. LLOYD KUCZEK: Yes.

7 MR. BOB PETERS: And a point that I
8 believe Mr. Warden and I, and Mr. Derksen and I, talked
9 about earlier is there is no more program funding being
10 budgeted by the Corporation, correct?

11 MR. LLOYD KUCZEK: To replace the Furnace
12 Replacement Program?

13 MR. BOB PETERS: No more funding for the
14 Furnace Replacement Program through consumer rates.

15 MR. LLOYD KUCZEK: We haven't asked for
16 any funding, no.

17 MR. BOB PETERS: And in fact, you've
18 indicated that the funds will stop, and that you will use
19 what's in the fund for the next two (2) test years.

20 MR. LLOYD KUCZEK: Yes, and if there was
21 additional funds available beyond that, I think we would
22 consider running the program for the following year after
23 that, provided there was still low income customers that
24 had standard efficient furnaces.

25 MR. BOB PETERS: Well, let's look to the

1 next page at the line for the test year 2009/'10, it
2 looks like there is furnace customers, seven hundred and
3 thirty-one (731) targeted for '09/'10. Is that correct?

4 MR. LLOYD KUCZEK: You said seven thirty-
5 one (731)?

6 MR. BOB PETERS: I meant to.

7 MR. LLOYD KUCZEK: Okay, that's correct
8 then.

9 MR. BOB PETERS: And -- and in the -- in
10 the second test year, 2010/'11, six hundred and ninety-
11 nine (699) furnaces -- furnace customers are being
12 targeted.

13 MR. LLOYD KUCZEK: Correct.

14 MR. BOB PETERS: Your third last answer
15 to me said that if there was more money available and
16 more furnace replacement customers, the Corporation would
17 consider running the program for at least one (1) more
18 year. Is that right?

19 MR. LLOYD KUCZEK: I said we would
20 consider that, yes.

21 MR. BOB PETERS: Well, let's be clear.
22 There certainly will be more furnace replacement
23 customers, will there not?

24 MR. LLOYD KUCZEK: That seems reasonable.

25 MR. BOB PETERS: It seems reasonable

1 because there was -- was it three thousand (3,000) --
2 sorry, what was the total number of customers that you
3 estimated had gas furnaces, and were also under the low
4 income cut-off?

5 MR. LLOYD KUCZEK: I believe we said
6 about twenty thousand (20,000) in one (1) of our IR
7 responses to you in Round 1, and in Round 2 we provided
8 an update of what we estimated the number to be, and we
9 estimated it to be lower.

10 And I believe what we provided to you was
11 a number of 32 percent of the lower income customers
12 having standard efficient furnaces which might be in the
13 twelve thousand (12,000) range.

14 We don't know exactly how many customers
15 in the low income category have standard efficient
16 furnaces, but -- so that's a high level estimate.

17 And the 32 percent is even a higher
18 estimate than what we expect for the general population,
19 so the percentage of standard furnaces is now down around
20 20 percent out there.

21 So it's possible that there might be only
22 eight (8) to twelve thousand (12,000) furnaces that need
23 to be replaced, but at the end of the day even if you
24 look at those numbers, there should be some furnaces that
25 need replacing at that point in time still.

1 MR. BOB PETERS: Let's refine our
2 discussion, Mr. Kuczek, with the benefit of the document
3 at PUB-40, Tab -- book of documents Tab 40. It's an
4 inter -- Information Request, PUB/CENTRA-186, page 6 of
5 6.

6 And I believe the entire Information
7 Request is in there, but if -- if we go to page 6 of 6,
8 this suggests to me that -- that the total potential
9 furnace plus boilers to be replaced is in twenty-one
10 thousand five hundred (21,500). I'm sorry, I'll wait
11 until you catch up.

12 MR. LLOYD KUCZEK: I'm with you. I'm
13 just trying to find reference to some other information
14 with the updated numbers, but this was the -- this was
15 the response that -- this was the estimate that we had
16 when we originally designed the program, and we had not
17 adjusted it for the -- the replacements that we had also
18 seen experiencing in the market at the same time.

19 So in response to CAC/MSOS, I believe it's
20 one thirty-five (135). Yes, 135. We provided you with
21 an estimate that suggested that 32 percent number, which
22 would lower the target market.

23 And if you actually look at...

24

25 (BRIEF PAUSE)

1 MR. BOB PETERS: Mr. Kuczek, your mic is
2 open, so I take it you're still going to complete that
3 answer, but I'm -- I'm having trouble following your
4 math.

5

6 (BRIEF PAUSE)

7

8 MR. LLOYD KUCZEK: The math that you're
9 struggling with is the 32 percent to get to the twelve
10 thousand (12,000) that I talked about?

11 MR. BOB PETERS: Yes, sir.

12 MR. LLOYD KUCZEK: Okay, so -- and I'd
13 have to find all the references, but if you take the
14 total number of gas customers, which we referred to
15 earlier, and then applied 32 percent to it, I think you
16 might come up with around the twelve thousand (12,000)
17 mark.

18 MR. BOB PETERS: All right. And if
19 you're using twelve thousand (12,000), that's furnaces
20 and boilers?

21 MR. LLOYD KUCZEK: Boilers are somewhat
22 of a separate category. I would say 5 percent of boiler
23 -- the customers would be boiler customers, and we truly
24 don't have a good estimate of how many of those are
25 standard.

1 MR. BOB PETERS: Do you -- do you rent
2 the boilers or are those customer purchased?

3 MR. LLOYD KUCZEK: Did you say "rent"?

4 MR. BOB PETERS: Does Centra rent the
5 boilers to the homeowner or -- or the occupant, or is it
6 purchased by the homeowner or occupant?

7 MR. LLOYD KUCZEK: It's purchased by the
8 homeowner.

9 MR. BOB PETERS: In round numbers, and
10 I'm -- I'm only good at that, or almost good at that,
11 you're looking at fourteen hundred (1,400) furnace
12 replacement programs over the test years with a potential
13 database of about fourteen thousand (14,000), twelve (12)
14 to fourteen thousand (14,000) customers who would
15 qualify, correct?

16 MR. LLOYD KUCZEK: I just need to check
17 that fourteen hundred (1,400) number. The total that I'm
18 thinking of combined with boilers was nineteen hundred
19 (1,900).

20 MR. BOB PETERS: I wasn't including the
21 boilers, but I -- I've got your point, and I --

22 MR. LLOYD KUCZEK: I -- I think the
23 boilers was two ninety (290), if I'm not mistaken, so if
24 we take three hundred (300) off that, we're down to
25 around sixteen hundred (1,600).

1 MR. BOB PETERS: Doesn't that suggest
2 that for the next eight (8) to ten (10) years, at the
3 rate you're going, there'll always be furnaces to
4 replace?

5 MR. LLOYD KUCZEK: There's going to be
6 furnaces to be replaced. We're not sure how many exactly
7 are out there. The furnaces are getting older. They are
8 dying. We're seeing a surge in terms of -- not a surge,
9 but customers replacing more and more furnaces.

10 I think we estimated that -- in the last
11 GRA for gas, that 57 percent of our natural gas customers
12 had standard efficient furnaces.

13 In response, and that's the one (1) I was
14 trying to find for you here, we now are estimating that
15 there's only 20 percent of natural customers that have
16 standard efficient furnaces, so there were -- there's
17 been a lot of replacements.

18 And again, we have to use our numbers with
19 caution because they're an estimate based on a survey
20 that was done in 2003, and our database is only as good
21 as the survey information, and as well as the information
22 that we have in terms of customers converting to high
23 efficient furnaces.

24 MR. BOB PETERS: Can you still purchase
25 mid-efficient furnaces in Manitoba?

1 MR. LLOYD KUCZEK: You can, yes.

2 MR. BOB PETERS: But you can't purchase
3 standard efficiency furnaces any more.

4 MR. LLOYD KUCZEK: That's correct. Those
5 you couldn't purchase. I think they be -- quit
6 manufacturing them in '92.

7 THE CHAIRPERSON: Can you still purchase
8 a mid-efficiency furnace in 2010?

9 MR. LLOYD KUCZEK: Regulations are
10 supposed to come into place Federally where you will not
11 be able to purchase them at the end of this year, and the
12 Provincial government's talking about putting in
13 regulations which will possibly limit it to 92 percent.

14 And for your convenience on the furnaces,
15 if you want to look at the percentages, or the saturation
16 rates for the different furnaces, it was PUB-206.

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: Mr. Kuczek, just
20 following up that question and answer with the Chairman,
21 if as a result of Federal regulations, or laws, mid-
22 efficiency furnaces will no longer be available on the
23 marketplace, that will by default mean that consumers
24 have to purchase what is now called a high efficiency
25 furnace. Do you agree?

1 MR. LLOYD KUCZEK: If they're going to
2 purchase one (1), that's correct.

3 MR. BOB PETERS: And they don't have an
4 option. If their furnace goes, they're going to have to
5 put in a high efficiency in Manitoba.

6 MR. LLOYD KUCZEK: Yeah, there -- there's
7 two (2) things that happen. Some people replace their
8 furnaces before they die, and that's what I was referring
9 to "they have a choice".

10 Other customers where the furnace dies,
11 they will have a -- no choice, and they'll have to
12 install a high efficient furnace.

13 MR. BOB PETERS: I'm not sure that answer
14 made sense to me, sir. If I choose on January 1 to trade
15 out my existing standard furnace, you're thinking I can
16 get a mid-efficiency still?

17 MR. LLOYD KUCZEK: No, I -- I'll explain
18 it a little differently. Let's say your furnace -- if
19 you -- if you have a standard efficient furnace January
20 1, and it's still working, you don't have to replace it.

21 And so I was just saying you have a choice
22 to replace it, but you don't have to. It's still
23 working. And so those customers have a choice to defer
24 it, so -- so there's still an opportunity to try to
25 encourage those customers to do it earlier.

1 But if you have to replace it, or you
2 choose to replace it, and you're still going with natural
3 gas, it'll have to be a high efficient furnace.

4 MR. BOB PETERS: Then I understand your
5 answers, and thank you. What I would wonder about in
6 response to the Chairman -- Chairman's question, if only
7 high efficiency furnaces are available January 1 of 2010
8 -- and that's the target date as you understand it?

9 MR. LLOYD KUCZEK: Correct.

10 MR. BOB PETERS: Will the seven hundred
11 and ninety dollars (\$790) for first time furnace
12 purchasers be available from the Federal government?

13 MR. LLOYD KUCZEK: We don't know if it
14 will be, but we're thinking that there's a good chance
15 that it will not be.

16 MR. BOB PETERS: And the reasons that you
17 think that the Federal government contribution will no
18 longer be on the table?

19 MR. LLOYD KUCZEK: I'm trying to recall
20 the -- the example, but they did offer a program at one
21 (1) time where it didn't make sense because customers
22 didn't have any choice, and -- and when they realized
23 that they were doing that, they changed their program.

24 So I suspect they would do the same in
25 this case. And -- and they're driven by achieving --

1 they're initiatives are driven by achieving energy
2 efficiency, as well as our programs, so if customers have
3 to pursue or have to install an in -- a high efficient
4 furnace, and have no choice when they're replacing it,
5 the Federal government likely wouldn't offer those
6 incentives.

7 They could come up with an alternative
8 program, and we'd have no idea what the incentive level
9 would be, but they could encourage customers still to go
10 to 94 percent, or higher, as opposed to 90 percent as the
11 Federal regulations would require.

12 So it's not to say it wouldn't make sense
13 for them to have a program or that they wouldn't have a
14 program, but likely there would be changes to their
15 existing program.

16 MR. BOB PETERS: Will there be changes to
17 your existing furnace replacement program if that Federal
18 money is no longer available?

19 MR. LLOYD KUCZEK: Well, we're current --
20 our current furnace program, not the low income program,
21 is scheduled to end actually this Fall.

22 MR. BOB PETERS: Let's -- let's stay with
23 the low income program. Right now, the Federal
24 government contributes up to seven hundred and ninety
25 dollars (\$790) for the Furnace Replacement Program for

1 low income qualified customers?

2 MR. LLOYD KUCZEK: We're not planning to
3 change our program. It's just gonna cost us more.

4 MR. BOB PETERS: That's what I -- that's
5 what I'm getting at -- is that the money that's presently
6 being paid by the Federal government will then have to be
7 paid by Centra through the Furnace Replacement Fund?

8 MR. LLOYD KUCZEK: Correct.

9 THE CHAIRPERSON: Mr. Kuczek, at the
10 present point in time, if you convert to a high
11 efficiency furnace, you also qualify for the stimulus
12 funding by the Federal government through the tax
13 credits; is that not true?

14 MR. LLOYD KUCZEK: I've asked that
15 question as well and the response I get back is the
16 details from the Federal government have not been
17 provided in terms of whether or not that's a -- for
18 certain. We suspect it will be but we don't know that
19 for certain.

20 THE CHAIRPERSON: It is on all the web
21 sites and, for example, in Alberta.

22 MR. LLOYD KUCZEK: It is on the web
23 sites?

24 THE CHAIRPERSON: Yes.

25 MR. BOB PETERS: Mr. Kuczek --

1 THE CHAIRPERSON: By the furnace
2 companies, anyway.

3 MR. LLOYD KUCZEK: Well, we actually are
4 going to -- and we have, I believe, already communicated
5 that to the customers that they may be eligible. We use
6 the word "may" be eligible for that program as well so...

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: Just on that point of
10 funding, if the Federal government funding changes
11 January 1 of 2010, will the two hundred and forty-five
12 dollars (\$245) Power Smart contribution continue?

13 MR. LLOYD KUCZEK: No, that's what I
14 mentioned earlier; that that program is scheduled to
15 terminate later this year.

16 MR. BOB PETERS: So, as I do the math,
17 the two hundred and forty-five dollars (\$245) from the
18 Power Smart program will have to be replaced in terms of
19 funding, as will the seven hundred and ninety dollars
20 (\$790) of Federal money that may be disappearing?

21 MR. LLOYD KUCZEK: Yes. And just so you
22 have full information, we didn't budget for the seven
23 ninety (790). We budgeted for the three (3) or the five
24 hundred (500) and so -- and I believe we also budgeted
25 for the Power Smart dollars to actually disappear.

1 So the budgets that we provided to you
2 earlier -- or in response to one (1) of the IRs assumed
3 that the Power Smart program would disappear and the
4 furnace program would pay for the two forty-five (245).

5 MR. BOB PETERS: Let's just look at book
6 of documents, Tab 41, page 1 of 3, of PUB/CENTRA-6.
7 Again, it's Tab 41 of Board counsel's book of documents.

8 It seems to suggest there to me, Mr.
9 Kuczek, that in the '09/'10 and also in the '10/'11 test
10 years, the Corporation plans to disburse \$2.4 million in
11 each year on account of the Furnace Replacement Program
12 for low income qualified customers?

13 MR. LLOYD KUCZEK: That's correct.

14 MR. BOB PETERS: Does that 2.4 million
15 take into account the discontinuation of Federal
16 government funding?

17 MR. LLOYD KUCZEK: No, at that time, we
18 didn't take that into account.

19 MR. BOB PETERS: Does it take into
20 account the discontinuation of the Power Smart two
21 hundred and forty-five dollars (\$245) for furnace
22 funding?

23 MR. LLOYD KUCZEK: It does.

24 MR. BOB PETERS: Mr. Kuczek, when I look
25 to the money end of it and I look on the next page to the

1 number of furnaces, what's the bottleneck in terms of
2 doing more?

3 MR. LLOYD KUCZEK: The bottleneck is just
4 wrapping up at this point and then -- which we have done
5 and now it's getting more customers. We -- we launched
6 the furnace program last year, as you mentioned. We got
7 -- put in a -- put the arrangements in place with the
8 contractors and we had a -- a flood of customers that
9 approached us and so, we -- we've been dealing with that.

10 And we're now at the point where we're
11 discussing how we can continue getting more customers
12 lined up at our front door to participate in this
13 program. So that -- that's really where we're at at this
14 point. And how successful we will be in that regard,
15 time will tell, I guess.

16 THE CHAIRPERSON: Don't you have a bit of
17 a -- sort of an opening right now? Let us assume that I
18 am correct that the amounts up to thirteen fifty (1,350)
19 of a credit that you can get off your income return, like
20 it applies to everything from a garage to a fence to this
21 and that.

22 So I think I am correct that it also
23 includes the replacement of a furnace, okay? Then you
24 got the federal grants. Then you got the provincial
25 grants. With the risk of some of them all ending next

1 year, it will just become more difficult, will it not,
2 just as the conventional furnaces become older in time?

3 MR. LLOYD KUCZEK: You're -- you're
4 sounding like me when I was talking to my staff. We
5 acknowledge that there's a real opportunity this coming
6 year. We're talking about how we should be promoting all
7 our programs, at this point, furnaces especially because
8 of the situation that's going on right now and the -- the
9 amount of dollars available, so we anticipate that we're
10 going to have a more aggressive campaign subsequent to
11 the summer vacation period.

12 THE CHAIRPERSON: I realize -- I happen
13 to know this from another situation, but, for example, in
14 Alberta right now you have the Federal grant. I think it
15 was six (6) -- seven ninety (790). The provincial grant
16 is something like six ninety (690), which includes the
17 pre-inspection and the post-inspection.

18 And then their advertising, of course, the
19 15 percent from the federal pot. So when you combine it
20 all together, you have got approximately twenty-four (24)
21 or twenty-five hundred dollars (\$2,500) to apply to a
22 high efficiency furnace, so you can imagine how
23 ambitiously aggressive is going on right now with the
24 contractors, for example, in that province.

25 MR. LLOYD KUCZEK: Yes, and the -- I

1 think if you add up all the incentives in Manitoba, it's
2 more like fourteen hundred (1,400), but you do -- you do
3 have to pay for the audit as well, like if we're not
4 talking the low income customers, so, you know, net,
5 there's still twelve hundred (\$1,200) available to you,
6 so...

7 THE CHAIRPERSON: Mr. Kuczek, just one
8 (1) other point which was lost, at least, to me when we
9 were first started talking about this Furnace Replacement
10 Program GRA ago.

11 I had never realized that in a
12 conventional furnace, for example, part of the problem is
13 not just the efficiency of the natural gas side of the
14 furnace, but it is also the electric motor.

15 And when they replace the high efficiency
16 furnace, they put in what is called a brushless DC motor,
17 which apparently requires one fifth (1/5) of the
18 electricity that the old versions count, so that you gain
19 on both ends.

20 MR. LLOYD KUCZEK: Yeah, that's true. It
21 depends on the assumptions. And when we do our
22 assessments of the energy efficiency savings from those
23 programs, we assess three (3) different situations, and
24 you -- in one (1) of those, you actually use more energy
25 than -- than using less, and that's those customers that

1 normally wouldn't run their furnace continuously, and
2 then they run it continuously after they install an ECM
3 motor, so they end up using more energy on the electric
4 side.

5 The other customers that stay with their -
6 - their normal habits, of either just leaving it in the
7 normal mode, where it comes on when your heat is on, will
8 use less electricity, and also, those customers that ran
9 it continuous before and run it continuous after will use
10 less electricity.

11 But there's a group that actually switches
12 and uses more electricity.

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Mr. Kuczek, before you
16 were providing answers to the Chairman, I had asked you
17 what the bottleneck was, and I -- I didn't hear that
18 there was a bottleneck, did I hear correctly?

19 MR. LLOYD KUCZEK: Well, I don't know if
20 I'd characterize it as a bottleneck. It's -- it's a
21 challenge. We -- we have to get customers aware of our
22 program still and get them to participate in our program.

23

24 So, is that a bottleneck? Not
25 necessarily. It's a challenge, I guess, right?

1 MR. BOB PETERS: Does that answer suggest
2 that, even if you had more money available, you wouldn't
3 be able to target more furnace replacement customers?

4 MR. LLOYD KUCZEK: Well, that's tough for
5 me to say.

6 MR. BOB PETERS: Well, let me help you
7 this way. Book of documents, Tab 41, in response to
8 PUB/CENTRA-6, you're telling the Board that, after the
9 second test year for which this GRA is -- is -- on which
10 this GRA is based, you'll still have a closing balance of
11 \$1.4 million in the fund that Mr. Derksen is keeping
12 track for you.

13 MR. LLOYD KUCZEK: We may. We -- we
14 don't know exactly what our costs are going to be because
15 of some of the things we talked about, but... And we may
16 have more participation, as well, so whether or not
17 there'll be surplus dollars is to be determined.

18 But we -- we came up with our best
19 estimate of what we thought we were going to get for
20 participation, and that number -- well, it will be
21 different, but we just don't know exactly how different
22 it'll be.

23 MR. BOB PETERS: And I don't take issue
24 with what you -- you said, but I -- I'm still saying then
25 that your answer is telling the Board that, even if you

1 had more money, you wouldn't necessarily be able to -- to
2 ensure that there were more furnace replacement customers
3 serviced in the two (2) test years. Would that be
4 correct?

5 MR. LLOYD KUCZEK: We're uncertain at
6 this point. This is new territory in terms of offering
7 such a generous program.

8 You'd think that everybody that hears
9 about it that has a standard efficient pro -- furnace
10 would participate, so in my mind it's just a question of
11 getting to those customers and ensuring that they
12 understand, and if they understand than I don't know why
13 they wouldn't participate.

14 MR. BOB PETERS: You told the Board that
15 the contractors were arranged, and am I correct that you
16 have two (2) contractors on your preferred list in
17 Winnipeg, and one (1) in Brandon?

18 MR. LLOYD KUCZEK: We have five (5)
19 contractors in Winnipeg, and one (1) in Brandon for
20 furnaces, and we have two (2) contractors in Winnipeg
21 doing insulation right now.

22 MR. BOB PETERS: The five (5) Winnipeg
23 contractors will do furnaces whether they're the Low
24 Income Energy Efficient -- Efficiency Program, or the
25 regular furnace -- furnace program?

1 MR. LLOYD KUCZEK: They -- they work in
2 both markets, but they only have a contract with us to do
3 the low income market.

4 MR. BOB PETERS: Is Centra aware of
5 concerns that were identified in the media of late with
6 respect to an HVAC contractor?

7 MR. LLOYD KUCZEK: Yes.

8 MR. BOB PETERS: Is that contractor on
9 your list of five (5) approved for Winnipeg, or the one
10 (1) for Brandon?

11 MR. LLOYD KUCZEK: No.

12 MR. BOB PETERS: When you have five (5)
13 contractors approved for Winnipeg, does that in -- does
14 that suggest to the Board that Centra has had -- has an
15 understanding with respect to the cost of installations
16 by these companies?

17 MR. LLOYD KUCZEK: Yeah, the contract
18 actually has a negotiated price that the -- the
19 contractors agreed to install the furnaces for, and it's
20 all the same.

21 MR. BOB PETERS: And the negotiated price
22 was negotiated by Centra?

23 MR. LLOYD KUCZEK: Correct.

24 MR. BOB PETERS: Is that confidential, or
25 is that on the public record?

1 MR. LLOYD KUCZEK: I believe the
2 contractors asked us to keep that confidential.

3 MR. BOB PETERS: All right. If -- I'll
4 just leave it. If the Board has further interest then
5 perhaps Section 13 of their Rules of Practice allowing
6 confidential information to be filed will be an avenue
7 you might hear from the Board on further.

8 Mr. Kuczek, we may have covered much of
9 this ground, but at Tab 42 of the book of documents the
10 sources of funding for the Low Income Energy Efficiency
11 Program are set out, correct?

12 MR. LLOYD KUCZEK: Correct. The sources
13 from Manitoba Hydro and Centra Gas, I -- I guess. It
14 wouldn't -- it does not include the sources from the
15 Federal government in -- in -- or anywhere else in that
16 response.

17 MR. BOB PETERS: And the Federal
18 government money though, for the Furnace Replacement
19 Program at least, will potentially not be available after
20 January 1 of 2010?

21 MR. LLOYD KUCZEK: Potentially, yes.

22 MR. BOB PETERS: All right.

23

24 (BRIEF PAUSE)

25

1 MR. BOB PETERS: Perhaps before I ask the
2 Board for the afternoon recess, we could look at the Tab
3 43 of the book of documents. It's PUB-184. And this
4 compares Centra to other gas utilities in Canada,
5 correct?

6 MR. LLOYD KUCZEK: Correct.

7 MR. BOB PETERS: If we -- if we look at
8 the -- well, first of all how does Centra see itself on
9 the landscape in terms of DSM expenditures, and then
10 particularly on low income expenditures?

11 MR. LLOYD KUCZEK: Well, based on the
12 information that we -- we've obtained, we -- we are on
13 the high side in terms of our DSM expenditures, and --
14 both on the low income and overall.

15 MR. BOB PETERS: Centra is spending on
16 DSM measures in the range of fifty (50) to sixty dollars
17 (\$60) per customer for 2008/'09, correct?

18 MR. LLOYD KUCZEK: Correct.

19 MR. BOB PETERS: And that number's going
20 to go up for the -- for each of the two (2) test years?

21

22 (BRIEF PAUSE)

23

24 MR. LLOYD KUCZEK: That's correct,
25 provided...

1 Were you referring to just DSM or the
2 lower income component?

3 MR. BOB PETERS: My question was on just
4 DSM initially, Mr. Kuczek. Does that change your answer?

5 MR. LLOYD KUCZEK: Actually, I'm not
6 sure. I just gotta make sure that I'm providing you with
7 accurate information. But to respond to your question,
8 we gave the -- the total DSM budget for '08/'09 as 17
9 million; then '09/'10 and then '10/'11 as 21 million for
10 the total DSM so it goes up from eight (8) -- '08/'09.
11 And the same thing with the lower income program, it
12 increases as well.

13 MR. BOB PETERS: What does Gaz Metro do
14 for eighty-one dollars (\$81) per customer for DSM that
15 Centra Gas does not do?

16 MR. LLOYD KUCZEK: Well, I've been trying
17 to figure that out when I got that information and I
18 wasn't able to figure it out. I -- I've got this
19 information through the contacts that I've made in the
20 industry and I actually phoned the individual directly to
21 try to understand what was going on and the -- part --
22 part of it was a language barrier, I believe, but we --
23 we could not figure out why their number was so high.

24 All she can tell me was these are the
25 numbers and I can't tell you anything more than that. So

1 the only thing I concluded was that there -- it is a
2 different market. If you look at the expenditures on a
3 percentage of revenue, they seem to be in the same
4 categories -- the other -- or at least, a couple of the
5 other companies out there, Enbridge and Union.

6 And when you divide it by the -- the --
7 take the expenditure and divide it by the customer, it
8 works out to a very high number and one (1) possibility
9 is the customer mix could be quite a bit different there.
10 They could have a -- a more -- larger customer -- a
11 larger industrial customer base and so the expenditures,
12 when you divide it by the number of customers, just works
13 out higher.

14 You know -- and that's one (1) of the
15 reasons that you have to be cautious whenever you're
16 getting these metrics from comparing DSM expenditures.
17 Whatever the metric is, whether it's a percent of revenue
18 or expenditure per customer, you have to understand the -
19 - the particular region and the load and the
20 opportunities within those markets.

21 Because overall, if you got two (2)
22 regions that are aggressive in pursuing the
23 opportunities, the opportunities aren't a lot different
24 in the different regions so a -- the metrics can be
25 deceiving at times and we've seen that before. I can't

1 explain any more than -- than that.

2 I thought that might come up here and I
3 tried to get more information but I was unable to obtain
4 that.

5 MR. BOB PETERS: Their residential
6 customer base is approximately 50 percent of Centra's at
7 Gaz Met?

8 MR. LLOYD KUCZEK: Yeah, I -- I did the
9 ratio and they got a hundred and forty-two thousand
10 (142,000) customers totally and we got about two hundred
11 and fifty thousand (250,000) customers so...

12 And then I did their revenue ratio and I
13 came up with 1.6 billion for revenues and we only -- only
14 have five hundred (500) so I -- I can't figure it out.

15 MR. BOB PETERS: All right. A --

16 MR. LLOYD KUCZEK: I asked her if the
17 rates were -- what it worked out too and she says, No,
18 no, no, they're not that high.

19 MR. BOB PETERS: All right. Well, it did
20 attract attention and maybe we'll get an answer someday
21 on that. But if we turn to the low income program,
22 perhaps a more comparable metric -- that Centra is going
23 to be spending in the range of 40 percent of their total
24 DSM budget on low income market sector items, correct?

25 MR. LLOYD KUCZEK: Correct.

1 MR. BOB PETERS: And Enbridge, you say,
2 is at 6 percent of their total DSM budget on low income?
3 Union Gas at eight point three (8.3) and Gaz Met down at
4 2 percent?

5 MR. LLOYD KUCZEK: Those were the numbers
6 I obtained from my contacts.

7 MR. BOB PETERS: All right. I've left
8 Terasen and SaskEnergy off on the -- page 3 of 3 at Tab
9 43, but, certainly, Centra is significantly higher than
10 any other gas LDC of which you've been able to find low
11 income programs, in terms of their percentage of spending
12 of their DSM dollar on low income?

13 MR. LLOYD KUCZEK: Yeah, we -- we
14 compared some metrics to some utilities in the United
15 States, and there are a few regions that spend -- at
16 least if you use the percent of revenue measure that are
17 in the same range as us.

18 MR. BOB PETERS: Mr. Chairman, this might
19 be an appropriate time for the afternoon break. And I'll
20 speak with counsel during the break, but I expect I could
21 be -- I expect to finish my DSM questions this afternoon.
22 It'll just be a question of whether the direct evidence
23 will be led relative to the June 9th update, and we'll
24 sort that out over the -- the recess.

25 THE CHAIRPERSON: Mr. Kuczek, you are

1 aware, on the Manitoba Hydro file, that there is an
2 outstanding directive where Hydro is to file with the
3 Board a low income bill assistance program?

4 MR. LLOYD KUCZEK: Correct.

5 THE CHAIRPERSON: Has there been any
6 reflection on the gas side?

7 MR. LLOYD KUCZEK: I'm not sure what you
8 mean by that, but if we were to have an assistance
9 program on the electric side, I'm sure we would have it
10 on the gas side.

11 THE CHAIRPERSON: I was wondering if
12 there was any reflection in any of the forecasts of a
13 bill assistance program on the gas side.

14 MR. LLOYD KUCZEK: Not that I'm aware of.

15 THE CHAIRPERSON: Thank you. We'll take
16 our break now.

17

18 --- Upon recessing at 2:43 p.m.

19 --- Upon resuming at 3:09 p.m.

20

21 THE CHAIRPERSON: Anytime you are ready,
22 Mr. Peters.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: Thank you, Mr. Chairman.

1 At Tab 44 of the book of documents is the affordable
2 energy fund balances, Mr. Kuczek, and this was the \$35
3 million fund set up pursuant to legislation that you had
4 referenced in your evidence, sir?

5 MR. LLOYD KUCZEK: Correct.

6 MR. BOB PETERS: And it was the Manitoba
7 Hydro Winter Heating Cost Control Act, I think, to be
8 precise. And a percentage of the Corporation's net -- a
9 portion of Manitoba Hydro's net export revenue was put
10 into a fund to be used for various matters, many of which
11 were energy efficiency incentives.

12 MR. LLOYD KUCZEK: Yes. I'm not sure it
13 was put into a fund, but a fund was set up. I'm a little
14 careful. Mr. Warden could answer tha -- that question,
15 but I don't think that's relevant, anyways, to your
16 questions.

17 MR. BOB PETERS: No, it's not. But in
18 any event, what we see here is, of the 35 million, \$8
19 million was earmarked, if that's the correct word, for
20 community energy projects, leaving \$26 million,
21 approximately, for the Power Smart Program.

22

23 (BRIEF PAUSE)

24

25 MR. LLOYD KUCZEK: Yeah, the 8 million

1 that I'm thinking of is on the supply side, so the...
2 I'm looking for the reference of the category that you're
3 referring to there.

4 MR. BOB PETERS: I -- I don't think
5 you're going to find it, but it can be considered the
6 supply side, but it was for community projects related to
7 -- to energy.

8 MR. LLOYD KUCZEK: I -- I just recall it
9 as supply side initiatives, whether it was -- I don't
10 think it had to be community based, but it might have
11 been.

12 MR. BOB PETERS: All right. In any
13 event, there was \$27 million available for the Power
14 Smart Program.

15 MR. LLOYD KUCZEK: Correct.

16 MR. BOB PETERS: And what you're telling
17 the Board on the schedule at Tab 44 of the PUB book of
18 documents in response to PUB/CENTRA-140, is that by the
19 end of '23/'24 you will have spent all of the money.

20 MR. LLOYD KUCZEK: I believe most of the
21 money will be spent in the next two (2) years, and
22 there's some residual money that possibly is going on
23 beyond there but I see in 2012/'13 we have some for
24 geothermal, but -- and community support and outreach,
25 but beyond that I don't see any dollars allocated.

1 MR. BOB PETERS: No, I -- I -- you're
2 correct, by the end of 2012 and 2013 the fund -- or the
3 monies that -- whether they were put aside or earmarked,
4 they will have been depleted.

5 MR. LLOYD KUCZEK: That's our
6 expectation.

7 MR. BOB PETERS: And when we look at this
8 chart, would it be correct that lower income program at
9 the top is -- it relates partially at least to gas -- to
10 the natural gas heating?

11 MR. LLOYD KUCZEK: That's correct.

12 MR. BOB PETERS: And likewise the
13 residual ecoEnergy audits line, while not a large dollar
14 amount, that's where, on the gas side again, some of the
15 money will be spent?

16 MR. LLOYD KUCZEK: Correct.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: And if one does the
21 math, then we're looking at close to \$19 million for the
22 low income programs?

23 MR. LLOYD KUCZEK: Correct.

24

25 (BRIEF PAUSE)

1 MR. BOB PETERS: Mr. Kuczek, just a few
2 points on the low -- the Low Income Advisory Group. This
3 or -- this group has been put together since the last
4 General Rate hearing, is that correct?

5 MR. LLOYD KUCZEK: That's correct.

6 MR. BOB PETERS: And the purpose is to
7 provide some advice to the Corporation as it plans the
8 Low Income Energy Efficiency Programs?

9 MR. LLOYD KUCZEK: As we plan and
10 implement, and strive to improve the program, yes.

11 MR. BOB PETERS: The last meeting would
12 have been in December of '08, if I understood the
13 evidence correctly?

14 MR. LLOYD KUCZEK: Correct.

15 MR. BOB PETERS: Those Minutes don't
16 appear, and perhaps they weren't requested, but could you
17 undertake to file those Minutes with the -- with the
18 Board in these proceedings?

19 MR. LLOYD KUCZEK: We'll be able to do
20 that shortly. They're -- I believe we have a draft of
21 those Minutes, and the pl -- the hope was to get them
22 finalized at the next meeting, which is scheduled for
23 this month, I still think, so we can do that as soon as
24 we finalize the Minutes.

25 MR. BOB PETERS: All right, that would be

1 -- be appreciated.

2

3 --- UNDERTAKING NO. 16: Centra to provide a copy of
4 the Minutes of the December
5 '08 Meeting of the Low Income
6 Advisory Group

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: At Tab 45 of the book of
10 documents there are copies of the Minutes from the two
11 (2) other meetings that were held, correct?

12 MR. LLOYD KUCZEK: Correct.

13 MR. BOB PETERS: And in the Minutes that
14 lead -- that are from the June 24th, 2008, meeting, there
15 was a point under "Community Groups" where comments were
16 raised and discussed, and am I correct that concerns were
17 raised about how to address those bullets one (1) to five
18 (5) by the -- by the members of the committee?

19 MR. LLOYD KUCZEK: Although my name is on
20 the attendee list, I was only at this meeting for a short
21 period of time, but as I recall Mr. Miller circulated Mr.
22 Dunsky's report to all the participants that were going
23 to attend the meeting.

24 And then at the meeting Mr. Miller pointed
25 out some of the recommendations and concerns that Mr.

1 Dunsky had pointed out, and there was I think there was a
2 short discussion on all those points from -- as he went
3 through them.

4 MR. BOB PETERS: Are you aware of what,
5 if any, special directives or plans came out of that --
6 out of that review?

7 MR. LLOYD KUCZEK: I couldn't give you
8 specifics that came out of that, no.

9 MR. BOB PETERS: In terms of concerns
10 about contractors found on page 2 of 2 of the Minutes,
11 can I take it that Centra has done all of the work to
12 address those concerns related to contractors, that is in
13 terms of lining them up, getting the evaluations done,
14 and providing a list for qualified or eligible
15 contractors to assist on the low income programs?

16 MR. LLOYD KUCZEK: Yes, we -- we're --
17 again, we're moving in the direction of what would be the
18 ideal case, but we have a number of contractors signed
19 up, as was suggested here, when I talk about the ideal
20 case, so we would have more contractors signed up in
21 rural communities that we're currently working towards
22 achieving, but if we asked the Advisory Group, I'm sure
23 they would suggest that having a larger list would be
24 nice and would be better for the customers.

25 MR. BOB PETERS: And just as a point of

1 interest, under the enrolling participants section of the
2 Minutes, still on page 2 of 2, there was a suggestion
3 that incentives could be offered for people to sign up
4 for the low income program, including a financial
5 incentive to complete a survey, do you see that Minute?

6 MR. LLOYD KUCZEK: I do.

7 MR. BOB PETERS: Is that in fact what
8 Centra does?

9 MR. LLOYD KUCZEK: No, we -- we discussed
10 this, actually, earlier on in the program, in terms of
11 whether or not we should provide incentives for -- for
12 community groups for signing up customers.

13 What we ended up with is providing
14 incentives for -- different sort of incentives for the
15 community groups that we thought were reasonable, and the
16 incentives were all linked to actually achieving energy
17 efficiencies savings within a home.

18 So we tied it to, if you do more on the
19 weather -- weather -- air sealing, we'll pay you more,
20 and if you do more measures within a home, we'll pay you
21 more, so that's where we ended up focussing the -- the
22 incentives of the program, but, as I say, we did discuss
23 this at one (1) time, but we decided that we didn't need
24 to pursue this.

25 And what we do is we work with the

1 community groups to see how we can assist them in getting
2 more customers signed up through those groups, and those
3 things include marketing material, and if they wanted to
4 host a community meeting of some sort, we would assist
5 them there, providing them with brochures to hand out
6 within their community.

7 And -- and I know one (1) -- one (1) group
8 for sure, the Centennial Group has taken us up on that
9 and handed out brochures within certain targeted areas
10 within their community.

11 MR. BOB PETERS: All right, thank you.
12 Turning to Tab 46, there's a series of flow charts
13 provided, and perhaps we can short circuit some of this,
14 Mr. Kuczek, but can I take it, from the materials filed
15 in the Information Requests, that, in essence, the
16 proposed Dunsy individual program flowchart found on the
17 last page of Tab 46 is the one (1) that is utilized
18 currently by Centra?

19 MR. LLOYD KUCZEK: We utilize the -- the
20 one (1) that is titled "Current individual program flow,"
21 is that the one (1) you're referring to, or the Dunksy
22 one (1), which has hardly any words in it?

23 MR. BOB PETERS: Well, I tried to compare
24 the current individual program flow to the one (1) that's
25 the proposed Dunsy program flow.

1 And I suppose one can say that many of the
2 -- the points are duplicated in each, although perhaps in
3 more detail in the Centra current individual program
4 flow, is that your -- your review of it, as well?

5 MR. LLOYD KUCZEK: Yeah, I went through
6 it and tried to do the same thing you were doing because
7 I was trying to figure out whether or not we implemented
8 everything that Mr. Dunsky suggested.

9 And I -- I think Mr. Dunsky was just
10 trying to oversimplify things and didn't get into the
11 detail, whereas my staff are trying to articulate things
12 in more detail in terms of what has to be done.

13 And at the end, what I did, is I went
14 through our most current program flow and tried to assess
15 whether or not we could simplify it more, and we could,
16 but that would only be reducing the instructions within
17 the boxes.

18 But, at the end of the day, the customer
19 still has to be involved to a certain degree, and we
20 think we've got it down to pretty much a minimum degree,
21 and still having respect for the customer having some
22 area of responsibility or choice in the matter in terms
23 of who they hire and when they would get the work done
24 within their home.

25 MR. BOB PETERS: All right, thank you for

1 that clarification. You -- you mentioned, in your
2 answer, your staff. Can you indicate to the Board how
3 the Lower Income Energy Efficiency Program is staffed
4 from a -- from a human relations point of view from
5 Centra?

6 Is -- are there dedicated individuals or
7 is it part of different persons' responsibilities to
8 provide portions of the program?

9 MR. LLOYD KUCZEK: Both. We have a
10 dedicated -- dedicated group, which I could be wrong on
11 the specific number but I believe we have seven (7)
12 dedicated staff at this point to purs -- that work full-
13 time on this program and then we have other people within
14 the organization that provide support.

15 That includes the contact centre,
16 engineering. They provide support from a technical
17 perspective. Legal, if there's any legal issues and
18 there is probably some other areas within the Corporation
19 as well. But we have a dedicated department that's
20 staffed up and responsible for just this program.

21 MR. BOB PETERS: Prior to the afternoon
22 recess, Mr. Kuczek, you were talking with the Chairman
23 about the Bill Assistance Program.

24 MR. LLOYD KUCZEK: Correct.

25 MR. BOB PETERS: And the reference, I

1 believe he made, was in Order 116 of '08. It was a
2 Manitoba Hydro order. Manitoba Hydro was to propose a --
3 a low income bill assistance program to the Board and
4 that's the program you spoke about?

5 MR. LLOYD KUCZEK: Correct.

6 MR. BOB PETERS: At Tab 47 of the book of
7 documents, there is the CAC/MSOS/CENTRA-42A Attachment
8 included. This is a shorthand version of the study that
9 Centra has done relative to a Low Income Bill Assistance
10 Program?

11 MR. LLOYD KUCZEK: That's correct. It's
12 -- identifies all the areas that you could possibly
13 include in a program and also talked about what we
14 currently do and a -- in -- in short form there.

15 MR. BOB PETERS: What -- what this may
16 suggest to the Board at Tab 47 of the book of documents
17 is that in terms of a -- of a Low Income Bill Assistance
18 Program, Centra is doing everything that is possible to
19 be done, save and except for rate discounts, waivers or
20 cash subsidies?

21 MR. LLOYD KUCZEK: That's correct.

22 MR. BOB PETERS: And when you say that
23 the rate discounts, waivers and subsidies are under
24 review, what specifically is under review?

25 MR. GREG BARNLUND: Mr. Peters, what

1 we've done is we've been paying attention to the
2 proceedings going forth in Ontario right now over the
3 last year -- consult a -- consultation on energy issues
4 for low income customers in that jurisdiction and they
5 had undertaken a review of some possible scenarios in
6 terms of creation of separate rate classes for low income
7 customers and to possibly employ some criteria and rate
8 design with respect to ability to pay.

9 And we've also reflect -- are reflecting
10 on the results of their report that was issued a couple
11 of months ago which, at that point in time, the OEB has
12 determined that it's not appropriate to be designing
13 rates, LBC rates to take the ability to pay into
14 consideration.

15 And so, we've -- we've been -- I think
16 that we're of the view that is much along the same line
17 as what the OEB has concluded at this point in time.

18 MR. BOB PETERS: Is the review then
19 finished, Mr. Barnlund, or is it still ongoing?

20 MR. GREG BARNLUND: I would say that the
21 review is largely completed at this point in time.

22 MR. BOB PETERS: And so all that's left is
23 there will be a report issued or provided to the Board at
24 some point in time on the Hydro side?

25 MR. GREG BARNLUND: I believe that the

1 directive states that there's a report that's to be filed
2 with the Board shortly, yes.

3 MR. BOB PETERS: In terms of the Low
4 Income Bill Assistance Program, am I correct that the
5 funding presently in effect on the Centra side is the
6 Neighbours Helping Neighbours program?

7 MR. LLOYD KUCZEK: That's my
8 understanding, yes.

9 MR. BOB PETERS: And is it correct that
10 there's approximately thirty thousand dollars (\$30,000)
11 put in by ratepayers or third parties to this fund?

12

13 (BRIEF PAUSE)

14

15 MR. LLOYD KUCZEK: That's correct.

16 MR. BOB PETERS: And then Centra also
17 pays into this fund or Manitoba Hydro does to the extent
18 of a hundred and forty-three thousand dollars (\$143,000)?

19 MR. LLOYD KUCZEK: Our -- our costs are
20 primarily -- go towards paying for the administration of
21 the program.

22 MR. BOB PETERS: Did I have the dollar
23 amount correct, a hundred and forty-three thousand
24 (143,000)?

25 MR. LLOYD KUCZEK: Correct.

1 MR. BOB PETERS: Is that the Centra side,
2 the Hydro side, or both?

3 MR. LLOYD KUCZEK: Both.

4 MR. BOB PETERS: Can you tell the Board
5 whether all of the requests for assistance under the
6 Neighbours Helping Neighbour Program are being met, or
7 whether some go unanswered, or unfunded?

8 MR. LLOYD KUCZEK: All the -- all the
9 customers that qualify are dealt with, so there isn't --
10 there isn't an issue of shortage of money at this point.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: There's one (1) issue
15 that was raised, I think, in the -- in the Application,
16 and Mr. Barnlund, that was approval for what is now
17 Interim Order-102 of '08 dealing with service
18 disconnection and reconnection policies and procedures?

19 MR. GREG BARNLUND: Yes, that's correct.

20 MR. BOB PETERS: And in that response --
21 or in response to that, there was an Information Request
22 that's not in the book of documents, I think it's
23 PUB/CENTRA-80.

24 It appears that the gas disconnections
25 went from approximately five thousand (5,000) down to a

1 hundred and seventy-seven (177) in the space of one (1)
2 year. Is that also correct?

3 MR. GREG BARNLUND: If you could just
4 give us a moment, sir.

5

6 (BRIEF PAUSE)

7

8 MR. LLOYD KUCZEK: Could you repeat the
9 number that you have?

10 MR. BOB PETERS: Yes, I was looking at
11 PUB/CENTRA-80, eight (8) zero (0), and on the gas side in
12 -- in residential customers in 2007 there was forty-eight
13 hundred and sixty-three (4,863) disconnections.

14 MR. LLOYD KUCZEK: Correct.

15 MR. BOB PETERS: And it dropped to a
16 hundred and seventy-seven (177) in 2008.

17 MR. LLOYD KUCZEK: Correct.

18 MR. BOB PETERS: And is it correct to
19 attribute that dramatic drop due to the revised service
20 disconnection and reconnection policies?

21 MR. LLOYD KUCZEK: Correct.

22 MR. BOB PETERS: What is it in specific
23 that has lead to such a decline?

24 MR. LLOYD KUCZEK: Well, it's my
25 understanding, and -- and I'm not the expert in this, but

1 it's my understanding that we now have the ability to
2 look at the customer from the combined perspective, and
3 so we have the option of disconnecting on the electric
4 side.

5 And so you can see in the -- the response
6 there that the number of disconnects on the electric side
7 have gone up -- or I guess we haven't provided that, but
8 there -- it wasn't applicable before, but we disconnect
9 them on the electric side as opposed to the gas side now.

10 MR. BOB PETERS: Or do you use the load
11 limiting technology on the electric side rather than
12 fully disconnect them?

13 MR. LLOYD KUCZEK: During -- during the
14 summer we -- we use the disconnect, and in the winter we
15 use the load limiting.

16 MR. BOB PETERS: Mr. Barnlund or Mr.
17 Kuczek, have there been any negative repercussions with
18 respect to the revised service disconnection and
19 reconnection policies and procedures?

20 MR. LLOYD KUCZEK: No. Actually, I did
21 talk to our credit and collections people about this
22 prior to the Hearing, and I asked them how things were
23 going.

24 And they said overall positive from their
25 perspective, as well as the customers, because now

1 instead of being pressured to dis -- or make arrangements
2 within a short period of time during the summer, they can
3 now be more -- they can make payment arrangements with
4 the customer that extend into the winter, and it's a
5 longer period of time.

6 And the customers are able to accommodate
7 those payment arrangements easier because it's over a
8 longer period of time, whereas before they -- a number of
9 them possibly knew that they could just make it to
10 October, or whenever that payment period ended, which was
11 September 30th, I guess, and they would have their gas
12 service back, but now they're exposed to consequences on
13 the electric side year round.

14 MR. BOB PETERS: Mr. Barnlund, when you
15 were asking the Board in your direct evidence for
16 approval of Interim Orders, I didn't check the transcript
17 but I also didn't hear you ask for approval of Interim
18 Order-101 of '07, which I think was a GRA Order that gave
19 interim approval for primary gas rates. Is that on your
20 list, sir? Is Order 10107 on the -- on the list?

21 MR. GREG BARNLUND: Let me check.

22

23 (BRIEF PAUSE)

24

25 MR. BOB PETERS: Mr. Barnlund, I can

1 probably short circuit this. AT PUB/CENTRA Number 4,
2 that same question, I think, was asked and I was somewhat
3 surprised. It wasn't mentioned in -- in your direct
4 evidence and I'm just wondering if that was oversight or
5 whether something has changed to result in that not being
6 put forward for final approval.

7 MR. GREG BARNLUND: I recall an
8 Information Request on that but I'd have to check and
9 just confirm that we are seeking an interim -- a final
10 approval of an interim order.

11 MR. BOB PETERS: All right. And it was
12 PUB/CENTRA-4 if you can check it and get back to us
13 through your counsel.

14

15 --- UNDERTAKING NO. 17: Centra to confirm they are
16 seeking a final approval of
17 Interim Order-101 of '07.

18

19 CONTINUED BY MR. BOB PETERS:

20 MR. BOB PETERS: On the topic of fuel
21 switching, Mr. Warden, would I be correct in saying that
22 Centra has no policy to promote fuel switching?

23 MR. VINCE WARDEN: That's correct, yes.

24 MR. BOB PETERS: And Centra will provide
25 customers with information but in terms of the fuel

1 choice, that is left entirely to the customer?

2 MR. VINCE WARDEN: It is.

3 MR. BOB PETERS: Can you tell the Board,
4 Mr. Warden, what fuel use for space heating would result
5 in the higher net income for Manitoba Hydro? Would it be
6 gas or electric -- electricity?

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: Well, to the extent
11 that we can export those kilowatt hours that are saved by
12 heating with gas rather than electricity, the net income
13 of Manitoba Hydro would be increased.

14 MR. BOB PETERS: And yet, even with that
15 financial and economic reality, Manitoba Hydro and Centra
16 Gas don't have a -- a fuel switching policy?

17 MR. VINCE WARDEN: No, because the
18 objective is not necessarily to maximize net income. We
19 take advantages of opportunities to do so but in terms of
20 providing customers with -- with options, we -- we
21 believe it's more important to provide customers with the
22 information that they can make informed decisions.

23 MR. BOB PETERS: Would it also be correct
24 that the more gas there is used in Manitoba that
25 displaces electricity -- then that would also reduce

1 globally greenhouse gas?

2 MR. LLOYD KUCZEK: Maybe I'll answer
3 that. That depends. It depends on what the policies
4 are, decisions of parties outside of Manitoba make going
5 forward -- that would be true under the current
6 environment in the short term. But in the long-term in
7 theory, you could have policies in place that limit the
8 amount of greenhouse gas emissions in those regions.

9 So, if we had possibly reduced exports,
10 they may have to install alternative measures to make up
11 for the green energy that they were buying from us. So,
12 from that perspective, if -- or in that scenario, global
13 emissions -- or global emissions would not go down. They
14 would actually go up because the emissions in Manitoba
15 would go up and global -- or in the regions outside of
16 Manitoba, they would actually stay flat.

17 So, it depends on the future scenario and
18 so... I don't know if that explains it but we don't know
19 for certain in the future and -- and in the short term,
20 it would reduce global emissions.

21 MR. BOB PETERS: In the short term, it
22 would reduce global emissions because the electricity
23 would be exported, and would at least notionally replace
24 perhaps coal, or other natural gas generation.

25 MR. LLOYD KUCZEK: Yes, under -- under

1 today's scenario or existing policies, and -- and a
2 generation that exists in our markets, that's true.

3 MR. BOB PETERS: Is it then your
4 expectation, Mr. Kuczek, that the exporting of
5 electricity replaces coal, or -- or does it replace
6 natural gas generation, or does it replace both?

7 MR. LLOYD KUCZEK: It -- it replaces a
8 mix of generation resources.

9 MR. BOB PETERS: It would displace
10 whatever would be on the shoulder, or on the -- on the
11 margin in the -- in the jurisdiction into which you
12 export it?

13 MR. LLOYD KUCZEK: In the -- in the
14 short-term. In -- in the -- in the long-term you would
15 have to look at what you're displacing that would have
16 been constructed possibly had you not made a long-term
17 sale.

18 MR. BOB PETERS: I'm just not quite
19 keeping up with you on the long-term perspective. You're
20 suggesting that in the future Manitoba Hydro's
21 electricity may not be displacing coal or natural gas.
22 It may in fact be displacing other green energy. Is that
23 the long-term assumption?

24 MR. LLOYD KUCZEK: No, not -- not
25 necessarily. In -- in the -- in -- if you're making a

1 long-term -- well, if you're making a long-term sale, and
2 the customer has a choice in your market of doing
3 something else, theoretically they could be installing
4 something that produced greenhouse gas emissions, or did
5 not produce greenhouse gas emissions.

6 In the short-term market, you're always
7 displacing something that exists, so the short-term sales
8 of electricity will be displacing something at the
9 margin.

10 MR. BOB PETERS: At Tab 48 of the book of
11 documents, some math was done in response to PUB/CENTRA-
12 189, and page 3 of 5 is included in the tab.

13 And is it correct for the Board to
14 interpret this, Mr. Kuczek, that by 2013 and '14 new
15 houses using gas hot water tanks instead of electric hot
16 water tanks would reduce CO emissions globally by twenty-
17 four thousand (24,000) tonnes per year?

18 MR. LLOYD KUCZEK: Yes, and I use -- I
19 think the word "potential" cumulative net GHG emission
20 impact is how we characterized it. This --

21 MR. BOB PETERS: That lead to my next
22 question, is why -- why qualified by potential?

23 MR. LLOYD KUCZEK: Well, potential only
24 for the reasons that I say, and I don't expect policy
25 decisions to be made tomorrow, but we don't really know

1 what kind of policy decisions might be made into the
2 future.

3 And there's also delays in terms of when
4 new generation could be constructed, so it's all based on
5 the information I provided you with earlier.

6 But this would be the -- the global
7 reductions under today's scenario.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: Mr. Warden, Mr. Kuczek
12 in his second last answer suggested that the energy that
13 would be available from consumers using more gas for
14 space heat relative to electricity would free up
15 electricity to be exported as green power.

16 MR. VINCE WARDEN: Correct.

17 MR. BOB PETERS: And Manitoba Hydro
18 considers its energy to be clean energy, is that correct?

19 MR. VINCE WARDEN: We do.

20 MR. BOB PETERS: And that's because it's
21 low in green house gas emissions?

22 MR. VINCE WARDEN: Yes.

23 MR. BOB PETERS: And certainly it's lower
24 than coal?

25 MR. VINCE WARDEN: It is.

1 MR. BOB PETERS: Am I correct, however,
2 that in some circles Manitoba Hydro's energy is
3 considered dirty energy?

4 MR. VINCE WARDEN: We -- we do have
5 issues or we have been accused in the past of producing
6 dirty energy but I don't think that's taken too seriously
7 by people that have all the information at their
8 disposal.

9 MR. BOB PETERS: All right. And you are
10 getting to where I was going, is that, even if Manitoba
11 Hydro had additional energy to export you are not
12 encountering market resistance for such exports?

13 MR. VINCE WARDEN: No.

14 MR. BOB PETERS: Do you have an
15 understanding, sir, as to why some consider Manitoba
16 Hydro to be dirty energy?

17 MR. VINCE WARDEN: Well, there is no
18 doubt that the construction of hydroelectric generating
19 stations in northern Manitoba in the '60s and '70s
20 resulted in a lot of flooding and displacement of certain
21 communities.

22 We've been able to resolve most of those
23 concerns through negotiation over the intervening years,
24 but we do have one (1) -- in particular, one (1)
25 outstanding community for which we have not been able to

1 reach a settlement. So that community is the most vocal
2 in terms of referring to Manitoba Hydro's energy as
3 "dirty energy."

4 MR. BOB PETERS: What, if anything, is
5 Manitoba Hydro doing to try to get its point of view
6 across?

7 MR. VINCE WARDEN: Well, we have been
8 certainly in consultations with that community for many,
9 many years, been attempting to resolve the differences.
10 We have not been successful to date. There were, as a
11 result of the northern flooding, there were five (5),
12 primarily five (5) northern Indian communities or -- or
13 aboriginal communities that were primarily affected.

14 We've been able to reach comprehensive
15 settlements with four (4) of the five (5) communities,
16 but there is one (1) yet outstanding.

17 MR. BOB PETERS: Perhaps as you answered
18 me previously, you can confirm to the Board that -- that
19 there has been no financial impact to Manitoba Hydro as a
20 result of the allegations of the electricity being dirty
21 energy?

22 MR. VINCE WARDEN: Well, I -- there has
23 certainly been a financial impact in terms of Manitoba
24 Hydro incurring costs to defend ourselves in -- with some
25 of those allegations.

1 There hasn't been a cost in terms of
2 impact on extra-provincial sales though. We -- it has
3 not been an impediment in terms of reaching an agreement
4 with counterparties in our export markets.

5 MR. BOB PETERS: And you acknowledged to
6 me earlier that Manitoba Hydro is financially better off
7 if more consumers would use gas for space it and free up
8 electrons for export.

9 MR. VINCE WARDEN: Well, the consumers,
10 electricity consumers of Manitoba are better off.
11 Manitoba Hydro is not looking to profit, necessarily, for
12 the benefit of the Corporation, it's for the benefit of
13 consumers.

14 So the savings that are derived by export
15 sales are -- are passed on to consumers through lower
16 rates.

17 MR. BOB PETERS: But Manitoba Hydro was
18 also able to command a greater net export revenue by --
19 greater revenues by exporting rather than domestic
20 consumption?

21 MR. VINCE WARDEN: Well, it depends what
22 class of customer we're referring to, but as a general
23 statement, that's correct, yes.

24 MR. BOB PETERS: And if that statement is
25 generally correct, then would it also not follow that

1 Manitoba Hydro will expect its exports at some point to
2 command a premium if and when there's a carbon tax or
3 equivalent levy in the United States?

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: And does the Corporation
6 have any expected deadline date for -- for the imposition
7 of such carbon legislation?

8 MR. VINCE WARDEN: No.

9 MR. BOB PETERS: You can confirm to the
10 Board that the jurisdiction into which you export your
11 electricity is -- is known at the MISO region, and that's
12 predominantly a coal fired base energy jurisdiction?

13 MR. VINCE WARDEN: Yes, I can confirm
14 that. Not exclusively into the MISO Region. We also
15 sell export into provinces to the east and west.

16 MR. BOB PETERS: I'd like to conclude my
17 questions of this panel, Mr. Chairman, by looking at, I
18 think, document number 49 in the book of documents. It's
19 the typical home heating and water heating costs
20 schedule.

21 And in this schedule, I just want to make
22 sure we've got the -- the most current. This one (1) has
23 been updated to include May 1st, 2009 rates?

24 MR. LLOYD KUCZEK: Correct.

25 MR. BOB PETERS: Is it correct that on

1 the top half you're showing space heating by way of
2 different heat -- different heat sources?

3 MR. LLOYD KUCZEK: Correct.

4 MR. BOB PETERS: And it appears that
5 compared to electric space heating, natural gas is more
6 economical for the typical homeowner if they have a high
7 efficiency or a mid efficiency furnace?

8 MR. LLOYD KUCZEK: Correct.

9 MR. BOB PETERS: And the conventional
10 furnace that we see shown in the bar chart, that
11 conventional furnace is the one that will no longer be
12 commercially available -- is no longer commercially
13 available as we sit here today?

14 MR. LLOYD KUCZEK: Correct.

15 MR. BOB PETERS: At least not in
16 Manitoba?

17 MR. LLOYD KUCZEK: It shouldn't be
18 available in Canada.

19 MR. BOB PETERS: All right. And the mid
20 efficiency, you're expecting that come January 1 of 2010,
21 that mid efficiency will no longer be a new option for
22 consumers?

23 MR. LLOYD KUCZEK: That's correct.

24 MR. BOB PETERS: Would you accept,
25 subject to check, that if electricity costs are held

1 constant, gas would have to go up from the current
2 thirty-seven (37) cents a cubic metre, up to forty-eight
3 (48) cents a cubic metre to achieve an equilibrium
4 between electric and gas heat?

5 MR. LLOYD KUCZEK: That's -- that's true,
6 provided you still have the -- the basic monthly charge
7 that you would have to pay for.

8 MR. GREG BARNLUND: Excuse me, Mr.
9 Peters. To be clear, that -- there was an IR that was
10 answered on this, PUB/CENTRA-189, and it was -- I think
11 you're asking about the price per -- of primary gas per
12 cubic metre. Is that correct?

13 MR. BOB PETERS: Yes, I was.

14 MR. GREG BARNLUND: Okay. Yeah, and that
15 is in that response, forty-eight (48) cents per cubic
16 metre.

17 MR. BOB PETERS: Is the panel aware that,
18 in Ontario, there is legislation under the Green Energy
19 Act requiring energy audits by vendors of residential
20 properties?

21 MR. LLOYD KUCZEK: No, I'm not aware of
22 that.

23 MR. BOB PETERS: Are you aware of any
24 movement in Manitoba to require vendors of residential
25 homes to have audits performed on their -- energy audits

1 performed on their residence prior to sale?

2 MR. LLOYD KUCZEK: No.

3 MR. BOB PETERS: Does Centra consider
4 there may be some benefit to such audits?

5 MR. LLOYD KUCZEK: One would have to do a
6 benefit cost ratio. These audits cost around four
7 hundred dollars (\$400) so I -- I don't know if the
8 benefits would outweigh the costs.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: Mr. Chairman, on
13 reflection, that doesn't complete my questioning. I was
14 thinking -- there were a few questions held over from --
15 from the Cost of Gas Panel that were directed at this
16 panel and I should take this opportunity just to complete
17 those, if I might.

18 Mr. Kuczek, your name was mentioned
19 repeatedly to that -- by that first panel whenever they
20 got into trouble in answering questions so at -- at Tab
21 63 of the book of documents, there was comparison of --
22 of a broker-supplied and primary-gas-supplied customers
23 on PUB/CENTRA-17(a) attachment, page 1 of 6. It's a
24 landscaped table. Tab 63 of the book of documents, sir.

25 MR. LLOYD KUCZEK: Okay.

1 MR. BOB PETERS: On line 14 and 15, 15
2 specifically, the number of -- of SGS residential
3 customers that are on direct purchase is shown at
4 approximately forty-two thousand (42,000) per year in the
5 test years and the -- and the year that's just concluded,
6 correct?

7 MR. LLOYD KUCZEK: Correct.

8 MR. BOB PETERS: And if a -- if we're
9 correct, at the last GRA, the forecast was more like
10 sixty-two thousand (62,000) residential homes would sign
11 up for direct purchase. Do you recall that being
12 correct?

13 MR. LLOYD KUCZEK: I recall that at one
14 time what we did in our forecast is we extrapolated the
15 trend that was happening and then subsequent to that, we
16 decided that we really don't know where the market's
17 going in terms of how many customers are going to sign up
18 with marketers. So what we've decided to do going
19 forward is just to -- whatever the participation was that
20 -- that we currently know, and we would just extrapolate
21 that into the future.

22 MR. BOB PETERS: Oh, I see. So you just
23 kept the same trend line. You haven't tried to read into
24 it -- okay. And that explains the change in
25 methodologies then?

1 MR. LLOYD KUCZEK: Correct.

2 MR. BOB PETERS: All right, thank you.

3 The first panel was correct, you did know the answer.

4 In terms of the -- the impact of the
5 landscape order, Mr. Kuczek, there was some discussion as
6 to this Board's Order-109 of '08 and the new code of
7 conduct and the various provisions, and we're wondering
8 whether or not there were any specific fallouts from that
9 Order that were problematic that you're aware of, either
10 to the Corporation or -- or from any of the direct
11 purchase suppliers?

12 MR. LLOYD KUCZEK: None that I'm aware
13 of.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: Mr. Kuczek, on Centra's
18 fixed price offerings, Tab 63 still, it shows on that
19 same chart that we had out, of PUB/CENTRA-17(a)
20 Attachment, on lines 10, 11, and 12, those represent the
21 forecast customers for Centra's fixed price offerings in
22 the test years?

23 MR. LLOYD KUCZEK: Correct.

24 MR. BOB PETERS: Are those all
25 incrementally new customers, or is that going to include

1 the customers from '08/'09?

2

3 (BRIEF PAUSE)

4

5 MR. LLOYD KUCZEK: They just started in
6 this current year, though, with flows in May 1st, so this
7 reflects that pilot as well as I believe we included what
8 we were forecasting to happen going forward.

9 MR. BOB PETERS: All right. In terms of
10 forecasting, I think we see from the book of documents,
11 Tab 64, it's a copy of PUB/CENTRA-101, you have forty-two
12 (42) contracts accepted on the one (1) year gas supply,
13 correct?

14 MR. LLOYD KUCZEK: Correct.

15 MR. BOB PETERS: And that one (1) year
16 gas supply, that includes residential as well as
17 commercial?

18 MR. LLOYD KUCZEK: And -- and LGS, as
19 well?

20 MR. BOB PETERS: Yes. LGS commercial?

21 MR. LLOYD KUCZEK: Yes.

22 MR. BOB PETERS: Yeah. And this suggests
23 that there will be more offerings in the test years?
24 Would that be fair to say?

25 MR. LLOYD KUCZEK: That's our plan.

1 MR. BOB PETERS: And when will Centra be
2 going to the market with the next opportunity for
3 consumers to sign up for Centra's fixed price offerings?

4 MR. LLOYD KUCZEK: We're hoping to offer
5 something this -- after the vacation season.

6 MR. BOB PETERS: I'm not sure what the
7 vacation season is at Centra, but does that mean after
8 the summer, or is it after this weekend?

9 MR. LLOYD KUCZEK: Well, for me it's
10 usually only a one (1) week period, but --

11 MR. BOB PETERS: Was that answer supposed
12 to mean it's going to be in the fall of '09 that'll be
13 the next tranche?

14 MR. LLOYD KUCZEK: Likely earlier.
15 Possibly August, but I can't say for sure. We -- we have
16 to work out a few things, but we're planning to go to the
17 market as soon as we passed the vacation season, which is
18 generally the July 1st, part of August, and -- and so
19 that when we're out there the customers are focussing on
20 other things besides vacations.

21 MR. BOB PETERS: This last one (1) was a
22 fixed price offering. While you flowed gas on May the
23 1st, you had an offering out in the market in February,
24 February 9th of '09.

25 MR. LLOYD KUCZEK: Correct.

1 MR. BOB PETERS: What's taken so long for
2 the next offering?

3 MR. LLOYD KUCZEK: Well, probably the
4 biggest thing that we -- we have to figure out is how
5 we're going to deal with situations where customers don't
6 subscribe to all the volumes that we hedge forward, and
7 we have to come up with a plan to deal with that and get
8 approvals for that, and then move forward.

9 MR. BOB PETERS: We did hear from the
10 other panel that the -- the one (1) year contract was
11 fully subscribed and the three (3) and five (5) year
12 fixed price offerings were under subscribed, is that
13 correct?

14 MR. LLOYD KUCZEK: Correct.

15 MR. BOB PETERS: One (1) of the
16 suggestions by the -- the Gas Panel was that -- I think
17 Mr. Warden heard most of that or maybe contributed to
18 that discussion, was that you might roll the fixed price
19 positions you presently have into the next offering.

20 MR. LLOYD KUCZEK: That's one (1) of the
21 considerations, yes.

22 MR. BOB PETERS: Can you indicate what
23 other considerations are -- are being thought of in terms
24 of this program?

25 MR. LLOYD KUCZEK: Well, the one (1) that

1 I don't like is we just write it off and you move forward
2 and you come up with new hedges going forward, but that
3 doesn't make sense in my mind, but that -- that would be
4 the other extreme.

5 MR. BOB PETERS: When do you expect to
6 resolve that issue?

7 MR. LLOYD KUCZEK: Right after this
8 hearing.

9 MR. BOB PETERS: Okay. Right after the
10 vacation period. Is the number of customers still
11 forecast to be accurate, that is fourteen hundred and
12 forty-four (1,444) is still forecast for the first test
13 year and twenty-six hundred and seventy-four (2,674) for
14 the second test year?

15 MR. LLOYD KUCZEK: Well, that was our
16 estimate when we looked at the -- when we put our
17 proposal together last year. I've asked my staff to
18 rethink those numbers, given what they know that's going
19 on in the marketplace today and come up with a new
20 forecast, but -- so what we included in -- in here was
21 what we had included, I believe, in our report last year.

22 MR. BOB PETERS: Mr. Kuczek, is it
23 correct that the brokers in the marketplace have dropped
24 their four (4) and five (5) year prices to match
25 Centra's?

1 MR. LLOYD KUCZEK: Well, one (1) broker
2 actually is no longer offering any products in Manitoba,
3 and the other customer -- or broker has dropped its
4 price. We don't know if that's because of our product
5 offering or because prices have fallen.

6 MR. BOB PETERS: But you do know it's now
7 equal to Centra's price?

8 MR. LLOYD KUCZEK: It's just slightly
9 higher, but pretty close.

10 MR. BOB PETERS: Last question to Mr.
11 Barnlund. We discussed with the prior panel the
12 interruptible customer curtailments, and one (1) of the
13 suggestions is that thirteen (13) customers didn't obey
14 the request by Centra to -- to interrupt their supply; do
15 you recall that?

16 MR. GREG BARNLUND: Yes, I do.

17 MR. BOB PETERS: You weren't close enough
18 to the microphone, but as a result of that, Centra is now
19 asking this Board to approve a change in the terms and
20 conditions of service such that interruptible customers
21 have to demonstrate an operational alternative fuel
22 source?

23 MR. GREG BARNLUND: Well, I think to be
24 clear, we had been planning on making those changes
25 regardless. The existing terms and conditions I think

1 were becoming relatively obsolete with respect to some of
2 those provisions for interruptible customers, and so we
3 had begun planning, making changes to be incorporated in
4 this application some time ago.

5 MR. BOB PETERS: And this thirteen (13)
6 customers being noncompliant was the straw that broke the
7 camel's back?

8 MR. GREG BARNLUND: Well, I'd say that it
9 happened -- obviously, we had -- we were -- we were
10 drafting our application through the early part of the
11 winter. I believe that the curtailment occurred later in
12 January, and the circumstances, as they were, there were
13 a number of customers that failed to curtail when
14 requested to do so.

15 So it's coincidental, but, as I say, we
16 had been intending to upgrade our terms and conditions
17 with respect to interruptible service for some time, and
18 actually had been working on that for a number of months
19 prior to this winter heating season.

20 MR. BOB PETERS: I think the Board was
21 told by the first panel that -- I better be careful here
22 but in Mr. Stephens' memory he can't recall not being
23 able to provide alternate service to interrupted
24 customers for many, many years, if at all.

25 MR. GREG BARNLUND: Well, I think it --

1 it would even go back to probably 1997. January 1997 was
 2 the last time where we had a full systemwide curtailment,
 3 which involved not just interruptible sales customers,
 4 but interruptible transportation service customers, as
 5 well, due to some circumstances that we were experiencing
 6 at that time.

7 MR. BOB PETERS: Why can't the customer
 8 choose to just shut down their plant if there's no
 9 alternate service available? Why do they have to have a
 10 backup fuel source?

11 MR. GREG BARNLUND: Well, for most part,
 12 I think, you know, when we look at the interruptible
 13 customer base that we're serving, most of these
 14 customers, all except for a small number of seasonal
 15 asphalt drying or asphalt accounts, these are occupied
 16 buildings. I mean, these are hospitals. These are
 17 manufacturing plants.

18 And so if we need to curtail those
 19 customers and if we need to have them stop using gas
 20 within two (2) hours and if they do not have sufficient
 21 backup resources available to -- to provide the energy
 22 they need to keep their occupied building warm, then
 23 there's a -- you know, it's a -- it would be a very, very
 24 difficult situation for those customers.

25 So we are simply requesting that they take

1 the steps to ensure that they install, maintain,
2 adequately staff and supply an alternate supply -- or an
3 alternate energy form if they want to remain on
4 interruptible service.

5 MR. BOB PETERS: And the option if they
6 don't want to have a backup fuel source is to then be a
7 firm customer?

8 MR. GREG BARNLUND: Essentially so,
9 although I think that some consideration will be made to
10 an asphalt account that is simply running in the summer
11 season and may, you know, not be as susceptible to a -- a
12 full curtailment as maybe a winter heating customer would
13 be.

14 Those customers, if we had to curtail
15 them, obviously could shut down their operations and
16 there wouldn't be any harm or any damage to property or
17 to persons as a result of not having energy available for
18 a period of time.

19 MR. BOB PETERS: It's still not clear as
20 to why you think you have to protect these customers from
21 themselves.

22 MR. GREG BARNLUND: Well, I think that it
23 may be a matter as much that we're protecting ourselves,
24 as well, contractually in that if we do need to terminate
25 supply to a customer on two (2) hours notice and if they

1 don't have adequate facilities available to be able to
2 heat their buildings, obviously damages could occur and
3 we would eventually, I'm sure, have to contend with the
4 repercussions from that particular situation.

5 MR. BOB PETERS: Last point is that in
6 addition to the requirement for a demonstratable
7 (phonetic) or demonstrable alternate fuel backup supply,
8 you want to increase the -- the penalties, as well?

9 MR. GREG BARNLUND: We'd like to change
10 the structure of those charges in that previously the
11 penalty charge or unauthorized overrun charge was put in
12 place in 1997 when commodity prices were far lower than
13 they are today and alternate fuel prices were far lower
14 than they are today.

15 And so we're looking to restructure our
16 unauthorized overrun charges to be more reflective of the
17 current circumstances this time.

18 MR. BOB PETERS: Mr. Chairman, with that
19 answer, I will thank the panel of Mr. Warden, Derksen,
20 Barnlund, Kuczek and, in absence, Petursson, for their --
21 for their answers to my questions. Those are all I have.

22 MR. GREG BARNLUND: Mr. Peters, if I
23 could, I've got the answer to your question about 101 of
24 '07.

25 MR. BOB PETERS: Permission has been

1 granted.

2 MR. GREG BARNLUND: Thank you, thank you.
3 We had noted that order in Tab 12 but we neglected to
4 include that in our letter of application. But indeed,
5 we do seek approval of the interim rate -- or the interim
6 order 101 of '07.

7 MR. BOB PETERS: And, Mr. Chairman, the
8 cost -- I suggest that this is certainly the appropriate
9 time to adjourn for the day. Ms. Murphy will have a
10 couple of questions of direct to probably most of the
11 same panel members tomorrow and I will have approximately
12 one (1) hour of questions on cost allocation and rate
13 design to be followed by my friend opposite on demand
14 side management, I believe, primarily.

15 And subject to Mr. Boyd's questions, that
16 will complete the evidentiary portion of the hearing
17 tomorrow.

18 THE CHAIRPERSON: Very good. Thank you.
19 We'll see you all tomorrow.

20

21 (CENTRA PANEL RETIRES)

22

23 --- Upon adjourning at 4:05 p.m.

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Certified correct,

Cheryl Lavigne, Ms.