

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

RE:

CENTRA GAS MANITOBA INC.
2009/10 TO 2010/11
GENERAL RATE APPLICATION

Before Board Panel:

Graham Lane - Board Chairman
Monica Girouard - Board Member
Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
June 4, 2009

Pages 543 to 729

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

Bob Peters) Board Counsel
Marla Murphy) Centra Gas
Brent Czarnecki)
Kris Saxberg) CAC/MSOS
Rick Forster	(np)) Direct Energy
Nola Ruzycki	(np)) ESMLP
Dave Hill	(np)) Koch Fertilizer Canada
Sandy Boyd) Communications, Energy &) Paperworkers Union

1	TABLE OF CONTENTS	
2		Page No.
3	Exhibit List	546
4	Undertakings	547
5		
6	CENTRA'S REVENUE REQUIREMENT, DSM, COST ALLOCATION,	
7	AND RATE DESIGN PANEL RESUMED:	
8	VINCE WARDEN	
9	WILLY DERKSEN	
10	GREGORY BARNLUND	
11	DAVID PETURRSON	
12	LLOYD KUCZEK	
13		
14	Continued Cross-examination by Mr. Bob Peters	549
15		
16	Certificate of Transcript	729
17		
18		
19		
20		
21		
22		
23		
24		
25		

	LIST OF EXHIBIT		
	Exhibit No.	Description	Page No.
1			
2			
3	PUB-12	Board Advisor Analysis 1	631
4	PUB-13	Board Advisor Analysis 2	636
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

	UNDERTAKINGS		
	No.	Description	Page No.
1			
2			
3	3	Centra to indicate the relative	
4		proportion now, as between meter reading	
5		internally, compared to externally, by	
6		Manitoba Hydro Utility Services	581
7	4	Centra to provide a breakdown and update	
8		of the \$23 million office building	
9		expenditures	596
10	5	Centra to indicate why there is an	
11		addition of \$12 million to the annual	
12		furniture budget	601
13	6	Centra to file its business case with the	
14		Public Utilities Board	627
15	7	Centra to reconcile the number for	
16		increase in long term debt, found in	
17		PUB/CENTRA-47C, with the number found	
18		in the IFF, at Tab 24 of the book of	
19		documents	640
20	8	Centra to update the financial ratios	
21		on the document found at page 4 of 12,	
22		Tab 25 of the book of documents,	
23		PUB/CENTRA-148C	695
24			
25			

1 --- Upon commencing at 9:02 a.m.

2

3 THE CHAIRPERSON: Okay, good morning
4 everyone. We'll start off with Mr. Peters, who has an
5 additional introduction to make.

6 MR. BOB PETERS: Yes, thank you. Good
7 morning, Mr. Chairman, Ladies and Gentlemen. I'm pleased
8 to introduce to those present, Mr. Ken Highmoor, who's
9 joined me at the table this morning. Mr. Highmoor is
10 with ECI, and according to my planned schedule timeline I
11 had asked him to be present to assist me with some of my
12 questions that I will hopefully have for Mr. Petursson.

13 I may not be quite as advanced as I had
14 hoped at this point, but we'll get to them, I expect,
15 today. So, I welcome him here and I'm ready to proceed.

16 THE CHAIRPERSON: Ms. Murphy, do you have
17 anything, or...?

18 MS. MARLA MURPHY: No, sir, we don't.

19 THE CHAIRPERSON: Okay, on to Mr. Peters.

20

21 CENTRA'S REVENUE REQUIREMENT, DSM, COST ALLOCATION AND
22 RATE DESIGN PANEL RESUMED:

23 VINCE WARDEN, Resumed

24 WILLY DERKSEN, Resumed

25 GREG BARNLUND, Resumed

1 DAVID PETURRSON, Resumed

2 LLOYD KUCZEK, Resumed

3

4 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

5 MR. BOB PETERS: Thank you again, Mr.
6 Chairman, Board members, ladies and gentlemen.

7 Mr. Derksen, if you thought we were
8 finished discussing IFRS at the close of business
9 yesterday, you would be mistaken. What you did tell the
10 Board from Tab 9 of the board of doc -- book of documents
11 is that Centra is approximately in Phase 2, Step 2 of a
12 four (4) step program to reach a conclusion on IFRS and
13 its impacts on the Gas Utility.

14 Am I correct?

15 MR. WILLY DERKSEN: I believe I said we
16 were in a Phase 2 to 3. It's -- there's not a sharp
17 demarcation point between those two (2), but we are still
18 working on the assessment of what the impacts will be.

19 MR. BOB PETERS: And while you're on the
20 continuum between Step 2 and Step 3, there still is an
21 expectation that the end product -- a report on IFRS --
22 will be delivered in approximately January of 2010.

23 MR. WILLY DERKSEN: Yes, sir.

24 MR. BOB PETERS: And when you say, Step
25 4's implementation, I believe we've agreed that the

1 implementation needs to be for Centra's fiscal year of
2 2011/'12, that is ending March 31 of 2012, where it must
3 be implemented, but at that time you also want to have a
4 restatement of the prior year's results.

5 MR. WILLY DERKSEN: Yes, and that means
6 that we really have to have it implemented for April 1st,
7 2010 so that we can do that restatement properly.

8 MR. BOB PETERS: And even though you'll
9 have your systems in place a year before you have to have
10 your actual implementation, you want it in place a year
11 in advance to allow you to track the necessarily --
12 necessary matters to -- to report, according to IFRS.

13 MR. WILLY DERKSEN: Yes, that's correct.

14 MR. BOB PETERS: But even though you'll
15 have your systems in place a year before the mandatory
16 date, you will reporting -- you will still report
17 according to Canadian GAAP at least for that fiscal year
18 as well.

19 MR. WILLY DERKSEN: Yes, for 2010/'11 we
20 will be reporting according to Canadian GAAP.

21 MR. BOB PETERS: And I take it, Mr.
22 Derksen, that this preparation, this research, this
23 retention of consultants, it all costs money.

24 MR. WILLY DERKSEN: It certainly does.

25 MR. BOB PETERS: And are you in a position

1 to be able to tell the Board what costs Centra has
2 incurred to investigate and transition towards
3 implementation of IFRS from an internal perspective?

4 MR. WILLY DERKSEN: What Manitoba Hydro
5 has done is it's dedicated several staff members to
6 working on this project. As well, as -- as we've talked
7 about, we do have consultants assisting us in that
8 process.

9 I don't have an exact number for internal
10 costs, but I would expect we'd be in the several hundred
11 thousand dollar range by now, and that will continue to
12 climb.

13 MR. BOB PETERS: I'd be correct in
14 assuming that those internal costs are not incremental
15 costs, and they're already included in your budgeting
16 process.

17 Would that be fair?

18 MR. WILLY DERKSEN: Centra is not asking
19 for additional funds related to that, if -- if that
20 answers your question.

21 MR. BOB PETERS: By Centra not asking for
22 additional monies for the im -- for the internal costs of
23 implementing IFRS, you're telling the Board that you're
24 going to work that into your budgets and the forecast
25 that you have before the Board?

1 MR. WILLY DERKSEN: The internal costs
2 are considered an overhead cost, and it would be covered
3 by the overhead allocation made to Centra. We believe
4 that the internal cost will be covered by that factor.

5 There will be -- I hesitated on the
6 incremental comment because, certainly, there are some
7 dedicated resources that would have been doing other
8 things and there may be some backfill required for some
9 of those dedicated resources, so there may be some --
10 some incremental cost consequences of people working on
11 this project.

12 MR. BOB PETERS: And as you've told the
13 Board then, those internal costs are -- are going to be
14 considered common costs of Manitoba Hydro, a portion of
15 which will be allocated through to Centra.

16 MR. WILLY DERKSEN: Yes, that's correct.

17 MR. BOB PETERS: And in terms of those --
18 if there are incremental costs -- if there are
19 incremental costs that are incurred internally, those
20 also would be considered common costs of the -- of
21 Manitoba Hydro?

22 MR. WILLY DERKSEN: Yes, that's right.
23 There -- the charges to Centra for the accounting and
24 administration are -- are made through the overhead
25 allocation, and so they're -- at this point, there's

1 nothing anticipated as a direct charge to Centra with
2 respect to -- to this work.

3 MR. BOB PETERS: Do you foresee that
4 changing the next time you're here before a GRA?

5 MR. WILLY DERKSEN: I don't envision
6 that. I should add though that as a result of the
7 research that's being done there may be system
8 modifications that have to be made, which could -- could
9 manifest themselves as additional computer system
10 development investments, which would then be allocated to
11 -- a portion of that would be allocated to Centra through
12 the common asset allocation process.

13 MR. BOB PETERS: Okay. I think I'm gonna
14 come back to that a little bit later. I did wanna -- I
15 did still wanna keep with the investigation and
16 transition costs that are external to the Corporation.

17 Those are being incurred certainly with at
18 least one (1) consultation that you've engaged?

19 MR. WILLY DERKSEN: Yes, there would be
20 more than one (1) consultant on that.

21 MR. BOB PETERS: All right. And the
22 external consultants will -- is that the only external
23 incremental costs being incurred on IFRS?

24 MR. WILLY DERKSEN: At this point in
25 time, that's the only external costs that are being

1 incurred, that's right.

2 MR. BOB PETERS: The Board's been made
3 aware that you've engaged KPMG to assist you. That's the
4 primary consultant, would that be correct?

5 MR. WILLY DERKSEN: Yes, that's correct.

6 MR. BOB PETERS: But I took from your
7 second last answer that there are additional consultants
8 that have now been engaged?

9 MR. WILLY DERKSEN: Yes, we do have a
10 consultant that is working with us on fixed asset
11 accounting and depreciation matters and somewhat
12 independent of the KPMG consulting engagement.

13 MR. BOB PETERS: Is that the only other
14 external consultant engaged, to your knowledge?

15 MR. WILLY DERKSEN: Yes.

16 MR. BOB PETERS: To conclude on this
17 point then, I understand from your evidence and the Board
18 will understand and tell us if -- tell me if it's
19 correct, that there are no provisions being made in the
20 test years for transition costs to IFRS.

21 MR. WILLY DERKSEN: There are no tran --
22 provisions in these test years for transition costs,
23 that's correct.

24

25 (BRIEF PAUSE)

1 MR. WILLY DERKSEN: Mr. Peters, Mr.
2 Warden reminded me that we do have the \$5 million
3 adjustment in the second test year that does relate, in
4 part, at least, to IFRS.

5 MR. BOB PETERS: I thought Mr. Warden
6 agreed with the Chairman it was a placeholder or a plug
7 number, at least at this point in time, until you saw
8 what came out of IFRS.

9 MR. WILLY DERKSEN: Agreed, but the --
10 the support behind that placeholder relates to the likely
11 -- at least partially to the likely implications of IFRS.

12 MR. BOB PETERS: I just want to make sure
13 the Board is clear, Mr. Derksen. IFRS may have financial
14 impacts once it's in place and those will affect at least
15 the bottom line of -- of Centra, correct?

16 MR. WILLY DERKSEN: That's correct.

17 MR. BOB PETERS: But in addition to the -
18 - the -- the effect on retained earnings, there are also
19 some implementation costs and I was trying to separate
20 those two (2).

21 So Mr. Warden's \$5 million is more for the
22 bottom line hit, not the implementation costs?

23 MR. WILLY DERKSEN: Yes, sir, that's
24 correct.

25 MR. BOB PETERS: All right. Thank you

1 for that.

2

3

(BRIEF PAUSE)

4

5

MR. BOB PETERS: Mr. Derksen, is the
6 Utility tracking the implementation and research and
7 investigation costs of IFRS separate and apart from its
8 other O&M costs?

9

MR. WILLY DERKSEN: Yes, it is.

10

MR. BOB PETERS: I'd like to turn to the
11 integrated cost allocation methodology with the
12 witnesses, Mr. Chairman. And, Mr. Derksen, this -- we
13 may still be together on this one.

14

Am I correct that 100 percent of Centra's
15 operating and administrative expenses are either directly
16 assigned or indirectly allocated to Centra?

17

MR. WILLY DERKSEN: Yes, that's correct.

18

MR. BOB PETERS: And that all takes place
19 through an integrated cost allocation methodology?

20

MR. WILLY DERKSEN: Yes, sir.

21

MR. BOB PETERS: And when I say that some
22 of Centra's costs, O&A costs, are directly assigned, that
23 would include any work that the Corporation can identify
24 is specific and the sole benefit of the gas utility?

25

MR. WILLY DERKSEN: Yes, sir.

1 MR. BOB PETERS: That would include the
2 engagement of third parties to -- to assist?

3 MR. WILLY DERKSEN: Yes.

4 MR. BOB PETERS: And when I'm thinking of
5 third parties, I would be correct in saying that Centra
6 Gas may engage private contractors to assist with some of
7 their -- their work?

8 MR. WILLY DERKSEN: Yes.

9 MR. BOB PETERS: And if that work is
10 strictly and solely on gas matters, those costs would be
11 directly assigned to the gas company?

12 MR. WILLY DERKSEN: Yes, that's correct.

13 MR. BOB PETERS: Am I correct in the
14 materials, Mr. Derksen, that these directly assigned
15 costs for third parties would also be considered primary
16 costs?

17 MR. WILLY DERKSEN: Yes, that's how we
18 characterize them.

19 MR. BOB PETERS: Centra Gas has no
20 employees, correct?

21 MR. WILLY DERKSEN: That's right.

22 MR. BOB PETERS: Everyone appearing
23 before the Board today from the Utility is actually a
24 Manitoba Hydro employee. That is correct?

25 MR. WILLY DERKSEN: That's correct.

1 things like supplies and meals, accommodation,
2 transportation, postage?

3 MR. WILLY DERKSEN: Miscellaneous postage
4 yes and those other items, yes. Postage are a large --
5 the major component of our postage cost is for sending
6 out bills and that's not in activity charges, that's a
7 direct charge, or an allocated charge to Centra.

8 MR. BOB PETERS: All right. And in
9 addition to the overheads that may take care of the
10 management and executives who don't have activity
11 charges, the activity charges themselves have a -- built-
12 in overheads to them.

13 MR. WILLY DERKSEN: There is an element
14 of overhead in activity charges, yes.

15 MR. BOB PETERS: And is that where we
16 catch the -- maybe catch isn't the right word, but is
17 that where we include recognition of things like interest
18 depreciation and taxes incurred by the Utility?

19 MR. WILLY DERKSEN: The activity charges
20 are -- are calculated by dividing a departmental cost by
21 the total number of output hours. So if a department
22 costed a million dollars to operate, including its
23 administrative costs, including its manager, including
24 support staff, and -- and miscellaneous costs that you
25 talked about, if that was a million dollars and there

1 were ten thousand (10,000) hours of output we'd have a
2 hundred dollars of activity charges or activity --
3 hundred dollar activity rate would -- would flow from
4 that.

5 There are some small elements of
6 depreciation and interest in that as well, where they're
7 using company vehicles. That's allocated through
8 activity charges typically, and so there's a depreciation
9 and interest component on those.

10 But by and large most of the depreciation
11 in interest flow -- flows through the overhead allocation
12 approach.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: If I can turn from the -
17 - from the directly assigned costs, Mr. Derksen, to the
18 indirectly allocated costs, these are the costs that
19 arise by way of integrated activities of Manitoba Hydro
20 that are not specific for the gas or specifically for the
21 electric side of the business?

22 MR. WILLY DERKSEN: Yes, that's right.

23 MR. BOB PETERS: But they're -- but those
24 are costs that are incurred and utilized by each of the
25 gas side and electric side in some proportion.

1 MR. WILLY DERKSEN: Yes, they be common
2 processes that support both gas and electric operations.

3 MR. BOB PETERS: An example could include
4 joint billing initiatives and the postage that you
5 mentioned earlier, as well as your -- your lawyer's
6 collection efforts?

7 MR. WILLY DERKSEN: Yes, those would be
8 examples.

9 MR. BOB PETERS: All right. It probably
10 would include treasury, public affairs?

11 MR. WILLY DERKSEN: Treasury and public
12 affairs is allocated primary through overhead. It --
13 it's end of the line operational items that flow through
14 direct or indirect allocations.

15 MR. BOB PETERS: Mr. Derksen, to do the
16 indirect allocation of costs, as between the utilities
17 and in the integrated cost allocation methodology, there
18 are cost drivers that determine how much of what costs go
19 to each utility?

20 MR. WILLY DERKSEN: Yes, that's correct.

21 MR. BOB PETERS: And at Tab 11 of the
22 book of documents is an answer to PUB/CENTRA-124. And on
23 page 2 of 2 of that Information Request, there are
24 examples of cost drivers for certain common activities,
25 is that correct?

1 MR. WILLY DERKSEN: Yes.

2 MR. BOB PETERS: Let me just see if I
3 understand and therefore the record will show that for --
4 for something like bill insertion operations, these would
5 be those bill stuffers as we sometimes call them that are
6 included in every monthly account?

7 MR. WILLY DERKSEN: And -- and inserting
8 the bills themselves into envelopes.

9 MR. BOB PETERS: And that's a common
10 activity done for both utilities, and in fact both
11 utilities have their account on the same bill?

12 MR. WILLY DERKSEN: Yes, where there the
13 same address as both gas and electricity, that's correct.

14 MR. BOB PETERS: And in terms of how the
15 Corporation allocates those costs and the driver that
16 allocates them is the number of customers.

17 MR. WILLY DERKSEN: That's right.

18 MR. BOB PETERS: And here you show a two-
19 third/one-third split.

20 MR. WILLY DERKSEN: That's right.

21 MR. BOB PETERS: And that represents an
22 accurate depiction of how many customers you have on the
23 electric side, relative to those on the gas side?

24 MR. WILLY DERKSEN: Yes.

25 MR. BOB PETERS: And what if the customer

1 is joint as you've said?

2 MR. WILLY DERKSEN: Then it would be one
3 (1) customer on the gas side and one (1) customer on the
4 electric side. So we have approximately two hundred and
5 fifty thousand (250,000) gas customers and approximately
6 five hundred thousand (500,000) electric customers and
7 everyone of our two hundred and fifty thousand (250,000)
8 gas customers is an electric customer as well. So even
9 though the total number of customers is only five hundred
10 thousand (500,000), there are -- two hundred and fifty
11 (250) take gas and -- and five hundred (500) take
12 electricity.

13 MR. BOB PETERS: Mr. Derksen, on that
14 chart on page 2 of 2 of PUB/CENTRA-124, found at Tab 11
15 of the book of documents, a number of allocations -- or a
16 number of cost drivers are indicated as activity charges
17 and there's a -- a ratio of 89 percent on the electric
18 side to 11 percent on the gas side.

19 Do you see those?

20 MR. WILLY DERKSEN: Yes, I do.

21 MR. BOB PETERS: Can you explain to the
22 Board how activity charges is a-- is a cost driver, in
23 and of itself?

24 MR. WILLY DERKSEN: Yes, activity charges
25 represent the work performed by the Manitoba Hydro

1 workforce on behalf of each utility. So this driver
2 indicates that 89 percent of the activity charges are on
3 -- in support of electric operations, either capital or
4 operating electric operations, and 11 percent are in
5 support of gas operations, again, capital or -- or
6 operating.

7 And so a fundamental driver, or basic
8 driver, is that as the workforce spends its time is -- is
9 a reasonable apportionment basis for certain types of
10 costs.

11 MR. BOB PETERS: Would you agree with me,
12 Mr. Derksen, that activity charges are subject to
13 management's judgment and discretion?

14 MR. WILLY DERKSEN: There's always some
15 judgment, but primarily the activity charges are tended
16 to be a specific calculation. As I described earlier, if
17 a department had a million dollars of costs and a
18 thousand hours of output estimated, then there would a
19 hundred dollars per hour activity rate.

20 And the judgment would come in setting
21 budgets and so on, where one was assuming what costs one
22 was going to incur and what -- to what extent the
23 chargeable hours might change from one (1) year to
24 another year.

25 MR. BOB PETERS: Is there management

1 judgment in which cost driver to use as against the
2 common expenses?

3 MR. WILLY DERKSEN: That management
4 judgment is exercised by the accounting staff.

5 MR. BOB PETERS: So, the accounting staff
6 will determine what driver will apply to which common
7 expense?

8 MR. WILLY DERKSEN: Yes, that's right.

9 MR. BOB PETERS: And how does the
10 Accounting Department decide which cost driver is more
11 appropriate than any other one?

12 MR. WILLY DERKSEN: In -- in some ca --
13 in most cases, we've decided on a standard cost-driver
14 customer or activity charges. On some other items we do
15 -- we take it a little bit further, and -- and understand
16 that the -- the raw customer statistics or activity
17 statistics would not be indicative of the amount of
18 effort performed on each group of customers. So there is
19 discussions with management that go on and an adjustment
20 is made to the driver to recognize that.

21 MR. BOB PETERS: Would you agree with me
22 then that even though you use activity charges, the costs
23 that get indirectly allocated are not based, necessarily,
24 on a factual analysis of Centra's operations?

25 MR. WILLY DERKSEN: I -- I have some

1 difficulty with that one. Why would -- I'm not sure why
2 you wouldn't consider hours spent or the calculations
3 factual. I mean, it's primarily based upon the facts,
4 the historical costs and the forecasted costs and the
5 actual time spent on -- on performing operations.

6 MR. BOB PETERS: Perhaps you're thinking
7 deeper than the question intended, Mr. Derksen. But let
8 me try to make up an example on the fly here.

9 Let's just suppose -- and we'll make the
10 example almost nonsensical -- that Manitoba Hydro decides
11 it's going to buy a hundred pencils, and it realizes that
12 those pencils are going to be needed for both the
13 electric side and also for the gas side.

14 And the Accounting Department looks at the
15 bill that somebody paid at the local stationary store and
16 said, Okay, we've got a hundred pencils, we now have to
17 come up with a cost driver, figure out who pays how much
18 of this. And they decide that, for those hundred
19 pencils, eighty-nine (89) of them are going to be charged
20 to the electric side and eleven (11) of them are going to
21 be charged to the gas side.

22 That could happen?

23 MR. WILLY DERKSEN: Yes, that's why cost
24 drivers are used. And I understand the context of your
25 question. Certainly, for these indirect costs, the

1 recording of specific facts -- how many -- how many
2 letters they wrote on behalf of -- of Centra or Hydro
3 would be an impossible sort of detail to measure. And
4 so, using a surrogate of a cost driver is a reasonable
5 apportionment of these costs.

6 MR. BOB PETERS: And if the Accounting
7 Department sent in the -- the Audit Squad and they found
8 out that at the Centra side of the operation, Centra
9 could be using only ten (10) pencils, not eleven (11), or
10 they could be using twelve (12), not eleven (11).

11 MR. WILLY DERKSEN: That could happen.

12 MR. BOB PETERS: On a factual basis.

13 MR. WILLY DERKSEN: That could happen,
14 yes.

15 MR. BOB PETERS: All right. I think
16 you've got my point then.

17 MR. WILLY DERKSEN: Yes, sir.

18 MR. BOB PETERS: All right. And in the
19 materials you've provided to the Board, you've presented
20 the materials, it appears, with two (2) different views -
21 - if I can use those words. One of the -- the indirect
22 and the direct approach for total costs was presented in
23 PUB/CENTRA-24A, which is found at Tab 11 of the doc -- of
24 the book of documents, and we've now talked about that.

25 If we turn the tab to Tab 12 of the book

1 of documents, it appears that this is a bit of a
2 different presentation, as I think you accounting folks
3 would say.

4 MR. WILLY DERKSEN: Yes, it is.

5 MR. BOB PETERS: And -- and this is a
6 view by -- by program.

7 MR. WILLY DERKSEN: Yes.

8 MR. BOB PETERS: And the Board I suppose
9 will be comforted because the totals are the same in both
10 the book of documents, Tab 11 and Tab 12, which indicates
11 that it's just been presented in a different fashion.

12 MR. WILLY DERKSEN: Yes.

13 MR. BOB PETERS: Is it tracked in two (2)
14 different fashions or is it just presented for regulatory
15 purposes in -- in two (2) different fashions?

16 MR. WILLY DERKSEN: It's tracked in the
17 second presentation. The direct and indirect is an
18 unbundling of the calculations that are made to come up
19 with the program perspective.

20 For example, if one (1) of the programs on
21 that -- on the second reference in PUB/CENTRA-36 had a
22 million dollars attached to it, we would not be reporting
23 the fact internally that 80 percent of that was allocated
24 directly and 20 percent was indirect.

25 But through reports that come out of our

1 system we can report the direct and indirect for
2 regulatory purposes.

3 MR. BOB PETERS: If we have a look closer
4 at PUB/CENTRA-36H, found at Tab 12 of the book of
5 documents, Mr. Derksen and Board Members, we'll -- we'll
6 see some of the terminology we've already talked about
7 and that there are activity charges shown on page 1 of 2
8 of PUB/CENTRA-36H, correct?

9 MR. WILLY DERKSEN: Yes.

10 MR. BOB PETERS: And these are the
11 activity charges that come back to each program as you
12 called it based on the information you've already told us
13 about.

14 MR. WILLY DERKSEN: Yes.

15 MR. BOB PETERS: And those activity
16 charges have the wages and the benefits included at -- to
17 a large extent or underpinned by perhaps a time carding
18 system.

19 MR. WILLY DERKSEN: Yes, that's correct.

20 MR. BOB PETERS: And it's because they're
21 underpinned for example by a time carding system that
22 you're suggesting to the Board that there is a strong
23 degree of correlation between factual accuracy and
24 allocation accuracy.

25 MR. WILLY DERKSEN: Yes.

1 MR. BOB PETERS: I've got your point on
2 that then.

3 Can you tell the Board what internal
4 controls are used by Centra to best ensure accuracy, the
5 factual accuracy matches the allocation accuracy?

6 MR. WILLY DERKSEN: Yes. I think this
7 could be a bit of a long-winded answer but let me give it
8 a try.

9 It would start of course with the setting
10 of the activity rates and that's done through the budget
11 process. Budgets of course are reviewed by management
12 and -- and endorsed through that process and also
13 reviewed by the accounting staff.

14 Activity rates are set through that as
15 well as predicted number of hours spent on particular
16 programs. The -- and -- and of course budgets are
17 created through that manner. There's a control and
18 check to make sure that for a given department's costs
19 all of the hours have been appropriately accounted for in
20 the budgetary process and that the activity rates
21 multiplied by those hours will in fact absorb
22 substantially all of the costs of that department,
23 neither substantially over or under absorbed

24 Then we get to actual reporting. Time
25 reports themselves are approved by management based upon

1 individual's time spent on -- on projects.

2 The reporting is performed against the
3 budgets that I described earlier. Monthly variance
4 analyses are created and reviewed with management.

5 As well the -- if there is a departure
6 such as costs from the department or over or under
7 absorption because activity rates are too high or too low
8 relative to the costs, that is reviewed and -- and
9 checked on a periodic basis.

10 And -- and I think on an overall basis of
11 course we do review the program costs not only against
12 the forecast but against previous years and -- and ensure
13 that -- and followup where necessary where there are
14 discrepancies.

15 And -- and I think we've given variance
16 explanations throughout this Hearing that -- that show
17 that we go through these processes.

18 MR. BOB PETERS: Mr. Derksen, we can
19 maybe talk about him because he's not here, but under
20 "President and CEO" there's a -- there's a line item for
21 "Audit".

22 MR. WILLY DERKSEN: Yes.

23 MR. BOB PETERS: Is that the internal
24 audit of the Corporation?

25 MR. WILLY DERKSEN: Yes, it is.

1 MR. BOB PETERS: And does -- what
2 function does Internal Audit have on assuring that there
3 is factual accuracy as well as allocation accuracy to the
4 common costs?

5 MR. WILLY DERKSEN: Internal Audit would
6 conduct periodic reviews of specific processes that are
7 identified. On an ongoing basis -- operational basis --
8 they do not review these costs, but only through periodic
9 engagements.

10 MR. BOB PETERS: And there'd be no
11 external audit review of -- of these costs either, would
12 there?

13 MR. WILLY DERKSEN: The external auditors
14 certainly have to review these costs to ensure that
15 they're reasonable and -- and supportable, because
16 Centra, itself, does have an audited financial statement
17 and the auditors must satisfy themselves that the
18 allocation methodology is working effectively and is
19 charging appropriately the cost to Centra.

20 MR. BOB PETERS: Probably ahead of my
21 questions that I've noted, but you've just told the Board
22 that your external auditors -- and am I correct that's it
23 the firm of Ernst & Young, to put a name to them?

24 MR. WILLY DERKSEN: Yes, that's correct.

25 MR. BOB PETERS: They provide the

1 Corporation with, what the Corporation likes to consider,
2 a -- a clean audit opinion.

3 MR. WILLY DERKSEN: Yes.

4 MR. BOB PETERS: Is that what you think
5 you get from them?

6 MR. WILLY DERKSEN: We know we get that
7 from them.

8 MR. BOB PETERS: Okay, it's not a matter
9 of judgment. It's -- you read it and you consider that a
10 clean audit opinion.

11 MR. WILLY DERKSEN: They say it right in
12 the statements.

13 MR. BOB PETERS: But -- but your external
14 auditors did not audit the integrated cost allocation
15 methodology for factual accuracy, did they?

16 MR. WILLY DERKSEN: They have audited the
17 results of that allocation methodology and they have
18 reviewed the methodology to ensure that they can rely
19 upon it.

20 MR. BOB PETERS: They're relying on
21 management judgment in reaching a conclusion on the
22 integrated cost allocation methodology, is that correct?

23 MR. WILLY DERKSEN: They're relying on
24 the tests that they have performed, the reviews that
25 they've made, representations by management and other

1 factors in order to provide the clean audit opinion that
2 you referred to.

3 MR. BOB PETERS: Are you aware of what
4 tests they actually conduct?

5 MR. WILLY DERKSEN: Well, they have re --
6 done process reviews. I'm not specifically aware of what
7 they've done this year, but over the course of time, when
8 they commenced their audit with us, they did a review of
9 the allocation methodology.

10 They do review the -- the processes to
11 ensure that they're operating consistently as -- as how
12 they were operating when they last performed their audit.
13 And then they review the discrepancies from year over
14 year to ensure that the changes are reasonable and
15 supportable and understandable and can provide them with
16 assurance that the costs are appropriate.

17 MR. BOB PETERS: I appreciate your
18 answer, Mr. Derksen. I may have to read it a couple of
19 times to fully appreciate it, but back to my, what I
20 call, the "whimsical example."

21 Your external auditors don't -- don't
22 storm the building and come in to see if there are eleven
23 (11) pencils as opposed to twelve (12) in Centra's
24 possession.

25 MR. WILLY DERKSEN: Absolutely not. No,

1 what they would have done is, first of all, assessed --
2 if it was a material allocation, they would have
3 assessed, Does the allocation methodology -- is it
4 reasonable? Is -- is the activity charge an appropriate
5 driver for that type of item?

6 And then they would have looked at the
7 result and said, If you had ten (10) last year and there
8 was twenty (20) this year, why did it change from between
9 ten (10) and twenty (20)?

10 MR. BOB PETERS: To that extent then,
11 your external auditors have tested the cost allocation
12 methodology that management has prepared?

13 MR. WILLY DERKSEN: Yes.

14 MR. BOB PETERS: Okay. Back on Tab 11 of
15 the book of documents we saw some of the cost drivers.

16 Do your external auditors come in and
17 assess the reasonableness of those cost drivers?

18 MR. WILLY DERKSEN: They wouldn't -- to
19 my knowledge they wouldn't do that every year, no.

20 MR. BOB PETERS: Do you think they've
21 done it at all?

22 MR. WILLY DERKSEN: They would have
23 definitely reviewed it and their initial assessment of
24 the cost allocation methodology, yes.

25 MR. BOB PETERS: And when you say "their

1 initial assessment," you're talking back to 2001?

2 MR. WILLY DERKSEN: Yes.

3 MR. BOB PETERS: I am reminded that
4 unless the Corporation has changed its external auditors,
5 the 2001 review and report would have been done by a
6 different accounting firm than the current external
7 auditor.

8 MR. WILLY DERKSEN: I -- I'm not
9 absolutely certain which year KPMG ceased doing our
10 audits and which year Ernst & Young commenced doing our
11 audits.

12 But whatever their first year was, part of
13 their introduction into Manitoba Hydro and Centra would
14 have been a review of all of our systems and processes to
15 assess their level of reliance that they can have on our
16 systems and assess whether or not the systems are
17 producing results that are appropriate.

18 So again I apologize. I don't know which
19 specific year that Ernst & Young first had the
20 engagement.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: I just want to make sure
25 the Board understands that -- that last answer, Mr.

1 Derksen. Is it correct that back in 2001 KPMG looked at
2 the acquisition and synergy savings and cost allocation
3 for the gas utility?

4 MR. WILLY DERKSEN: Yes. We had an
5 engagement with KPMG to review the cost allocation
6 methodology and that material was presented through this
7 process at that time.

8 MR. BOB PETERS: And -- and do you recall
9 that KPMG considered the appropriateness of the
10 conceptual framework of the cost allocation between
11 Manitoba Hydro and Centra?

12 MR. WILLY DERKSEN: Yes.

13 MR. BOB PETERS: And they also considered
14 the reasonableness of the cost allocations?

15 MR. WILLY DERKSEN: Yes.

16 MR. BOB PETERS: And I believe I'd be
17 correct in saying they didn't test it down to the factual
18 level that we talked about with the pencils, but in terms
19 of being reasonableness and relying on the methodology
20 that management had in place, they concluded that there
21 was a reasonable cost allocation as between the gas and
22 the electric side on common costs.

23 MR. WILLY DERKSEN: Yes, that would be a
24 fair representation.

25 MR. BOB PETERS: One (1) of the points

1 that -- that I reviewed from the KPMG report, Mr.

2 Derksen, is their definition of cross-subsidization.

3 MR. WILLY DERKSEN: Yes.

4 MR. BOB PETERS: And as I understand what
5 KPMG is saying is that the test for cross-subsidization
6 is whether the costs for each utility is less than or
7 equal to the cost on a standalone basis.

8 MR. WILLY DERKSEN: I recall it being on
9 an incremental basis, not standalone basis. So if the
10 total cost was a thousand dollars and the incremental
11 cost of -- of serving Centra was an addition one hundred
12 dollars (\$100) then there would be no cross-subsidization
13 from their perspective if we charge Centra at least one
14 hundred dollars (\$100) that was from an economic
15 perspective.

16 MR. BOB PETERS: Maybe it's a matter of
17 definition. But in your example, Mr. Derksen, if the
18 cost for Centra to do it on a standalone basis, in my
19 words, was three hundred dollars (\$300) but the
20 incremental cost was only one hundred dollars (\$100),
21 would it be cross-subsidization to charge the gas utility
22 three hundred dollars (\$300)?

23 MR. WILLY DERKSEN: Not necessarily, no.

24 MR. BOB PETERS: Not necessarily under
25 KPMG's definition?

1 MR. WILLY DERKSEN: And -- and the KPMG
2 definition I believe that you're referring to is -- it's
3 from an economist's perspective, not from an accounting
4 or a regulatory perspective.

5 MR. BOB PETERS: Would it be correct to
6 say that KPMG did not look to see if there was actual
7 cross-subsidization?

8 MR. WILLY DERKSEN: KPMG was certainly
9 satisfied that this cost allocation methodology did not
10 result in cross-subsidization. I think where -- where
11 we're getting a little bit -- tripping over some of the
12 details is that there are instances where, let's say,
13 Centra on a stand-alone basis paid a thousand dollars for
14 something, and -- and Hydro on a stand-alone basis paid a
15 thousand dollars for something, and -- and combined, they
16 -- there was still only a thousand dollar bill, under
17 this methodology, Centra might get allocated one-third
18 (1/3) of that amount.

19 So it wouldn't have been the thousand they
20 paid initially, it would have been less than a thousand,
21 and there's no cross-subsidy if we allocated on a
22 reasonable basis, one-third (1/3) Centra and two-thirds
23 (2/3s) Hydro.

24 MR. BOB PETERS: I think -- I think
25 that's an example of -- of the concern that was

1 expressed, so thank you for that.

2 MR. WILLY DERKSEN: Right.

3 MR. BOB PETERS: I did want to, before we
4 left PUB/CENTRA-36, at Tab 12 of the book of documents,
5 just turn to the second page.

6 And the primary costs that are listed here
7 -- these primary costs -- am I correct that these are the
8 external third party costs that you refer to earlier in
9 your evidence, Mr. Derksen?

10 MR. WILLY DERKSEN: Yes.

11 MR. BOB PETERS: Specifically, there --
12 there appears a couple of items that we may not have
13 asked for it in the Information Request process, but are
14 you aware as to the -- for example, the apparent
15 significant changes in line 13, the meter reading
16 charges, primarily Manitoba Hydro Utility Services?

17 MR. WILLY DERKSEN: Yes --

18 MR. BOB PETERS: What has led to the
19 increase?

20 MR. WILLY DERKSEN: Yes, there's an
21 increasing utilization by Man -- Manitoba Hydro Utility
22 Services to perform meter reading. Prior to this, it was
23 performed by internal meter reading personnel to a
24 greater extent, and so we've relied upon MHUS to do it
25 more so in the forecast period than in prior periods.

1 MR. BOB PETERS: What's the relative
2 proportion now, as between meter reading internally,
3 compared to externally, by Manitoba Hydro Utility
4 Services?

5

6 (BRIEF PAUSE)

7

8 MR. WILLY DERKSEN: I'd have to check
9 that, Mr. Peters, but I believe a very high proportion of
10 it, most -- almost all of it is now forecasted to be done
11 by Manitoba Hydro Utility Services. But I'll have to
12 check on that to confirm that.

13

14 --- UNDERTAKING NO. 3: Centra to indicate the
15 relative proportion now, as
16 between meter reading
17 internally, compared to
18 externally, by Manitoba Hydro
19 Utility Services

20

21 CONTINUED BY MR. BOB PETERS:

22 MR. BOB PETERS: What you're telling the
23 Board is it wasn't -- it wasn't a hundred percent
24 previously but it may be close to that now? And --

25

 MR. WILLY DERKSEN: That's correct, yes.

1 MR. BOB PETERS: And that's the
2 difference -- and that's the reason for the increase in
3 the -- in the expense?

4 MR. WILLY DERKSEN: Yes, and -- and it
5 won't be a hundred percent because there are some rural
6 locations where it's just not cost effective to use them,
7 but -- but it is a very high percentage.

8 MR. BOB PETERS: On line 16, the purchase
9 -- purchased services is shown as, again, increasing with
10 some significance. Can you explain that to the Board,
11 Mr. Derksen.

12 MR. WILLY DERKSEN: The increase relates
13 to materials used in the marketing area. And I think Mr.
14 Kuczek has some information on that.

15 MR. LLOYD KUCZEK: I believe what we
16 budget there for was for additional efforts to be made in
17 terms of educating consumers under natural gas purchase
18 choices.

19 MR. BOB PETERS: Mr. Kuczek, thank you.
20 Does your answer suggest this is the advertising budget
21 for the fixed-rate offering?

22 MR. LLOYD KUCZEK: I'm not sure of the
23 specific number you are referring to. I know we -- we
24 had some dollars allocated for educating consumers, as
25 opposed to dollars allocated for informing customers of -

1 - of our various offerings.

2 MR. BOB PETERS: You're telling the Board
3 in that answer, Mr. Kuczek, that the Corporation draws a
4 distinction between the education and then the marketing?

5 MR. LLOYD KUCZEK: That's correct.

6 MR. BOB PETERS: And where would the
7 marketing costs be charged through?

8 MR. LLOYD KUCZEK: As I recall, that was
9 part of the cost of us offering the service. And I
10 believe we were recouping that through our -- our prices
11 offered through the products.

12 MR. BOB PETERS: Lastly, on this page 2
13 of 2, Mr. Derksen, the primary costs that are the portion
14 of the second page, those represent things like you've
15 told us -- the Manitoba Hydro ove -- administration
16 costs, such as executive finance and employee support?

17 MR. WILLY DERKSEN: That would be the
18 overhead costs, sir.

19 MR. BOB PETERS: If I didn't say that, I
20 meant to. I'm sorry.

21 MR. WILLY DERKSEN: Yes, I believe you
22 said "primary," and the overhead costs would include
23 those items, yes, and facilities.

24 MR. BOB PETERS: Well, I'm -- yeah, I'm
25 looking down at line 25. Are we on the same...?

1 MR. WILLY DERKSEN: Yes.

2 MR. BOB PETERS: Okay, my -- my mouth
3 wasn't on the same page as my brain on that one. I
4 apologize.

5 That overhead cost, you said it includes
6 facilities including office facilities?

7 MR. WILLY DERKSEN: Yes.

8 MR. BOB PETERS: And does that include
9 the new corporate head office that's located conveniently
10 in downtown Winnipeg?

11 MR. WILLY DERKSEN: It is con -- located
12 conveniently here, yes. And, no, it includes no element
13 of the new head office building.

14 MR. BOB PETERS: But it would include
15 computer network costs?

16 MR. WILLY DERKSEN: Yes.

17 MR. BOB PETERS: And when you say it
18 includes no aspect of the new building, does -- do the
19 computer networking costs in the new building find their
20 way into these overheads?

21 MR. WILLY DERKSEN: Well, they will,
22 ultimately, but the way that we have set this -- the
23 forecast up is to maintain the previous overhead rate
24 that was charged to Centra and -- and -- and to Hydro, so
25 that the costs of the new building weren't considered in

1 the overhead rate used here. And we're not using a -- a
2 -- an overhead rate currently to charge to Centra.

3 Network costs that are incurred would be
4 re-incurred on old facilities as well. So I think
5 there's -- there are some things we will have to work out
6 as to how to ultimately maintain a -- an appropriate
7 charge to Centra, without unduly charging them for any of
8 the new building.

9 But for the purposes of this Application
10 and on our actual, there are no costs for the new
11 building or any networks that are installed into the new
12 building going to Centra.

13 MR. BOB PETERS: And the last part of
14 your -- your answer was perhaps foreshadowing for the
15 Board, that at some point in time, even the information
16 platform -- information technology platform, in the old
17 Centra premises would have to be updated, upgraded,
18 replaced, and that would drive computer and network costs
19 that would find their way into overhead in the normal
20 course.

21 MR. WILLY DERKSEN: That's right. And
22 the same thought goes -- holds true for furniture and for
23 space costs, lease costs, for example. The -- the 444
24 St. Mary Avenue building was negotiated at a period -- at
25 a very low cost at that time. Replacement for that would

1 be substantially greater than what was embedded in -- in
2 previous overheads. So there are renewal costs that will
3 have to be considered.

4 MR. BOB PETERS: I'll come back to that
5 when we talk about the new building, gentlemen.

6 I just wanted to tidy up on the integrated
7 cost allocation methodology issues. And you'll recall,
8 Mr. Derksen, that in Board Order 99/'07 -- I think that's
9 found back in Tab 6 of the book of documents -- there is
10 the directives -- there was a request for a review
11 process by the Board, related to the integrated cost
12 allocation review methodology.

13 MR. WILLY DERKSEN: Yes.

14 MR. BOB PETERS: And am I correct that
15 Manitoba Hydro and Centra have requested a deferral of
16 the starting process until after IFRS impacts are known?

17 MR. WILLY DERKSEN: Yes, that's correct.

18 MR. BOB PETERS: And I think there was
19 also a request to await the -- and assess the impacts of
20 the new headquarters building.

21 Are you aware of that?

22 MR. WILLY DERKSEN: Yes.

23 MR. BOB PETERS: In light of your answer
24 to the Board just two (2) minutes ago, you're telling the
25 Board that the impacts of the new Hydro building will

1 have no impact on Centra's cost allocations, correct?

2 MR. WILLY DERKSEN: For the test years,
3 that's correct, yes.

4 MR. BOB PETERS: And past the text --
5 past the test years, there may be some issues that need
6 to be worked out, presented, understood, and ultimately
7 approved by the Board.

8 MR. WILLY DERKSEN: Yes, that's a fair
9 representation.

10 MR. BOB PETERS: And am I correct that
11 the time period in which Centra wants to wait until the
12 review process starts or at least the -- the ground rules
13 for the review process get worked on is after the IFRS
14 report that's expected from your consultant in January of
15 2010?

16 MR. WILLY DERKSEN: It would certainly be
17 after that but it may take some time as well because as
18 we discussed yesterday, the implication of IFRS will
19 probably not be completely understood yet at that point
20 in time and there will still have to be system
21 assessments, remediation assessments in order to comply
22 with IFRS.

23 But it would be after that time for sure.

24 MR. BOB PETERS: All right. Do you have
25 a revised timeline or a different thought, other than

1 January of 2010, as to when the terms of reference will
2 be appropriately worked on?

3 MR. VINCE WARDEN: Mr. Peters, I think
4 the January 2010 date was a date that Centra had
5 committed to provide the Public Utilities Board with a
6 report. It doesn't represent the conclusion of the IFRS
7 study though. So the IFRS project will continue on
8 beyond that date.

9 And so what we're looking at -- what we're
10 requesting -- I believe what we've requested of the PUB
11 is that the revised cost allocation study await the
12 completion of the IFRS project.

13 MR. BOB PETERS: And -- and for the
14 actual integrated cost allocation methodology review
15 study to await the implementation of IFRS, is that -- is
16 that to await until the end of the first fiscal year in
17 which IFRS is mandatory or is it a year prior to that?

18 MR. VINCE WARDEN: There are still a
19 number of uncertainties associated with IFRS and we want
20 to be able to ensure that we work through those
21 uncertainties before we embark on the studies.

22 Therefore not trying to be evasive in any
23 way, but the timelines -- the ideal timelines would be
24 after full implementation of IFRS which would be the
25 '11/'12 fiscal year.

1 MR. BOB PETERS: Can the Board still
2 expect at least at this point in time, communications
3 from Centra relative to the integrated cost allocation
4 methodology in January of 2010 at least to tell the Board
5 where Centra's at and what any revised request would be
6 relative to the terms of reference or the actual study?

7 MR. VINCE WARDEN: Well the January 2010
8 date relates to a -- a status report -- a quantification
9 of IFRS impacts. I don't believe we tied that or linked
10 that though to the cost allocation study.

11 MR. BOB PETERS: Okay. All right. My
12 understanding is that the cost allocation review was
13 contingent or dependent on an IFRS report. And I had
14 assumed that was waiting until January of 2010?

15 MR. VINCE WARDEN: Well I think it was
16 more so contingent upon the implementation of IFRS rather
17 than that -- that date of that report.

18 MR. BOB PETERS: All right. So what I'm
19 -- what I'm hearing in any event whether -- whichever way
20 it works is that Centra doesn't believe that it would be
21 worthwhile to start it's integrated cost allocation
22 methodology review until after March 31 of 2012.

23 MR. VINCE WARDEN: That would be the --
24 the latest date. Whether we can do it before that or not
25 it will depend on just how the whole IFRS story unfolds.

1 MR. BOB PETERS: Would you agree with me,
2 Mr. Derksen, that until a review of the integrated cost
3 allocation methodology is done, the Public Utilities
4 Board is in the same position as it was at the last GRA
5 relative to the strengths and weaknesses of the
6 integrated cost allocation methodology?

7 MR. WILLY DERKSEN: Yes, I'd agree with
8 that.

9 MR. BOB PETERS: And so the Board is in
10 essence left to assess the reasonableness of the
11 allocations that may be resultant in this Application
12 before it even if those allocations are not totally
13 transparent.

14 MR. WILLY DERKSEN: Well, as we said at
15 the last hearing, I believe that the Board can find
16 comfort that we do have our Centra statements audited by
17 external auditors and they have found that the cost
18 allocations are working effectively and appropriately and
19 that we have been able to provide substantial information
20 at this Hearing and other Hearings supporting the cost
21 allocations made to Centra.

22 And I -- I think there's good comfort in
23 that but, yes, we'd have to leave it at that.

24 MR. BOB PETERS: And I suppose one (1)
25 measure or comfort, if the Board was looking for it,

1 would be the year-over-year comparisons of your O&A
2 expenses?

3 MR. WILLY DERKSEN: Yes.

4 MR. BOB PETERS: And before I leave Tab -
5 - I guess back at Tab 11 of the book of documents,
6 there's an attachment, Mr. Chairman and Board Members, to
7 PUB/CENTRA-24B and the attachment is...

8 It shows -- the last page of it -- the
9 page of the tab at the book of documents shows the costs
10 year-over-year since 2006/'07, Mr. Derksen?

11 MR. WILLY DERKSEN: Yes.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: I'll perhaps come back
16 to O&A expenses later. Mr. Derksen and Mr. Warden,
17 you've wetted our appetite with respect to your new head
18 office building so let's -- let's explore that a little
19 further if we could.

20 Historically, am I correct that as a term
21 and condition of Manitoba Hydro's purchase of what was
22 then Winnipeg Hydro Utility back in approximately 2002,
23 there was a requirement and a condition agreed to by
24 Manitoba Hydro that it would build a new corporate head
25 office in downtown Winnipeg?

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: And at the last -- I
3 guess it was a Manitoba Hydro General Rate Application,
4 Mr. Warden, am I correct that your evidence to the Board
5 at that time included an expectation that the costs were
6 going to be \$278 million?

7 MR. VINCE WARDEN: Well, I think if I
8 didn't, I -- I can perhaps update that slightly. The --
9 the \$278 million number is the financial for -- what is
10 included in the forecast of Manitoba Hydro. At this
11 time, we do expect we will be slightly over that number.
12 The expectation is that -- that the total -- final cost
13 will be \$283 million, so \$5 million over our forecast
14 number.

15 MR. BOB PETERS: I'm not sure if there's
16 any significance in your answer, Mr. Warden, to the fact
17 that it was a forecast.

18 I suppose until the building is finished,
19 it's always a forecast?

20 MR. VINCE WARDEN: Well, we do have our
21 official approved integrated financial forecast which
22 includes the capital expenditure forecast, which is made
23 up of -- of a number of different projects. The head off
24 -- head office project is included in that forecast and
25 that financial forecast -- that \$278 million.

1 We -- on an on-going basis though, we
2 review the forecast and update it for most recent
3 estimates and the most recent estimate is 283 million.

4 MR. BOB PETERS: Is that \$283 million,
5 Mr. Warden, as a result of cost escalations?

6 MR. VINCE WARDEN: Yes, it is.

7 MR. BOB PETERS: And as you are able to
8 testify today, is that the Corporation's expectation of
9 the final number?

10 MR. VINCE WARDEN: Yes, it is.

11 MR. BOB PETERS: And that represents
12 capital costs and only capital costs, Mr. Warden?

13 MR. VINCE WARDEN: It does.

14 MR. BOB PETERS: No operating costs are
15 yet included in that number?

16 MR. VINCE WARDEN: That's correct.

17 MR. BOB PETERS: When this building was
18 planned, Mr. Warden, there was an expectation that over
19 sixty (60) year service life, including the financing
20 costs, the annual costs to the Corporation would be \$21
21 million?

22 MR. VINCE WARDEN: Yes.

23 MR. BOB PETERS: Is that number still on
24 track?

25 MR. VINCE WARDEN: It is, yes.

1 MR. BOB PETERS: Is it lower as a result
2 of recent interest rate changes, or is it locked in at
3 the -- the higher rates?

4 MR. VINCE WARDEN: I think when we
5 derived the \$21 million number, we look -- took a long-
6 term view, so that number would be unaffected by change -
7 - short-term changes in -- in interest rates.

8 MR. BOB PETERS: Mr. Warden, at Tab 13 of
9 the book of documents is the Corporation's response to
10 PUB/CENTRA-79B, and on page 2 of 3 and 3 of 3 of the
11 attachment the expenditures for the -- for the office
12 building are shown. Actually, it starts on page 1 of 3.

13 Am I correct that this schedule maps out
14 for the Board the timeline of the various expenditures
15 that are contributing to -- although what is shown as 278
16 million is now expected to be 285 million?

17 MR. VINCE WARDEN: 283 million, I think I
18 -- I said -- you mentioned 285, but --

19 MR. BOB PETERS: Oh, I apologize, yes,
20 \$283 million dollars, \$5 million more than what was
21 previously planned?

22 MR. VINCE WARDEN: Correct.

23 MR. BOB PETERS: I wasn't trying to give
24 you \$2 million of extra room there, Mr. Warden.

25 This is the -- this is the build-up of all

1 the costs over the years.

2 MR. VINCE WARDEN: Yes, it is.

3 MR. BOB PETERS: And when we look at this
4 number of 278 million, you've now told the Board that 283
5 million is -- is seen as the Corporation as the most
6 likely final number.

7 Can you -- without giving a line-by-line
8 item -- but where do the extra 5 million come from, if
9 you're aware?

10

11 (BRIEF PAUSE)

12

13 MR. VINCE WARDEN: Mr. Peters, there --
14 there's really no one (1) specific. It was -- each of
15 the items are not -- certainly, not all the items, but
16 the \$5 million could be dispersed against a number of
17 those components.

18 As Mr. Derksen reminded me, we do have a
19 commitment to provide the Public Utilities Board with a -
20 - a update of the -- of the final costs on June the 30th,
21 and -- and we will certainly, at that time, provide any
22 updates to recon -- to reconcile that -- the \$283 million
23 number that I referenced.

24 MR. BOB PETERS: All right, that would be
25 appreciated.

1 --- UNDERTAKING NO. 4: Centra to provide a breakdown
2 and update of the \$23 million
3 office building expenditures
4

5 CONTINUED BY MR. BOB PETERS:

6 MR. BOB PETERS: And I -- and I don't
7 think it's fruitful to go down line-by-line at this point
8 in time.

9 Can you tell the Board, Mr. Warden, does -
10 - does Manitoba Hydro consider the new Corporate Head
11 Office as in service today?

12 MR. VINCE WARDEN: Yes.

13 MR. BOB PETERS: Does that mean it's
14 being depreciated or depreciation expenses being charged
15 through?

16 MR. VINCE WARDEN: It is.

17 MR. BOB PETERS: Okay. But I take it,
18 maybe only anecdotally, that -- that not everybody is yet
19 in the -- in the new building.

20 MR. VINCE WARDEN: That's correct. It's
21 essentially complete, but not 100 percent.

22 MR. BOB PETERS: And the forecast date
23 for 100 percent completion is now what?

24 MR. VINCE WARDEN: It -- it seems to
25 change, but I think the most recent date that I'm aware

1 of is the end of September.

2

3

(BRIEF PAUSE)

4

5

MR. BOB PETERS: Mr. Warden, on a quick scan of the components of the \$278 million, would it be correct that furniture is not a component of that?

6

MR. VINCE WARDEN: No, furniture, I believe, is on line 34 of this -- of the document on page 3 of 3.

7

8

MR. BOB PETERS: Sorry, my oversight on that. Mr. Warden, in the last General Rate Application and it was in Order 99 of '07 I believe the Board gave Centra two (2) options relative to the -- the new corporate head office as it pertained to Centra Gas Manitoba Inc., do you recall that?

9

10

(BRIEF PAUSE)

11

12

MR. VINCE WARDEN: Could you be more specific in your reference, Mr. Peters, please?

13

MR. BOB PETERS: Let me do it this way.

14

Do you recall that the Board said that Centra could either demonstrate the actual costs of Centra's occupancy in the new building was equal to or lower than what they

15

1 previously were paying?

2 Or as an alternative, you could
3 demonstrate that there were no incremental costs
4 associated with the new building being allocated through
5 to Centra?

6 MR. VINCE WARDEN: I must admit I don't
7 recall the options being presented quite in that way. In
8 fact I don't recall the options that were --

9 MR. BOB PETERS: I appreciate your
10 candour and I'll have to find the source. I didn't write
11 it down but regardless of that, what the Corporation has
12 before the Board and I think Mr. Derksen has indicated is
13 that Centra is telling the Board that no incremental
14 costs are associated with or have been allocated to
15 Centra related to the new building.

16 MR. VINCE WARDEN: That's correct.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: Mr. Warden, just to
21 finish off a point that I attempted to start earlier on
22 the furniture, at Tab 32 of the book of documents there's
23 a schedule of the common assets of the Corporation and in
24 ballpark terms, can you accept that furniture additions
25 are in the neighbourhood of \$12 million? And that's

1 forecast for 2009.

2

3

(BRIEF PAUSE)

4

5 MR. VINCE WARDEN: That's the total of
6 office furniture and equipment you're referring to on..?

7 MR. BOB PETERS: On line 15.

8 MR. VINCE WARDEN: Okay, Mr. Peters, I'm
9 -- I'm with you on that.

10 MR. BOB PETERS: All right. I was just -
11 - when I see the furniture line that you drew my
12 attention to on the new office tower in the neighbourhood
13 of \$5 million and then I see common assets and furniture
14 of \$12 million, can you explain why the overheads are
15 including the \$12 million on account of office furniture
16 and equipment if only \$12 million are related to the --
17 if only \$5 million are related to the new tower?

18 MR. WILLY DERKSEN: Mr. Peters, could you
19 ask that question once more please?

20 MR. BOB PETERS: Yes. I appreciate I may
21 not have been totally clear.

22 As I understand your evidence, Mr. Warden,
23 there's an expectation that furniture for the new office
24 tower is expected to cost according to line 34 of
25 PUB/CENTRA-79B found at Tab 13, \$5.5 million.

1 MR. VINCE WARDEN: Yes, that's right.

2 MR. BOB PETERS: And when we -- when we
3 look at the PUB/CENTRA-50B found at Tab 32 of the book of
4 documents, there's a schedule of common assets not only
5 the actual for the previous year but also for the
6 forecast 2009 year. And on the second page of Tab 32,
7 line 15, office furniture and equipment for 2009 forecast
8 there's \$12 million of additions that are included.

9 And I'm trying to reconcile that as
10 between \$5 million. If \$5 million is going in the new
11 office tower, does that suggest there's \$7 million going
12 elsewhere?

13 MR. VINCE WARDEN: Part of it is
14 definitely the elsewhere. Part of it is the equipment
15 piece which I would have to research to determine exactly
16 what the equipment component is over and above furniture.
17 There -- there would have been though as part of Manitoba
18 Hydro's normal ongoing furniture program, every year we -
19 - we purchase furniture, which would have been purchased
20 even in the absence of the new head office.

21 So the -- what was intended to be captured
22 in the capital item that we referenced early, the \$5
23 million was only the incremental furniture associated
24 with the new head office. So any furniture that we
25 normally would have purchased out of our furniture --

1 annual furniture budget would be added to that to derive
2 the \$12 million.

3 MR. BOB PETERS: If you stay with Tab 32
4 of the book of documents and keep that schedule open.
5 Mr. Warden, it appears the annual furniture budget is --
6 is generally less than a million or around a million, and
7 I'm wondering why, again, that -- the additions in 2009
8 of \$12 million.

9 And maybe -- maybe it's best that you take
10 that as an undertaking and reflect on that and maybe
11 provide a written answer at some point, if not oral,
12 through your counsel.

13 MR. VINCE WARDEN: We'll do that.

14

15 --- UNDERTAKING NO. 5: Centra to indicate why there
16 is an addition of \$12 million
17 to the annual furniture
18 budget

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Mr. Derksen and Mr.
22 Warden, I was wanting to talk about the overall costs of
23 the new -- the new headquarters and my reference was on
24 page 118 of the previous Board Order 99/'07.

25 Just in terms of the Board indicating

1 there may be a couple of ways for Centra to come in and
2 explain what's happened for costs -- occupancy costs.
3 That position was premised, Mr. Warden, that it was
4 Manitoba Hydro's acquisition of a new office building,
5 not Centra Gas', correct?

6 MR. VINCE WARDEN: Yes.

7 MR. BOB PETERS: And therefore if Centra
8 didn't need a new office building then it may not be
9 appropriate for the Centra customers to be charged
10 additional costs for the head office, correct?

11 MR. VINCE WARDEN: I think if we go back
12 in history though Centra did need a new office building
13 and in fact before the lease at 444 St. Mary was
14 transacted Centra was in fact studying a new office --
15 acquiring new office facilities. That lease expired --
16 would have expired this year in 2000 -- or in 2010 I
17 believe. Okay, yes, that's right it was 2009 that the
18 Centra lease expired at 444 St. Mary.

19 So either they would have had to renew the
20 lease at that -- at a higher rate, a much higher rate or
21 acquire new facilities. So new facilities would have
22 been required in any event or -- or new facility
23 arrangements would have been required.

24 MR. BOB PETERS: All right. But in this
25 Application before the Board, the Corporation has

1 endeavoured to demonstrate that no incremental costs
2 associated with the new building are being charged
3 through to the Centra Gas payers.

4 MR. VINCE WARDEN: There are no
5 incremental costs being charged through. That's correct.

6 MR. BOB PETERS: In the prior General
7 Rate Application and I'm not sure if it was Hydro or
8 Centra, Mr. Warden, there was discussion that a 10
9 percent productivity improvement might be anticipated by
10 centralizing the operations.

11 Do you recall those discussions generally?

12 MR. VINCE WARDEN: Yes.

13 MR. BOB PETERS: And if I recall
14 correctly, the productivity improvement applied against
15 the payroll could yield sufficient revenues to ha -- to
16 pay the carrying costs on an annual basis of a new
17 building. That was certainly a hope or a thought or an
18 expectation at some point.

19 MR. VINCE WARDEN: Yes.

20 MR. BOB PETERS: And in fairness, Mr.
21 Warden, the Corporation has somewhat retreated from that
22 position at the last Manitoba Hydro General Rate
23 Application.

24 Would that be correct?

25 MR. VINCE WARDEN: Well, I'm not sure

1 it relates to Centra because there are no incremental
2 costs related to Centra included in the forecast.

3 MR. BOB PETERS: Does that answer
4 suggest, Mr. Warden, that if there are productivity
5 improvements, they would properly be seen and shown on
6 the Hydro side?

7 MR. VINCE WARDEN: Well, ultimately, we -
8 - we are going to have to address the issue of how the
9 costs of -- of the new building will be shared amongst
10 Centra and -- and electri -- gas and electricity
11 ratepayers.

12 And to the extent there are productivity
13 savings, those savings should be shared as well.

14 MR. BOB PETERS: Mr. Derksen, you can
15 confirm that there's been no change in productivity
16 forecast in this GRA as a result of centralizing Centra's
17 operations?

18 MR. WILLY DERKSEN: That's correct.

19 MR. BOB PETERS: But you did say in your
20 opening comments to Ms. Murphy in your opening direct
21 evidence, that your budgets embed a 1 percent
22 productivity improvement. And it may have been one (1)
23 of your colleagues, if not you.

24 MR. WILLY DERKSEN: We estimate that
25 there is a 1 percent -- approximately 1 percent

1 productivity embedded in our forecast of operating costs.
2 That's right.

3 MR. BOB PETERS: You'd agree with me, Mr.
4 Warden, that based on the costs of allocated space needs
5 of Centra, the Portage Avenue building is more expensive
6 than the St. Mary Avenue lease premises?

7 MR. VINCE WARDEN: I -- I think it's --
8 well, the -- the -- first of all, the -- the leased
9 premises for St. Mary were negotiated at -- at a very low
10 rate and there would be a -- an expectation that those --
11 those costs would increase substantially if that re --
12 lease were to be renewed.

13 We are seeing, with the new head office,
14 incredible savings in terms of energy. Energy savings
15 are even greater than what was anticipated. So on the
16 energy savings side, there's no doubt that the new head
17 office is more energy efficient than the building at --
18 at 444 St. Mary.

19 Of course the -- the capital costs of
20 being built were much more recently, of course, that the
21 St. Mary address, the capital costs would be higher and
22 those costs would have to be recovered through some kind
23 of a space allocation.

24 The operating costs, though, we expect
25 would be much lower.

1 MR. BOB PETERS: Just in terms of
2 occupancy costs, and I think it was in CAC/MSOS Question
3 113, if you need a reference. Doing some back of the
4 envelope math, the leased premises at St. Mary's would be
5 ten dollars (\$10) a square foot compared to what your
6 expectations are for leasing Portage at fifteen dollars
7 (\$15) a square foot?

8 MR. VINCE WARDEN: Ten dollars (\$10) per
9 square foot, yes, that was the leasing costs at -- at 444
10 St. Mary. I believe the costs at 360 Portage have been
11 estimated in the thirteen (13) to fifteen dollar (\$15)
12 range. I think they may be somewhat higher than that
13 based on some recent numbers that I've seen.

14 MR. BOB PETERS: All right. And when you
15 add in the -- the tax portion -- the property tax
16 portion, it appeared that the 444 St. Mary's had property
17 tax at two dollars and eighty-four cents (\$2.84) a square
18 foot, compared to the eight dollars and twenty-six cents
19 (\$8.26) a square foot that the Portage Avenue property
20 tax would be -- would be charged at.

21 MS. MARLA MURPHY: Do you have a
22 reference for that?

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: I said it was a back of

1 an envelope. I might have thrown it out but it -- I'll -
2 - we'll look for it and find it. I -- my -- my -- where
3 I'm coming to is if I do the math and I add the tax
4 portion to both of those lease premises, the lease at 444
5 St. Mary's appreciating it -- it expired, it was up to
6 twelve dollars and eighty-four cents (\$12.84) a square
7 foot, which would be almost half of the 360 Portage
8 Avenue when you add the -- the lease plus the tax and
9 it'd be close to twenty-three dollars and twenty-six
10 cents (\$23.26) a square foot and perhaps CAC/MSOS-115
11 might be the source on that.

12 MR. VINCE WARDEN: Yes, we've located
13 that, Mr. Peters.

14 MR. BOB PETERS: Well, so in relative
15 terms, Mr. Warden, can you go so far as to agree that the
16 -- the Portage Avenue costs would be twice as high as for
17 -- for 444 St. Mary's?

18 MR. VINCE WARDEN: No, because I don't
19 think those numbers are comparable.

20 MR. BOB PETERS: Well, would you go so
21 far as to say that the occupancy costs in the new
22 building are admittedly higher than the occupancy costs
23 in the old Centra head office building?

24 MR. VINCE WARDEN: I would expect they
25 would be somewhat higher, although subject to what we

1 would have been able to negotiate for the old head office
2 building.

3 MR. BOB PETERS: Did you sublet the --
4 the old office building or did the lease terminate and
5 everybody moved?

6 MR. VINCE WARDEN: Actually, the lease
7 did terminate.

8 MR. BOB PETERS: In 2009?

9 MR. VINCE WARDEN: Yes.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: Mr. Derksen, am I correct
14 that there's been an allocation of \$3.4 million of total
15 occupancy costs to the gas utility in 2007/'08?

16 MR. WILLY DERKSEN: I don't have the
17 reference in front of me but that sounds about right,
18 yes.

19 MR. BOB PETERS: And if -- if \$2 million
20 of that is related to the 444 St. Mary Avenue property,
21 what would be the additional \$1.4 million of occupancy
22 costs?

23 MR. WILLY DERKSEN: Well, first of all, 2
24 million is not related to that 444 St. Mary Avenue. The
25 444 St. Mary Avenue property is a shared facility now and

1 so it gets allocated across Manitoba Hydro and Centra in
2 accordance with their activity charges.

3 And so all occupancy costs are pooled and
4 allocated on the eighty-nine/eleven (89:11) basis. So we
5 can't say that Centra's costs for the 444 and Hydro's
6 costs were 820 Taylor or those sorts of things any
7 longer.

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: Was there ever an offer
12 from the landlord at 444 St. Mary Avenue to extend the
13 lease for Centra?

14 MR. VINCE WARDEN: Not that I'm aware of,
15 no.

16 MR. BOB PETERS: Do you know at what cost
17 the landlord re-let the space?

18 MR. VINCE WARDEN: No, I don't.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: Mr. Warden, you wouldn't
23 be surprised that Centra's ratepayers and some of them
24 have an interest in Centra and the new office tower for
25 Manitoba Hydro and costs related to that?

1 MR. VINCE WARDEN: No.

2 MR. BOB PETERS: I can indicate, Mr.
3 Chairman, and I'm choosing not to indicate the name but
4 the Board has been provided with a letter from a Centra
5 ratepayer that requested certain questions be posed.

6 And I think we've dealt with them. They
7 certainly are probably also answered in the Information
8 Request but certainly I -- I'd like to summarize my
9 questions on the new office tower with the questions
10 posed in writing by the consumer.

11 So, Mr. Warden, the first question is,
12 what is the total cost of the new Manitoba Hydro building
13 on Portage Avenue in Winnipeg?

14 MR. VINCE WARDEN: Manitoba Hydro is
15 projecting that the total cost of the new head office at
16 360 Portage Avenue will be \$283 million.

17 MR. BOB PETERS: And what part of this
18 total cost is allocated to Centra Gas and its ratepayers?

19 MR. VINCE WARDEN: At this time, no part
20 of that total cost has been allocated to Centra Gas.

21 MR. BOB PETERS: Thank you. Third
22 question. What was the original planned cost of this new
23 Manitoba Hydro building?

24 MR. VINCE WARDEN: The design of Manitoba
25 Hydro's head office building in its current state, that

1 is in the size of six hundred and ninety thousand
2 (690,000) square feet, the original estimate for that
3 size building was \$258 million. That was subsequently
4 increased to \$278 million, and as I indicated in a
5 previous answer that estimate is now \$283 million.

6 MR. BOB PETERS: Thank you. Can you
7 explain what part of the original planned cost was
8 allocated to Centra Gas and it's ratepayers?

9 MR. VINCE WARDEN: There was no part of
10 the original planned cost allocated to Centra Gas and its
11 ratepayers.

12 MR. BOB PETERS: Here's perhaps a policy
13 question for you, Mr. Warden.

14 The shares of Centra Gas Manitoba Inc. are
15 owned by the Manitoba Hydro Electric Board?

16 MR. VINCE WARDEN: Yes.

17 MR. BOB PETERS: Has to your knowledge
18 the Manitoba Hydro Electric Board considered divesting
19 itself of Centra Gas?

20 MR. VINCE WARDEN: No.

21 MR. BOB PETERS: All right. And is it
22 your understanding that as the owner of the shares of
23 Centra Gas it would be Manitoba Hydro's decision as to
24 whether or not it would seek to divest itself of Centra
25 Gas?

1 MR. VINCE WARDEN: Well as -- as a Crown
2 owned utility I think any decision that would be made to
3 divest a large portion, a significant portion of that
4 Crown utility would be a decision that would be referred
5 to our owner -- ultimate owner, the Province of Manitoba.

6 MR. BOB PETERS: Thank you for those
7 answers, Mr. Warden. I'd like to turn before the morning
8 recess if I could, to the topic of advanced metering
9 infrastructure.

10 And, Mr. Petursson, perhaps you and I can
11 discuss this. Would the Board be correct in
12 understanding that Advanced Metering Infrastructure or as
13 it's often known AMI is technology used to assist in the
14 reading of meters?

15 MR. DAVID PETURSSON: Yes, that is part of
16 what AMI will do.

17 MR. BOB PETERS: What else will AMI do?

18 MR. DAVID PETURSSON: AMI will -- it will
19 read meters but it will also enable other communications.
20 It could -- for example, it could help to communicate
21 pressures or cathodic readings if such attachments were
22 hooked up. The AMI is quite versatile.

23 MR. BOB PETERS: I may not be as
24 versatile. You're suggesting to the Board that the AMI
25 project being investigated by Centra will not only read

1 meters but it would also communicate, with respect to
2 pressures.

3 MR. DAVID PETURSSON: No, I'm -- AMI is
4 primarily from reading meters, but I'm saying it's
5 capable of those other things.

6 MR. BOB PETERS: And while it's capable
7 of those other things...

8

9 (BRIEF PAUSE)

10

11 MR. BOB PETERS: Mr. Petursson, I
12 appreciate maybe we were flying at different altitudes
13 there. I was focussing more on the specific AMI project
14 of the Utility and not in generic terms, so I apologize
15 if I -- if I confused you on that. But I appreciate your
16 telling the Board that AMI, in my words, can come with
17 some -- some options.

18 Would that be fair?

19 MR. LLOYD KUCZEK: That's fair.

20 MR. BOB PETERS: And in terms of what
21 Centra Gas Manitoba Inc. is looking at, would it be the -
22 - would it -- would the options of cathodic protection,
23 communication, and pressure communication be included, or
24 is that something that's not planned to be included on
25 the Centra AMI projects?

1 MR. LLOYD KUCZEK: I believe right now
2 what we're doing is -- with the pilot, is just reading
3 meters, and as far as the business case goes we're
4 looking at potential uses and benefits associated with
5 using the AMI technology for -- for capturing those
6 benefits through other uses.

7 MR. BOB PETERS: Am I -- is -- is the
8 Board correct in understanding that the pilot project of
9 AMI has been in existence since approximately 2006/'07?

10 MR. LLOYD KUCZEK: I'm not -- we're not
11 familiar with the date that it started, but that's
12 approximately when it started.

13 MR. BOB PETERS: Would it be correct that
14 there's approximately nine hundred and fifty (950) meters
15 installed to-date, under the pilot project?

16 MR. LLOYD KUCZEK: That sounds about
17 right.

18 MR. BOB PETERS: And as you mentioned in
19 your third last answer to me, Mr. Kuczek, there is no
20 business plan yet developed for AMI?

21 MR. LLOYD KUCZEK: That's being worked on
22 right now.

23 MR. BOB PETERS: And the business plan is
24 a plan that is prepared, in economic and financial terms,
25 to, in essence, I suppose, first convince Mr. Warden to -

1 - to include this in the capital expenditures of the
2 Corporation going forward?

3 MR. LLOYD KUCZEK: That's correct.

4 MR. BOB PETERS: And the business plan
5 will contain a cost benefit analysis that will assist
6 parties in determining whether additional monies should
7 be spent on the AMI project?

8 MR. LLOYD KUCZEK: Correct.

9 MR. BOB PETERS: And as I understood what
10 you were saying earlier, that on a cost benefit basis you
11 probably can't prepare a business plan that would meet
12 with favour with Mr. Warden only for reading meters?

13 MR. LLOYD KUCZEK: I couldn't answer that
14 question until we complete our assessment, but I do know
15 it's a challenge.

16 MR. BOB PETERS: Okay. And -- and then I
17 threw Mr. Warden's name in there gratuitously, but only
18 to the -- to the extent that you have to demonstrate that
19 the costs are not outweighed by the benefits in the AMI
20 project?

21 MR. LLOYD KUCZEK: Correct.

22 MR. BOB PETERS: And on a strict meter
23 reading only basis, that may be a challenge or difficult
24 to demonstrate?

25 MR. LLOYD KUCZEK: It may be, but we

1 haven't finalized our assessment yet, so that's not the
2 conclusion.

3 MR. BOB PETERS: I appreciate that and
4 thank you for that clarification. But it's also then
5 that if the Corporation looks to add some -- this isn't
6 going to sound very good but -- bells and whistles to the
7 AMI, or add some optionality to it, that may be an
8 attempt by the Corporation to -- to have more benefits
9 for the same cost.

10 MR. LLOYD KUCZEK: Yeah, there's two (2)
11 areas that potentially could add some benefits that we
12 could quantify. One (1) area is having the abil -- and
13 actually I'm not sure if this is applicable to the gas
14 meters yet, but on the electric side, I bel -- believe
15 there's the option, or they're working on the option, to
16 have the ability to disconnect remotely. The other area
17 that a number of companies are working on is focussed on
18 DSM benefits through -- that would be achieved through
19 controlling certain end-use technologies. And again, I
20 think those are primarily focussed on the electricity
21 side at this point.

22 MR. BOB PETERS: With the advent of load
23 limiters, would I be correct in assuming that the
24 disconnection of electricity customers is -- is not done
25 to the extent it used to be?

1 MR. LLOYD KUCZEK: It has changed the
2 process.

3 MR. BOB PETERS: Do the AMI units limit
4 the load or do they simply connect or disconnect?

5 MR. LLOYD KUCZEK: I -- I don't believe
6 the AMI meters actually limit the load. The li -- lo --
7 the load-limiting device is on the electric meters, not
8 the gas meters.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: So as I take your
13 answers, Mr. Kuczek, you're looking at other possible
14 benefits that could be utilized through MA -- through AMI
15 for Centra.

16 MR. LLOYD KUCZEK: That's correct.

17 MR. BOB PETERS: Are you also looking at
18 what might be considered non-economic benefits in the
19 business case?

20 MR. LLOYD KUCZEK: Well, I shouldn't be
21 answering that question, but I -- in discussions with the
22 person that doing the assessment, I -- I do believe that
23 they are looking at those.

24 MR. BOB PETERS: Can you indicate...

25

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: In terms of non-economic
4 benefits, can you give the Board an idea as to what a few
5 of those might be?

6 MR. LLOYD KUCZEK: I'd be stepping
7 outside the scope of my expertise, because I -- I'm not
8 involved in the assessment, so I don't think that would
9 be appropriate for me.

10 MR. BOB PETERS: Do you know if the
11 assessment is also looking at the -- at the benefits to
12 the homeowner's safety by having six (6) visual
13 inspections a year on their -- on their meter in their
14 plant at home?

15 Is that built into the business case?

16 MR. LLOYD KUCZEK: I -- I couldn't answer
17 that question.

18 MR. BOB PETERS: Okay. What you can
19 answer is that in Board Order 99 of '07 found at Tab 6 of
20 the book of documents, in the first directive the pilot
21 project costs approved by the Board at the last GRA were
22 two hundred and seventy-seven thousand dollars
23 (\$277,000)?

24

25 (BRIEF PAUSE)

1 MR. LLOYD KUCZEK: Correct.

2 MR. BOB PETERS: And at Tab 14 of the
3 book of documents on page 2 of 2, it now looks like the
4 pilot project costs are being forecast at three hundred
5 and sixty-eight thousand dollars (\$368,000).

6 Is that also correct?

7 MR. LLOYD KUCZEK: That looks correct.

8 MR. BOB PETERS: Can you indicate to the
9 Board why the pilot project costs have increased?

10 MR. LLOYD KUCZEK: No, I'm not an expert
11 in the program costs.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: In terms -- am I correct
16 and -- in terms of what the Corporation is asking is that
17 the Corporation is asking for additional pilot project
18 costs being approved by this Board, so that they can be
19 included in rates for the two (2) test years? Or is
20 there no additional amount being sought?

21 MR. VINCE WARDEN: Mr. Peters, what we're
22 referring to on -- at Tab 14, page 2 of 2, is the -- the
23 capital costs associated with AMI. Those -- those
24 amounts will remain in -- work in progress until such
25 time as they are capitalized and -- and amortized. So at

1 this point there's no amortization included in the test
2 years for -- for Centra.

3 Mr. Peters, one (1) qualification to my
4 last answer: To the extent that we would have been --
5 the meters that had been installed are still being used
6 as regular meters, those costs would have been included
7 in our -- would have been capitalized and -- and are
8 being amortized. But those really are quite incidental
9 costs that would be included in the test years.

10 MR. BOB PETERS: The base cost of the
11 meter itself will be treated as a capital expense but the
12 optionality related to AMI will not be capitalized.

13 MR. VINCE WARDEN: As they -- I'm sorry,
14 as they normally would, yes.

15 MR. BOB PETERS: Mr. Kuczek, can you
16 explain to the Board why there's no business case at this
17 point in time?

18 MR. LLOYD KUCZEK: Well, all I know is
19 staff are working on it, but I -- I couldn't tell you
20 why it isn't complete at this point, no.

21 MR. VINCE WARDEN: Mr. Peters, it is
22 taking -- with any pilot there are -- there's a lot of
23 testing that goes on and this is -- this pilot is taking
24 longer than originally anticipated. That's the -- part
25 of the reason why we've deferred the project on -- on the

1 -- in the Centra Application.

2 MR. BOB PETERS: And there are no
3 incremental costs beyond the pilot project costs being
4 included going forward at this point in time?

5 MR. VINCE WARDEN: That's right.

6 MR. BOB PETERS: All right. And because
7 the pilot project cost to-date, those have been put in
8 construction work in progress, is that the account under
9 which Mr. Derksen would file them?

10 MR. VINCE WARDEN: Well the -- as I
11 mentioned previously the cost of the meter itself that is
12 being used in -- in production, so as those costs have
13 been charged as part of in-service cost.

14 MR. BOB PETERS: But the AMI optionality
15 is what is not being capitalized at this point in time?

16 MR. VINCE WARDEN: To the extent there
17 are costs associated with the pilot that have not yet
18 been concluded, those costs are still included in work in
19 progress.

20 MR. BOB PETERS: Is interest being
21 capitalized on this, Mr. Derksen?

22 MR. WILLY DERKSEN: Yeah, to the extent
23 that -- that there are costs and CWIP interest would be
24 capitalized, that's correct.

25 MR. BOB PETERS: When is the expected

1 date of the pilot project to be completed and the
2 business case to be fully developed and considered by
3 Manitoba Hydro's executive and management?

4 MR. VINCE WARDEN: My understanding is
5 they're working on this business case as we speak
6 currently, and that it will be -- the presentation to
7 Executive Committee is imminent.

8 MR. BOB PETERS: Can you explain then to
9 the Board, that if -- if its presentation to the
10 Executive Committee is imminent, but no costs are
11 included in this General Rate Application for it, is the
12 Executive Committee saying it won't approve it under any
13 circumstances until the next General Rate Application?
14 Or might the Executive Committee approve it to proceed
15 and incur capital costs related to it, prior to the
16 General Rate Application?

17 MR. VINCE WARDEN: Well, there -- there's
18 two (2) components to the AMI project: One (1) on the
19 electricity, the other on the gas side. And the --
20 again, the understanding I have at this point in time is
21 that there is a good business case on the electricity
22 side, but not so good on the gas side.

23 So it's very unlikely that there will be
24 any project approved for natural gas before we appear
25 again before this Board.

1 MR. BOB PETERS: Thank you. Mr.
2 Chairman, with those answers, this might be an
3 appropriate time for the morning recess.

4 THE CHAIRPERSON: Very good, Mr. Peters.
5 We'll take our break now. Thank you.

6
7 --- Upon recessing at 10:49 a.m.

8 --- Upon resuming at 11:11 a.m.

9
10 THE CHAIRPERSON: Okay, Mr. Peters.
11 Looks like we are going to have a relatively short
12 period of time between now and lunch, so...

13
14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Well, let's enjoy it.
16 And I'm going to try to help that, but before I -- before
17 I turn to the rivetting questions on finance expense, I
18 want to stay with Mr. Warden on the AMI project.

19 And something you said before the break,
20 Mr. Warden, that -- that hit me was: Conceptually, is
21 there one (1) pilot project looking at AMI or are there
22 two (2) separate pilot projects looking at AMI?

23 MR. VINCE WARDEN: It is one (1) pilot
24 project, but both gas and electric -- or each of the gas
25 and electric are being assessed separately.

1 MR. BOB PETERS: Presently, if you have
2 no AMI being used, one (1) meter reader would read two
3 (2) meters at a residence.

4 Would that be correct?

5 MR. VINCE WARDEN: Yes.

6 MR. BOB PETERS: And that's considered
7 efficient use of time and it reduces the cost by reading
8 both the gas and the electric at the same time by the
9 same person?

10 MR. VINCE WARDEN: Absolutely, yes.

11 MR. BOB PETERS: All right. But are you
12 telling the Board that AMI may proceed for electric but
13 not for gas?

14 MR. VINCE WARDEN: Well, I'm not certain
15 of that. I do know that there's a much stronger business
16 case for electric -- electric than there is for gas. As
17 to whether one would proceed independently of the other,
18 I expect that would be part of the business case that
19 would justify one (1) or the other.

20 MR. BOB PETERS: Well, let's just think
21 about that out loud. If -- if the decision, let's just
22 hypothetically say, was to proceed with electric
23 implementation of AMI but not on the gas side, what
24 you've effectively done is you've significantly increased
25 the cost of meter reading for the gas company.

1 Wouldn't that be correct? Wouldn't that
2 follow?

3 MR. VINCE WARDEN: Yes, I think that --
4 yes, it could be a consequence of that, yes.

5 MR. BOB PETERS: And that would -- that
6 wouldn't make economic sense, would it, if --

7 MR. VINCE WARDEN: Well, not for the
8 stand-alone gas company, but we'd have to look at that in
9 totality, I would think.

10 MR. BOB PETERS: And so in terms of
11 timing of your looking at it, I think I took from your
12 answer just before the recess that you expect, if you do
13 go forward with the AMI on the gas side, that that pilot
14 project and the business case will be before this Board
15 at a subsequent GRA and that would be prior to
16 implementation.

17 Would that be fair?

18 MR. VINCE WARDEN: Yes.

19 MR. BOB PETERS: Can you make the same
20 statement for the electric side; that is, if the business
21 case has an aspect of it that you want to proceed on the
22 -- only on the electric side, that you will not proceed
23 until the business case has been vetted before the Public
24 Utilities Board at, presumably, a General Rate
25 Application?

1 So -- but I think we would -- we would
2 take that -- in fact, I'm sure we would take that into
3 account in the business case.

4 MR. BOB PETERS: And the business case
5 would be examined though as a -- as a joint two (2)
6 service utility, not as a -- two stand-alone utilities.
7 Isn't that also correct?

8 MR. VINCE WARDEN: Yes.

9 MR. BOB PETERS: Yeah. So if what you do
10 on the electric side drives up costs on the gas side,
11 that'll have to be factored into the business case is
12 what you're telling the Board?

13 MR. VINCE WARDEN: That's right.

14 MR. BOB PETERS: All right. Thank you
15 for that. I would like to move to finance expense and
16 just alert the Board that there have been some revisions
17 in this area as the witnesses have already testified.
18 And some of those revisions, to my reading, occurred as
19 late as -- as late as yesterday, with some of the updated
20 filings. So I'm gonna ask the witnesses to use kid
21 gloves on me, but make sure that your answers to the
22 Board are fully -- fully explained at the Corporation's
23 position.

24 Is this your area, Mr. Warden, or is it
25 primarily Mr. Derksen's?

1 MR. VINCE WARDEN: Yes, I'll respond to
2 the questions, Mr. Peters.

3 MR. BOB PETERS: All right. Would you
4 agree with me, Mr. Warden, that the original General Rate
5 Application filing by the Company indicated an increase
6 in revenue requirement, primarily due to long-term debt
7 changes, as well as interest on long-term debt, common
8 assets and gas inventory?

9 MR. VINCE WARDEN: Well, no, I don't
10 believe that's the case. The -- the Application
11 certainly was a component of the cost increases that we
12 were seeking approval from the Public Utilities Board,
13 but not solely.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: Mr. Warden, at Tab 2 of
18 the book of documents, we had finance expense growing
19 from an approved \$22.1 million in '08/'09 to 24.6 million
20 in '09/'10, and that was initially a \$2.5 million
21 increase in what was applied for with the May 6th update.

22 Do you agree with that?

23 MR. VINCE WARDEN: Yes, I do.

24 MR. BOB PETERS: And that was followed
25 with -- by a further increase in finance expense for the

1 second test year to \$25.2 million, which in itself was
2 another five hundred and eighty-one thousand dollar
3 (\$581,000) increase in finance expense?

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: And now the revised
6 PUB/CENTRA-15 found at Tab 2 of the book of documents,
7 and it would be the June 1st update, indicates an
8 absolute reduction in finance expense from what was
9 originally forecast for both test years?

10 MR. VINCE WARDEN: Correct.

11 MR. BOB PETERS: And instead of an
12 increase of 2.5 million in the first test year, now
13 there's a net decrease of 1.2 million for a total
14 reduction in finance expense of over \$3.6 million for
15 that test year period compared to what was originally
16 applied for.

17 MR. VINCE WARDEN: Yes.

18 MR. BOB PETERS: And perhaps
19 simplistically but the underlying cause for the reduction
20 is due to the change in forecast interest rates. Would
21 that be true?

22 MR. VINCE WARDEN: That -- that is
23 correct, yes.

24

25 (BRIEF PAUSE)

1

2 MR. BOB PETERS: Mr. Chairman, Board
3 Members and panel members, I circulated last evening a
4 possible exhibit that -- that might be helpful to
5 demonstrate where I want to go next and I -- I left
6 numerous copies around the room for the witnesses and
7 also for the Board.

8 I didn't have extra copies, I note Mr.
9 Rainkie's going to have to find someone to share with.

10 But I wanted to perhaps mark what is known
11 -- what is identified as Board Advisor Analysis Number 1
12 as PUB Exhibit Number 12 unless Ms. Murphy has any
13 objections to that.

14 MS. MARLA MURPHY: No, we have none.

15

16 --- EXHIBIT NO. PUB-12: Board Advisor Analysis 1

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: What PUB Exhibit 12
20 demonstrates is some -- some difference analysis from
21 what the Board had reviewed with the Application until
22 what the update was.

23 And the update now shows interest on short
24 term debt to be only nine hundred and twelve thousand
25 dollars (\$912,000) in 2009/'10 down from \$4.4 million.

1 Is that correct?

2 MR. VINCE WARDEN: Yes, that's what this
3 demonstrates, yes.

4 MR. BOB PETERS: And so that's a decrease
5 of over \$3.4 million related to interest on short term
6 debt for the first test year.

7 MR. VINCE WARDEN: Yes.

8 MR. BOB PETERS: While the Board is
9 seeing that reduction of interest cost on short term debt
10 in the forecast test year, the '09/'10 test year, you'd
11 agree with me, Mr. Warden, or would you that that trend
12 in reduction in short term interest rates started some
13 time in 2008/'09 of the Company's fiscal year.

14 MR. VINCE WARDEN: Yes. At the time we
15 didn't know it was a trend but yes, it did start in
16 '08/'09.

17 MR. BOB PETERS: In Tab 5 of the book of
18 documents there is a June 1st update of PUB/CENTRA-14.
19 And this June 1st update for the Board was the
20 Corporation's summary of the changes between what was
21 applied for and what was last approved by the Board.

22 You'd agree with that, Mr. Warden?

23

24

(BRIEF PAUSE)

25

1 MR. VINCE WARDEN: I wonder if you would
2 just state that question again please, Mr. Peters?

3 MR. BOB PETERS: Certainly, sir. Let me
4 -- let me approach it this way.

5 Down on line 17 of the June 1st revised
6 PUB/CENTRA-14 found at Tab 5 of the book of documents for
7 those who have been keeping current, it appears that
8 finance expense in the Centra '08/'09 year, on a
9 preliminary basis, looks like it's going to be \$2 million
10 lower than what was approved by the Board in rates.

11 MR. VINCE WARDEN: Yes.

12 MR. BOB PETERS: And I'm suggesting that
13 that \$2 million lower short -- finance expense is
14 primarily due to the lower short-term interest rates.

15

16 (BRIEF PAUSE)

17

18 MR. VINCE WARDEN: Mr. Peters, some of it
19 will be due to lower long-term rates as well. However, I
20 -- I do agree that the majority would be due to short-
21 term rates, yes. So I'll agree with that, yes.

22 MR. BOB PETERS: And -- and will we also
23 agree, Mr. Warden, that to the extent that the rates last
24 approved by the Board embedded too much for the finance
25 expense and what was actually needed, the difference

1 would flow down to the Corporation bottom line in terms
2 of net income?

3 MR. VINCE WARDEN: Yes.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: In terms of percentage
8 numbers for short-term interest rates, am I correct that
9 the Corporation was using in the '08/'09 forecast that
10 was before the Board at the last GRA, 4.5 percent as the
11 interest rate on short-term debt? Do you take that
12 subject to check?

13 MR. VINCE WARDEN: Yes, I'll accept that.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: You might also check
18 transcript page 140, Mr. Warden, 'cause that may have
19 been in your direct evidence through Ms. Murphy. We'll
20 just have to check that but -- but if it were 4.5 percent
21 for the last time you were before the Board, the Appendix
22 A of the economic outlook that has been filed now by the
23 Company indicates short-term debt is down to 2.87 or 2.9
24 percent?

25 MR. VINCE WARDEN: Correct.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: So we could apply the
4 math against the volumes but if the forecast was for 4
5 1/2 percent, the actual short-term interest rate was only
6 2.9 percent. The 2.9 percent would have been a primary
7 reason for there being \$2 million variance in the finance
8 expense from '08/'09?

9 MR. VINCE WARDEN: Yes.

10 MR. BOB PETERS: And while you don't
11 break it down between short-term and long-term debt,
12 you're satisfied that the majority of it is certainly
13 short-term debt?

14 MR. VINCE WARDEN: Yes.

15 MR. BOB PETERS: And if we go back to PUB
16 Exhibit 12, the handout of this morning, we can see that
17 in the second test year -- in the 2010/2011 test year,
18 the forecast of the short-term interest was \$5 million
19 and it has fallen in the latest update down to \$1.7
20 million, correct?

21 MR. VINCE WARDEN: Yes.

22 MR. BOB PETERS: So there's another \$3.3
23 million of cost savings on account of short-term debt
24 interest costs that are forecast.

25 MR. VINCE WARDEN: That are forecast at

1 this time, yes.

2 MR. BOB PETERS: And we can see from
3 PUB/CENTRA -- sorry -- PUB Exhibit 12 that the major
4 decrease -- and the -- and the major change in the
5 Corporation's Application comes as a result of the change
6 in the short-term debt rate?

7 MR. VINCE WARDEN: Yes.

8

9 (BRIEF PAUSE)

10

11

12 MR. BOB PETERS: If we turn, Mr.
13 Chairman, to what I'll ask to be marked as PUB Exhibit
14 13, which is the Board Advisor Analysis Number 2. This
15 document, Mr. Chairman, was also handed out and it takes
16 a longer view of the -- of the finance expense.

17

18 --- EXHIBIT NO. PUB-13: Board Advisor Analysis 2

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Have you located that,
22 Mr. Warden?

23 MR. VINCE WARDEN: Yes, I have.

24 MR. BOB PETERS: Still staying on line 4
25 of PUB Exhibit 13, we see that after the test year of

1 2011 the interest on short-term debt starts to increase
2 again as a result of interest being forecast to increase
3 in 2011 and '12 and beyond.

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: What is the underlying
6 cause for this change in the forecast that the short-term
7 rate is going to change?

8 MR. VINCE WARDEN: Well, it's -- it's a
9 recognition that we're in very abnormal conditions at
10 this time. And we do expect there will be, over the
11 period of time referenced in Exhibit Number 13, a return
12 to more normal short and long-term rates.

13 MR. BOB PETERS: Well, if we look at line
14 3 of PUB Exhibit 13 and look at the interest on long-term
15 debt, we see that in the first ten -- the first test year
16 of 2010 there's a marginal or a modest decrease of forty-
17 three thousand dollars (\$43,000) on account of long-term
18 debt interest decreasing, correct?

19 MR. VINCE WARDEN: Yes.

20 MR. BOB PETERS: And there's even larger
21 increases of six hundred and eighty-seven thousand
22 (687,000) in the second test year of 2011.

23 MR. VINCE WARDEN: Yes.

24 MR. BOB PETERS: However, on a long-term
25 basis there appears to be savings in the range of \$3.5 to

1 \$3.7 million a year on account of long-term interest
2 going out past 2012.

3 MR. VINCE WARDEN: Yes, and that's
4 because we were able to lock in some longer-term
5 financing at very attractive rates.

6 MR. BOB PETERS: How much has the
7 Corporation been able to lock in at the attractive rates?

8 MR. VINCE WARDEN: Well, we recently --
9 that is as recently as May 29th, were able to obtain \$300
10 million of -- of long -- thirty (30) year financing at a
11 -- what is probably one of the lowest rates we have ever
12 been able to transact.

13 MR. BOB PETERS: We'll -- we'll come to
14 that. That thir -- that \$300 million debt issue was --
15 was finalized on -- as late as June the 2nd, correct, of
16 this year?

17 MR. VINCE WARDEN: Yes.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: While we're on the topic
22 of long-term debt, in the book of documents at Tab 16,
23 Mr. Warden, you will see long-term debt in PUB/CENTRA-
24 47C, which is the only document at book of documents 16.
25 You'll see long-term debt going out for the test years

1 increasing through '08/'09, through -- through fiscal '10
2 and fiscal '11, correct?

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: But that same -- but
5 that same increase isn't seen when the Board looks at the
6 IFF found at Tab 24 of the book of documents -- we're on
7 what is marked as page 39, it's the third page in Tab 24
8 of the book of documents.

9 It's -- it's the "Centra Gas Manitoba
10 Integrated Financial Forecast 08-1," and I'm looking on
11 the gas operations page, Mr. Warden, and I'm seeing that
12 as it goes into -- as it goes out into the future, the
13 long term debt is fixed at \$235 million and is not
14 increasing as it appears on PUB/CENTRA-47C.

15 Are you seeing the same?

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: Ms. Murphy, if it's more
20 helpful, that can just be an undertaking that we can --
21 we can resort to later. I just would like a
22 reconciliation of those numbers for the Board if -- if
23 your witnesses prefer to do it that way.

24

25 (BRIEF PAUSE)

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

MR. VINCE WARDEN: What the projected balance sheet does it -- you know, maybe I will do that. Maybe I'll take that as an undertaking and reconcile those two (2) numbers.

--- UNDERTAKING NO. 7: Centra to reconcile the number for increase in long term debt, found in PUB/CENTRA-47C, with the number found in the IFF, at Tab 24 of the book of documents

CONTINUED BY MR. BOB PETERS:

16

17

18

19

20

21

22

23

24

25

MR. BOB PETERS: Thank you for that, Mr. Warden. Let's turn to the Provincial debt guarantee fee for a minute. That is a component of finance expense?

MR. VINCE WARDEN: Yes.

MR. BOB PETERS: And it is set at 1 percent of the year-end outstanding debt balance of the Utility?

MR. VINCE WARDEN: That's correct.

MR. BOB PETERS: And at Tab 16 of the book of documents is the calculations of Centra for its

1 provincial debt guarantee fee payments.

2 MR. VINCE WARDEN: Yes.

3 MR. BOB PETERS: Would it be correct that
4 as the debt grows so does the payment to the Province
5 that will follow?

6 MR. VINCE WARDEN: Yes.

7 MR. BOB PETERS: But the debt guarantee
8 fee is not in any way tied to the interest rate that is
9 received or negotiated by Centra or Manitoba Hydro on any
10 of its debt?

11 MR. VINCE WARDEN: That's correct.

12 MR. BOB PETERS: And the benefit to
13 ratepayers of this guarantee fee is that it allows the
14 gas ratepayers access to lower interest rates than could
15 be achieved by Centra on a standalone basis.

16 MR. VINCE WARDEN: Yes.

17 MR. BOB PETERS: You indicated that there
18 has been a recent \$300 million issue by Manitoba Hydro at
19 what to your current memory is at the lowest rate that
20 you can recall for some time, was that debt renewal of
21 debt or was that new debt issued, Mr. Warden?

22 MR. VINCE WARDEN: That was new debt.

23 MR. BOB PETERS: Would you -- would you
24 agree that that was -- was any portion of that earmarked
25 or raised for the gas utility or was it for the electric

1 side?

2 MR. VINCE WARDEN: Well we borrow -- we
3 don't borrow specifically one or the other. We -- we
4 borrow for the integrated operations of both gas and
5 electric.

6 MR. BOB PETERS: Would it be correct for
7 the Board to understand that if -- that if Manitoba Hydro
8 -- well first of all Manitoba Hydro is locked into some
9 long term debt, correct?

10 MR. VINCE WARDEN: Yes.

11 MR. BOB PETERS: At higher interest rates
12 that you were obtaining on May 29th of 2009.

13 MR. VINCE WARDEN: Yes.

14 MR. BOB PETERS: And I'm sure it strikes
15 Manitoba Hydro that there may be some advantage to
16 renegotiating or paying out with penalty the previously
17 incurred debt with a new cheaper debt.

18 That's something that Manitoba Hydro would
19 look at?

20 MR. VINCE WARDEN: Where that is to our
21 advantage, yes, we would -- we would look at that. That
22 -- yes, we would.

23 MR. BOB PETERS: And you say where it's
24 to your advantage, it would be where it is to your
25 economic and financial advantage.

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: And when you -- when you
3 have existing long term debt I take it there are
4 penalties to -- to repay that early if I can or to
5 renegotiate it.

6 MR. VINCE WARDEN: There are.

7 MR. BOB PETERS: And so is the test that
8 is done by Hydro to measure the impact of having to incur
9 the penalties with what the costs would be if you were
10 issuing the debt at the lower interest rate?

11 MR. VINCE WARDEN: Yes.

12 MR. BOB PETERS: And that's done on a
13 continuous basis?

14 MR. VINCE WARDEN: It is and -- and
15 obviously, the -- whoever is looking at the other end of
16 that transaction is also -- knows what the current market
17 conditions are so it's infrequently transacted actually.
18 We -- we don't see that often at Manitoba Hydro.

19 MR. BOB PETERS: Well, that's what I was
20 wondering about is it -- it is relatively infrequent and
21 yet we're now at the lowest debt costs in -- in most
22 memories and yet there's no financial benefit to Manitoba
23 Hydro to renegotiate its existing long-term debt is what
24 appears to be the position of the Corporation.

25 MR. VINCE WARDEN: Well, as I mentioned,

1 there's always somebody on the other side of that
2 transaction that has all the -- access to the same
3 information that we do.

4 MR. BOB PETERS: But is there a -- is
5 there a fixed penalty built into the long-term debt or is
6 it -- has to be a negotiated amount?

7 MR. VINCE WARDEN: It's a market-based
8 transaction, so I wouldn't refer to it as a penalty, per
9 se. It depends on what the bond may be trading at at the
10 time.

11 MR. BOB PETERS: But if it's market-
12 based, then there'll be relatively -- as you say,
13 relatively few opportunities to renegotiate at lower
14 rates?

15 MR. VINCE WARDEN: That's right.

16 MR. BOB PETERS: Turning to -- to the
17 issue of amortization of debt discounts as seen on
18 PUB/CENTRA-149 found at Tab 16 of the book of documents -
19 - sorry -- Tab 15 of the book of documents.

20 That's the next item of finance expense
21 listed, correct, Mr. Warden?

22 MR. VINCE WARDEN: Yes.

23 MR. BOB PETERS: Can you explain briefly
24 to the Board what is a debt discount?

25 MR. VINCE WARDEN: Well, it's the

1 difference between what the bond -- at any time of a bond
2 issue, there -- there's a -- either a premium or a
3 discount depending on -- on what -- how the market values
4 that -- that issue. So we would -- that difference is
5 typically, as this line indicates, is being amortized
6 over the respective life of the -- of the bond that is
7 being issued.

8 MR. BOB PETERS: That's the cumulative
9 amount of all of the bonds that relate to Centra?

10 MR. VINCE WARDEN: Yes, it is.

11 MR. BOB PETERS: And some of those may be
12 favourable -- some may be unfavourable in terms of their
13 discounts and they're netted out on that line?

14 MR. VINCE WARDEN: That's right.

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: When we follow out the
19 chart on PUB/CENTRA-149, Mr. Warden, we see that by the
20 year, 2014, there is no longer amortization of debt
21 discounts. Can you locate that?

22 MR. VINCE WARDEN: Yes, I see that here.

23 MR. BOB PETERS: Can you explain why
24 there would be no longer any amortization of debt
25 discounts when your issues are long into the future?

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Typically, debt
4 discounts would be amortised over the life of the
5 respective bond issue. So what this would indicate to me
6 is that for all bonds that we have -- we have -- there's
7 been a discount associated with, all of those bonds would
8 have expired by 2013, so any bond that would issue --
9 that we still have that hasn't matured beyond that date
10 would not have been -- would not have a discount
11 associated with it. That would mean it would have been
12 issued at par.

13 MR. BOB PETERS: Is there a change in
14 accounting policy associated with that, Mr. Warden?

15 MR. WILLY DERKSEN: Yes, there is.

16 MR. BOB PETERS: Can you explain that
17 briefly, Mr. Derksen?

18 MR. WILLY DERKSEN: Yes. Previously
19 those discounts were amortized on a straight-line basis;
20 that is, if there was a -- a million dollar discount and
21 the bond issue was for ten (10) years, we would amortize
22 that discount over that ten (10) year period, one hundred
23 thousand (100,000) per year. With a new CICA directive
24 it has to be amortized using a financial basis and
25 effective interest basis, and that would have the affect

1 of having a lower amortization in the earlier periods and
2 a higher amortization in latter periods.

3 MR. BOB PETERS: But are -- is the period
4 still the length of the issue?

5 MR. WILLY DERKSEN: Yes, it is.

6 MR. BOB PETERS: And so, I take from Mr.
7 Warden's last answer then that there are no debt issues
8 with discounts or premiums outstanding past 2013.

9 MR. WILLY DERKSEN: That's what this
10 would indicate, yes.

11 MR. BOB PETERS: Is it -- intuitively,
12 does that make sense in light of the long-term debts that
13 the Corporation has?

14

15 (BRIEF PAUSE)

16

17 MR. VINCE WARDEN: Yes, that's -- we've
18 confirmed that with our treasury people.

19 MR. BOB PETERS: When I look at book of
20 documents Tab 20, Mr. Warden and Mr. Derksen, I'm still
21 confused with your last answer.

22 When I look at book of documents Tab 20, I
23 see an extract from Tab 4, page 39 of 42 of Centra's
24 Application of January 20th where the long-term debt
25 issues are -- are listed. And when I -- when I go down

1 the list I see at line 13 and at line 15 maturity dates
2 that are 2032 and 2037 respectively.

3 MR. WILLY DERKSEN: There's no discount
4 or premium on those issues that expire after that point
5 in time.

6 MR. BOB PETERS: All right. I appreciate
7 that. That will explain, I suppose, that answer, Mr.
8 Derksen.

9 On the -- on the recent issue of the
10 Corporation there is a premium on it.

11

12 (BRIEF PAUSE)

13

14 MR. VINCE WARDEN: Sorry, Mr. Peters, your
15 -- your question I believe on the -- was on the most
16 recent issue of \$300 million was there a discount and the
17 answer is, yes, there was a discount on that -- that
18 issue.

19 The amount of the discount was \$24 million.

20 MR. BOB PETERS: And certainly because of
21 the timing that wouldn't be reflected in -- in your
22 schedule that we had before the Board.

23 MR. VINCE WARDEN: That is right. That's
24 right.

25 MR. BOB PETERS: But it wouldn't be

1 reflected in that schedule unless some of that \$300
2 million is going to be for Centra.

3 MR. VINCE WARDEN: That's right.

4 MR. BOB PETERS: And is some of the \$300
5 million going to be for Centra?

6 MR. VINCE WARDEN: We will be allocating a
7 portion of this to Centra, yes.

8 MR. BOB PETERS: While we're on and I'm
9 probably a little bit out of order but at Tab 20 of the
10 book of documents starting on line 16 there's four (4)
11 forecasts or projected issues.

12 And I'm wondering whether all of those four
13 (4) or any of those four (4) will now be encompassed in
14 the \$300 million debt issue that closed on either January
15 -- sorry, on June the 2nd or June the 5th of 2009?

16 MR. VINCE WARDEN: Well, no. What we
17 would be doing with the -- the debt issue that just closed
18 would be converting some of the existing short term debt
19 into long term.

20 MR. BOB PETERS: So, Mr. Warden, the four
21 (4) new issues that are forecast are still at this point
22 in time not issued. Would that be correct?

23 MR. VINCE WARDEN: Yes. As indicated here
24 these are projected at this point in time.

25 MR. BOB PETERS: All right. Thank you. I

1 want to turn to the interest on common assets and this is
2 back on PUB/CENTRA-149 found at Tab -- Tab 15 of the book
3 of documents.

4 The interest on common assets, see if Mr.
5 Derksen has taught us well, that would be the interest on
6 assets -- that would be the interest or the financing
7 costs on common assets that are used for both Manitoba
8 Hydro and Centra and this would be Centra's portion of
9 that interest.

10 MR. WILLY DERKSEN: Yes, that's correct.

11 MR. BOB PETERS: The interest rate we know
12 is falling, Mr. Derksen, correct?

13 MR. WILLY DERKSEN: The short term
14 interest rate is falling, that's right and as well as some
15 long term ones. These rates are based upon embedded cost
16 of debt.

17 MR. BOB PETERS: But if they are
18 increasing as it appears in -- on the line of interest on
19 common assets they're increased. Does that suggest that
20 the amount of common assets -- the amount of financing for
21 common assets has increased in absolute terms?

22 MR. WILLY DERKSEN: If -- if I take you
23 back to acquisition, Mr. Peters, Centra had let's say \$50
24 million of common assets on its books and Hydro had a much
25 larger amount and over the ten (10) year period that's

1 expired since that point in time, Centra has not replacing
2 common assets on its books.

3 Manitoba Hydro is acquiring all new common
4 assets and so what would happen is if for example, if
5 Centra had a vehicle on its books, it would -- the
6 interest expense for that vehicle would show up in its
7 interest on short term or long term debt during the period
8 that it owned the vehicle.

9 But then when it was replaced, it would be
10 replaced and purchased by Manitoba Hydro. And so the new
11 interest on the new vehicle would show up as common asset
12 interest.

13 So this is not necessarily a rate increase.
14 This relates to the amount of assets classified as common
15 assets is increasing over time.

16 MR. BOB PETERS: Can you provide
17 assurance, Mr. Derksen, that the interest on common assets
18 has been adjusted to remove any impact for the head
19 office?

20 MR. WILLY DERKSEN: There is no interest
21 on the head office in this amount, that's correct.

22 MR. BOB PETERS: And there are some back
23 to Tab 15 of the book of documents -- on PUB/CENTRA-149,
24 there are some deductions on the finance expense,
25 including capitalized interest.

1 Can you indicate why capitalized interest
2 drops off in the second test year?

3 MR. WILLY DERKSEN: Yes, capitalized
4 interest was higher in the first test year, due to the
5 project related to the Brandon upgrade. After the second
6 -- after that year, there are no longer any significant
7 projects like that that would attract capitalized
8 interests.

9 MR. BOB PETERS: Has the -- has the
10 capitalized interest for the -- is this the Brandon
11 unodourized line?

12 MR. WILLY DERKSEN: Yes, that's what I'm
13 referring to.

14 MR. BOB PETERS: Has it now been removed -
15 - the capital interest now been removed from your
16 schedules to recognize a customer contribution for the
17 capital costs?

18 MR. WILLY DERKSEN: The capitalized
19 interest in this schedule has not been adjusted for that.
20 The -- so what would happen is the borrowing costs would
21 be lower but we would still show it capitalized on here
22 for that period of time so the credit is a little bit
23 overstated in this particular schedule relative to that
24 change.

25 MR. BOB PETERS: But from accounting

1 perspective, the customer contribution of 100 percent of
2 the capital costs will then remove the need to finance
3 that on behalf of the gas Utility?

4 MR. WILLY DERKSEN: Yes, we will not incur
5 interest and we will not capitalize interest on that
6 facility.

7 MR. BOB PETERS: And am I correct that as
8 part of IFRS, certain expenditures may not be allowed to
9 be capitalized?

10 MR. WILLY DERKSEN: Yes, that's correct.

11 MR. BOB PETERS: And if that's the case,
12 then the impact of those potential changes for IFRS will
13 ultimately be reflected in this schedule?

14 MR. WILLY DERKSEN: Yes, the -- our future
15 schedules like this will certainly be prepared in
16 accordance with the accounting standards that are
17 prevalent at the time and to the extent that IFRS will
18 have implications on this, they will consider that.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: In terms of the Brandon
23 project, there's a distinction between Brandon and your
24 regular on-going maintenance and system betterment that
25 was spoken of by Mr. -- by Mr. Petursson in his opening

1 comments, is that correct?

2 MR. WILLY DERKSEN: In terms of the
3 capital expenditure forecast? Yes.

4 MR. BOB PETERS: Well, and also in terms
5 of how you treat the interest on those -- on those
6 projects that -- under IFRS, you -- you may have to
7 expense the interest for your annual capital expenditures
8 in the year, rather than capitalize them?

9 MR. WILLY DERKSEN: IFRS does have a -- an
10 impact on interest capitalized. I -- I think the
11 interpretation of that is still under review so I'm -- I
12 couldn't say that the one (1) year demarcation point is --
13 is correct at this time.

14 MR. BOB PETERS: The last item I'd like to
15 just touch on before the -- the lunch hour is the carrying
16 costs on deferred taxes and this relates to the regulatory
17 asset being Centra's shares now being held by Manitoba
18 Hydro.

19 MR. WILLY DERKSEN: This relates to the
20 one (1) time tax payment related to the acquisition of
21 Centra by Hydro, yes.

22 MR. BOB PETERS: And we had that
23 discussion yesterday and although Mr. Warden has a strong
24 view on -- on what should happen under IFRS, if rate-
25 regulated assets, such as deferred taxes, aren't allowed

1 to be deferred under IFRS, what would be the impact on the
2 finance expense then, Mr. Derksen?

3 MR. WILLY DERKSEN: Well -- well,
4 currently the treatment for that one (1) time tax payment,
5 is that we capitalize interest on that regulatory asset
6 and then we amortize 100 percent of that in the current
7 year so it shows up as capital -- another tax expense.
8 It's really just -- a reclassification happens.

9 So the net impact on Centra's expenses
10 would be zero, relative to that interest component.

11 MR. BOB PETERS: Thank you. Mr. Chairman,
12 with that answer, this would be an opportune time for the
13 lunch recess. And if I might perhaps request of the Board
14 a -- a lunch recess till 1:30 would be most appreciated.

15 THE CHAIRPERSON: That will be fine.
16 We'll see you back at 1:30.

17 MR. BOB PETERS: Thank you.

18

19 --- Upon recessing at 12:00 p.m.

20 --- Upon resuming at 1:34 p.m.

21

22 THE CHAIRPERSON: Okay. Welcome
23 everyone. We're going to try, because of other
24 scheduling problems, to shut down at 3:45, so I'm sure
25 we'll get a good start on tomorrow anyway.

1 Mr. Peters...?

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: Thank you, Mr. Chairman.
5 Mr. Warden and Mr. Derksen, when we talk about finance
6 expense and we've broken it down into a number of
7 components, would the Board be correct in understanding
8 that if -- if Centra had no new long term debt issues
9 planned, you could walk in here and with -- to the penny
10 you could tell the Board what you expect your long term
11 debt cost to be in the test years.

12 MR. VINCE WARDEN: Yes. Those costs are
13 fixed so there's no reason why we couldn't do that.

14 MR. BOB PETERS: But wha -- the reason
15 you can't -- the reason you cannot do it in this
16 Application, Mr. Warden, is because you're going to
17 market or you're planning or forecasting you're going to
18 market in the test years for some more long term debt.

19 And, therefore, you have to have a
20 forecast of that amount.

21 MR. VINCE WARDEN: Yes. That's fair.

22 MR. BOB PETERS: And we saw those long
23 term debt forecast issuances in Tab 20 of the book of
24 documents when we saw that there was four (4) projected
25 debt issues that are going to happen in -- in the test

1 years.

2 MR. VINCE WARDEN: That -- that's
3 correct. I might just add with respect to finance
4 expense though. In the -- of all -- of all the
5 components of operating costs that Manitoba Hydro has,
6 finance expense is probably the most predictable.

7 We've been through some -- some very
8 volatile times over the last several months but if you
9 look historically at -- at finance expense for Centra
10 Gas, it varies within a very, very small range.

11 So notwithstanding the -- the issues that
12 we have and the reason -- or part of the reason that we
13 updated our Application was to recognize those issues.

14 When we return to normal times, finance
15 expense I expect will be relatively flat as it was in the
16 past.

17

18 (BRIEF PAUSE)

19

20 THE CHAIRPERSON: The issue that you just
21 undertook, was it Canadian dollar debt?

22 MR. VINCE WARDEN: Yes.

23

24 (BRIEF PAUSE)

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Turning to short-term
3 debt. As I understand the short-term debt issue, Mr.
4 Warden, that's -- that's a debt that does fluctuate and
5 change and therefore will likely always be subject to a
6 forecast, because in the test years there will always be
7 some movement on short-term debt issues.

8 Would that be correct?

9 MR. VINCE WARDEN: It would be correct,
10 but's it's -- a -- again, just to elaborate on my
11 previous statement, there's never been a time where
12 short-term debt has been as volatile as it has been over
13 the past several months. So even short-term debt is
14 usually quite predictable.

15 MR. BOB PETERS: Mr. Warden, I was going
16 talk about -- talk with you about this later, but if we
17 turn to book of documents, Tab 21, and turn to page 2 of
18 2 there is an extract from CAC/MSOS/CENTRA Question
19 Number 9D.

20 And as I understand this Information
21 Request, Centra is showing what it forecast its short-
22 term debt to be and what its long-term -- what it's
23 short-term debt actually turned out to be.

24 Would that be fair?

25

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: So on -- what we see
5 there, the weighted average interest rate on outstanding
6 short-term notes and in the first column for the quarter
7 ending September of '06, Manitoba Hydro was -- was
8 forecasting 4.19 percent.

9 The av -- the actual that was charged
10 through to the gas Utility was four point three three
11 (4.33)?

12 MR. VINCE WARDEN: Yes.

13 MR. BOB PETERS: And so to that extent,
14 the gas Utility overpaid by .14 percent.

15

16 (BRIEF PAUSE)

17

18 MR. VINCE WARDEN: I wouldn't
19 characterize it as overpaying necessarily, but based on
20 the methodology that's used for allocating costs to -- to
21 Centra, that's -- that's -- there is a differential, yes.

22 MR. BOB PETERS: And the differential
23 indicates the percentage amount more that Centra paid
24 than what was actually incurred by the parent company for
25 that short-term debt.

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: And of all of those
3 quarters that are shown, only the quarter ending June
4 30th of '07 did the gas Utility pay .01 percent more --
5 I'm sorry -- .01 percent less for short-term debt than
6 what was actually incurred by the parent company.

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: I think there is --
11 and I think it's explained in another IR -- that the
12 parent company doesn't necessarily have this amount of
13 short-term debt outstanding at any one (1) point in time.

14 So it wouldn't be correct to -- to --
15 necessarily to say that the gas business overpaid by that
16 amount because, in effect -- it's not like the -- the
17 parent company benefited by an offsetting amount, because
18 the -- the amount of short-term debt on the parent
19 company side was not equivalent in all cases.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Mr. Warden, recognizing
24 that Manitoba Hydro may not have had actual short-term
25 debt, what this table does show is that based on the

1 methodologies used, the charges through to the gas
2 company have been, in fact, actually more long-term debt
3 is charged than what -- than what the parent company
4 would have paid.

5 MR. VINCE WARDEN: I think you said more
6 long-term debt than what the Company would have paid?

7 MR. BOB PETERS: I'm sorry. I meant
8 short-term debt.

9 MR. VINCE WARDEN: I -- I think we --
10 we'd have to do a much deeper analysis than that to come
11 to that kind of a conclusion because the gas business
12 has, in fact, had the benefit of the much lower short-
13 term rates overall, despite the fact that it -- it's
14 carrying a relatively large amount of debt that
15 otherwise, in the absence of the parent backing up that
16 short-term debt, probably would have been converted into
17 higher priced long-term debt.

18 So, you know, you'd have to do -- have to
19 really look at what Centra would look like on a stand
20 alone basis in order to come to a conclusion that one
21 side or the other has benefited. I think the methodology
22 that's been used here since the date of the acquisition;
23 that is, to assess or to allocate a charge based on the
24 one (1) month banker's acceptance rate has been
25 determined to be fair and reasonable.

1 didn't.

2 MR. BOB PETERS: You're sure that in some
3 quarters, there was no short-term debt for the electric
4 side of the Utility?

5 MR. VINCE WARDEN: Correct.

6 MR. BOB PETERS: Yeah.

7 MR. VINCE WARDEN: So the gas company got
8 the benefit of the rate, despite the fact that we didn't
9 have the short-term debt on the other side.

10 MR. BOB PETERS: That's because the gas
11 company paid the forecast rate -- sorry -- the --

12 MR. VINCE WARDEN: Well, the --

13 MR. BOB PETERS: -- the gas company paid
14 the one (1) month banker's acceptance rate, whether or
15 not there was any short-term debt outstanding by the
16 parent company?

17 MR. VINCE WARDEN: Correct.

18 MR. BOB PETERS: Okay, I've got your
19 point. And in -- in speaking of the short-term debt
20 rate, it appears from the evidence that while Centra may,
21 in fact, actually cut the cheque based on the one (1)
22 month banker's acceptance, the forecast for that is
23 premised on a ninety (90) day Canadian treasury bill
24 rate.

25 MR. VINCE WARDEN: That's true, yes.

1 MR. BOB PETERS: And then that treasury
2 bill rate, which is often reflected on a calendar year
3 basis, has to be adjusted -- has to be adjusted to the
4 fiscal year of the -- of the gas company?

5 MR. VINCE WARDEN: Yes.

6 MR. BOB PETERS: And then, on top of
7 that, a spread is added to reflect the -- the premium
8 that would -- would attract to -- to perhaps the treasury
9 bill relative to the -- to the gas company debt.

10 MR. VINCE WARDEN: Yeah, there -- there
11 is a fairly minor spread there, yes.

12 MR. BOB PETERS: If we turn to -- I have
13 it in Tab 18 of the book of documents -- but, Mr.
14 Chairman, that statement of mine's going to be wrong.
15 Last evening we received an exhibit Centra Number 8 and
16 one (1) of the documents included in Centra Exhibit 8 of
17 last evening was an update of PUB/CENTRA NO. 198.

18 And I'll be referring to that document and
19 if you could attempt to locate that I have a few
20 questions relative to it. And, Mr. Warden, this was one
21 that was passed out yesterday and it's on white paper.

22 It would have been part of the -- it would
23 have been part of the responses that Mr. Saxberg had
24 asked for and...

25

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Yes, we have it here,
4 Mr. Peters.

5 MR. BOB PETERS: And that is dated June
6 3rd, 2009 in the top right hand corner of PUB/CENTRA
7 Second Round Question 198?

8 MR. VINCE WARDEN: Yes.

9 MR. BOB PETERS: All right. Thank you.
10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: If I have it correct,
14 Mr. Warden, and please correct myself on the record if I
15 don't, that by looking at the June 3rd version of
16 PUB/CENTRA-198, you're showing that the short term debt
17 rate for 2009/'10 that is your first test year, would end
18 up at .9 percent before the provincial debt guarantee fee
19 was added.

20 MR. VINCE WARDEN: Yes.

21 MR. BOB PETERS: All right. And -- and
22 just so the Board is clear, that you start off with a
23 calendar year ninety (90) day Canadian T-bill rate, you
24 then have to adjust it to bring it into the fiscal year
25 period in which the Corporation has its financial

1 statements.

2 And then you add a spread and that ends up
3 in the .9 percent for the short term rate before the debt
4 guarantee fee is added.

5 MR. VINCE WARDEN: Correct.

6 MR. BOB PETERS: And in the previous
7 forecast if you can take it subject to check and I had it
8 at -- your May 6th I think might be in Tab 17 of the book
9 of documents, the old short term debt rate was 5.05
10 percent which included the debt guarantee fee compared to
11 the 1.09 percent now in the revised filing.

12 Does that sound familiar?

13 MR. VINCE WARDEN: That's correct, yes.

14 MR. BOB PETERS: And so that differential
15 of 3.15 percent multiplied by the short term rate has
16 contributed to the significant reduction in short term
17 financing costs that you've already explained to the
18 Board.

19 MR. VINCE WARDEN: Yes.

20 MR. BOB PETERS: Thank you. Mr. Warden,
21 this is just a point of clarification and I -- the short
22 term used for the second test year I think you had
23 indicated on the transcript if I recall, it was 5.06
24 percent but if that's what was indicated would you agree
25 with me that it was actually 5.6 percent for the second

1 test year, that was your initial forecast?

2 MR. VINCE WARDEN: Yes, 5.6 percent is
3 correct.

4 MR. BOB PETERS: And the new revised
5 short term debt forecast comes out at 2 percent and with
6 the provincial debt guarantee fee it's a total of 3
7 percent on the short term debt fee in the newest revised
8 forecast.

9 MR. VINCE WARDEN: Correct.

10 MR. BOB PETERS: Before I leave that
11 point, included in -- and on yellow paper which was an
12 update requested by, I think, Board Advisors -- there was
13 an Appendix A which was the 2009 economic outlook for
14 Manitoba Hydro cost of debt, and it was a -- a page with
15 three (3) -- three (3) charts on it: one (1) for short-
16 term, one (1) for long-term Canadian and one (1) for
17 long-term US, and it will be addressed -- titled
18 "Appendix A, The 2009 Economic Forecast".

19 There's -- that doesn't update any other
20 one, but that's the first time we saw the 2009 forecast.

21 Have you located that, Mr. Warden?

22 MR. VINCE WARDEN: Yes, I have.

23 MR. BOB PETERS: And, in fact, it's from
24 this forecast that the Corporation's short-term debt
25 forecast that I've just discussed with you arises.

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: One (1) point that was
3 clear is that the forecasts come out for -- often on a
4 calendar-year basis and then there needs to be an
5 adjustment to get them to fiscal-year basis.

6 And can you explain to the Board the
7 process the Corporation goes through to -- to perform
8 that calculation?

9

10 (BRIEF PAUSE)

11

12 MR. VINCE WARDEN: Mr. Peters, it is
13 described at a very high level on PUB-198, page 3 of 4 of
14 the document we were just reviewing, and it is a weighted
15 average three quarters (3/4s) of one (1), one quarter
16 (1/4) of the following -- a simple arithmetic calculation
17 to derive the -- the fiscal year.

18 MR. BOB PETERS: So for your fiscal year
19 ending March 31 of 2010, you'll take three quarters
20 (3/4s) of the short-term forecast for the '09 calendar
21 year plus one quarter (1/4) of the forecast for the 2010
22 calendar year and come up with your fiscal year forecast.

23 MR. VINCE WARDEN: Yes.

24 MR. BOB PETERS: And it's straight ar --
25 arithmetic. There is no -- no other judgment or

1 adjustments made to that?

2 MR. VINCE WARDEN: That's correct.

3 MR. BOB PETERS: While the Board sees
4 that the short-term debt is based on a forecast, when it
5 comes time to include the actual short-term debt charges,
6 you use a different measuring stick and that's the one
7 (1) month banker's acceptance, correct?

8 MR. VINCE WARDEN: Yes.

9 MR. BOB PETERS: Why do you -- why do you
10 use one (1) method to forecast it and then one (1) method
11 to ac -- to make it actual?

12 MR. VINCE WARDEN: Well, there isn't a
13 readily available forecast for a one (1) month bankers
14 acceptance. There is a -- a readily available forecast
15 for the three (3) month.

16 In tracking, though, if -- if we look at
17 the two (2) rates over a period of time, they're almost
18 identical. So if you looked at it on a chart, they're --
19 the line -- the lines are -- are almost equal.

20 MR. BOB PETERS: The previous forecast
21 that was before the Board for the short-term financing
22 costs was established in March, was it, of 2008, some
23 fifteen (15) months ago?

24

25 (BRIEF PAUSE)

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: And so, still looking at
3 PUB-198 which was updated on June the 3rd, we see on page
4 2 of 4 the Company is now using updated information and
5 the source of that -- of that is provided. And the
6 source that's shown on page 2 of 4 is what ended up in
7 the 2009 economic outlook.

8 Would that be correct, Mr. Warden?

9 MR. VINCE WARDEN: Yes.

10 MR. BOB PETERS: And so when we look at
11 this -- the source data we see that perhaps the oldest
12 data used is -- is back to November of '08? And I'm
13 looking at the Federal Finance number, under the ninety
14 (90) day T-bill rate.

15 MR. VINCE WARDEN: Yes. Yes, I agree.

16 MR. BOB PETERS: Why would you continue
17 to use the forecasts that are back in 2008?

18 MR. VINCE WARDEN: Well, actually the
19 preamble to that table indicates that only forecasts
20 dated March 2009 were considered. I'm not exactly sure
21 why then on -- on that circumstance we included in
22 November the '08 in this table. But nevertheless they
23 weren't used for this purpose.

24 MR. BOB PETERS: All right. Do -- does
25 that -- does that signify to the Board that for the

1 purposes of forecasting short-term debt the Corporation
2 will now use only the most current of material that isn't
3 outdated, perhaps, if that's the right word, as some of
4 the 2008 data is here?

5

6 (BRIEF PAUSE)

7

8 MR. VINCE WARDEN: I think, Mr. Peters,
9 we -- we're not suggesting or not contemplating or --
10 that we will change our process. Like, our process that
11 we've used has worked well in the past but we do have
12 extenuating circumstances that we're dealing with here
13 and that's why it calls for extenuating methodologies.
14 But I wouldn't see those methodo -- different
15 methodologies being employed in the future.

16 MR. BOB PETERS: And that's the point I'd
17 like the Board to have a clear understanding of, Mr.
18 Warden, is that we see from what you have here the --
19 only the March of 2009 data was used to get the -- the
20 test year short-term interest rate.

21 But the next time you come before the
22 Board you may have reverted back to older data? Your --
23 your forecasts won't be as current as this one is?

24 MR. VINCE WARDEN: Well, there was a very
25 good reason for making this forecast as current as it is.

1 In a -- in a typical normal environment this wouldn't be
2 necessary, so the -- the methodology we've followed in
3 the past has worked well for us in the past and unless
4 we're -- this volatile market that we're currently in
5 becomes common-place, then I wouldn't see any good reason
6 for changing.

7 MR. BOB PETERS: One (1) of the points
8 that is of note is that in the initial filing of
9 PUB/CENTRA-198, there wasn't the disclosure of the names
10 of the -- of, I'll call them counter parties, but the --
11 the sources of financial information. Do you recall
12 that?

13 MS. MARLA MURPHY: If I might just
14 indicate, Mr. Peters, that was a decision made in order
15 to file on time. In the interim we were able to obtain
16 the permission to ensure that we were able to make all of
17 these forecasts public, so now the names can be provided.

18

19 CONTINUED BY MR. BOB PETERS:

20 MR. BOB PETERS: Does Ms. Murphy's
21 information, Mr. Warden, imply that this information
22 isn't publicly-available information?

23 MS. MARLA MURPHY: If you don't mind me
24 answering, I --

25 MR. BOB PETERS: No, no.

1 MS. MARLA MURPHY: -- my understanding is
2 that the more current forecasts are proprietary and once
3 it becomes a little bit older they can be made more
4 public.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: All right. Thank you
8 for that.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: In the materials that
13 have been filed in response to Mr. Saxburg's questions
14 and is all marked as Centra Exhibit Number 8, my
15 understanding is that -- under what it was marked as Tab
16 154, there was an economic outlook forecast filed and
17 there was also, in 158, a consensus -- the consensus
18 forecast update of April of 2009, wasn't included.

19 Was that an oversight or is that by
20 design?

21

22 (BRIEF PAUSE)

23

24 MS. MARLA MURPHY: Sorry, Mr. Peters.
25 Just to make sure I understand your question, are you

1 asking whether or not the consensus economic forecast of
2 April '09 is included or was intentionally left out of
3 the economic outlook 2009 to 2030 that Hydro prepares?

4 MR. BOB PETERS: That was my question,
5 yes.

6

7 (BRIEF PAUSE)

8

9 MR. VINCE WARDEN: I think, Mr. Peters,
10 it wasn't intentionally excluded by -- I believe it could
11 be just a -- a timing issue that we had.

12

13 (BRIEF PAUSE)

14

15 MR. VINCE WARDEN: Sorry for the delay,
16 Mr. Peters, but we have concluded that, in fact, it was
17 the timing issue that -- that information was not
18 available at the time the economic outlook was presented
19 to -- or was prepared.

20

21 CONTINUED BY MR. BOB PETERS:

22 MR. BOB PETERS: And the economic outlook
23 was prepared and approved ultimately in Mar -- I'm sorry
24 -- in -- was it in May of 2009 or March of 2009?

25

MR. VINCE WARDEN: I -- I -- subject to

1 check, I'm -- I'm quite sure it was May.

2 MR. BOB PETERS: Thank you.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: Mr. Warden, before I
7 leave the short-term rates that are shown on the -- the
8 ninety (90) day T-bill rate chart, the Board's going to
9 note that there's a number of -- I'll call them outliers.
10 There's some that are significantly higher than others
11 shown on the sheet, correct?

12 MR. VINCE WARDEN: Yes.

13 MR. BOB PETERS: And I'm not sure naming
14 them accomplishes anything but the -- the point that I'm
15 trying to understand is you said in -- if this happens,
16 if there's this variation between some of the parties and
17 others and your updating it now only uses the most
18 current March of '09 data, wouldn't there be a good
19 reason to use the most current information going forward
20 the next time this comes before the Board, because there
21 may again be outliers that are consistently and
22 significantly different than -- than the majority of
23 others?

24 MR. VINCE WARDEN: Yeah I -- you know I
25 think we'll have to assess that at the time. I think

1 what we have here is a very unusual circumstance.

2

3

(BRIEF PAUSE)

4

5 MR. BOB PETERS: In dealing with the long
6 term debt interest rate forecasts again we've seen for
7 the test years that that interest rate forecast has
8 decreased.

9

Is that correct?

10

MR. VINCE WARDEN: Yes, it has.

11

12

(BRIEF PAUSE)

13

14 MR. BOB PETERS: The current forecast of
15 the long term debt rate for the first test year is now
16 5.75 percent?

17

MR. VINCE WARDEN: Yes.

18

19 MR. BOB PETERS: Yes. And also for the
second is 5.9 percent.

20

MR. VINCE WARDEN: Yes.

21

22 MR. BOB PETERS: Did the Corporation,
23 turning to Tab 20 of the book of documents, has -- I took
24 from a previous answer before lunch that the Corporation
25 has not yet placed the \$30 million principle debt that is
shown on line 16 of Tab 4, page 39 of 42 of -- of your

1 Application?

2 MR. VINCE WARDEN: Yes, that's correct.

3 MR. BOB PETERS: You -- you haven't
4 placed that yet?

5 MR. VINCE WARDEN: That's right. Now
6 whether we'll place specifically \$30 million or not, I
7 don't want to give the impression that's pending
8 necessarily.

9 As I've mentioned earlier that we did
10 issue \$300 million and a portion of that will be
11 allocated to Centra. So just with that qualification on
12 my last answer.

13 MR. BOB PETERS: All right. And if we
14 look at the next line, 17, 18 and 19 we see that there's
15 \$125 million of debt, of long term debt, that's projected
16 to be issued in the test years.

17 MR. VINCE WARDEN: Yes.

18 MR. BOB PETERS: And I -- I think it's in
19 the first test year if my understanding of the evidence
20 is correct, and again that's not a certainty that it's
21 going to happen.

22 MR. VINCE WARDEN: That's true.

23 MR. BOB PETERS: At this time are there
24 any debt issued anticipated for the second test year?

25

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: Mr. Peters, I just
4 want to confirm which of those issues we had designated
5 for refinancing purposes versus new capital.

6 MR. BOB PETERS: Because the refinancing
7 ones will -- will most likely go whereas the new capital
8 may not go?

9 MR. VINCE WARDEN: Yes, exactly.

10 MR. BOB PETERS: Are you able to tell the
11 Board which of those are --

12 MR. VINCE WARDEN: Yes, the two (2)
13 tranches of \$30 million are new whereas the 75 million
14 and the 20 million are both refinancing.

15 MR. BOB PETERS: And you can confirm that
16 the \$125 million that is shown as forecast long term debt
17 to be issued in 2009/'10 would be in the Application
18 before the Board now at 5.75 percent?

19 MR. VINCE WARDEN: Yes.

20 MR. BOB PETERS: Mr. Warden, there was a
21 suggestion by Mr. McCormick who filed evidence for
22 CAC/MSOS that the Corporation could use a methodology
23 similar to that of a deferral account to track the
24 difference between the forecast and the actual finance
25 expenses.

1 Are you familiar with that?

2 MR. VINCE WARDEN: Yes, I am.

3 MR. BOB PETERS: And it's not the
4 Corporation's intention to -- to gain revenue on account
5 of finance ex -- expense, is it?

6 MR. VINCE WARDEN: No, not at all.

7 MR. BOB PETERS: And nor is it your
8 expectation that you're going to lose on account of
9 financing expense.

10 MR. VINCE WARDEN: That's right.

11 MR. BOB PETERS: Does that not, in and of
12 itself, not suggest that there may be some merit in
13 looking at a deferral methodology to track forecast and
14 actual?

15 MR. VINCE WARDEN: No. No, not --
16 definitely not. There -- there -- and -- and this is, I
17 think as we indicated in our rebuttal, one (1) of the
18 advantages of -- of regulation on a cost-of-service basis
19 is that any variance from -- from forecast, not only
20 finance expense, but in any line item of our operating
21 forecast -- any variance flows through to retained
22 earnings, either debit or a credit. And whenever we come
23 forward with a rate application we look at the level of
24 retained earnings and make an assessment as to whether or
25 not -- or what the magnitude, if any, the rate increase

1 should be.

2 So the attractiveness of the cost-of-
3 service methodology, it's self-correcting. So any -- any
4 kind of a variance that occurs at any time on any item is
5 corrected through the -- the balance in the retained
6 earnings. So yes, a deferral account would serve no
7 purpose whatsoever in our -- in our environment.

8 MR. BOB PETERS: Well, I think earlier
9 you agreed with me that as a result of the last PUB
10 approved rates on financing, there may have been as much
11 as \$2 million of additional revenue realized from rates
12 that consumers paid, compared to the finance expense that
13 was actually incurred for the 2008/'09 year.

14 MR. VINCE WARDEN: My -- my point being
15 though, Mr. Peters, is that will flow -- that variance
16 will flow -- if it's realized -- will flow through to
17 retained earnings, just as we saw last year with the
18 weather impact. That weather impact will flow through to
19 retained earnings and -- and will form the basis of
20 future rate applications.

21 We saw a couple of years ago where the
22 weather went the other way and we lost \$10 million. So
23 there are a number of variables in the forecast, probably
24 the largest one being -- being weather, and the retained
25 earnings balance at any given point in time is -- is the

1 best way to account for those differences that occur that
2 are unforeseen at the time the forecast is prepared.

3 MR. BOB PETERS: But there's been no
4 short-term benefit to consumers as a result of the
5 additional \$2 million realized by the Corporation from
6 financing charges in 2008/'09, has there, Mr. Warden?

7 MR. VINCE WARDEN: Well, the -- the
8 higher net income did allow us to defer the imple --
9 implementation day of the rate -- proposed rate increase
10 from -- from May until February of 2010, so...

11 MR. BOB PETERS: But are you saying that
12 as a result of the additional \$2 million in financing
13 expenses that have been realized, that was the catalyst
14 for delaying the implementation date?

15 MR. VINCE WARDEN: Well, that was one (1)
16 of the -- one (1) of the considerations, but the -- as we
17 stated in our updated Application, the -- probably the
18 catalyst, the main catalyst, was the favourable results
19 of last year.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Mr. Warden, the credit
24 spread that we've seen in the -- in the filing -- and I'm
25 looking here at PUB Number 198, dated June the 3rd --

1 that credit spread is to reflect the difference in costs
2 for Manitoba Hydro, as to what it can borrow at various
3 times.

4 Is that -- is that what it reflects?

5 MR. VINCE WARDEN: Well, the credit
6 spread -- yes, varies, based on what financial
7 institutions are willing to loan any organization,
8 Manitoba Hydro being one of them, using the Bank of
9 Canada as the benchmark rate.

10 So using the Bank of Canada as a -- a
11 benchmark rate, what kind of a spread is required, based
12 on the circumstances of the day and the credit rating of
13 the counterparty?

14 MR. BOB PETERS: And usually, the
15 historical spread was considered as part of the interest
16 rate forecast?

17 MR. VINCE WARDEN: Well, it still is
18 considered part of the interest rate forecast.

19 MR. BOB PETERS: And the average credit
20 spread on long-term debt for the three (3) years ended
21 March 31, '07, through to March 31, '09, was calculated
22 at .606 percent?

23 MR. VINCE WARDEN: Yes.

24 MR. BOB PETERS: And for the two (2) test
25 years, the credit spread utilized in this Application has

1 deviated from the long-term historical average that
2 you've just indicated?

3 MR. VINCE WARDEN: Yes, it has.

4 MR. BOB PETERS: And now the spread for
5 the first test year is -- is 1.60 percent, is that
6 correct?

7 MR. VINCE WARDEN: It is, yes.

8 MR. BOB PETERS: And so, it -- it's now
9 calculated as the average of the ten (10) year and thirty
10 (30) year credit spread, supplied by one of the financial
11 forecasters, as of March 31 of '09?

12 MR. VINCE WARDEN: Yes.

13 MR. BOB PETERS: Can you identify which
14 forecaster you utilized?

15 MS. MARLA MURPHY: I'm sorry, Mr. Peters,
16 we can't identify that on a public record.

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: Can you indicate why you
20 selected that financial forecaster over any other?

21

22 (BRIEF PAUSE)

23

24 MR. VINCE WARDEN: Mr. Peters, it -- it's
25 -- the simple answer is that it's -- it's a counterparty

1 that we deal -- a financial institution we deal with on a
2 regular basis and one in which we have a lot of
3 confidence in.

4 MR. BOB PETERS: Did you compare their
5 credit spread for the average of ten (10) year and thirty
6 (30) year credit compared to other financial forecasters
7 to see if they were high, low, in between, or was this
8 one blindly selected because it had historically been
9 selected?

10

11 (BRIEF PAUSE)

12

13 MR. VINCE WARDEN: My understanding is
14 the -- the spread -- the comparable spread amongst
15 finance -- financial institutions was very close.

16 MR. BOB PETERS: Would you agree that
17 since the date of the forecast being prepared, which was
18 March 31 of '09, the credit spread benchmarks have
19 tightened during the time?

20 MR. VINCE WARDEN: Yes.

21 MR. BOB PETERS: And if that's the case,
22 the average of the ten (10) year spread and the thirty
23 (30) year spread is now approximately 1.04 percent and
24 not 1. -- 1.6 percent?

25 MR. VINCE WARDEN: Yes, but you can't

1 look at that in isolation. You have to look at the
2 benchmark at the same time and -- and it moves in tandem
3 -- typically, moves in tandem with the spread.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: I guess the financial
8 impact, Mr. Warden, is that under the old forecast rates
9 the spread was .6 percent, compared to the 1.6 percent
10 now being used?

11 MR. VINCE WARDEN: The historical spread
12 was the sixty (60) basis points, yes, compared to a
13 hundred and six (106).

14 MR. BOB PETERS: And so that -- that --
15 yes, the hundred and sixty (160) that --

16 MR. VINCE WARDEN: One hundred and sixty
17 (160), sorry.

18 MR. BOB PETERS: The -- the one hundred
19 (100) basis point difference between those two (2), is a
20 significant dollar value attached to that?

21 MR. VINCE WARDEN: In isolation it is,
22 yes. But it's only one (1) component of the total
23 interest rate that we ultimately pay.

24 MR. BOB PETERS: Is this now a change in
25 methodology that the Corporation's going to use going

1 forward?

2 MR. VINCE WARDEN: Well no, it's not a
3 change in methodology. It's following the same
4 methodology.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: If you say it's not a
9 change in methodology are you telling us that the current
10 -- the current spread was calculated the same way as the
11 average credit spread for a three (3) year period?

12 MR. VINCE WARDEN: Well, a spread -- a
13 spread is what it is whenever we go to market. It's just
14 for forecasting purposes -- or I think what we're
15 indicating is that we're -- we're comparing the
16 historical spread of sixty (60) basis points to the
17 current spread, which was used to come up to derive the
18 forecast that's in the current economic outlook. And
19 it's showing the deviation between the historical spread
20 of sixty (60) basis points and the hundred an sixty (160)
21 basis points that is currently being used.

22 MR. BOB PETERS: And I understand though
23 that they're calculated using different methodologies;
24 that the historic one was -- it was historically done as
25 the credit spread on the long term debt for a three (3)

1 year period, and there was an average of those three (3)
2 years was used. And now you switched to one (1)
3 financial forecaster and taking the average of a ten (10)
4 year and a thirty (30) year credit spread from that one
5 (1) forecaster.

6 MR. VINCE WARDEN: Sorry, that was just
7 for purposes of coming up with this interim forecast.
8 But we would not -- for future, assuming a return to
9 normal conditions, we would -- we would continue to use
10 the same methodology as we have done.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: Turning to Tab 20 again
15 and looking at the -- the dead issues that are
16 contemplated, there was a concern that by going to market
17 for \$125 million of debt in 2009/'10, that the
18 Corporation would be putting, I guess, in the vernacular,
19 a lot of eggs in one basket.

20 You're aware of that criticism, Mr.
21 Warden?

22 MR. VINCE WARDEN: There was a concern
23 that maturity dates would align such that there would be
24 a high risk at -- at the time those -- those issues in
25 fact matured. I believe that was the issue.

1 MR. BOB PETERS: And in -- from what's
2 shown on -- in Tab 20 of the book of documents, an
3 extract from Tab 4 of your filing, there's a 125 million
4 that matures in February and March of 2030.

5 MR. VINCE WARDEN: That's what is
6 indicated here, yes.

7 MR. BOB PETERS: And isn't that putting a
8 lot of maturity risk into those debt issues?

9 MR. VINCE WARDEN: If in fact we followed
10 that maturity profile, yes. But having the flexibility
11 of -- of utilizing portions of debt issues from Manitoba
12 Hydro we can -- we can bury that, such that we don't --
13 we can spread that risk.

14 MR. BOB PETERS: So it's your expectation
15 that -- that what is actually done will not mature in
16 that sequence?

17 MR. VINCE WARDEN: Yes, absolutely.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: At tab of doc -- or,
22 sorry, the book of documents, Tab 22, there's a
23 reproduction of CAC/MSOS/CENTRA Question 5A, and when the
24 Board looks at those documents further, Mr. Warden, it
25 appears that the weighting of maturities has increased in

1 recent years to longer terms.

2 Would you agree with that?

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: And you see that because
5 on page 1 of 3 the debts are maturing in -- in years one
6 (1) to ten (10), and then on the second page we see that
7 there's a little bit of shifting, and by the time we get
8 to the third page, most of the debt is maturing greater
9 than twenty (20) years out.

10 Also correct?

11 MR. VINCE WARDEN: Yes.

12 MR. BOB PETERS: There's been a -- an
13 apparent conscious decision to take out longer-term debt
14 rather than the shorter-term debt?

15 MR. VINCE WARDEN: No, I think this was -
16 - excuse me just one (1) second.

17

18 (BRIEF PAUSE)

19

20 MR. VINCE WARDEN: Mr. Peters, I -- I
21 think your question was: Has there been a conscious
22 effort on Manitoba Hydro's part to weight debt towards
23 the long end, rather than the short end?

24 And, really, what we see here, as
25 illustrated on page 3 of 3, the maturities that -- that

1 go out to 2030 are -- are still forecast. And this was
2 done for forecasting purposes only. And when it comes
3 time to take out debt, the decision will be made based on
4 the most advantageous rate at the time.

5 MR. BOB PETERS: So when it comes time to
6 take out debt, instead of a thirty (30) year term you
7 might have a ten (10) year term.

8 MR. VINCE WARDEN: Yes.

9 MR. BOB PETERS: All right. And the
10 shorter terms generally have associated with them lower
11 interest rates.

12 Isn't that correct?

13 MR. VINCE WARDEN: In a normal yield
14 curve, that -- that's correct, yes. Not always the case,
15 but that's normally the case.

16 MR. BOB PETERS: And at the book of
17 documents, Tab 23, would that be a depiction of a -- of a
18 normal yield curve in your view that, by going to the
19 market for shorter-term terms on the long-term debt,
20 lower interest rates would result.

21 MS. MARLA MURPHY: Sorry, Mr. Peters. I
22 think we need your reference. Did you say Tab 23?

23 MR. BOB PETERS: I -- I meant to. If I
24 didn't, I apologize, Ms. Murphy.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Yes, Tab 23 of the book
3 of documents is a -- is an extract from CAC/MSOS/CENTRA-
4 5J.

5 And if I recall that information, it was
6 an attempt to determine, on those new debt issues that
7 are projected, what the savings to consumers could be, or
8 to the Corporation as well, on an annual basis, by having
9 shorter terms rather than -- than necessarily a long-
10 term.

11 MR. VINCE WARDEN: Yeah, I -- and -- and
12 the -- that's correct. And I think we were talking about
13 a normal yield curve. This probably isn't the best
14 depiction of that but -- but the same -- the same
15 conclusion, I suppose.

16 MR. BOB PETERS: So, while you're aware
17 of that, when it comes time to actually place the debt,
18 that's when the decision will be made on the term of the
19 debt?

20 MR. VINCE WARDEN: Yes.

21 MR. BOB PETERS: And the Corporation will
22 take into account whether or not the rate justifies the
23 shorter term?

24 MR. VINCE WARDEN: Yes.

25

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: I'd like to turn to
4 capital structure and would you agree with me, Mr.
5 Warden, that in the Board's last order from the GRA of
6 99/'07, they accepted a seventy/thirty (70:30)
7 debt/equity structure for the Corporation on a stand
8 alone basis but recognized that Centra's borrowings are
9 guaranteed by the Province of Manitoba through its parent
10 company -- through Manitoba Hydro?

11 MR. VINCE WARDEN: Yes.

12 MR. BOB PETERS: And we see at Tab 24 of
13 the book of documents, the IFF that we previously
14 referred to and I actually meant to put in PUB/CENTRA-7
15 as well. But let's turn to Number 25 of the book of
16 documents because there, the financial ratios are shown
17 at the bottom.

18 Maybe that's a question worth asking. Why
19 is it on your IFF that you don't put the financial ratios
20 as a matter of course on the bottom of the operating
21 statements?

22 MR. VINCE WARDEN: Well, I think since
23 the debate we did have at these proceedings last time,
24 the long debate as to whether it should be -- we should
25 be targeting a -- a seventy-five/twenty-five (75:25) or a

1 seventy/thirty (70:30) or whether we should be including
2 shared capital in the -- in that ratio -- in that
3 calculation.

4 Started thinking about the -- the -- what
5 is the appropriate financial target for Centra Gas and
6 really, any kind of a target for -- for a Crown-owned
7 utility, especially one (1) that has -- has a parent
8 relationship as it does -- or parent subsidiary
9 relationship as it does with Manitoba Hydro, the reason
10 for having a debt equity ratio -- or target debt -- debt
11 equity ratio at the levels of the subsidiary is not
12 strong.

13 That is, there's really no reason for
14 having a certain debt equity ratio within Centra Gas as
15 long as it has a sufficient level of retained earnings to
16 -- to meet the risks that it would face in the future.
17 So, we -- we stopped measuring debt equity at a -- at the
18 subsidiary level of Centra Gas and are only measuring
19 that now at the corporate level -- at the consolidated
20 corporate level and we are -- we still maintain the
21 seventy-five/twenty-five (75:25) target at that level.

22 MR. BOB PETERS: All right. Turning to
23 Tab 25, I guess in response to a specific request, you
24 did provide the financial ratios and the Board will see
25 that in the 2009 year, the debt level on PUB/CENTRA-148C

1 and D on this particular attachment, page 4 of 12, the
2 debt level is shown at 69 percent. You see that?

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: And that probably is
5 incorrect now in light of the update that you've given
6 the Board on the first day of the hearing?

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: Yes, that's right.

11 The -- this is still based on the forecast of \$3 million
12 of net income in '08/'09. That forecast has subsequently
13 --

14 MR. BOB PETERS: Would you have a revised
15 number of the debt percentage and the interest coverage
16 and capital coverage for the '09 year at this time?

17 MR. VINCE WARDEN: We don't but we could
18 quickly derive that.

19 THE CHAIRPERSON: Why don't we just take
20 a short ten (10) minute break and then we will come back
21 and get that and work through to 3:45. Thanks.

22

23 --- Upon recessing at 2:37 p.m.

24 --- Upon resuming at 3:02 p.m.

25

1 THE CHAIRPERSON: Good afternoon
2 everyone.

3 Mr. Peters...?
4

5 CONTINUED BY MR. BOB PETERS:

6 MR. BOB PETERS: Thank you, Mr. Chairman.
7 We left off, Mr. Warden, talking about the
8 Corporation's capital structure and the break was
9 provided hopefully for an opportunity to avoid an
10 undertaking and that is to update the financial ratios on
11 the document found at Tab 25 of the book of documents and
12 that is page 4 of 12 of PUB/CENTRA-148C.

13 Did you have an opportunity to do that or
14 not yet?

15 MR. VINCE WARDEN: Mr. Peters,
16 unfortunately we are going to have to take an undertaking
17 on that one.

18

19 --- UNDERTAKING NO. 8: Centra to update the
20 financial ratios on the
21 document found at page 4 of
22 12, Tab 25 of the book of
23 documents, PUB/CENTRA-148C
24

25 CONTINUED BY MR. BOB PETERS:

1 MR. BOB PETERS: All right. Before the
2 break you also indicated to the Board that for Centra at
3 least instead of focussing on a financial ratio of debt
4 to equity ratio, you now want to focus on an absolute
5 retained earnings level.

6 Did I summarize that correctly?

7 MR. VINCE WARDEN: Yes.

8 MR. BOB PETERS: That's different than
9 what you do for the parent company Manitoba Hydro?

10 MR. VINCE WARDEN: It is.

11 MR. BOB PETERS: And for Centra to say
12 that you now want to work towards a -- an absolute
13 retained earnings number, you want a retained earnings
14 number sufficient to cover the risks of the Corporation.

15 That would be the purpose of it?

16 MR. VINCE WARDEN: Yes.

17 MR. BOB PETERS: And have you done a risk
18 analysis of any kind for Centra Gas?

19 MR. VINCE WARDEN: Well, we do do a risk
20 analysis as -- as part of our corporate risk within the
21 framework of our corporate risk management structure.

22 Haven't really though come up with a
23 number for -- for Centra and the main reason right now I
24 think is because the -- the biggest risk -- the largest
25 risk in terms of impact on retained earnings is IFRS as

1 we talked about previously, the potential for a \$61
2 million writeoff of regulated assets which would totally
3 deplete retained earnings.

4 Until we have some certainty around that
5 coming up with a -- with a number for -- the risk of
6 Centra probably would not be too meaningful at this
7 stage.

8 MR. BOB PETERS: All right. But as you
9 sit here and look at the document at Tab 25 of the book
10 of documents, for the year that just ended March 31 of
11 '09, the Corporation had at least 31 percent equity.

12 MR. VINCE WARDEN: Well we had retained
13 earnings of -- we do have retained earnings of \$36
14 million at March 31st, 2009.

15 MR. BOB PETERS: So turning back to Tab
16 24 of the book of documents I'm looking at the projected
17 balance sheet, we'll see that the retained earnings
18 column for 2009 shows \$30 million.

19 And by virtue of the updates that you've
20 made orally in this Hearing as well as the written
21 Information Requests, you're telling the Board that that
22 retained earnings number can be now \$36 million.

23 MR. VINCE WARDEN: At March 31st, 2009,
24 yes, that's correct.

25 MR. BOB PETERS: And what that does to

1 the financial ratio you're not prepared to commit to but
2 I'm suggesting that your debt will be no -- I'm sorry,
3 your equity will be no lower than 31 percent as it
4 presently was when you were forecasting only 3 million of
5 net income and 30 million of retained earnings.

6 Does my conclusion follow?

7 MR. VINCE WARDEN: Well, I think so.
8 Although as -- as stated previously that ratio loses some
9 its meaning to Centra now.

10 But nevertheless we will produce that
11 number and see what it is.

12 MR. BOB PETERS: Turning to the financial
13 statements, Mr. Warden, we've had a chance to briefly
14 look at them at Tab 10 of the book of documents.

15 But those were prepared on a standalone
16 basis? Would that be an accurate way to describe them?

17 MR. VINCE WARDEN: Yes.

18 MR. BOB PETERS: It was a separate
19 engagement basis by the external auditors Ernst & Young?

20 MR. VINCE WARDEN: Yes.

21 MR. BOB PETERS: Ernst & Young also
22 audits Manitoba Hydro, do they not?

23 MR. VINCE WARDEN: Yes. When we say a
24 separate engagement, to be clear the engagement letter
25 for Ernst & Young covers the Manitoba Hydro and its

1 subsidiaries including Centra Gas. But there is a -- a
2 separate fee for Centra Gas as compared to Manitoba
3 Hydro.

4 MR. BOB PETERS: In 2007/'08 there was
5 the change in accounting policy that we talked about for
6 the DSM amortization.

7 MR. VINCE WARDEN: Well, again, we didn't
8 refer to it as a change in accounting policy, but a
9 change in -- in estimate, to be precise.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: Just a point that -- to
14 clarify on the retained earnings level, Mr. Warden, as a
15 result of an update dated June the 3rd, 2009 to Cen -- to
16 CAC/MSOS/CENTRA-151, that would have been part of the
17 package marked as Exhibit CENTRA-8.

18 There was a question under CAC Question
19 151, page 2 of 2, that indicates but for the different
20 treatment of DSM for '07/'08 and '08/'09, the retained
21 earnings would be \$40.9 million as opposed to the, I
22 suppose, the 36 million that you're now telling us about.

23 MR. VINCE WARDEN: Yes.

24 MR. BOB PETERS: And, I apologize. I --
25 I didn't mean to refer to it as a change in accounting

1 practice, but just the change in the treatment of the DSM
2 amortization. There were no comments from your auditors
3 with respect to that?

4 MR. VINCE WARDEN: Other than to the
5 extent that they were -- they were fine with how we
6 handled it in the financial statements.

7 MR. BOB PETERS: And at the book of
8 documents, Tab 10, note 11 on page 12 deals with pension
9 obligations.

10 And I'm looking -- sir, have you located
11 Note Number 11 found on page 12 of the financial
12 statements found at Tab 11 -- sorry, at Tab 10 of the
13 book of documents?

14 MR. VINCE WARDEN: Yes.

15 MR. BOB PETERS: And under the pension
16 assets and obligations there's an explanation as to
17 Centra's pension plan, and it seems to suggest there's
18 been a -- there's a deficit at the end of 2007 as well as
19 a deficit at the end of 2008, correct?

20 MR. VINCE WARDEN: Yes.

21 MR. BOB PETERS: Were the -- what was the
22 cause of the deficits to occur in the fiscal year ending
23 '07 and '08?

24 MR. VINCE WARDEN: Well, there -- there's
25 a deficit in terms of funding. That deficit has been

1 there since the date of acquisition. We've been --
2 Manitoba Hydro has been funding that progressively, but
3 the deficit from year to year changes depending on the
4 earnings of -- of the -- of the fund.

5 MR. BOB PETERS: And the earnings of the
6 fund in the fall of 2008 and into the spring of 2009 has
7 probably not been -- not been good.

8 MR. VINCE WARDEN: Not been favourable,
9 no.

10 MR. BOB PETERS: Are you able to up --
11 update and provide a 2009 indication of what the deficit
12 is at year end?

13 MR. VINCE WARDEN: Yes. The 9 million is
14 now 24 million.

15 MR. BOB PETERS: And the \$24 million
16 deficit as of March 31, 2009 in the Pension Asset Fund,
17 is that difference again attributable to the -- to the
18 market declines in the prior year?

19 MR. VINCE WARDEN: Yes, it is.

20 MR. BOB PETERS: Can you indicate to the
21 Board how IFRS will deal with such a situation
22 potentially?

23 MR. WILLY DERKSEN: There are a couple of
24 electives within IFRS. One (1) of the electives is to
25 take the deficit and post it to retained earnings but

1 that's not a necessary step that the Company has to take.

2 One (1) of the significant changes though
3 in IFRS is that pension expense in the future would be
4 based upon the actual market value of the fund and not
5 market-related values. Current Canadian GAAP allows for
6 a -- a five (5) year roll-in of -- of experience gains or
7 losses on the investment and the commencement of the
8 amortization of those losses or gains only after the --
9 only -- slowly during that five (5) year period.

10 IFRS requires a -- an immediate
11 recognition of the gain or loss on the fund and
12 amortization commencing the following year.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: The way I understood
17 your answer and don't assume I understood it totally, Mr.
18 Derksen, but the -- the suggestion that you're making to
19 the Board is that the present plans will be to roll in
20 the deficit on a five (5) year basis to a -- to -- to --

21 MR. WILLY DERKSEN: That' right. That's
22 what Canadian GAAP currently calls for -- is to roll that
23 deficit into the expense calculations over a five (5)
24 year period. IFRS does not allow that.

25 MR. BOB PETERS: And under IFRS, you

1 would have to take what you've now told us. If we were
2 under IFRS requirements, the \$24 million may have to be
3 taken as a charge against the retained earnings?

4 MR. WILLY DERKSEN: No, there are two (2)
5 components to that, Mr. Peters. One (1) component is
6 there's an election that says you can take the full
7 amount of the deficit into retained earnings at the point
8 of transition into IFRS and that's an elective that we
9 have not yet decided upon.

10 But the second component is that under
11 current Canadian GAAP, gains or losses are amortized over
12 the expected remaining service lives of employees but
13 these gains and losses are only considered in that
14 calculation, rolled in over a period of five (5) years.

15 IFRS requires immediate recognition of
16 those gains or losses and amortization over EERSL
17 (phonetic), estimated expected remaining service life of
18 employees, again, immediately. So, if there was a \$10
19 million loss in the following year, under Canadian GAAP,
20 we would commence amortizing only one-fifth (1/5) of that
21 loss and that would be over a ten (10) year period for a
22 -- for Centra Gas.

23 So we'd have a very little effect in the
24 following year. Under IFRS, if there was a \$10 million
25 loss, we would start amortizing the full amount of that

1 loss immediately in the following year so there would be
2 a \$1 million amortization -- pension amortization expense
3 in the following year.

4 MR. BOB PETERS: I followed you right to
5 the end but instead of \$1 million, it would be a \$10
6 million amortization expense under your example.

7 MR. WILLY DERKSEN: No, sir. \$10 million
8 would be eligible for amortization under IFRS and over a
9 ten (10) year period, that would be 1 million per year
10 under IFRS. Under Canadian GAAP, we would only take 2
11 million of that \$10 million amount in the -- in the
12 following year and amortize that commencing over ten (10)
13 years and then in the next year, we would take the next 2
14 million so we'd have a total of 4 million that was being
15 amortized.

16 It tends to smooth out the recognition of
17 those expenses under current Canadian GAAP.

18 MR. BOB PETERS: All right. Appreciate
19 the clarification. If we see that the current deficit is
20 hitting at 24 million and if we were moving into IFRS and
21 you didn't take the election -- didn't elect to apply the
22 deficit to retained earnings, what situation would you
23 find yourselves in?

24 MR. WILLY DERKSEN: We would find
25 ourselves -- that we would have an increased pension

1 expense in the following year, commencing the
2 implementation to IFRS by taking the full amount into our
3 amortization calculations.

4 THE CHAIRPERSON: Mr. Derksen, you are
5 talking about accounting -- that there's also pension
6 law, too? Like, there is a requirement, is there not, to
7 meet actuarial deficits over a certain period of time?
8 Is Centra being granted dispensation, such as the
9 universities?

10 MR. WILLY DERKSEN: At this point in
11 time, we are funding it in accordance with the pension
12 requirements, which is over five (5) years. I don't
13 believe we've got any further dispensations like the
14 universities or under federal plans, other entities have
15 been provided for. I'm not aware that that's changed for
16 us.

17 THE CHAIRPERSON: And when you talk about
18 twenty-four (24) being down, you're talking about twenty-
19 four (24) as of March the 31st, right, which was twenty-
20 one (21) days after the lowest point in the market, if I
21 recall properly.

22 MR. WILLY DERKSEN: I can't confirm the
23 twenty-one (21) days, but yes, I'm talking March 31st,
24 2009 and that would be the value as at that date.

25 THE CHAIRPERSON: I heard everything you

1 said, but I'm -- so under IFRS, you're not -- if there
2 was -- let's say it ended up being twenty-four (24), just
3 for sake of argument, and you converted to IFRS at that
4 point in time, could you recognize the whole twenty-four
5 (24) against retained earnings?

6 MR. WILLY DERKSEN: Yes, that's one of
7 the elections that we have to decide upon.

8 THE CHAIRPERSON: So you could take the
9 whole thing or you could amortize it?

10 MR. WILLY DERKSEN: Yes, that's ---

11 THE CHAIRPERSON: And under IFRS, you
12 would amortize it over ten (10) years.

13 MR. WILLY DERKSEN: You would amortize
14 the full amount commencing the following year over ten
15 (10) years, which is the estimated remaining service life
16 of Centra employees.

17 THE CHAIRPERSON: But your problem would
18 be under the pension law, you'd have to make up the
19 deficit over -- for five (5) years which it would sort of
20 trump the accounting, so to speak.

21 MR. WILLY DERKSEN: Yes, the cash
22 payments, as I understand, still are required to be
23 brought up over five (5) years still, and those are --
24 those are calculated under a different actuarial
25 methodology as well. They use an insolvency -- a

1 solvency calculation which is -- which is a little bit
2 different and I think would -- would cause for a -- a
3 larger deficit to be indicated than the accounting
4 methodology would.

5 THE CHAIRPERSON: Yes, if I recall
6 properly the way the solvency test works, the twenty-four
7 (24) would actually be larger.

8 MR. WILLY DERKSEN: Yes.

9 THE CHAIRPERSON: Because you'd have to
10 take into account the lower interest rates which would
11 drive up your liabilities.

12 MR. WILLY DERKSEN: Yes, that's right.

13 THE CHAIRPERSON: Not to go on about it,
14 but the -- another major part that you have isn't
15 reflected here, is it not? Because all the service since
16 Centra was bought is in the other -- the major Government
17 Pension Plan.

18 MR. WILLY DERKSEN: Yes, that's right.
19 That's the more substantial component that will impact
20 Centra in the future is the -- is the service subsequent
21 to moving into Hydro.

22 THE CHAIRPERSON: Now, do they bill you
23 for each year? Are you required to make up any actuarial
24 deficit with respect to your employees that are in the
25 bigger plan?

1 MR. WILLY DERKSEN: The way the bigger
2 plan works is that there's an employee portion which is
3 managed by the Civil Service Superannuation Board, and
4 that is the -- the funding of that is covered by employee
5 contributions. And then there's an employer portion which
6 is what Hydro has on its balance sheet. It maintains a
7 fund itself to meet its obligations.

8 The employer portion which is, again, on
9 our balance sheet, will have a deficit at March 31st of
10 2009 in excess of 200 million. And the funding
11 obligations are -- for that plan are not covered by legi
12 -- by pension legislation. They are covered by Sup --
13 Civil Sup -- the Superannuation Board legislation.

14 THE CHAIRPERSON: You say \$200 million
15 would be on the balance sheet as a liability.

16 Is that what you're saying, or is it a
17 note?

18 MR. WILLY DERKSEN: I'm saying the
19 deferred pension expense on the -- on Manitoba Hydro
20 statements will be in the order of \$200 million relative
21 to the CSSB Plan.

22 THE CHAIRPERSON: But is it a note to the
23 financial statements or is it actually recorded as a
24 liability?

25 MR. WILLY DERKSEN: It will be recorded

1 as a deferred expense. The -- on Cen -- on Manitoba
2 Hydro statements we have the full employer liability on
3 its statements and the amount of the fund on its
4 statements as well as a deferred expense representing the
5 amount that has not yet been recorded into expense based
6 upon pension accounting requirements.

7 THE CHAIRPERSON: This is -- how do you
8 put it -- it's not directly relevant to this particular
9 Hearing, but that amount presumably would have IFRS
10 complications as well.

11 MR. WILLY DERKSEN: Absolutely.

12 THE CHAIRPERSON: Mr. Peters...?

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: At Tab 26 of the book of
16 documents, Mr. Warden and Mr. Derksen, is a schedule
17 attachment from PUB/CENTRA-46A dealing with payments to
18 government. Sorry, capital and other taxes,
19 specifically.

20 This table depicts that Centra pays -- is
21 it in -- in lieu of municipal taxes. There's grants in
22 lieu or is it actual municipal taxes that the Corporation
23 pays?

24 MR. WILLY DERKSEN: For municipal taxes,
25 Centra is paying the tax bills.

1 MR. BOB PETERS: And you've explained
2 before I believe, Mr. Derksen, that there's no tax bill
3 included here for any portion of the new -- the new
4 Manitoba Hydro headquarters from the Municipality of the
5 City of Winnipeg.

6 MR. WILLY DERKSEN: That's correct.

7 MR. BOB PETERS: And that's because that
8 will be paid for by Manitoba Hydro and not by Centra?

9 MR. WILLY DERKSEN: That's -- that's
10 right, yes.

11 MR. BOB PETERS: When do taxes become
12 payable to the City of Winnipeg as a result of the new
13 office building?

14 MR. WILLY DERKSEN: We expect that they
15 will be payable commencing this year. We have not yet
16 received a bill for the new office building.

17 MR. BOB PETERS: Are you saying by the
18 end of June 2009?

19 MR. WILLY DERKSEN: That's what our
20 expectation is, yes.

21 MR. BOB PETERS: Is the income tax item
22 shown at line 15 related to the amortization of the \$38
23 million tax liability?

24 MR. WILLY DERKSEN: Yes, it's all related
25 to that.

1 MR. BOB PETERS: It includes principal
2 and interest?

3 MR. WILLY DERKSEN: Yes, it does.

4 MR. BOB PETERS: All right. At Tab 27 of
5 the book of documents is a schedule setting out payments
6 to government and we've talked about the debt guarantee
7 fee already but the Corporation capital tax is my
8 understanding is that is being phased out, Mr. Derksen,
9 but not phased out for Crown corporations?

10 MR. WILLY DERKSEN: Yes, that's my
11 understanding.

12 MR. BOB PETERS: All right.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: While I think of it, is
17 it correct that there's GST on consumer's gas bills for
18 both corporations and individuals? It's at least charged
19 to them?

20 MR. WILLY DERKSEN: Yes.

21 MR. BOB PETERS: And corporations may
22 have an opportunity for an input credit on GST?

23 MR. WILLY DERKSEN: Yes, that's right.

24 MR. BOB PETERS: And there's also
25 provincial sales tax on gas bills?

1 MR. WILLY DERKSEN: Yes.

2 MR. BOB PETERS: And that's in the --
3 it's -- is that 1.4 percent, do you recall?

4 MR. WILLY DERKSEN: I believe it's -- I'd
5 have to check on that but I believe it's a -- it's a
6 multiple rate system depending on whether it's used for
7 home heating.

8 MR. BOB PETERS: The intention that
9 you're indicating is that your understanding is that
10 there was an intention to exempt provincial sales tax on
11 that portion of the heating that is for space heating.

12 MR. WILLY DERKSEN: That's my
13 understanding for residential space heating, yes.

14 MR. BOB PETERS: I have a note here that
15 and I may have my reference wrong, but in Order 116 of
16 '08 there was a recommendation by the Board for Hydro to
17 seek GST exemption on natural gas for heat load.

18 Are you aware of that recommendation?

19 MR. WILLY DERKSEN: I -- I'm not, sir.

20 MR. BOB PETERS: All right I'll have to
21 check my source and come back to that on you. In any
22 event, there's been no initiative by the Utility to try
23 to convince governments that applying tax on the heat
24 load portion of -- of the utility bill is something they
25 should forego or else use towards energy efficiency

1 measures?

2 MR. VINCE WARDEN: Mr. Peters, I believe
3 that was a recommendation directed to government and not
4 to Manitoba Hydro.

5 MR. BOB PETERS: Are you aware if there's
6 been any -- any discussions with Manitoba Hydro or Centra
7 relative to that -- that direction?

8 MR. VINCE WARDEN: No, I'm not.

9 MR. BOB PETERS: If my notes are accurate
10 and I'll leave it at that is -- it was Order 116 of '08
11 Recommendation Number 6 on page 342.

12 In terms of the capital budgeting process,
13 at Tab 28 of the book of documents we see PUB/CENTRA-12A
14 and it's the attachment, the response by Centra, setting
15 out the capital expenditure forecast summary for the gas
16 company and the latest revision we have is June the 1st
17 of 2009 on yellow pages.

18 Do you have that, Mr. Petursson?

19 MR. DAVID PETURSSON: Just one (1) moment
20 please.

21

22 (BRIEF PAUSE)

23

24 MR. DAVID PETURSSON: I've got the yellow
25 -- yellow sheet now.

1 and seventeen thousand dollars (\$317,000). Would that be
2 correct?

3 MR. DAVID PETURSSON: Yes.

4 MR. BOB PETERS: Looking at this
5 schedule, Mr. Petursson, would the Board conclude
6 correctly that after 2010 there are no major capital
7 projects on the horizon?

8 MR. DAVID PETURSSON: None that we've
9 been able to identify in this submission. I would expect
10 though that as time goes by the need for additional
11 capital projects will arise and -- and will come up in
12 the future.

13 MR. BOB PETERS: Are there any in the
14 planning process that you can indicate to the Board at
15 this point in time are being looked at?

16
17 (BRIEF PAUSE)

18
19 MR. DAVID PETURSSON: There's none
20 specifically that we can point to they're being
21 considered right now.

22 MR. BOB PETERS: Can you explain to the
23 Board why on line 20 there's a capital increase provision
24 provided going out into 2018 and 2019 and what that's
25 for?

1 MR. WILLY DERKSEN: Maybe I can handle
2 that, Mr. Peters. That is in recognition that there will
3 be some higher level of -- there will be a likelihood of
4 -- of projects that will be required in that timeframe.

5 Our -- our project planning horizon is --
6 is good in the short term but as you go into -- further
7 into the future there becomes a -- projects are -- are
8 not estimated or not forecasted accurately at that point
9 in time and -- and so there's a -- a likelihood that
10 increased costs will be incurred.

11 MR. BOB PETERS: I was thinking you might
12 give that answer, Mr. Derksen, but how can you give that
13 answer when there's not even a project on the drawing
14 board? These numbers look pretty precise to me and I --
15 I wondered how you can be that -- that inclusive.

16 MR. WILLY DERKSEN: Well, 2018 is a long
17 time away from now. Our drawing boards sometimes don't
18 go that far into the future and we can't anticipate all
19 the things that will happen or be needed by that point in
20 time.

21 MR. BOB PETERS: But while you can't plan
22 for a capital project, you can plan that whatever is --
23 whatever is forecast is going to be wrong by \$2.2 million
24 in 2018?

25 MR. WILLY DERKSEN: I -- I think it's

1 best to look at that as a placemark to say that it's --
2 there is a provision. We're adding a small provision to
3 -- for the likelihood that some larger capital projects
4 will come into a requirement by that point in time.

5 MR. BOB PETERS: I think Mr. Warden's
6 used up all the placemarkers and plugs that we are
7 allowing this -- this case, Mr. Derksen. But a -- I
8 think the Board has got your request.

9 Is there any magic to it being such an
10 uneven number? It almost looks like it's precise. I
11 appreciate line 22 adds up more roundly, but is that --
12 is that the only reason?

13 MR. WILLY DERKSEN: I believe what we've
14 done is we've increased the thirty-six million four
15 forty-six (36,000,446) from 2017 by our escalation factor
16 of 2 -- of 2 percent into 2018 and rounded the total, and
17 the difference is just in that two million two seventy-
18 six (2,276,000).

19 MR. BOB PETERS: In the corporate
20 strategic plan of the Company, there is an indication
21 that one (1) of the strategies is for improved capital
22 investment decision support process, if I've said that
23 right.

24 Are you familiar with that, Mr. Petursson?

25 MR. DAVID PETURSSON: Yes, somewhat.

1 MR. BOB PETERS: All right. And I think
2 the corporate strategic -- well, my marginal reference is
3 to -- ties it to PUB/CENTRA-3. But if it's a corporate
4 goal to improve the capital investment decision support
5 process, what does that mean in day-to-day terms for the
6 Company? What has to be improved?

7 MR. DAVID PETURSSON: That -- that would
8 consist of a greater degree of -- of documentation and
9 analysis of the expenditures that we are -- and
10 recommendations for the expenditures that we are putting
11 forth for approval internally.

12 MR. BOB PETERS: That implies that the
13 current documentation and analysis could be -- is seen as
14 -- it could be better than what it currently is.

15 Would that be fair?

16 MR. DAVID PETURSSON: I would prefer to
17 think of it as -- looking at it as continuous
18 improvement. We -- we'd want to be better at things as
19 day -- as time goes by, so we -- it's one (1) area that
20 we look for continuous improvement.

21 MR. BOB PETERS: Before we turn to
22 anything specific, what is it now that you think you
23 could improve on, in terms of providing for management
24 and executive to review that they're not currently --
25 currently getting?

1 Where -- what continuous improvement could
2 be provided?

3 MR. DAVID PETURSSON: Well, currently we
4 do provide the capital project justifications.
5 Improvement would be simply just making sure that we have
6 full details and be comprehensive in our approach with
7 the information going forward.

8 I think -- I believe we do that now. I
9 think it's a -- just the corporate goal would just -- we
10 -- in support of the corporate goal, we would just make
11 sure we do that consistently and repeatedly.

12 MR. BOB PETERS: Are you changing
13 anything that you know -- right now, that you're aware
14 of?

15

16 (BRIEF PAUSE)

17

18 MR. DAVID PETURSSON: No, we're really
19 not changing much. It's a matter of just making sure
20 that we are consistent and comprehensive in our approach
21 on that.

22 MR. BOB PETERS: You mentioned, Mr.
23 Petursson, the capital project justification, and
24 included in the book of documents at Tab 29 is a capital
25 project justification for the Brandon Unodourized Natural

1 Gas Pipeline Improvement, correct?

2 MR. DAVID PETURSSON: Yes.

3 MR. BOB PETERS: And it -- it constitutes
4 a signing page and three (3) other pages.

5 MR. DAVID PETURSSON: I count them the
6 same way, too, yes.

7 MR. BOB PETERS: And is this all of the
8 information that would go forward to the management level
9 and then to the executive level?

10 MR. DAVID PETURSSON: No, on the -- there
11 are often additional materials that would be in support
12 of this.

13 MR. BOB PETERS: Were there with respect
14 to the -- this Brandon Unodourized Pipeline?

15 MR. DAVID PETURSSON: Yes. They are
16 referenced in this document. On the bottom of page 3,
17 there's a -- of the capital project justification,
18 there's a section titled "Reference Documents" and there
19 is a study that is referenced there and that would be one
20 (1) of the documents that was supplied to support this
21 CPJ.

22 MR. BOB PETERS: Was that the cost
23 benefit study or was -- was that a financial analysis, or
24 can you tell from that note?

25 MR. DAVID PETURSSON: That was more of an

1 engineering study.

2 MR. BOB PETERS: While we're talking
3 about this, the word "unodourized" somewhat jumps out.
4 Can you explain to the Board why this is an unodourized
5 pipeline?

6 MR. DAVID PETURSSON: Certainly. The gas
7 from Transcanada typically is unodourized and Centra adds
8 odourant, you know, to most of its pipelines. This
9 pipeline that comes and supplies Koch is unodourized
10 because the odourant would pose problems with KOCH's
11 process that they use where they have natural gas as a
12 feedstock.

13 So we -- we have this as an unodourized
14 pipeline to be able to provide Koch with unodourized gas.

15 MR. BOB PETERS: Currently there is
16 already a pipeline that serves Koch Fertilizer, as you
17 mentioned, and also would be available for southwestern
18 Manitoba and perhaps supporting the Brandon residential
19 customers.

20 MR. DAVID PETURSSON: Yes, they -- we
21 presently have an unodourized pipeline that supplies
22 Koch.

23 MR. BOB PETERS: And in looking at this
24 particular project, the existing line also serves sixteen
25 hundred (1,600) SGS and LGS customers in communities

1 including thing -- places like Souris, Hartney, Killarney
2 and Deloraine?

3 MR. DAVID PETURSSON: This pipeline --
4 the unodourized pipeline brings gas to the south part of
5 Brandon and that's where the takeoff is to go to
6 southwest Manitoba, serving all those customers. And the
7 -- this pipeline can -- can be the supply there. We also
8 have the flexibility to supply those customers in
9 southwest Manitoba from the odourized system that brings
10 gas to Brandon.

11 MR. BOB PETERS: And there is already an
12 existing unodourized pipeline, correct?

13 MR. DAVID PETURSSON: Yes.

14 MR. BOB PETERS: And this project is for
15 an additional one or an improvement on the existing one.

16 MR. DAVID PETURSSON: Yes, it's for
17 additional capa -- additional line on the unodourized
18 system.

19 MR. BOB PETERS: The Board...

20 MR. DAVID PETURSSON: Yeah, this is a --
21 this pipeline will be in addition to the unodourized
22 line.

23 MR. BOB PETERS: In essence, it -- it's
24 parallel to or loops with the existing one. Would that
25 be the terminology used?

1 MR. DAVID PETURSSON: Yes, that's
2 correct.

3 MR. BOB PETERS: And one (1) of the
4 customers to be served from the existing unodourized
5 pipeline is the power station customer.

6 MR. DAVID PETURSSON: Yes. Koch and the
7 power station are supplied from the unodourized line.

8 MR. BOB PETERS: And that power station
9 customer has been supplied with natural gas since
10 approximately 2000, when the turbine was installed?

11 MR. DAVID PETURSSON: 2002 perhaps. I'm
12 not sure of the exact date.

13 MR. BOB PETERS: What the Board knows
14 from your revised Application is that the \$5.5 million
15 that was going to be included in Centra's capital
16 expenditures has now been removed and the \$5.5 million is
17 going to be charged through to the power station
18 customer, correct?

19 MR. DAVID PETURSSON: Yes.

20 MR. BOB PETERS: And so with the benefit
21 of where we are today looking back at the Filing that
22 you've made, what caused the decision to change the
23 treatment of the \$5.5 million?

24 MR. GREG BARNLUND: Mr. Peters, maybe I
25 can provide that information. Originally the capital

1 forecast did not include -- inadvertently it didn't
2 include mention of the contribution. But the
3 contribution is arising from the contract that exists
4 between the power station customer and Centra that was
5 established at the time that the system went into
6 service.

7 And that contract was reviewed and I
8 believe was modified as a result of Order P -- PUB's
9 Order 118 of '03 identifying some changes in the contract
10 in terms of the true-up mechanism and the contributions
11 or refunds of contributions that may occur. This
12 contract is a ten (10) year agreement that was entered
13 into at the time its service was extended. There will be
14 a true-up provision I believe after 2012.

15 And the decision was made to -- for the
16 power station to fund a contribution offsetting this
17 capital investment now at the time that this capacity is
18 being increased. And that ultimately there will be a
19 true-up calculation done on the feasibility study at the
20 end of 2012 which will take into consideration the costs
21 and revenues for that particular customer and for that
22 extension over the life of the contract.

23 MR. BOB PETERS: Thank you, Mr. Barnlund.
24 But you would agree with me that the initial unodourized
25 pipeline was not undersized when it was first

1 constructed, was it?

2 MR. DAVID PETURSSON: The first
3 unodourized pipeline was -- was built to certain design
4 requirements that were present of the time and a lot of
5 that -- and that was primarily based on the source
6 pressure available from Transcanada. And it was not
7 undersized at the time but the, you know, the situation
8 has changed with the availability of source pressure from
9 Transcanada.

10 MR. BOB PETERS: I -- I was going to come
11 to that, Mr. Petursson, but the TCPL/Centra contract
12 requires TCPL to deliver the gas onto that pipeline at
13 five hundred and eighty (580) PSIG.

14 Isn't that correct?

15 MR. DAVID PETURSSON: That is correct.

16 MR. BOB PETERS: And that's still --

17 MR. DAVID PETURSSON: That's -- that's
18 the minimum pressure.

19 MR. BOB PETERS: That's the minimum
20 pressure including the minimum pressure to date?

21 MR. DAVID PETURSSON: I don't follow.

22 MR. BOB PETERS: It hasn't changed since
23 the contract was signed. That remains in -- in place to
24 date?

25 MR. DAVID PETURSSON: Yes, that's

1 correct.

2 MR. BOB PETERS: All right. So you knew
3 that was the pressure at the time that the power station
4 customer came to Centra in 2002 looking for access to
5 natural gas?

6 MR. DAVID PETURSSON: Yes.

7 MR. BOB PETERS: And you knew what the
8 requirements were for the power station customer in 2002
9 when you took them on as a customer and entered into a
10 contract with them?

11 MR. DAVID PETURSSON: Yes. We were aware
12 of that pressure at the time.

13 MR. BOB PETERS: And you were also aware
14 of what your -- what the power station customer's needs
15 were?

16 MR. DAVID PETURSSON: Yes. I might want
17 to add though the -- we're aware of that and the -- but
18 in -- in designing our system, we have, in many parts of
19 our system, we have -- the contractual pressure is less
20 than what we've designed to. And we've done that
21 knowingly and it's in good design.

22 The historical pressures have been such
23 that if we -- if we were to design for the absolute
24 minimum, we would be having plant (sic) that would be
25 substantially larger than what we typically -- that we

1 would need. And that would be an expense -- an expense
2 that really would not deliver any value.

3 We've based our -- our designs, not on
4 contract minimums but more on historical performance of -
5 - of pressure delivery.

6 MR. BOB PETERS: But that was part of
7 your engineering back in 2002, when the power station was
8 going to come on board?

9 MR. DAVID PETURSSON: Yes.

10 MR. BOB PETERS: And so, if we have it
11 that the unodourized pipeline what -- was not undersized
12 when it was first constructed, the only significant
13 change since then is that the power station customer has
14 been added.

15 Would you agree with that?

16 MR. DAVID PETURSSON: Two (2) changes.
17 We have the power station customers been added, the --
18 the other changes we are -- we have been experiencing
19 lower -- at times, lower pressures from Transcanada
20 Pipelines than we historically have had.

21 MR. BOB PETERS: When the power station
22 customer was added in approximately -- we'll say, 2002,
23 Centra tapped into the existing unodourized pipeline to
24 serve the power station customer, correct?

25 MR. DAVID PETURSSON: That is correct.

1 MR. BOB PETERS: There were no upgrades
2 to the unodourized pipeline at the time the power station
3 customer entered into -- entered into its contract with
4 Centra?

5 MR. DAVID PETURSSON: I believe at that
6 point in time we did have some looping that -- that was
7 one (1) -- a first portion, as it were, of that looping
8 did occur about that time.

9 MR. BOB PETERS: Mr. Chairman, I've let
10 the time get away from me and perhaps I can pick this up
11 with Mr. Petursson in the morning.

12 THE CHAIRPERSON: Don't feel bad, it is
13 only four (4) minutes.

14 MR. BOB PETERS: Thank you.

15 THE CHAIRPERSON: We will see you all in
16 the morning at 9:00. Thank you.

17

18 (CENTRA'S REVENUE REQUIREMENT,
19 DSM, COST ALLOCATION,
20 AND RATE DESIGN PANEL RETIRES)

21

22 --- Upon adjourning at 3:49 p.m.

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Certified correct,

Cheryl Lavigne, Ms.