

1 MANITOBA PUBLIC UTILITIES BOARD

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Re: CENTRA GAS MANITOBA INC.
2005/06 TO 2006/07
GENERAL RATE APPLICATION

Before Board Panel:
Graham Lane - Board Chairman
Monica Girouard - Board Member
Mario Santos - Board Member

HELD AT:
Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
June 14th, 2005
Volume VII
Pages 1456 to 1691

APPEARANCES

1
2 R.F. Peters)Board Counsel
3
4 Marla Murphy)Manitoba Hydro
5
6
7 Karen Melnychuk)Direct Energy Marketing
8 David Brown)Limited/Municipal Gas
9
10 Nola Ruzycki)Energy Saving (Manitoba)
11)Corp.
12
13 Kris Saxberg)CAC/MSOS
14
15 Peter Miller)TREE and Resource
16 Randall McQuaker (np))Conservation Manitoba
17
18 Sandy Boyd)CEPU
19
20
21
22
23
24
25

	TABLE OF CONTENTS	
1		
2		Page No.
3	List of Exhibits	1459
4	List Of Undertakings	1460
5		
6	GREG MATWICHUK, Resumed	
7	Cross-Examination by Ms. Marla Murphy	1465
8	Cross-Examination by Mr. Bob Peters	1491
9		
10	Panel 3	
11	Vince Warden, Resumed	
12	Robin Wiens, Sworn	
13	Lloyd Kuczek, Sworn	
14	Kelly Derksen, Sworn	
15	Darren Rainkie, Resumed	
16		
17	Examination-in-Chief by Ms. Marla Murphy	1566
18	Cross-Examination by Mr. Bob Peters	1600
19		
20		
21	Certificate of Transcript	1691
22		
23		
24		
25		

1	LIST OF EXHIBITS	
2	EXHIBIT NO.	PAGE NO.
3	CENTRA-25	Response to Undertaking 4 provided
4		in the Cost of Gas Panel by
5		Mr. Stephens. 1465
6	CENTRA-26:	Document entitled, Western Transportation
7		Service Conference Call May 11th, 2005. 1564
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

	LIST OF UNDERTAKINGS		
	No.	Description	Page No.
1			
2			
3	30	TREE/RCM to provide Board with the	
4		sources for assertion that Centra	
5		customers money shouldn't be used	
6		to pay off the premium.	1510
7	31	TREE/RCM to provide Board with what	
8		would be the optimum recommended	
9		debt equity for Centra, and provide	
10		rationales and supporting references.	1538
11	32	TREE/RCM to provide Board with	
12		references to had authorities,	
13		decisions as well as full decisions	
14		of the regulator dealing with the	
15		stand-alone principle.	1551
16	33	TREE/RCM to advise Board of any	
17		examples in which a Crown Corporation,	
18		a non-taxable organization, acquired a	
19		private utility and continued for some	
20		time operating that utility as a	
21		stand-alone, regulated on a rate of	
22		return rate base methodology.	1556
23			
24			
25			

	LIST OF UNDERTAKINGS (cont'd)	
1	No.	Description
2		Page No.
3	34	CENTRA to indicate to Board if, on
4		the months where a homeowner normally
5		would not get an electricity bill
6		because they're billed bi-monthly,
7		would now change to monthly billing.
8	35	Advise the Board what the Corporation's
9		plans are for providing consumers with
10		choices to where their partial payment
11		goes and indicate how that is to work
12		and whether there is any information or
13		education that will be provided to the
14		consumer to assist them in that regard
15	36	CENTRA to provide Board the formula
16		that shows how the \$1 million shared
17		between the two (2) utilities in terms
18		of allocation.
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:10 a.m.

2

3 THE CHAIRPERSON: Mr. Peters, do you want
4 to bring us up to date?

5 MR. BOB PETERS: Yes just a housekeeping
6 -- actually two (2) housekeeping matters. One (1) is
7 after I have talked about closing arguments I'll suggest
8 you refer to Mr. Saxberg, as I believe his Witness on
9 reflection has one (1) minor correction from yesterday.

10 But, in terms of closing submissions, Mr.
11 Chairman, when we looked at our plan it looked like
12 Monday the 27th of June was the preferred date from
13 Counsel and we brought it to the Board and the Board was
14 considering that date and looking at its own schedules.

15 And I knew there was some conflict
16 initially, but, as I understand it now, on Monday the
17 27th the Board is available starting at 9:00 in the
18 morning for closing submissions. And I thought I should
19 just alert all the parties who now, I think, are here
20 today to that.

21 And I've also indicated to parties that
22 for those who do not wish to provide oral closing
23 submissions, the Board would receive their written
24 submissions provided they were received by the Board the
25 close of business on Friday and that will allow the Board

1 to have them in time for the Monday oral arguments.

2 So, with that housekeeping matter, Mr.
3 Chairman, and subject to any questions, I'd suggest we
4 turn it over to Mr. Saxberg and tidy up from yesterday
5 before we go back -- go to Ms. Murphy for her questions
6 of this witness.

7

8 GREG MATWICHUK, Resumed:

9

10 THE CHAIRPERSON: Mr. Saxberg...?

11 MR. KRIS SAXBERG: Thank you Mr.

12 Chairman. Mr. Matwichuk does have one (1) minor
13 correction to put on the record.

14 Mr. Matwichuk...?

15 MR. GREG MATWICHUK: Thank you Mr.

16 Saxberg. Yesterday I was discussing the issue, Mr.
17 Chairman, about comparison of benefits on the Hydro side
18 and on the Centra side.

19 And beginning on transcript page 1437 and
20 continuing on to 1438, I was making the point that --
21 that there was no benefit on the Centra side and I was
22 comparing to the Hydro that we have the \$9 million of
23 synergy benefits on the Hydro side and in the
24 neighbourhood of \$12 million, perhaps even \$14 million of
25 benefits on the Hydro side being the return on equity.

1 And what I had meant to say that the \$12
2 million was the corporate allocation and over and above
3 that corporate allocation was the net income amount that
4 Centra's requesting for the benefit of Hydro. And those
5 amounts are showing in the application now as almost \$5
6 million and \$14 million.

7 So, that's the correction I wanted to
8 make, Mr. Chairman.

9 THE CHAIRPERSON: Thank you, sir.
10 Mr. Saxberg...?

11 MR. KRIS SAXBERG: And I believe that's
12 it. Mr. Matwichuk is now available to be cross-examined.

13 THE CHAIRPERSON: Okay. Mr. Peters,
14 remind we where we are in the order?

15 MR. BOB PETERS: I believe yesterday, I'm
16 just not sure, Mr. Chairman, if I -- if it was on the
17 record or not, but in terms of cross-examination, on page
18 2 of the procedures that have been circulated for this
19 Witness, cross-examination was going to be by Intervenors
20 first, followed by Centra, followed by Board Counsel.

21 And I know, at least informally, I spoke
22 to a number of Counsel and representatives, my
23 understanding is that Mr. Boyd had no questions for this
24 Witness, my understanding is that Direct Municipal had no
25 questions for this Witness, and likewise, Energy Savings

1 Manitoba Corp. had no questions for this Witness and Dr.
2 Miller, I don't think was here yesterday afternoon and I
3 don't see him here today.

4 So, I think that brought it down to Ms.
5 Murphy's turn.

6 THE CHAIRPERSON: Okay, then we're on to
7 Ms. Murphy.

8 MS. MARLA MURPHY: Thank you, good
9 morning.

10 Just one (1) minor housekeeping matter of
11 our own before we begin with our discussions with Mr.
12 Matwichuk, and that is that I have provided the Board
13 Secretary this morning with response to Undertaking 4
14 which was provided way back in the Cost of Gas Panel by
15 Mr. Stephens.

16 And I would propose that that be marked as
17 Centra Exhibit 25, Mr. Chairman.

18 THE CHAIRPERSON: Sobeit.

19

20 --- EXHIBIT NO. CENTRA-25: Response to Undertaking 4
21 provided in the Cost of Gas
22 Panel by Mr. Stephens.

23

24 MS. MARLA MURPHY: Good morning, Mr.
25 Matwichuk.

1 MR. GREG MATWICHUK: Good morning, Ms.
2 Murphy.

3
4 CROSS-EXAMINATION BY MS. MARLA MURPHY:

5 MS. MARLA MURPHY: I wanted to begin by
6 discussing with you the concept of no harm. And in your
7 evidence filed in this proceeding I believe that you're
8 suggesting that no harm now means that there's no harm to
9 Centra's ratepayers if rates are calculated in accordance
10 with the cost of service methodology and are less than or
11 equal to the rates calculated in accordance with the rate
12 base rate of return methodology; is that correct?

13 MR. GREG MATWICHUK: Okay. I think we'll
14 have to -- I just want to understand your question
15 correct -- correctly. In terms of no harm, I have
16 outlined the principles in a conceptual fashion.

17 MS. MARLA MURPHY: Yes.

18 MR. GREG MATWICHUK: And with respect to
19 the comparison between rate base rate of return and cost
20 of service; that is your question?

21 MS. MARLA MURPHY: I'm asking you what --
22 what you view the comparator to be?

23 I got the impression from page 20 of your
24 evidence that you were now comparing the -- the outcome
25 of the different methodologies to determine whether or

1 not there was harm. And I took that from lines 19 to 28.

2 MR. GREG MATWICHUK: Nineteen (19) to
3 twenty-eight (28) on page 20?

4 MS. MARLA MURPHY: Yes.

5 MR. GREG MATWICHUK: Okay. On page 20 is
6 the discussion of the differentials between cost of
7 service and rate base rate of return methodologies.

8 MS. MARLA MURPHY: So, in your view, is
9 the appropriate comparator to determine whether or not
10 there's harm, a comparison of what the rates would have
11 been absent acquisition?

12 MR. GREG MATWICHUK: Oh, okay, now I see
13 where you're going.

14 At this stage, I think it's pretty
15 difficult to determine what would happen absent
16 acquisition and I think, as I tried to make clear
17 yesterday, we're so far down the line that an attempt to
18 determine what West Coast would have done, what
19 operations would have looked like, what -- where we would
20 be in the annual or bi-annual rotation of -- of hearings
21 and then the subsequent purchase by Duke of West Coast
22 and how they may have operated.

23 And so what each of the elements of
24 revenue requirement might look like today would be very
25 speculative at this stage.

1 MS. MARLA MURPHY: I appreciate there's
2 some difficulty in making the calculation, but would you
3 agree that the appropriate -- the appropriate calculation
4 or comparison is what happened with Centra under Hydro
5 ownership versus what happened with Centra under West
6 Coast ownership?

7 MR. GREG MATWICHUK: That is something
8 that could have been done at the time of the purchase and
9 essentially what we're talking about in harm -- maybe we
10 need to step back as what we're talking about in terms of
11 harm because I think this is the essential issue is that
12 we're talking about whether there is an attempt to, by
13 the owner, to recover amounts in excess of net book
14 value.

15 So, that's why I was referring a number of
16 times yesterday to net book value, historic cost, costs
17 when originally placed in public use, and any attempt
18 over -- to collect over and above those amounts would be
19 harmed.

20 Now, how you measure it, is a matter of
21 most appropriately, determining at the time, and being
22 able to specifically exclude amounts that would be not
23 part of net book value. So, any amounts of the purchase
24 premium, such as those included in the annual acquisition
25 cost calculation, should not be included in the revenue

1 requirement of Centra.

2 If they were included in the revenue
3 requirement of Centra, that would be harm.

4

5 (BRIEF PAUSE)

6

7 MS. MARLA MURPHY: If I follow that
8 through and Centra had \$10 million in benefits, your view
9 would be that any charge against that -- those benefits,
10 would constitute harm; is that right?

11 MR. GREG MATWICHUK: No, I -- I think we
12 have to step back, because I think what you're doing is
13 looking at something in isolation. And my testimony is
14 that as long as both ratepayers are held harmless, both
15 gas and electric ratepayers are held harmless, and my
16 evidence is that once you carry out the Board's plan,
17 electric ratepayers are held harmless.

18 And to the ratepayers in the Centra side,
19 they should not incur any costs above net book value.
20 And if there are benefits, the principle states that
21 ratepayers of the purchased company should be at least no
22 worse off. So, if there are benefits, then they can fall
23 to the Centra side.

24 And -- and I look at it also in -- from
25 the perspective of the two (2) different sizes of the

1 Company, that if there is a differential, as there is on
2 the Hydro side, because the benefits exceed the costs by
3 2 to \$3 million, in benefits on the Centra side. By the
4 time you net the two (2) we're talking a de minimus when
5 -- in -- relative to the size and nature of Manitoba
6 Hydro.

7 MS. MARLA MURPHY: You testified in
8 2003/04, at the Centra GRA, discussing the concept of no
9 harm as well, didn't you?

10 MR. GREG MATWICHUK: Yes.

11 MS. MARLA MURPHY: And in fact, you
12 attached an excerpt from that evidence to your evidence
13 in this proceeding?

14 MR. GREG MATWICHUK: Yes.

15 MS. MARLA MURPHY: I'm looking at page 4
16 of the Appendix A excerpt --

17 MR. GREG MATWICHUK: Yes.

18 MS. MARLA MURPHY: -- and your question
19 8, in particular you describe the -- the no harm
20 principle.

21 MR. GREG MATWICHUK: Hmm hmm.

22 MS. MARLA MURPHY: And you say at lines 6
23 through 8:

24 "Essentially the no harm principle
25 states that ratepayers should be at

1 least no worse off as a result of the
2 sale transaction that they would have
3 been had the sale not taken place."

4 Do you see that?

5 MR. GREG MATWICHUK: Yes.

6 MS. MARLA MURPHY: And that's different
7 than what you're saying today isn't it?

8 MR. GREG MATWICHUK: No, it's not. What
9 I'm referring to, that's the concept, and as -- I'll take
10 you back to what I mentioned a few minutes ago is that
11 how you measure it, how you measure that harm, it becomes
12 problematic as time goes on.

13 And that's why I had difficulty with page
14 14 of Centra's rebuttal, because we're attempting to
15 estimate costs on a speculative basis of what would have
16 taken place under an unknown owner.

17 So, what I'm saying is, that's the
18 concept. The next question is how you measure it.

19 MS. MARLA MURPHY: So, let's go back to
20 looking at how we measure had the sale not taken place.
21 Had the sale not taken place, rates would have been set
22 based on the costs of the utility under private
23 ownership, under West Coast, right?

24 MR. GREG MATWICHUK: That's correct.

25 MS. MARLA MURPHY: And in fact, yesterday

1 when you were discussing Centra Exhibit number 24, in the
2 context of determining no harm, you also looked at that
3 absent acquisition scenario; isn't that right?

4

5 (BRIEF PAUSE)

6

7 MR. GREG MATWICHUK: Yes, we looked at it
8 yesterday, and the discussion was about a), it being
9 speculative, and b), the potential for error, and c), the
10 fact that there is no benefit arising out of the
11 comparison.

12 MS. MARLA MURPHY: I want to turn with
13 you to the discussion of the allocation of synergies.
14 And as I read your evidence you suggest that in the
15 absence of other information, it's reasonable that the
16 synergy benefit allocation would follow the overall cost
17 allocation, do I have your evidence right?

18 MR. GREG MATWICHUK: Do you have a page
19 reference?

20 MS. MARLA MURPHY: Page 7, line 21 --
21 sorry 17 through 21.

22 MR. GREG MATWICHUK: Right.

23 MS. MARLA MURPHY: And I take it, that's
24 how you derived your split of \$13.7 million to Hydro and
25 \$2.3 million to Centra that's on table 2 on page 8 of

1 your evidence?

2 MR. GREG MATWICHUK: Table 2 you're
3 referring to on page 8?

4 MS. MARLA MURPHY: Yes.

5 MR. GREG MATWICHUK: Yes.

6 MS. MARLA MURPHY: Would you agree with
7 me that there's two main areas where synergy savings have
8 occurred, those being administrative and operational
9 areas?

10

11 (BRIEF PAUSE)

12

13 MR. GREG MATWICHUK: It's hard to think
14 where else they might occur.

15 MS. MARLA MURPHY: I'll take that as a
16 yes.

17 Looking at the administrative savings
18 would you agree that the pre-acquisition cost levels
19 would be a significant factor in determining which
20 company would benefit from the savings?

21 MR. GREG MATWICHUK: The pre-acquisition
22 cost levels?

23 MS. MARLA MURPHY: Yes, the cost in the
24 Company prior to acquisition.

25 MR. GREG MATWICHUK: Yes, if your could

1 make an apples to apples comparison.

2 MS. MARLA MURPHY: Okay. Let's walk
3 through an example and try that then. If executive costs
4 were reduced by \$2 million, by eliminating the costs
5 associated with Centra's executive, then the benefit to
6 Centra would be the difference between its previous cost
7 level and the amount of executive costs allocated to them
8 through the integrated cost methodology.

9 Do you agree with that?

10 MR. GREG MATWICHUK: If you isolate on
11 one set of costs and you can specifically identify
12 reductions that took place as a result of the
13 acquisition, then yes there would be a benefit.

14 However, then you would have to take a
15 look at all the costs and all the levels of those costs.

16 MS. MARLA MURPHY: So, if we carry on
17 with that example and Hydro's executive costs were also
18 \$2 million and they were allocated on the basis of the
19 total size of each company, 10 percent to Centra and 90
20 percent to Hydro, then Centra would be allocated about 10
21 percent of those costs, which would amount to two hundred
22 thousand (\$200,000).

23 Would you agree with me?

24 MR. GREG MATWICHUK: Your math seems
25 correct.

1 MS. MARLA MURPHY: Good. And the
2 benefit to Centra would be there \$2 million original
3 costs less the \$200,000 of allocated costs or \$1.8
4 million; do you agree?

5 MR. GREG MATWICHUK: Again your math
6 seems correct.

7 MS. MARLA MURPHY: So, following my
8 mathematical conclusion that's 90 percent of the synergy
9 savings being apportioned to Centra, in spite of the fact
10 that they incur only 10 percent of the total cost; is
11 that right?

12 MR. GREG MATWICHUK: That's the way the
13 calculation would work. Whether that actually transpired
14 through the allocation model is an unknown at this stage.

15 MS. MARLA MURPHY: On the operational
16 side, let's take an example of common line locates. And
17 assume that the pre-acquisition cost level was similar
18 for each utility, one hundred dollars (\$100) per utility
19 and that the integrated cost would be one hundred and
20 fifty dollars (\$150).

21 That would be a savings of fifty dollars
22 (\$50) correct?

23 MR. GREG MATWICHUK: Math seems correct.

24 MS. MARLA MURPHY: I'm good at that math
25 stuff. And if the joint line locate was allocated 50/50,

1 then Centra would be charged seventy five dollars (\$75),
2 correct?

3 MR. GREG MATWICHUK: Assuming that's all
4 that was in the trench.

5 MS. MARLA MURPHY: Fair enough. That
6 would represent a savings of twenty-five dollars (\$25) to
7 Centra, that original hundred dollar (\$100) cost less the
8 seventy-five dollars (\$75) allocated cost would be
9 twenty-five dollar (\$25) saving, correct?

10 MR. GREG MATWICHUK: Your math again
11 seems correct.

12 MS. MARLA MURPHY: And as I follow that
13 through mathematically, that's 50 percent of the savings
14 being allocated to Centra?

15 MR. GREG MATWICHUK: On -- on that
16 particular cost, yes.

17 MS. MARLA MURPHY: I take it you would
18 agree with the Public Utilities Board that a financially
19 stable utility is in the best interest of customers?

20 MR. GREG MATWICHUK: It is. And
21 fortunately we're looking at a company that, such as
22 Centra, that has that financial stability and financial
23 integrity through it's own operational means and the
24 protection offered through the debt guarantee.

25 MS. MARLA MURPHY: Well, on the basis of

1 the stand-alone principle that you advocated yesterday
2 you wouldn't advocate a circumstance where Centra was
3 leaning on Manitoba Hydro or ultimately on the Province,
4 would you?

5 MR. GREG MATWICHUK: I don't perceive it
6 as -- as leaning at all because Centra ratepayers are
7 paying for the debt guarantee in a fee of ninety-five
8 (95) basis points.

9 MS. MARLA MURPHY: Which is no different
10 than them paying for the borrowing costs of West Coast,
11 is it?

12 MR. GREG MATWICHUK: No different than
13 what, sorry?

14 MS. MARLA MURPHY: Than the costs they
15 would have paid for West Coast to borrow money? They
16 would have paid an interest differential in excess of the
17 .95 percent that you're talking about?

18 MR. GREG MATWICHUK: No, I wouldn't agree
19 with that. I don't know where you get your numbers when
20 you say, "in excess".

21 MS. MARLA MURPHY: Well, my understanding
22 is that in order for West Coast to borrow money they
23 issued debt at at least one hundred (100) basis points
24 over the long Canada Bond Rate?

25 MR. GREG MATWICHUK: That's spread over

1 the long Canada Bond rate, yes. Manitoba issues debt
2 also with a spread over the long Canada Bond rate and
3 then on top of that there's the ninety-five (95) basis
4 points.

5 And what's unknown to me is whether
6 there's a spread between what Manitoba Hydro pays to the
7 Province and what Centra pays to Manitoba Hydro.

8 MS. MARLA MURPHY: All right. You
9 suggest in your evidence that one point one (1.1) times
10 interest coverage is sufficient or perhaps even
11 excessive, I believe is one of the words you used
12 yesterday, for Centra; is that right?

13 MR. GREG MATWICHUK: It should be more
14 than sufficient given the ownership structure.

15 MS. MARLA MURPHY: Are you aware that
16 Centra, on a stand alone basis, required an interest
17 coverage of two and a half (2 1/2) to three (3) times in
18 order to issue long-term debt?

19 MR. GREG MATWICHUK: That was part of the
20 covenant and -- as I understand the evidence, I haven't
21 read the document that provided for that so I don't -- I
22 can't say I know that.

23 But, the relationship was different
24 because Centra went directly to the market. It did not
25 go exclusively to its parent for its financing

1 requirements. So, it was exposed to capital markets.

2 MS. MARLA MURPHY: You suggested
3 yesterday that the cost of service methodology isn't
4 appropriate for Centra; is that -- is that a fair
5 characterization of your evidence?

6 MR. GREG MATWICHUK: I'm suggesting that
7 under the circumstances of how Centra has been regulated,
8 under the circumstances of the acquisition and the -- the
9 need to protect both sets of ratepayers and under the
10 circumstances of the Board's plan, that it makes more
11 sense for rate base rate of return regulation to
12 continue.

13 MS. MARLA MURPHY: How did the
14 circumstances of acquisition derive the need for rate
15 base rate of return methodology?

16 MR. GREG MATWICHUK: It didn't derive the
17 need. Rate base rate of return methodology is the one
18 that has been used, is currently used and as I read the -
19 - or a simple reading of the statute is that that's
20 what's intended for Centra.

21 I'm saying that because of the acquisition
22 and the balance to ensure that both ratepayers are
23 harmless, the Board came up with a solution and that
24 solution was provide the return -- return on equity as it
25 would normally to its investor; in this case it's

1 Manitoba Hydro.

2 Manitoba Hydro could use that return on
3 equity to the extent necessary to pull over to Manitoba
4 Hydro to combine with its synergies to cover off the
5 acquisition costs as articulated by the Board.

6 MS. MARLA MURPHY: And in your view that
7 couldn't be accomplished with the cost of service
8 methodology?

9 MR. GREG MATWICHUK: What my evidence
10 states is it could be done but you're going to have to --
11 or, in my view, you're going to have to calculate what
12 the return on equity would otherwise be anyway.

13 And there's a further reason that's rate
14 base rate of return methodology is essential and that is
15 that this is -- Centra is no longer part of investor-
16 owned utility and as a result it doesn't have the profit
17 incentive to maximize efficiencies.

18 That profit incentive helps drive
19 efficiencies in investor-owned utilities. When we think
20 of regulation, rate regulation, rate regulation is the
21 embodiment of providing a surrogate for a competitive
22 market.

23 So, if a Crown-owned operation is not on
24 rate base rate of return regulation it does not have the
25 incentive to minimize its actual costs. And typically

1 what happens in rate regulation, as I'm sure most of the
2 people in this room understand, is when a Board allows a
3 revenue requirement, so all the costs are itemized in
4 terms of on a forecast basis including the return on
5 equity, should a utility be able to reduce its costs,
6 such that they are below the forecast amount, they keep -
7 - end up keeping the residual.

8 And so it's an incentive to beat the
9 forecast that the Board approved. On a cost of service
10 basis you don't have that incentive. As a matter of
11 fact, it's almost a reverse incentive, such that the
12 Utility on a cost of service basis can say, Well, this is
13 what the Board allowed us, if you pick a number, a \$100
14 million, and we came in at \$105 million, so that caused
15 us to incur a loss. So we need to recoup that loss.

16 So in that case there -- there can be a
17 reverse incentive, in other words, to maximize your costs
18 to generate a loss so that you can make a case before
19 your regulator that you need even more money.

20 Whereas in rate base rate of return
21 regulation, you -- you have an incentive to beat what the
22 Board provides you.

23 MS. MARLA MURPHY: The circumstance where
24 you described the incentive under rate base rate of
25 return is actually a performance based regulation, or PBR

1 arrangement, isn't it?

2 MR. GREG MATWICHUK: I'm talking strictly
3 about rate base rate of return, the way it currently
4 exists in Manitoba and other jurisdictions.

5 Performance based regulation is a
6 derivative of that, and it is -- I've testified on
7 performance based regulation on various occasions, and
8 performance based regulation provides for longer fixed
9 terms. So what the regulator would typically do is set a
10 base year and set the revenue requirement for that base
11 year, and then allow increments over a two (2), three
12 (3), five (5) year period, based on inflation and
13 productivity levels.

14 So, the -- the rates or the revenue
15 allowed would be allowed to increase each year over the
16 two (2), three (3) or five (5) year period, based on
17 inflation, less a productivity factor. And that -- that
18 revenue requirement would amount -- would create a
19 ceiling above -- at or below which the Utility could
20 design its rates.

21 MS. MARLA MURPHY: You cited one (1) of
22 the reasons for continuing rate base rate of return as
23 being that there was no profit incentive to maximize
24 efficiency in the cost of service methodology, I think is
25 what I just heard you say.

1 Would you also agree with me that under
2 the rate base rate of return methodology with the private
3 shareholder, there was an incentive to try and build rate
4 base that no longer exists?

5 MR. GREG MATWICHUK: Maybe we can -- we
6 can try rewording that, because I just want to make sure
7 I understand your question. You're suggesting that there
8 is an incentive to build up a rate base in rate base rate
9 of return methodology?

10 MS. MARLA MURPHY: Yes, to increase the
11 return on equity.

12 MR. GREG MATWICHUK: That incentive does
13 exist in rate base rate of return methodology, and that
14 is counteracted by regular Board review of rate base, to
15 ensure that it is in the public interest.

16 MS. MARLA MURPHY: You're aware that
17 Manitoba Hydro sets electricity rates on the cost of
18 service methodology?

19 MR. GREG MATWICHUK: I'm aware that Hydro
20 sets its rates on -- based on the cost of service
21 methodology and that is regulated under separate
22 legislation.

23 MS. MARLA MURPHY: Apart from the
24 legislation, would you agree that there's no material
25 differences between the operation of the gas and the

1 electric utility that would require a very different
2 regulatory methodology be used?

3 MR. GREG MATWICHUK: No difference in the
4 operations that would require different methodologies.
5 There is no requirement other than the way I read the
6 Act. But if you're talking specifically, conceptually -
7 - you are speaking conceptually?

8 MS. MARLA MURPHY: Well, I'm speaking
9 practically of the two (2) utilities that we're talking
10 about; Manitoba Hydro Electric, and Natural Gas.

11 MR. GREG MATWICHUK: Centra Gas?

12 MS. MARLA MURPHY: Centra Gas.

13 MR. GREG MATWICHUK: Centra Gas could be
14 regulated on a cost of service basis. But what I'm
15 saying is that given the circumstances of the acquisition
16 and the high potential for Manitoba Hydro to attempt to
17 recover its purchase premium in gas rates, that the
18 Board, in its wisdom, and I think it's a very simple and
19 effective methodology, indicated that return on equity be
20 used as a balancing affect, and return on equity is
21 something that's determined in a fair and equitable manner
22 and it's determined objectively.

23 The cost of service has connotations of
24 less objectivity, especially when it comes to net income.
25 Because as I mentioned yesterday, net income is

1 determined as I've seen it so far, based on management's
2 judgment. Return on equity is determined based on
3 Board's formula.

4 So, what I'm saying is you could go to
5 cost of service, but, in order to determine the amounts
6 that are available to be transferred to Manitoba Hydro
7 and the amount to be retained in Centra, it would be
8 prudent if not necessary to go through the return on
9 equity calculation anyway.

10 MS. MARLA MURPHY: Mr. Matwichuk, are you
11 aware that one (1) of the fundamental commitments of
12 Hydro, since the date of acquisition has been that there
13 will be no cross-subsidization between electric and gas
14 ratepayers?

15 MR. GREG MATWICHUK: I'm unaware of that
16 specific commitment, but I'm also aware of a commitment
17 by Manitoba Hydro at the time of the purchase that all
18 the synergies would cover the cost of the acquisition.

19 And I think what we've seen to date is
20 that the synergies have not materialized to cover the
21 cost of the acquisition. So, yes, I recognize that
22 utilities make their best efforts to forecast the future
23 and make commitments.

24 The question is, is whether you can hold
25 to the commitment.

1 MS. MARLA MURPHY: To avoid a cross-
2 subsidy, isn't the cost of service approach the more
3 appropriate methodology in accordance with the Manitoba
4 Hydro mandate, that is one that would be focussed on the
5 cost necessary to serve customers, no more and no less?

6 MR. GREG MATWICHUK: That's rate base
7 rate of return.

8 MS. MARLA MURPHY: It's also the cost of
9 service, isn't it?

10 MR. GREG MATWICHUK: It's cost of
11 service, but, rate base rate of return has more
12 objectivity than it does in place with cost of service.

13 MS. MARLA MURPHY: So, you don't take
14 issue with the methodology, you take issue with
15 management applying their judgment?

16 MR. GREG MATWICHUK: Well, it's inherent
17 in the methodology.

18 MS. MARLA MURPHY: That's your quarrel
19 with cost of service is that you apply management
20 judgment?

21 MR. GREG MATWICHUK: And it does not
22 provide the incentive to minimize costs. Cost of service
23 as I've heard it from Centra is that the costs are what
24 they are. Well, how do you determine whether the costs
25 have been minimized?

1 And the Board needs tests and incentives
2 to be able to encourage cost of minimization.

3 And, in particular, in this situation and
4 in other situations where you have an allocation
5 methodology, that allocation methodology ends up being a
6 black box. And I have not seen evidence where this
7 proceeding has entitled parties to get into that black
8 box to measure whether the allocations are appropriate on
9 a line by line basis.

10 And if you have this black box combined
11 with cost of service without the incentives, then I think
12 you're potentially looking for costs that are excessive.

13 MS. MARLA MURPHY: You're aware that the
14 acquisition of Centra by Manitoba Hydro was 100 percent
15 debt financed; is that right?

16 MR. GREG MATWICHUK: That is my
17 understanding.

18 MS. MARLA MURPHY: And you'd agree with
19 me that on consolidation the share capital is eliminated
20 once the balanced -- once the financial statements are
21 consolidated?

22 MR. GREG MATWICHUK: I don't know why
23 we're discussing that, that's outside the scope of this
24 Hearing. We're talking about Centra Gas Manitoba. We're
25 setting rates for a gas company, we're not setting rates

1 for a consolidated entity.

2 MS. MARLA MURPHY: Well, we've had a fair
3 bit of discussion about what the debt ratio might be. I
4 think that becomes significant in that area, doesn't it?

5 MR. GREG MATWICHUK: Okay. If you'd like
6 to go there.

7

8 (BRIEF PAUSE)

9

10 MR. GREG MATWICHUK: On consolidation
11 retained earnings are eliminated. But, we're talking
12 about a gas company. We're regulating the subsidiary.
13 It is on a stand alone basis.

14 As I mentioned yesterday there are many
15 organizations across the Country which are owned by
16 Crowns. Many organizations -- Utility organizations
17 owned by Crowns. Many Utility organizations owned by
18 investor owned utilities.

19 None of those provide for regulation on a
20 consolidated basis. When I look back when Centra
21 acquired or sorry, Manitoba Hydro acquired Centra, look
22 back in the financial statements and what took place was
23 that Centra -- Centra's shareholder -- within Centra's
24 shareholder equity, \$82 million of retained earnings --
25 or sorry -- yes, of retained earnings, was converted to

1 share capital.

2 Had that not taken place, the retained
3 earnings today would have been \$82 million higher. So,
4 really what we're talking about here is a form over
5 substance discussion.

6 Retained earnings and shareholder -- share
7 capital are all part of shareholders' equity; that's the
8 way the market looks at it. That's the way the credit
9 rating agencies look at it. And that's the way
10 regulators look at it across the country.

11 MS. MARLA MURPHY: My only point in
12 raising the issue is that when you look at the standing
13 of Manitoba Hydro, or indeed the Province of Manitoba,
14 the share capital of Centra being 100 percent backed by
15 debt doesn't contribute anything towards that debt ratio,
16 does it?

17 MR. GREG MATWICHUK: I disagree entirely.
18 Centra came into the proposition with in excess of --
19 let's see here, well, in excess of \$121 million of
20 equity.

21 Now, if you were to have a company and I
22 were to buy it, that equity would still be in there. And
23 why? Because equity represents the net book value,
24 assets minus liabilities.

25 There's just no getting around that and if

1 the liabilities in Centra, which they were, less than the
2 assets, then you have net book value, \$121 million worth.
3 So, yes, they did contribute equity.

4 The audited financial statements, I'm
5 assuming, are correct given that they are audited.

6 MS. MARLA MURPHY: I forgot in your
7 example whether I bought your company or you bought mine,
8 but in either case if one company borrows to buy another
9 on consolidation there's no equity; isn't that right?

10 MR. GREG MATWICHUK: But your assumption
11 is on consolidation. Consolidation has nothing to do
12 with this Hearing.

13 MS. MARLA MURPHY: My question is on
14 consolidation?

15 MR. GREG MATWICHUK: Well, again, it's
16 outside the scope of this proceeding. So, it's -- it's--

17 THE CHAIRPERSON: It's a perspective. I
18 think it's all right. Try it. Answer her question if
19 you don't mind.

20 MR. GREG MATWICHUK: Fair enough, Mr.
21 Chairman.

22 On a consolidated basis, which is
23 unrelated to this Hearing, then -- and I think I -- I did
24 acknowledge it earlier anyway, that yes there would be an
25 elimination.

1 MS. MARLA MURPHY: Thank you. Those are
2 my questions. Thank you, Mr. Matwichuk.
3 MR. GREG MATWICHUK: Thank you.
4 THE CHAIRPERSON: Thank you, Ms. Murphy.
5 Mr. Peters...?
6 MR. BOB PETERS: Yes, thank you.
7 Good morning, Mr. Matwichuk.
8 MR. GREG MATWICHUK: Morning, Mr. Peters.
9
10 CROSS-EXAMINATION BY MR. BOB PETERS:
11 MR. BOB PETERS: On Tab 14 of the book of
12 documents that Mr. Saxberg has a copy of and on page 11
13 of Board Order 208 there was an indication as how the
14 purchase price was established when Manitoba Hydro
15 acquired the shares of Centra Gas; are you aware of that
16 MR. GREG MATWICHUK: Yes, sir. And I
17 believe that was my source for Table 3 in my evidence.
18 MR. BOB PETERS: Yes. And I thought I
19 would just refer to it here because it was in my book and
20 we'll --
21 MR. GREG MATWICHUK: Fair enough.
22 MR. BOB PETERS: -- we'll keep working
23 with that.
24 MR. GREG MATWICHUK: No, as long as we're
25 speaking about the same numbers.

1 that is marked CAC/MSOS/CENTRA-100(E)?

2 MR. BOB PETERS: Correct.

3 MR. GREG MATWICHUK: Okay. And may I
4 have your question again please?

5 MR. BOB PETERS: And what schedule --
6 what CAC/MSOS/CENTRA-100(D) -- 100(E) does, is it takes
7 the \$242 million purchase price, adds in the eligible
8 integration and acquisition costs, and comes up with
9 total eligible costs of acquisition and integration,
10 correct?

11 MR. GREG MATWICHUK: And -- and we're at
12 two hundred and fifty-three eight six one (253,861,000)?

13 MR. BOB PETERS: Yes, on line 40?

14 MR. GREG MATWICHUK: Yes.

15 MR. BOB PETERS: And at the bottom of the
16 page is an indication as to how that was financed, and as
17 I understand your evidence through Ms. Murphy -- in
18 discussions with Ms. Murphy, how it was financed you say
19 is irrelevant to these proceedings?

20 MR. GREG MATWICHUK: That's correct.

21 MR. BOB PETERS: Now, what's not
22 irrelevant to these Proceedings is that that \$254
23 million, or part of it, has to be repaid, correct?

24 MR. GREG MATWICHUK: How it has to be
25 repaid; I think we better get more specific on this, Mr.

1 Peters.

2 MR. BOB PETERS: All right. Let me try
3 it this way. You're aware, and I think in your Table 5
4 revised, you acknowledge that \$18.8 million, or rounded
5 to \$19 million, has to be paid on an annual basis to
6 service the debt, and to amortize the write-ups in assets
7 and liabilities.

8 MR. GREG MATWICHUK: And just to be
9 careful here, Mr. Peters, that is correct on Manitoba
10 Hydro's books.

11 MR. BOB PETERS: When you say it's
12 correct on Manitoba Hydro's books, what do you mean by
13 that?

14 MR. GREG MATWICHUK: Well, it is the cost
15 that Hydro has determined has to be repaid on an annual
16 basis, and it -- as I understand it the cost of
17 acquisitions, as ordered by this Board, are to be
18 recorded on Manitoba Hydro's books.

19 MR. BOB PETERS: All right. So your
20 concern is on which books it's located, as opposed to the
21 actual amount?

22 MR. GREG MATWICHUK: Well, let -- let's
23 be careful about the context here. The -- the actual
24 amount is a concern because of the Board's plan, on how
25 those costs will be covered off. And just to make sure

1 we have the context's correct, those costs as deemed by
2 the Board are to be covered off by the return on equity
3 that Manitoba Hydro benefits from in Centra, added to the
4 synergies that are in Hydro.

5 And those amounts as indicated in Table 5
6 revised, show that they are in excess of the \$18.8
7 million annual acquisition costs, as calculated by Hydro
8 for this proceeding.

9 MR. BOB PETERS: All right. Let's now
10 move past what the Board's plan is -- and the Board's
11 plan that you're referring to was what's contained in
12 prior Board Orders, correct?

13 That's where you gleaned it from?

14 MR. GREG MATWICHUK: Yes.

15 MR. BOB PETERS: All right. Well, let's
16 -- will you accept then that under the present -- the
17 present Application, \$19 million is needed to be paid on
18 an annual basis to service the debt and amortize the
19 write-ups in assets and liabilities?

20 MR. GREG MATWICHUK: So, to around to \$19
21 million, yes, that is the amount that Hydro has
22 calculated.

23 MR. BOB PETERS: And you'll agree that
24 somebody has to pay that amount on an annual basis?

25 MR. GREG MATWICHUK: I'll agree that it's

1 the amount Hydro calculated. I don't know whether
2 there's been due diligence to determine whether that's
3 the amount that has to be paid on an annual basis.

4 MR. BOB PETERS: All right. Well, for
5 the purpose of my question then, I want you to assume
6 that that's the -- the amount supported by due diligence,
7 and \$19 million has to be paid on an annual basis to --
8 to service the debt and amortize the write-ups.

9 MR. GREG MATWICHUK: Fair enough, Mr.
10 Peters, we'll -- we'll go with that assumption.

11 MR. BOB PETERS: All right. Now, if --
12 when I say somebody has to pay it, the choices are
13 relatively few as to who has to pay that. And we're left
14 with either -- either Manitoba Hydro paying it, Centra
15 paying it, or a combination of the two (2) paying it.

16 Would you agree with that?

17 MR. GREG MATWICHUK: Conceptually the
18 choices are limited to those parties.

19 MR. BOB PETERS: And again, I -- let's
20 not talk about what the Board's plan was as you gleaned
21 it from the previous Board Orders, but those two (2)
22 parties have to pay the \$19 million a year in some
23 fashion?

24 MR. GREG MATWICHUK: Okay, well, if we're
25 venturing outside the Board's plan then I must revert

1 back to principles, which indicate that the acquired
2 company the ratepayers acquired company would pay no
3 amount related to the acquisition.

4 MR. BOB PETERS: All right. And if that
5 was to happen, then here would be harm to the ratepayers
6 of Manitoba Hydro electric side, correct?

7 MR. GREG MATWICHUK: Yes. And I believe
8 that's why the Board came up with this plan. So don't
9 get me wrong, Mr. Peters, I'm not an advocate of harm for
10 either ratepayer. I take a look at -- and I know you
11 wanted me to stay within the confines of outside the
12 Board's plan, but, I think that was the balance that was
13 drawn to avoid the harm.

14 MR. BOB PETERS: All right. But, let's
15 keep going along this line. If we want the no-harm
16 principle to apply, it can apply so that the Centra
17 ratepayers are held harmless and the Hydro ratepayers are
18 held harmless, correct?

19 MR. GREG MATWICHUK: Yes.

20 MR. BOB PETERS: There's enough money to
21 go around for that to happen is your evidence?

22 MR. GREG MATWICHUK: Yes.

23

24

(BRIEF PAUSE)

25

1 MR. BOB PETERS: In terms of how much
2 money Manitoba Hydro can contribute and still be held
3 harmless, what is that amount, based on the record of
4 these proceedings?

5 MR. GREG MATWICHUK: Okay. When you say
6 how much Manitoba Hydro can contribute my understanding
7 is that there are \$9 million of synergies with respect
8 that are within Manitoba Hydro and then there's Manitoba
9 Hydro's entitlement to Centra's return on equity, which
10 we have estimated to be about \$13/\$14 million in that
11 range.

12 MR. BOB PETERS: All right. But, that's
13 a contribution that would come from the Centra ratepayers
14 and it would be up to Manitoba Hydro as to whether they
15 took it or part of it, correct?

16 MR. GREG MATWICHUK: That's right.
17 Manitoba Hydro would have to make its decision on
18 distribution dividends or some other method.

19 MR. BOB PETERS: All right. And on their
20 record that we have before the Board, how much can Centra
21 customers contribute to the \$19 million and still be held
22 harmless?

23 MR. GREG MATWICHUK: Well, outside of
24 return on equity which is an element that they've been
25 regulated on for -- since I can remember, conceptually

1 they should not contribute anything. But, the Board has
2 decided that it -- Centra ratepayers will not suffer a
3 rate increase if the return on equity is used, which is
4 an amount that Centra ratepayers would contribute.

5 MR. BOB PETERS: All right. And so that
6 return on equity is in the neighbourhood of the \$13 to
7 \$15 million that we've talked about?

8 MR. GREG MATWICHUK: Yes sir.

9 MR. BOB PETERS: And in addition to that
10 return on equity, Mr. Matwichuk, there also have been
11 synergies that have been realized within Centra Gas,
12 according to the evidence, correct?

13 MR. GREG MATWICHUK: The evidence
14 indicates that there have been synergies.

15 MR. BOB PETERS: And you and Ms. Murphy
16 had a discussion about whether you agreed or disagreed
17 with how they were allocated and put on either side of
18 the ledger, but, you understand the Corporation's
19 evidence to be that there have been \$7 million synergies
20 on the gas side?

21 MR. GREG MATWICHUK: That is the
22 Applicant's evidence, yes sir.

23 MR. BOB PETERS: And if there have been
24 \$7 million of synergies on the gas side, that money would
25 also be available to contribute to pay off the \$19

1 millions a year and the ratepayers would be held harmless
2 from -- in this scenario?

3 MR. GREG MATWICHUK: Those synergies if
4 they existed could amount to a contribution. What I see
5 here is that that contribution would be unnecessary
6 because of the amounts that are being contributed
7 collectively are in excess of the needs of the \$19
8 million.

9 MR. BOB PETERS: All right. And that's
10 simply a mathematical calculation that you've done and
11 we'll come back to that.

12 And it's unnecessary also if you revert
13 back to what you interpret to be the Board's plan from
14 the prior Board Orders, correct?

15 MR. GREG MATWICHUK: My interpretation as
16 I understand is the same as Centra's interpretation.

17 MR. BOB PETERS: And the question was:
18 Under that interpretation of what the Board's plan was,
19 the synergy amount that accrues in Centra would be
20 unnecessary in paying down the \$19 million because there
21 was another source available?

22 MR. GREG MATWICHUK: Yes, sir.

23 MR. BOB PETERS: But the \$7 million was -
24 - would be available under the hold harmless principle
25 because those \$7 million, if those synergies exist,

1 existed as a result of the acquisition?

2 MR. GREG MATWICHUK: Yes, to the extent
3 that they -- they exist.

4 MR. BOB PETERS: That's your
5 qualification because you're just not convinced that \$7
6 million exists within the gas company?

7 MR. GREG MATWICHUK: That's correct.

8 MR. BOB PETERS: Do you contest that
9 there have been \$16 million of synergies overall?

10 MR. GREG MATWICHUK: I guess I don't have
11 confidence in that number.

12 MR. BOB PETERS: But you have no other
13 number or calculation to provide the Board as to what
14 that synergy amount should be?

15 MR. GREG MATWICHUK: No, I don't. No.
16 And the reason I don't have confidence is -- is the --
17 the method used to -- to calculate the synergies and I
18 look at -- and I'm not sure if I've got it here close at
19 hand, but there was an exhibit -- oh yes, the one with
20 the bar graphs.

21 I look at -- I look at -- this was Centra
22 Exhibit 16 and just take 2003, for example, and there's a
23 suggestion there that costs would have increased to \$59
24 million and whereas actual costs for '03 were \$53.6
25 million which, to me, shows a \$5 million differential,

1 Hydro's testimony though, there have been \$7 million
2 synergies and they've said that comes on the gas side of
3 the business?

4 MR. GREG MATWICHUK: That's their
5 evidence, yes, sir.

6 MR. BOB PETERS: All right. And that \$7
7 million synergy would be monies available to utilize
8 under the hold harmless principle should that -- should
9 it be needed?

10 MR. GREG MATWICHUK: Should it be needed,
11 yes, sir.

12 MR. BOB PETERS: And you've questioned,
13 through your Counsel on direct, and I think also with Ms.
14 Murphy, and you've just now referred to it to me, but the
15 absent acquisition scenarios that are painted on page 14
16 of the rebuttal evidence, as well as, I think, in
17 Exhibits Centra 23 and Centra 24, those are scenarios
18 that, again, you've stated your concerns and your
19 difficulties with how they come up with the approximate
20 \$9 million benefit to consumers as a result of the
21 Manitoba Hydro ownership of the Centra shares?

22 MR. GREG MATWICHUK: Yes, I -- I have --
23 I have stated my concerns and just to be pedantic about
24 it, that benefit, so-called, was in the '05/'06
25 calculation only from Centra.

1 MR. BOB PETERS: All right. And just
2 let's cover that point off, does your Counsel have
3 available for you a copy of Centra Exhibit 24; that would
4 be the hold -- or the absent acquisition page.

5 MR. GREG MATWICHUK: Is it Undertaking
6 23, sir?

7 MR. BOB PETERS: It is Undertaking Number
8 23, yes, and it's Centra Exhibit 24, and it provides the
9 2006/07 test year, on a comparative basis with the test
10 year compared to the absent acquisition.

11 MR. GREG MATWICHUK: I have that in front
12 of me.

13 MR. BOB PETERS: And your last point
14 before we started down this road was you don't see that
15 in this year the \$9 million gets continued, is what
16 you're suggesting?

17 MR. GREG MATWICHUK: That's what I
18 observed from the schedule, sir.

19 MR. BOB PETERS: And are you also saying
20 then that if it was a \$9 million benefit in the year
21 before, you would expect the \$9 million to be a benefit
22 year over year over year?

23 MR. GREG MATWICHUK: One would expect
24 that if there are benefits, that i.e. synergies, the way
25 that they've been expressed at the time of the

1 acquisition, and taken as assumptions by both Nesbitts
2 and KPMG, that they would be annual benefits, yes, sir.

3 MR. BOB PETERS: And you've heard Mr.
4 Warden, I believe, indicate when this document was filed,
5 that the result in the '06/'07 year, was that there would
6 be an additional \$3 million flowing down to retained
7 earnings, which would assist in the debt equity ratio;
8 correct?

9 MR. GREG MATWICHUK: The \$3 million is
10 the difference between the net income shown there of 14
11 million, and 11 million, as previously filed. Is that
12 the -- the \$3 million you're referring to?

13 MR. BOB PETERS: I believe that was the 3
14 million Mr. Warden was referring to, so, yes, it is.

15 MR. GREG MATWICHUK: Okay. So that -- I
16 -- I understood that that's what Mr. Warden said, but I
17 don't agree with -- with his premise.

18 MR. BOB PETERS: Why -- why is that?

19 MR. GREG MATWICHUK: Well, first of all,
20 the \$3 million that moves down to retained earnings, the
21 question is, is it necessary? Is it a cost that is
22 required by Centra ratepayers to have service delivered
23 to them? And I'm suggesting, no, it's not a cost that's
24 necessary.

25 MR. BOB PETERS: All right, back to the

1 \$9 million figure, which you understand to be Centra's
2 evidence, to be the benefit in the '05/06 year, as a
3 result in the change in ownership?

4 MR. GREG MATWICHUK: That's -- you're
5 speaking of the \$9 million on the farthest right hand
6 column on page 14 of their rebuttal evidence?

7 MR. BOB PETERS: Yes, and also on Centra
8 Exhibit 23, Undertaking Number 22, which was just a
9 restatement of the corporate allocation amount and -- and
10 a different debt equity ratio as requested by -- by your
11 counsel.

12 MR. GREG MATWICHUK: I'm -- I'm just
13 getting that one (1), sir, just so I have it in front of
14 me. Yes, I -- I have that.

15 MR. BOB PETERS: And so my suggestion was
16 that according to Manitoba Hydro's evidence, and what
17 they're suggesting to the Board, is that this approximate
18 \$9 million is the benefit that ratepayers of Centra have
19 -- have received as a result of the change in ownership.

20 MR. GREG MATWICHUK: That -- that is
21 Centra's evidence, but I -- I quarrel with the
22 calculations.

23 MR. BOB PETERS: And do you have another
24 amount that you suggest is more accurate than the \$9
25 million?

1 MR. GREG MATWICHUK: Well, I have not
2 done a similar calculation, but I have done adjustments
3 to this type of calculation on -- on the margin, and as I
4 mentioned to you, I have concern about the \$62 million,
5 because that's probably \$3 or \$4 million off the mark.

6 I'm concerned about depreciation and
7 amortization that Centra has simply taken the
8 depreciation and amortization that it is currently
9 forecasting. Who knows whether West Coast or Duke or any
10 other owner, would have had the same policy with respect
11 to expansion or with respect to rate base rehabilitation,
12 et cetera, et cetera.

13 So, we don't know that it would have been
14 \$19 million on the amortization. And similarly, capital
15 taxes, we don't know that that -- if rate base was
16 different, then investment and capital would have been
17 different. So that would have affected the capital and
18 other taxes.

19 When we get down to income taxes and
20 return on rate base, what I'm suggesting is that West
21 Coast did not maintain its equity component at 40
22 percent. I mean the number does fluctuate from time to
23 time.

24 And I recall when West Coast came to the
25 Board and suggested that they wanted a deemed equity of

1 40 percent and the Board said, No, we don't think that's
2 appropriate, we're going to use your actual equity,
3 particularly if it's under 40 percent so that you don't
4 get a bump.

5 And so when I look back on Centra Exhibit
6 23 shows a calculation based on 38 percent equity, 38
7 percent equity was a realistic scenario. But, when they
8 did this calculation the problem is, is they didn't use
9 apples to apples, Centra used a different rate base
10 number on page 2 of 3 that they -- compared to what they
11 used in their rebuttal evidence.

12 Also, quite significantly, the after tax
13 return on equity they're suggesting would have been 9.5
14 percent, and they base that on a decision which pre-dates
15 the decision on the formula. While the formula came in
16 and in 1995 and it's pretty clear as to what their rate
17 of return would be calculated as and it would be the
18 same, no matter what owner today, it would be nine point
19 two six (9.26), not nine point five (9.5).

20 So, there -- that would impact both the
21 return on equity and the income tax. And I estimate that
22 the differential there would be approximately \$1 million.

23 MR. BOB PETERS: All right. So, you have
24 \$5 million of adjustment that you can mathematically
25 calculate and then you have to speculate on what the

1 other ones would have been?

2 MR. GREG MATWICHUK: Correct.

3 MR. BOB PETERS: All right. With that
4 comment, those comments and qualifications, Mr.
5 Matwichuk, again back to Centra's view of the evidence,
6 view of the positions on acquisition there was a \$9
7 million benefit which you've indicated you have questions
8 with the number amount, but that there's evidence.

9 MR. GREG MATWICHUK: That's their
10 evidence as I understand it.

11 MR. BOB PETERS: And the amount of
12 benefit that would be available to consumers of Centra,
13 that money would also be notionally available under the
14 hold harmless principle to help pay off any amounts of
15 acquisition, should it be required?

16 MR. GREG MATWICHUK: Should it be
17 required, yes, sir.

18 MR. BOB PETERS: And that amount would be
19 \$9 million, it could be -- you're suggesting it could be
20 -- maybe it's \$4 million, maybe it's something else?

21 MR. GREG MATWICHUK: Yes sir.

22 MR. BOB PETERS: All right. Now, in
23 terms of calculating the monies that are needed to pay
24 off the \$19 million, one (1) of the suggestions you have
25 is that when it comes to paying the premium, the Centra

1 customers money shouldn't be used in any way shape or
2 form to pay off the premium?

3 MR. GREG MATWICHUK: That's what
4 regulatory principles or regulatory precedent would say,
5 sir, that are widely held and commonly established and
6 generally accepted.

7 MR. BOB PETERS: And I was going to come
8 to this later, but you had -- you had a number of sources
9 that you were relying on when you said that to the Board,
10 did you not?

11 MR. GREG MATWICHUK: Yes sir.

12 MR. BOB PETERS: And would you be able to
13 file those sources for the Board's review of them at a
14 subsequent time, as an undertaking to the Board?

15 MR. GREG MATWICHUK: I will undertake to
16 do that, sir.

17 MR. BOB PETERS: All right.

18
19 --- UNDERTAKING NO. 30: TREE/RCM to provide Board
20 with the sources for
21 assertion that Centra
22 customers money shouldn't be
23 used to pay off the premium.

24
25 CONTINUED BY MR. BOB PETERS

1 MR. BOB PETERS: And so you're relying on
2 some previous decisions where the premium was not paid by
3 the Utility that was acquired by the ratepayers, the
4 Utility that was acquired?

5 MR. GREG MATWICHUK: That's one of my
6 sources, yes, are the decisions and the other are the
7 well established regulatory principle fund in that
8 regard.

9 MR. BOB PETERS: So in terms of the money
10 that is available to pay the \$19 million, you're
11 suggesting that the full amount of synergies in Hydro be
12 used as the first payment of the \$19 million, would that
13 be fair?

14 MR. GREG MATWICHUK: I better just make
15 sure I understand your question.

16 MR. BOB PETERS: All right. Of the \$19
17 million in terms of how it gets paid on an annual basis,
18 you want the \$9 million of synergies found in the
19 Manitoba Hydro electric side of the business to be used
20 to be the first payment against that \$19 million?

21 MR. GREG MATWICHUK: And when you say
22 first payment, you mean first payment for each year?

23 MR. BOB PETERS: Yes?

24 MR. GREG MATWICHUK: That's my
25 understanding of the Board's intentions.

1 MR. BOB PETERS: Well, and let's not go
2 back to the Board's plan, but, let's go back to what
3 you're suggesting. You're suggesting that money be used
4 every year to pay off a portion of the \$19 million?

5 MR. GREG MATWICHUK: So allow me, Mr.
6 Peters, to -- to indicate why. And the answer is, yes,
7 and first of all I'm guided by the Board's plan which --
8 which I agree with, which is simple and effective.

9 I'm also guided by regulatory principles
10 which indicates that -- that Centra ratepayers should not
11 be incurring any part of the acquisition costs. I'm also
12 guided by the fact that Hydro committed, at the time of
13 the purchase, that synergies would be adequate to cover
14 off the costs of acquisition.

15 And so to -- in an effort to ensure that
16 ratepayers are held harmless the use of return on equity
17 and synergies seemed to be a reasonable balance.

18 MR. BOB PETERS: There's common ground
19 here, is there not, even under you and under Manitoba
20 Hydro's evidence that the synergies achieved to date
21 aren't sufficient to pay off the \$19 million?

22 MR. GREG MATWICHUK: That's my
23 understanding; they are not sufficient.

24 MR. BOB PETERS: All right. And so in
25 addition to the \$9 million that the electric side of the

1 business has received, we now need to find another \$10
2 million under your evidence to pay off the \$19 million
3 total annual amount?

4 MR. GREG MATWICHUK: Yes.

5 MR. BOB PETERS: And your suggestion --
6 and well, in terms of the options that are available,
7 there would -- it could be coming from the synergies
8 found on the gas side; correct?

9 MR. GREG MATWICHUK: If -- okay, there --
10 there are options and I guess is, where -- where are we
11 in the regulatory scheme of things. But if we're holding
12 the Board's 118/03 order aside, then -- then, yes.

13 MR. BOB PETERS: All right. And as an
14 option it would be the synergies found in the gas side
15 because that would still hold the gas customers harmless
16 if that money was used to pay towards the \$19 million?

17 MR. GREG MATWICHUK: Conceptually that's
18 correct. It's just with a -- with a great deal of risk.
19 Given -- and I say that because the synergies, that's a
20 number like trying to nail Jell-O to the wall as opposed
21 to, just in the vernacular, but with return on equity,
22 it's something that's objectively determined. It's based
23 on numbers that can be tested.

24 There is a great deal of -- more
25 reliability on that side of things. Synergies, I think

1 you're entering into a world of risk there.

2 MR. BOB PETERS: All right. And you've
3 given two (2) options and one of them is the synergies
4 and the second is the return on equity amount; correct?

5 MR. GREG MATWICHUK: Yes.

6 MR. BOB PETERS: The third option that
7 you didn't give yet would have been the benefits that
8 have been achieved by the gas company's customers as a
9 result of the ownership which Manitoba Hydro has
10 quantified at \$9 million in the 05/06 year, and I know
11 you've disagreed with that amount.

12 But those benefit amounts, whatever they
13 are, that would be another source or option of funds to
14 help pay off the \$19 million and still hold the gas
15 company ratepayers harmless?

16 MR. GREG MATWICHUK: I would agree with
17 you, Mr. Peters. And just, again, I -- I reiterate, it
18 was my understanding that the Board had looked at these
19 options previously, in any event, and came to the
20 conclusion of its plan that had balance because those
21 numbers were reliable.

22 The synergy numbers, it seemed to me from
23 reading of the Board's decision, gave the Board a fair
24 bit of angst because of the difficulty in measuring,
25 tracking them, particularly as we go further on in years

1 since the acquisition.

2 So, yes, they are all conceptual options.
3 The question is, what's the -- what's the fair option?
4 What's -- what will stand the test of just and reasonable
5 rates?

6 And as you know, Mr. Peters, that is the -
7 - the standard that on which there's a lot of
8 jurisprudence and it is the final test to determine
9 whether rates are fair.

10 And what I'm suggesting to you is that in
11 the final analysis if you are holding the acquired
12 company harmless and you're holding the acquirer
13 ratepayers -- the ratepayers of the acquirer harmless as
14 well, then you've probably achieved your objective.

15 And -- and I understand that's -- that was
16 the Board's intention.

17 MR. BOB PETERS: All right. And let's
18 just follow that intent through. And the intent of the
19 Board, as you've interpreted it, is -- is what you're
20 urging on the Board today, to continue to be the Board's
21 plan; correct?

22 MR. GREG MATWICHUK: Yes, sir.

23 MR. BOB PETERS: And how much -- let's
24 assume the return on equity is the -- is approximately
25 \$12 million, okay?

1 MR. GREG MATWICHUK: I'll assume that.
2 MR. BOB PETERS: You'll assume that. How
3 much of that \$12 million should be used to pay down the
4 \$19 million under your recommendation to the Board?
5 MR. GREG MATWICHUK: Okay, Mr. Peters, if
6 I may take you to a document, and you'll help -- help us
7 walk through that, is -- and I believe I've got the
8 exhibit number correct today, PUB-5-1, which is IR
9 Response to PUB/CAC/MSOS-1, and there's an attachment
10 there. And I think this will assist in our discussion.
11 MR. BOB PETERS: If you can just give me
12 and the Board a minute to turn it up?
13 MR. GREG MATWICHUK: Sure.
14 THE CHAIRPERSON: You might find it's in
15 the Book of Documents, Mr. Peters. Is it in there?
16 MR. BOB PETERS: I'll need the reference
17 again, Mr. Matwichuk?
18 MR. GREG MATWICHUK: Yes, I'll just
19 double check the exhibit number PUB Exhibit 5-1. I'm
20 getting the nod from Mr. Saxberg, and -- and so that is
21 the response PUB/CAC/MSOS-1. And there's a table
22 attached to that. There's an attachment, a sideways
23 table.
24
25 (BRIEF PAUSE)

1 MR. GREG MATWICHUK: It was the Board's
2 first Information Request to CAC/MSOS.
3 THE CHAIRPERSON: Mr. Saxberg, I take it
4 you're looking directly at it?
5 MR. KRIS SAXBERG: Yes, I am.
6 THE CHAIRPERSON: Is it one (1) page?
7 MR. KRIS SAXBERG: It's one (1) page.
8 And I -- I mean I can --
9 THE CHAIRPERSON: Perhaps Mr. Singh --
10 MR. KRIS SAXBERG: -- give my copy to Mr.
11 Peters.
12 THE CHAIRPERSON: -- could quickly copy
13 it and --
14 MR. BOB PETERS: Perhaps we should just
15 take a short recess for the morning and we'll copy it
16 and --
17 THE CHAIRPERSON: We'll have our morning
18 recess now. Thanks.
19
20 --- Upon recessing at 10:20 a.m.
21 --- Upon resuming at 10:43 a.m.
22
23 CONTINUED BY MR. BOB PETERS:
24 MR. BOB PETERS: Mr. Matwichuk, before
25 the break I was fumbling to locate a chart in the pre-

1 filed evidence that you provided, it shows you my filing
2 system, why I use a Book of Documents. But, having said
3 that we've now got a copy provided to the Board and to, I
4 think, other parties.

5 So, you wanted to refer to that and I now
6 have it, so please proceed.

7 MR. GREG MATWICHUK: Well, I have two (2)
8 comments. First, you and I are having a discussion about
9 the three (3) options and I was thinking about that over
10 the break. And I just wanted to make sure that we had
11 clarity about those three (3) options that you were
12 saying; that there's one (1) with respect to the return
13 on equity, one (1) with respect to the synergies, and one
14 (1) with respect to the benefits.

15 And when we were discussing the benefits
16 you had taken me to page 14 of Centra's evidence and also
17 Centra Exhibits 23 and 24. But, the clarity I wanted to
18 bring to that is when we were talking about the benefits
19 in that context, those include the synergies.

20 And I just want to make sure that we're of
21 the same mind on that and those synergies as I understood
22 it. Again when I was speaking about risk, I heard
23 yesterday where there was a -- I don't know if it was
24 yesterday or in the transcripts, where there's a \$2
25 million margin of error, as there was sort of \$6 to \$8

1 million of synergies.

2 And when you look at what's in Centra
3 23/24 on page 14 of the rebuttal, once you take out the
4 synergies of \$8 million that Centra has chosen or is
5 showing there, than you've only got \$1 million of
6 benefits, to come to the 9 million that you were
7 referring me to.

8 So, I just wanted to point that out, just
9 so that we're not -- just so that we're not double
10 counting or mis-interpreting each other.

11 MR. BOB PETERS: I have your point.
12 Thank you.

13 MR. GREG MATWICHUK: And -- and my second
14 point was with respect to the schedule, was that I trust
15 this isn't the first time you've seen it.

16 But, any way, your question sir was with
17 respect to assuming the \$12 million, if I understood it,
18 of return on equity, how would that be divided up between
19 what's retained in earnings of Centra and what is
20 distributed to Manitoba Hydro to assist in covering off
21 the acquisition costs; is that correct?

22 MR. BOB PETERS: That's where we were
23 before the break, yes.

24 MR. GREG MATWICHUK: Okay. And the
25 reason I selected this schedule for reference purposes is

1 that if you look to line 11, you will see in each year
2 under rate base rate of return, give or take a few
3 hundred thousand dollars, we're talking about \$12
4 million; that would be in return on equity, line 11,
5 which says return on rate base-equity.

6 I hate to ask a question, but are you with
7 me so far?

8 MR. BOB PETERS: I'm following.

9 MR. GREG MATWICHUK: Good. And so we
10 start there that rate base rate of return being an
11 objective measure of what is fair to return to an owner
12 as part of a cost of service.

13 Now, that's the other thing I wanted to
14 mention, when we talk about cost of service it's a
15 difficult concept because revenue requirement is often
16 referred to as cost of service because that's what it is,
17 it is the cost of service, it just happens to include a
18 cost element that is a return to shareholders.

19 But that's an aside. So, what I had
20 indicated in the evidence is the rate base rate of return
21 as an anchor, standard, or highwater mark, would indicate
22 what's available to the shareholder.

23 So, that 12 million then can also be
24 demonstrated to be used in the COS columns. So, if you
25 look at lines 14 and 16, you'll see line 14 indicates net

1 income, and that's the net income that could be retained
2 in Centra, so that's effectively \$2 million there, in
3 both years.

4 And then at Line 16 there's an additional
5 net income to reflect flexibility in RBROR, rate base
6 rate of return, and that is an amount that would be
7 available to be distributed, dividend out, however you
8 want to do it to Manitoba Hydro.

9 So, you have in each year a two (2) and
10 ten (10) combination. Obviously adding up to the twelve
11 (12). And so there would be two (2) available for
12 retention in -- in Centra. And that would achieve a one
13 (1) time -- a one point one (1.1) times interest
14 coverage.

15 And then the ten (10) would be available
16 for distribution to Hydro to combine with the \$9 million
17 of synergies that would more than cover off the \$19
18 million you and I were discussing earlier.

19 MR. BOB PETERS: All right. Thank you
20 for that. When we -- when we look here at the income --
21 the net income on line 14, you've used one point one
22 (1.1) times interest coverage in your calculation because
23 you -- you were of the understanding that was the policy
24 being used by the Utility?

25 MR. GREG MATWICHUK: That was -- one (1)

1 of the sources that I looked to for assurance or comfort
2 on that issue, as well, I looked to interest coverages
3 that have been taking place, interest coverages that were
4 forecast, and considered what Centra, in its new capacity
5 as a company that obtains its financing through a debt
6 guarantee and that debt guarantee diminishes significant
7 risk associated with financing.

8 And so when you provide a cushion above
9 interest coverage, it can be there to cover off any other
10 risk that may persist; allow a cushion in retained
11 earnings, if I could put it that way.

12 MR. BOB PETERS: And the primary reason
13 you say one point one (1.1) is sufficient, if not excess
14 -- excessive is based on the Provincial guarantee fee?

15 MR. GREG MATWICHUK: Largely.

16 MR. BOB PETERS: Provincial guarantee?

17 MR. GREG MATWICHUK: Largely, yes, sir.

18 MR. BOB PETERS: From a conceptual basis,
19 Mr. Matwichuk, do you agree that Centra customers should
20 not receive a \$9 million benefit, or whatever the amount
21 you would suggest it is, at no cost?

22 MR. GREG MATWICHUK: On a conceptual
23 basis, Centra customers should not receive a \$9 million
24 benefit at no cost? Have I got your question?

25 MR. BOB PETERS: Let me rephrase it?

1 MR. GREG MATWICHUK: Sure.

2 MR. BOB PETERS: When we reviewed Centra
3 Exhibit 23 and the absent acquisition scenarios, you had
4 comments as to whether or not it was really a \$9 million
5 benefit, including synergies, that has been received by
6 the Corporation, correct?

7 MR. GREG MATWICHUK: Yes, sir.

8 MR. BOB PETERS: And do you agree though
9 that whatever the amount is, there has been some benefit
10 as a result of the change in ownership?

11 MR. GREG MATWICHUK: There likely has
12 some -- been some benefit and I would think that the
13 greatest portion around that is the income tax.

14 MR. BOB PETERS: And do you think then in
15 terms of fairness that it's appropriate that Centra
16 customers should pay something on account of that benefit
17 they've received, whatever amount it is?

18 MR. GREG MATWICHUK: Okay. And again I -
19 - I'm loathe to look at it in isolation, and I think we
20 have to step back again and say, have ratepayers been
21 held harmless. And if there is a way to -- to hold
22 ratepayers harmless, such as that provided by the Board,
23 the Board's plan, then -- then it's a question as to how
24 much there is in additional benefits, and how significant
25 are they.

1 You know, then I think you're into sort of
2 a size test issue, and but if you -- if you wanted to be
3 pedantic about it, then there -- you know, then you're
4 into earmarking dollars of savings. And I think if
5 you're going to do that, earmarking dollars of savings or
6 synergies or benefits, I think we need to be very -- have
7 a very high degree of assurance that those actually
8 exist.

9 And I think when I -- when I say that, I
10 make reference to a previous Board decision where the
11 Board -- it was put to the Board that there were \$15.3
12 million, and I referred to this \$15.3 million of
13 synergies, that were estimated at one (1) time, and the
14 Board looked at this in 208/02, and suggested that really
15 a good portion of those didn't exist, and disallowed
16 them.

17 So, I think you know, we have to keep in
18 mind that the Board has looked at these synergies at
19 various levels, and has disallowed synergies, and I think
20 that's why we have to have extra caution when we look at
21 the savings levels, or however we apportion them. And if
22 we're going to use them, if we're going to make use of
23 them, let's make sure that they are measurable, reliable,
24 clearly understood.

25 MR. BOB PETERS: All right. With that

1 qualification, and I'll call it a repeated qualification,
2 Mr. Matwichuk, would you agree with me then that using of
3 the -- the case put forward by Manitoba Hydro, that so
4 long as the Centra customers pay through rates an amount
5 that doesn't exceed the return on equity portion, plus
6 the synergies and benefits portions, then their customers
7 would be no worse off as a result of the acquisition?

8 MR. GREG MATWICHUK: With the
9 qualification, yes, sir.

10 MR. BOB PETERS: And they'd be held
11 harmless under the held harmless principle, with your
12 qualification?

13 MR. GREG MATWICHUK: With the
14 qualifications, yes, sir.

15 MR. BOB PETERS: And if we look to see
16 the components of the revised revenue requirement for
17 '05/'06, and we'll look on Centra Exhibit 23, that would
18 be the answer to Undertaking Number 22.

19 MR. GREG MATWICHUK: I'm just retrieving
20 it, sir.

21 MR. BOB PETERS: All right.

22

23 (BRIEF PAUSE)

24

25 MR. GREG MATWICHUK: Yes, I have it.

1 MR. BOB PETERS: Well, just before we get
2 there. The -- the ROE portion that you'd referenced was
3 considered by the Board in previous orders, that was in
4 the range of \$15 million; would you agree with that?

5 MR. GREG MATWICHUK: There -- there was a
6 range and I think it was based on the '03/'04 timeframe,
7 yes.

8 MR. BOB PETERS: All right. And would
9 you accept that there was, under your interpretation of
10 the Board's plan, an implied commitment from the Board to
11 approve an annual ROE in the range of approximately \$15
12 million, to fund a portion of those acquisition costs?

13 MR. GREG MATWICHUK: That's not the way I
14 read the decision, sir.

15 I -- I read it as defining as the amount
16 to be transferred as the ROE. And it's estimated that it
17 has been in this range over the years. But I certainly
18 wouldn't advocate a fixed amount, if -- if that's where
19 we're going with this, because then you're certainly at
20 risk of cross-subsidization, one way or the other.

21 MR. BOB PETERS: So, other than the
22 fixing of it, you'd agree that the amount, however it is
23 determined annually, let's say, would be available to
24 fund the costs of acquisition?

25 MR. GREG MATWICHUK: Yes, and -- and just

1 the one (1) qualification on that is that I would view
2 that the use of the Board -- continued use of the Board's
3 formula, would be the fair and objective way to proceed.

4 MR. BOB PETERS: All right. If we look
5 at Centra Exhibit number 23, and we look at the test year
6 components of the revenue requirement, in terms of what
7 would accrue for the benefit of Hydro, you're telling the
8 Board that it would include, under the cost of service
9 model here, the \$12 million of corporate allocation and
10 the \$5 million under the net income or return on equity?

11 MR. GREG MATWICHUK: For a total of \$17
12 million, which in my view would be excessive.

13 MR. BOB PETERS: Well, yes, while you say
14 it will be excessive, you would acknowledge though that
15 that would still -- those numbers would still hold Centra
16 customers harmless, under the hold harmless principle?

17

18 (BRIEF PAUSE)

19

20 MR. GREG MATWICHUK: I'm not sure I'd
21 agree with you and -- because what we're looking at here
22 is a \$17 million going to the owner and I think I
23 indicated yesterday that that would result in a return to
24 the owner of 13.6 percent return. And I don't believe
25 that that's a fair return. I don't think you would find

1 a return going to the owner in any jurisdiction in Canada
2 at that level.

3 MR. BOB PETERS: Will that separate the
4 revenue requirement in terms of how we recover it, but,
5 in terms of an amount of money, whether that \$12 million
6 was a corporate allocation or a return on equity, it
7 would be something to which the owner would be entitled?

8 MR. GREG MATWICHUK: Yes. And I guess,
9 just to make sure that we're speaking about the same
10 terms, the \$12 million I'd be fine with because that
11 coincides with the table attachment to PUB-1 that we were
12 just looking at, in terms of \$10 million being available
13 to Hydro and \$2 million of that being available for
14 retention. What Centra Exhibit 23 has is another \$5
15 million.

16 MR. BOB PETERS: And that's the part you
17 object to and suggesting that that contributes to the
18 double count?

19 MR. GREG MATWICHUK: Yes, it would be
20 excessive.

21 MR. BOB PETERS: And just for clarity, it
22 would be excessive, in terms of what is needed to provide
23 just and reasonable rates for Centra ratepayers because
24 the net income would be rendered unnecessary, the net
25 income of \$5 million would be rendered unnecessary

1 because there's already \$2 million that's built into the
2 \$12 million because there's only \$10 million or less
3 that's needed to be transferred over to Manitoba Hydro.

4 MR. GREG MATWICHUK: And that's because
5 you're using the synergies in Manitoba Hydro to make up
6 the difference between the \$10 million and the \$19,
7 that's all that was needed.

8 MR. GREG MATWICHUK: Yes.

9 MR. BOB PETERS: All right. Well let's
10 step back from that thought. If you think of the
11 corporate allocation as compensation for benefits
12 received and that is nothing to do with ROE, do you still
13 consider it to be a double count?

14

15 (BRIEF PAUSE)

16

17 MR. GREG MATWICHUK: Well again, sir, I
18 hesitate because I think we have to look at the whole --
19 the entire picture. And I don't think we can look at
20 these numbers in isolation. We have to look at all of
21 the claims for synergies, all of the amounts of income,
22 corporate allocation, retained earnings.

23 And that's why -- I just refer to my
24 evidence in, on page 5 and 6. There are three (3)
25 components to analyze. The return, the synergies and the

1 annual amount related to acquisitions.

2 So we have to look at the sum total of it
3 all so that we make sure that we're not leaving out key
4 components that may provide for -- harm for one (1) class
5 of rate -- one (1) set of ratepayers versus another.

6 MR. BOB PETERS: You'd agree -- I think
7 you agreed with me earlier that the -- not only do you
8 look at hold harmless principle, the synergies in Centra
9 would also be available to hold Centra harmless and still
10 contribute to the amount of the acquisition costs, should
11 that have been an option selected.

12 MR. GREG MATWICHUK: Yes, as long as we
13 are taking into consideration all the costs and savings.

14 MR. BOB PETERS: Which is your usual
15 qualification when it comes time to the -- without
16 acquisition numbers and synergies associated with that?

17 MR. GREG MATWICHUK: Right.

18 MR. BOB PETERS: I've got your point.
19 And just following up on that, the -- the top of page 6
20 of 30 of your evidence, you carried that through, I
21 think, and you revised a table for Mr. Saxberg in CAC
22 Exhibit 9, which was your Table 5, revised, correct?

23 MR. GREG MATWICHUK: That's correct.

24 MR. BOB PETERS: And the purpose of Table
25 5, revised, was to demonstrate in the bottom half of that

1 table that there were sufficient synergies in the Hydro
2 company together with the equity component, the return on
3 equity from Centra, to more than compensate for the \$19
4 million annual amount that was needed to be paid?

5 MR. GREG MATWICHUK: Yes. That is
6 correct. And the revision was promulgated by the revised
7 synergies and the revision to the annual amount of
8 acquisition costs. And those revisions were provided by
9 Centra.

10 MR. BOB PETERS: Well, I wasn't
11 attributing mistakes in your work, you were responding to
12 what you understood to be the evidence --

13 MR. GREG MATWICHUK: Yes.

14 MR. BOB PETERS: -- that has come
15 forward?

16 MR. GREG MATWICHUK: Exactly.

17 MR. BOB PETERS: There was earlier
18 discussion, Mr. Matwichuk, that the \$12 million annual
19 corporate allocation charge was considered to be one that
20 would be required in perpetuity to pay for the \$19
21 million annual costs; you're aware of that?

22 MR. GREG MATWICHUK: I may have missed
23 that discussion, but I'll -- I'll take it subject to
24 check.

25 MR. BOB PETERS: All right.

1 MR. GREG MATWICHUK: Your point is
2 perpetuity.

3 MR. BOB PETERS: And the alternative to
4 perpetuity appeared to be that an additional amount of
5 money could be paid to start paying down the principal if
6 that was a financing choice selected and then the -- the
7 \$19 million wouldn't be needed in perpetuity, it would
8 rather be -- it could be amortized and paid off over
9 thirty (30) years?

10 MR. GREG MATWICHUK: I guess Manitoba has
11 the choice as to how long it intends to amortize. But
12 I'm -- maybe I'm missing your point, sir.

13 MR. BOB PETERS: Well, let me start it
14 this way, when you last appeared before the Board there
15 was a discussion of an annual amount needed of
16 approximately \$20.9 million, correct?

17 MR. GREG MATWICHUK: That's correct.
18 Yes.

19 MR. BOB PETERS: And that number has now
20 been reduced down to \$19 million?

21 MR. GREG MATWICHUK: That's my
22 understanding, yes.

23 MR. BOB PETERS: And you understand the
24 reason it's come down \$3 million is because the -- the
25 net book value, shall I say, of the -- of the purchase

1 price will never be paid off in terms of the principal,
2 the debt against it will continue to stay debt. There
3 will be debt against that amount in perpetuity?

4 MR. GREG MATWICHUK: That may be the
5 testimony, but I think that a prudent investor would work
6 to pay off its -- its debt so.

7 MR. BOB PETERS: But, so long as there's
8 a value of the corporation, Manitoba Hydro could carry
9 debt?

10 MR. GREG MATWICHUK: Manitoba Hydro could
11 support its debt by the holding of that net book value,
12 yes.

13 MR. BOB PETERS: And are you suggesting
14 that the debt against that net book value should be paid
15 off or should never be paid off?

16 MR. GREG MATWICHUK: Well, I think a
17 prudent investor would have to make a choice in terms of
18 relative risks of its investments. And if they found
19 that it was more prudent to -- to pay off that debt
20 versus incurring debt for other projects, then -- then
21 that's what they do.

22 I -- that would be -- have to be a
23 decision of management. But, again, that's -- should be
24 of no consequence to this proceeding.

25 MR. BOB PETERS: All right. I have your

1 point. You -- you brought to the Board's attention,
2 through your direct evidence yesterday to Mr. Saxberg,
3 that your Table 1 of your evidence was revised and that
4 was included in CENTRA/CAC/MSOS-2 Attachment 1; have I
5 got that right?

6 MR. GREG MATWICHUK: Yes, sir.

7 MR. BOB PETERS: And in your Table 1
8 revised I just want to cover a couple of quick points
9 here. You removed the corporate allocation of \$15.1
10 million and you now understand that would be \$12 million,
11 is what the Application is?

12 MR. GREG MATWICHUK: Yes.

13 MR. BOB PETERS: And you also removed the
14 synergy transfer and yesterday you said that, as I
15 understood your evidence to Mr. Saxberg, it's your
16 understanding that that \$3 million has not yet been
17 removed from the revenue requirement of the corporation;
18 have I got that right?

19 MR. GREG MATWICHUK: That was my
20 understanding from reading the transcripts of the interim
21 ex parte Hearing, yes.

22 MR. BOB PETERS: In these Proceedings
23 Centra has indicated that the \$3 million has not been put
24 back into revenue requirement; do you accept that?

25 MR. GREG MATWICHUK: I'll accept that

1 subject to check.

2 MR. BOB PETERS: Okay.

3 MR. GREG MATWICHUK: And then I guess
4 what we're left with is the Board's base line of \$49.3
5 million, relative to Centra's request of \$54 million for
6 '03/'04. So it's -- we're either faced with a 10 percent
7 increase in O&M or the \$3 million synergy is still in
8 there. It's got to be one or the other.

9 MR. BOB PETERS: And the rate increase
10 that's being asked for and that was asked for at the
11 interim ex parte Hearing, did amount to approximately a
12 10 percent increase on non-gas cost items?

13 MR. GREG MATWICHUK: That's my
14 understanding, yes.

15 MR. BOB PETERS: And there's a further 10
16 percent increase on non-gas cost items sought for the
17 second test year?

18 MR. GREG MATWICHUK: I'll take that
19 subject to check.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: Mr. Matwichuk, have you
24 compared Centra's debt equity ratio at the time of
25 acquisition by Hydro to the current debt equity ratio?

1 MR. GREG MATWICHUK: I did not
2 specifically examine it, but my recollection would be
3 that at the time of the acquisition, it -- it would have
4 been -- the time of the GRA, would have been close to
5 60:40. However, as a result of the GRA decision, there -
6 - there was significant write-offs, and so I think the
7 debt equity was compromised somewhat.

8 So, I don't know exact number, but what I
9 do recall from Centra's current Application is that it --
10 debt equity currently is about 67:33.

11 MR. BOB PETERS: Well the 67:33 is -- is
12 premised on certain methodology and calculation, correct?

13 MR. GREG MATWICHUK: It's premised on the
14 widely accepted methodology of determining debt equity
15 ratios.

16 MR. BOB PETERS: What it -- how it's
17 calculated is that it -- it keeps the \$121 million of
18 share capital in as equity?

19 MR. GREG MATWICHUK: Yes. And as I
20 mentioned earlier this morning, \$121 million of that --
21 that share capital equity of that \$82 million was
22 retained earnings in Centra when it was under West Coast,
23 that was converted to share capital.

24 MR. BOB PETERS: What -- what's your
25 advice to this Board in terms of where the debt equity

1 ratio should be for Centra Gas Manitoba Inc.?

2 MR. GREG MATWICHUK: Oh, you mean at --
3 what's the optimal level?

4 MR. BOB PETERS: Yes, going forward,
5 where do you -- where do you think is the optimal level?

6 MR. GREG MATWICHUK: I have not examined
7 the optimal level. However, what I -- what I can tell
8 you is this, sir, is that while it was under West Coast
9 60:40 was -- was acceptable to this Board.

10 And I can tell you that that is consistent
11 with my understanding of what other Boards would have
12 allowed for a stand-alone entity with an A level credit
13 rating at the time. Now, that it has a debt guarantee
14 and Centra ratepayers pay the debt guarantee fee, that
15 the -- the level of 60:40 is not likely as -- as
16 important -- has a diminished importance, as I pointed
17 out in my evidence, because of the protection that the
18 debt guarantee affords.

19 MR. BOB PETERS: Does that last answer
20 suggest that 75:25 would be more appropriate for Centra?

21 MR. GREG MATWICHUK: I wish I could give
22 you a better answer, sir, but it's not something I was
23 asked to look at, and I -- I did not look at optimality.
24 But it -- it's certainly a thinner equity than the 60:40
25 previously allowed by the Board. But if it's something

1 that you'd like me to look at, I can take an undertaking.

2 MR. BOB PETERS: Well, it sounds like an
3 offer that I won't refuse, Mr. Matwichuk. Perhaps as the
4 second undertaking from me, you would provide the Board
5 with your view as to what would be the optimum
6 recommended debt equity for Centra, and provide your --
7 your rationale and supporting references, if you could?

8 MR. GREG MATWICHUK: Very good.

9

10 --- UNDERTAKING NO. 31: TREE/RCM to provide Board
11 with what would be the
12 optimum recommended debt
13 equity for Centra, and
14 provide rationales and
15 supporting references.
16

17 CONTINUED BY MR. BOB PETERS:

18 MR. BOB PETERS: On that point,
19 recognizing you haven't studied it, do you consider
20 Centra's dead equity ratio of any practical relevance in
21 terms of accessing capital markets?

22 MR. GREG MATWICHUK: There is very little
23 practical need for retention of debt equity. I mean once
24 you have a debt guarantee fee, accessing the capital
25 markets is being taken care of by accessing the capital

1 markets through the Province of Manitoba.

2 And as I mentioned in my evidence in my IR
3 responses, DBRS which was the only credit rating agency
4 that was looking at -- continued to look at Centra, in
5 2002, the last rating that was provided noted that its
6 rating for Centra, which it gave an A level to, A stable,
7 was a recognition that there are some ratios that have
8 been compromised since the acquisition.

9 But, because of the debt guarantee,
10 because of the ownership structure through Manitoba Hydro
11 and up the chain through the Province of Manitoba, it was
12 compensating that those compromises and retaining the
13 same debt rating because of the assurance that is
14 provided through the debt guarantee.

15 So, the importance of maintaining the debt
16 equity level pre-sale is significantly diminished because
17 of the protection.

18 MR. BOB PETERS: I understood from your
19 evidence that if there was a \$12 million approximate
20 return on equity that was available to Manitoba Hydro,
21 and as you demonstrated under your attachment
22 PUB/CAC/MSOS-1, of that \$12 million the parent could
23 choose to take \$10 million to help it pay the \$19 million
24 annual cost of the acquisition and leave \$2 million in
25 the gas utility?

1 MR. GREG MATWICHUK: Yes sir.
2 MR. BOB PETERS: And that was your --
3 that's your recommendation, I take it.
4 MR. GREG MATWICHUK: Yes sir.
5 MR. BOB PETERS: And as a result of
6 leaving the \$2 million what, if anything, does that do to
7 the debt equity ratio?
8 MR. GREG MATWICHUK: Well, I guess it will
9 depend on the amount of any further debt that's taken on
10 for expansion. But, it's -- my understanding that
11 there's an undertaking being provided by Centra with
12 respect to the debt equity in terms -- going forward.
13 Certainly, it will not harm the debt
14 equity ratio by providing that level of income. So, it
15 should help it remain the same or enhance it.
16 MR. BOB PETERS: In your view, Mr.
17 Matwichuk, would Centra's ability to achieve its
18 financial targets, whatever they may be, be different
19 under a cost of service methodology than under a rate
20 base rate of return methodology?
21 MR. GREG MATWICHUK: Did you say its
22 ability to meet its targets?
23 MR. BOB PETERS: Yes.
24 MR. GREG MATWICHUK: Okay. And again I
25 have to circle back and apologize for this, but I think

1 it's important to raise is that the answer is going to
2 be; it depends.

3 It depends on what's awarded and how it
4 proceeds. But, if the Board continues with its plan,
5 which I urge it to do, then whether it's under rate base
6 rate of return methodology or the cost of service
7 methodology, and the latter using the Board's formula for
8 determining an ROE, so that we can set how much is
9 retained and how much is turned over to Manitoba Hydro,
10 then both can be accomplished and the ability to achieve
11 the targets should be relatively the same.

12 MR. BOB PETERS: So, with those
13 qualifications, it sounds like their ability to achieve
14 the targets, you don't see a significant difference
15 whether it's under cost of service or under rate base
16 rate of return methodology.

17 MR. GREG MATWICHUK: That's right. But,
18 I still have concerns about cost of service relative to
19 rate base rate of return in terms of how it would help it
20 --achieve, minimize cost.

21 MR. BOB PETERS: I took from your
22 evidence partly through Ms. Murphy and partly through Mr.
23 Saxberg, that your main concern was the use of management
24 judgment or judgment in any event to determine net income
25 was -- was the primary concern you had?

1 MR. GREG MATWICHUK: Yeah, that's a
2 significant concern. Yes.

3 MR. BOB PETERS: And the second concern
4 that I noted was that you felt that there was an
5 incentive in rate base rate of return regulation to do
6 better than your forecast which means the dollars would
7 accrue to the bottom line?

8 MR. GREG MATWICHUK: Yes, sir.

9 MR. BOB PETERS: All right. And those
10 were the two (2) -- the two (2) main reasons that you're
11 advocating that rate base rate of return remain as the
12 method used?

13 MR. GREG MATWICHUK: Yes, those are the
14 two (2) main ones -- look at. But, also in terms of, you
15 know, first of all, historically, it would provide us a
16 good level of comparison from year to year. It's what
17 Centra has been -- has been doing.

18 It's what the regulator is familiar with.
19 But, more importantly, is the transparency that would be
20 -- would be affordable -- afforded there because of the
21 objectivity related to the Board's formula of determining
22 how much residual, after all other costs, how much net
23 income should be available.

24 So, cost of service is one way of
25 determining net income. Rate base rate of return has

1 another way of determining net income. The rate base
2 rate of return has it more objectively.

3 MR. BOB PETERS: All right. Let me just
4 -- let's -- let's go to the cost of service methodology.
5 How do you object to what you determine the fair return
6 for a sub of a Crown Corporation using the cost of
7 service methodology?

8 MR. GREG MATWICHUK: And -- and that's
9 what I attempted to show in my response to PUB-1, the
10 attachment, where -- and also in the -- in the discussion
11 which preceded it that a one point one (1.1) times
12 interest coverage would probably be the best way of
13 achieving that for this type of entity which has the debt
14 guarantee.

15 MR. BOB PETERS: So, I take that answer
16 to mean that if -- if cost of service was the method of
17 regulation, you'd still want a -- a benchmark against
18 which to test being the -- in this case, the interest
19 coverage ratio which you recommend be one point one
20 (1.1)?

21 MR. GREG MATWICHUK: Yes. But, I -- I
22 come back to -- so -- no, I'm going to stay with your
23 parameters of -- of strictly within the cost of service
24 basis. Yes, is the answer.

25 MR. BOB PETERS: Mr. Matwichuk, you're

1 aware that the Board for Centra is the same as the Board
2 for Manitoba Hydro?

3 MR. GREG MATWICHUK: Yes, sir.

4 MR. BOB PETERS: And you're aware that
5 Centra Gas Manitoba Inc. no longer has any employees?

6 MR. GREG MATWICHUK: That's my
7 understanding.

8 MR. BOB PETERS: You understand that the
9 labour costs are allocated through internal allocations
10 over to the gas company?

11 MR. GREG MATWICHUK: Yes. Based on
12 various cost drivers. Yes.

13 MR. BOB PETERS: And you also understand
14 that all common costs are now paid by Manitoba Hydro and
15 allocated over to Centra as well?

16 MR. GREG MATWICHUK: Yes.

17 MR. BOB PETERS: And I think you've
18 indicated that your understanding is that the debt needed
19 by the gas company is not raised by the gas company but
20 it's raised through the parent -- through the parent
21 company?

22 MR. GREG MATWICHUK: Well, it's actually
23 raised in the market through the Province.

24 MR. BOB PETERS: Based on the parent's
25 requests?

1 MR. GREG MATWICHUK: Yes.

2 MR. BOB PETERS: And the rate at which
3 that debt is charged to the gas company is also based on
4 a flow-through of the -- the Provincial rate through the
5 parent down to the sub?

6 MR. GREG MATWICHUK: I have not seen
7 evidence of that. I -- I -- I have seen evidence that
8 they's mirroring down from -- from the Province to
9 Manitoba Hydro. However, when I attempted to find the
10 comparable debt issues as to the term sheets that are
11 included in this application on -- from external sources,
12 I could only find one (1).

13 And so it troubled me that there is the
14 potential for a spread between what Manitoba Hydro
15 borrows at, i.e. the mirrored down rate from the
16 Province, and what Centra borrows at and whether the
17 terms are even the same.

18 But if -- if there is evidence, I'm -- I'm
19 happy to take that, subject to check.

20 MR. BOB PETERS: All right. Well, that's
21 an interesting point because I noted that in your direct
22 evidence and I wanted to ask you about that.

23 Your suggestion to the Board was that even
24 with the Provincial Government providing debt down
25 through Manitoba Hydro and Centra paying the Provincial

1 debt guarantee fee, it still may be cheaper for them to
2 get it on the market than going through the parent?

3 MR. GREG MATWICHUK: What I'm suggesting
4 is that an A-rated company may be able to find debt at
5 the same level as that, that is being provided through
6 Manitoba Hydro, which includes the debt guarantee fee.

7 MR. BOB PETERS: But you provided no
8 evidence to that affect in your materials?

9 MR. GREG MATWICHUK: No, that's right. I
10 -- it's just in -- in my discovering -- in going through
11 the Bloomberg publications, that it appeared -- it
12 appeared that that -- you know, we're around about the
13 same level. But, you know, it might be -- it might be
14 slightly less.

15 But that's -- just the reason I raised it
16 is that -- is that we don't -- or at least I haven't seen
17 evidence that there is precise mirroring down from the
18 Province to Manitoba Hydro to Centra. And -- and I'm
19 familiar with that concept in -- in other jurisdictions,
20 where debt that is acquired in the market is mirrored
21 down to the operating utilities.

22 MR. BOB PETERS: All right. That's not
23 something then that you can do any further calculations
24 on, but you just raised that as a possible concern that--

25 MR. GREG MATWICHUK: Yes, sir.

1 MR. BOB PETERS: -- you want the Board to
2 make sure they're satisfied before they accept the debt
3 as necessarily cheaper in the way it's financed now?

4 MR. GREG MATWICHUK: Yes, sir.

5 MR. BOB PETERS: All right. That's fair.
6 But in light of those factors where there's the same
7 Board, the employees are from Manitoba Hydro, the common
8 costs are paid by Manitoba Hydro, and the debt comes
9 through the parent, would you agree with me then, that --
10 that Centra really isn't a stand-alone utility?

11 MR. GREG MATWICHUK: No, I would not
12 agree with you, sir.

13 MR. BOB PETERS: Well, where does it
14 stand alone if all of these other factors come into play?

15 MR. GREG MATWICHUK: It's stand-alone in
16 terms of setting rates for regulatory purposes.

17 This is not a unique situation, Mr.
18 Peters. There are utilities across this country that
19 have costs allocated. For example, in EPCOR, which is an
20 Edmonton City owned entity, it has two (2) regulated
21 entities, EPCOR Transmission Inc., and EPCOR Distribution
22 Inc. Both are essentially shells with allocations from
23 their parent EPCOR Utilities.

24 The second example is Direct Energy in
25 Alberta, and I understand Direct Energy is a Intervenor

1 in this Proceeding. In Alberta, through the wisdom of
2 the Government, there was an opportunity to separate
3 retail operations from wires and pipe, both on the gas
4 and electric side. Direct Energy purchased the commodity
5 business from both ATCO Gas and Pipeline and ATCO
6 Electric Ltd. And when they did that, they then became
7 subject to regulation themselves.

8 Now the entity that provides the regulated
9 service for both gas and electricity in Alberta, has no
10 employees. It's a shell company. It -- it gets all its
11 financing through its -- its parent. It gets -- its
12 costs are allocated through affiliates.

13 But for setting rates for both the gas
14 side and the electric side, there are separate revenue
15 requirements. There are separate tariffs for each of gas
16 and electric. And each of those utilities are regulated
17 on a stand alone basis.

18 Another example, which I have a great deal
19 of familiarity with is the Pembina Pipelines. The entity
20 which is -- which operates the pipeline in -- in BC and
21 Alberta, they -- the entity has no employees. It -- the
22 employee driven company is -- is a trust. The -- the
23 entity that applies for tariffs under the BCUC, gets all
24 its costs allocated.

25 Another entity is AltaLink Limited

1 Partnership. It -- it too has no employees. All its
2 costs come from either the general partner or -- or other
3 sources.

4 But in all of those cases, they are
5 regulated as stand-alone entities. And the reason for
6 that, sir, is that it avoids cross-subsidization in one
7 (1) way or the other.

8 So, I just wanted to highlight that for
9 you, because, I mean, in ATCO Gas and Pipeline the part
10 that's left is wires and pipes and those entities are
11 still regulated.

12 So, the corporate entity is ATCO Gas and
13 Pipelines Ltd. Within it there are two (2) divisions,
14 not even corporate entities. And those allocations --
15 they get allocations from its parent which is Canadian
16 Utilities Limited and it's, quote/unquote, ôgrandparent,ö
17 which is ATCO Ltd.

18 So, one provides gas ELDC service and a
19 second provides gas transmission service. You had ATCO
20 Gas, ELDC and ATCO pipeline the transmission service.
21 Further within each of those entities, are further
22 divisions, north and south.

23 So, we have four (4) entities there. ATCO
24 Gas north, ATCO Gas south, ATCO Pipelines north, ATCO
25 Pipelines south. They all have regulated tariffs. They

1 are different parents. They are regulated as stand alone
2 entities. So they have four (4) separate revenue
3 requirements, four (4) separate sets of tariffs.

4 So, the point is, that even in company's
5 providing both services, there are separate revenue
6 requirements and separate rates.

7 MR. BOB PETERS: Thank you Mr. Matwichuk.
8 You mentioned the ones that you've just put on the record
9 now. You also mentioned yesterday you had some
10 authorities, including Dr. Moran who had û- who actually
11 has testified here in Manitoba --

12 MR. GREG MATWICHUK: Right --

13 MR. BOB PETERS: -- and you also
14 reference some OEB and AEUB decisions, do you recall
15 that?

16 MR. GREG MATWICHUK: And in addition to
17 what you've provided just now, can you provide those by
18 way of undertaking to the Board for their future
19 reference?

20 MR. GREG MATWICHUK: Yes, sir, I can.

21 MR. BOB PETERS: And you'll be providing
22 copies of decisions of the regulator respecting those
23 dealing with the stand-alone principle?

24 MR. GREG MATWICHUK: Yes. So just for
25 practicality, sir, would you prefer to have the entire

1 decision or the excerpts that I read from, or the
2 sections excerpts where I read the sections, Board
3 findings?

4 MR. BOB PETERS: I think the entire
5 decision electronically would be fine, but you can
6 highlight or draw attention --

7 MR. GREG MATWICHUK: Sure.

8 MR. BOB PETERS: -- for the Board to the
9 specific quotes that you're relying on.

10 MR. GREG MATWICHUK: Very good.

11

12 --- UNDERTAKING NO. 32: TREE/RCM to provide Board
13 with references to had
14 authorities, decisions as
15 well as full decisions of the
16 regulator dealing with the
17 stand-alone principle.

18

19 MR. BOB PETERS: Mr. Chairman, with those
20 answers, I'd like to thank Mr. Matwichuk. That completes
21 the questions that I have for him.

22 MR. GREG MATWICHUK: Thank you, Mr.
23 Peters.

24 THE CHAIRPERSON: Thank you, Mr. Peters.
25 I have a couple of my own.

1 Mr. Matwichuk, when you're speaking of
2 stand alone, I gather you're talking about it from a --
3 sort of the legal reality of it and from the regulatory
4 perspective.

5 MR. GREG MATWICHUK: Sorry, Mr. Chairman,
6 I just thought it better I switch microphones.

7 Yes, speaking from a regulatory
8 perspective given that's why we're here today.

9 THE CHAIRPERSON: So, to say, stand
10 alone, from your perspective isn't speaking to the degree
11 of integration into another organization from an
12 operating perspective?

13 MR. GREG MATWICHUK: No, its recognizing
14 that while there may be integration and the examples that
15 I just gave Mr. Peters where there is integration, is not
16 a factor in how rates are set for the entity that they
17 are set on a stand alone basis.

18 The issue, on an integrated basis, is
19 clearly one (1) of determining appropriate allocations.
20 And sorry, if I may just continue on, this is not a new
21 issue to Centra.

22 The issue took place with respect to under
23 the West Coast ownership when it had shared costs. So it
24 was more just a matter of degree. West Coast had a
25 number of common costs at an administrative level where

1 as Manitoba Hydro has it fully integrated.

2 THE CHAIRPERSON: I'd suppose you'd
3 accept that there are -- that tax can be another
4 consideration in determining whether a corporation
5 continues or not?

6 In other words, one (1) of the reasons why
7 a company may hold a subsidiary could be tax reasons, to
8 do with the treatment under income tax?

9 MR. GREG MATWICHUK: There may be, yes,
10 maybe we could explore that a little further.

11 THE CHAIRPERSON: What I was suggesting
12 was that along with regulatory reasons there could be
13 other factors that would explain why you would have a
14 company continue it, even though it had no employees?

15 MR. GREG MATWICHUK: There -- there could
16 be a number of reasons, yes, sir, as to why a purchase
17 may be made and continuing his operations and the style
18 of operations, I agree.

19 THE CHAIRPERSON: You speak of generally
20 accepted regulatory principles, are you aware of any
21 exceptions to those principles, in place?

22 MR. GREG MATWICHUK: There -- there are
23 always exceptions to the rule, sir, and it's just a
24 matter of whether there is justification and usually it's
25 -- it's rarely a -- an exception outright. It's -- it

1 can be more of an exception in terms of trying to
2 maintain the principle but suggesting that there may be
3 an overriding principle.

4 But as long as it's -- it's based in --
5 you know, the end decision is based in principle, then I
6 think parties can agree.

7 THE CHAIRPERSON: You're saying then that
8 the regulatory principles are subject to overriding
9 concerns too?

10 MR. GREG MATWICHUK: Well, is -- I --
11 what I'm suggesting to you, sir, is that there -- there
12 are a number of principles and it's a matter of ensuring
13 -- determining whether there are any principles that are
14 in conflict.

15 And which can happen from time to time and
16 it's a matter of a regulator determining what is
17 appropriate for the ratepayers and but there are
18 overriding principles such as what -- what's going to be
19 considered just and reasonable rates.

20 And I mean that's the ultimate test that
21 any application is put to and any Board decision is put
22 to.

23 THE CHAIRPERSON: So you're suggesting
24 then that there could be conflicts between different
25 criterion within a set of principles?

1 MR. GREG MATWICHUK: Yes, sir.
2 THE CHAIRPERSON: And that the conflict
3 is generally resolved by looking to the higher principle,
4 just and reasonable; is that what you're saying?
5 MR. GREG MATWICHUK: Yes.
6 THE CHAIRPERSON: Before the whistle,
7 wherever it came from, you gave examples of Canadian
8 utilities that had been -- or you spoke of Canadian
9 utilities that had been acquired by Crown Corporations
10 and suggested that they had been continued to be treated
11 as stand alones and regulated on rate of return rate
12 base; can you provide any specific examples of that
13 situation where a Crown has acquired a private utility
14 and -- and continued to operate it on a rate of return
15 rate base methodology?
16 MR. GREG MATWICHUK: I can't think of any
17 off the top of my head. But --
18 THE CHAIRPERSON: Would you take it as an
19 undertaking --
20 MR. GREG MATWICHUK: Yes, sir.
21 THE CHAIRPERSON: -- if you come to it in
22 the next little while you could advise us, Mr. Peters.
23 MR. GREG MATWICHUK: So the undertaking,
24 sir, just to make sure I understand is a Crown --
25 THE CHAIRPERSON: If you could advise of

1 any examples which you're aware in which a Crown
2 Corporation, a non-taxable organization, acquired a
3 private utility and continued for some time operating
4 that utility as a stand- alone, regulated on a rate of
5 return rate base methodology?

6 MR. GREG MATWICHUK: I will undertake to
7 do that, sir.

8
9 --- UNDERTAKING NO. 33: TREE/RCM to advise Board of
10 any examples in which a Crown
11 Corporation, a non-taxable
12 organization, acquired a
13 private utility and continued
14 for some time operating that
15 utility as a stand-alone,
16 regulated on a rate of return
17 rate base methodology.
18

19 THE CHAIRPERSON: Thank you. You
20 indicated that the rate of return on equity or rate of
21 return on rate base was a test, if you like, as to -- one
22 test -- you described it in a variety of different ways,
23 to ensure cost effective management. In other words
24 that, you know, costs didn't get out of control or rates
25 rose.

1 you're -- I'll explore this with you, sir, to make sure
2 that we're on the same wave length. But if one (1) of
3 the most common ways is an employee incentive system.
4 And I'm not familiar with one (1) if it exists, within
5 Manitoba Hydro.

6 But it is -- it's the most commonly used
7 tool to optimize costs.

8 THE CHAIRPERSON: No, I think we all
9 understand that how incentives and systems can work, and
10 how a rate of return can be used as a -- as a test or a
11 controlling factor. And it's all right, I was just
12 wondering whether you could think of anything else that
13 might drive cost control and restraint on a rate side.

14 MR. GREG MATWICHUK: Yeah, the most
15 powerful tool is the economic incentives, and if -- if
16 the economic incentives of a corporation are aligned with
17 the economic incentives presented to the work force, then
18 it can be a pretty powerful tool.

19 THE CHAIRPERSON: We've observed in our
20 practice, in dealing with water and sewer utilities, that
21 sometimes the Municipalities are not too eager to
22 increase rates and hold down costs for other
23 considerations other than net income ones.

24 MR. GREG MATWICHUK: I'm not sure --

25 THE CHAIRPERSON: Public acceptability is

1 what I'm driving at?

2 MR. GREG MATWICHUK: Yes. And -- and I'm
3 glad you pointed that out, sir, because I'm not sure of
4 the -- the specific entities of which you're referring --
5 to which you're referring. But my experience with those
6 types of utilities, for example, there is a fair bit of
7 cross-subsidization, you know, whether it's transit,
8 water, sewer. Because of public acceptability, rates
9 have to be held down. And if it's a City organization,
10 then there's typically cross-subsidization through the
11 budget process.

12 THE CHAIRPERSON: We've observed that as
13 well.

14 I'll just move on to something else.
15 You'd indicated before, generally for a private utility,
16 seemed to have a degree of acceptance at a 60:40 debt
17 equity ratio was the norm for a private utility? Around
18 that area, I'm not holding you to specific numbers. My
19 question was a little bit different than that.

20 You also referred to one point one (1.1)
21 interest coverage ratio as being acceptable in the case
22 of Centra and its current -- what type of interest
23 coverage ratios are acceptable for crated private
24 utilities?

25 MR. GREG MATWICHUK: For private

1 utilities, they -- they would be higher, because they're
2 going to the market. And I just want to address your --
3 your premises, that the 60:40 that I was talking about
4 was with respect to a utility like Centra that is A
5 rated. There may be other utilities that have additional
6 risk that would have a different debt equity structure.
7 I just wanted to clarify the record, sir.

8 THE CHAIRPERSON: Do you know of a lot of
9 utilities, private utilities, that have debt equity
10 ratios of 75:25 or higher, that can float their bonds?

11 MR. GREG MATWICHUK: It probably wouldn't
12 happen, sir, because they don't have a -- a debt
13 guarantee.

14 THE CHAIRPERSON: Yes. How long, just to
15 take advantage of the fact that you're here, and
16 obviously have expertise in the area.

17 How long would you suggest that the
18 acquirer of a utility would be obliged to provide
19 evaluations of the benefits flowing out of the
20 acquisition?

21 MR. GREG MATWICHUK: That's -- that's the
22 -- the sixty-four dollar (\$64) question. And I'm -- I'm
23 not sure that there -- there is an answer to that. And
24 let me frame it this way is that, having seen a number of
25 acquisitions, parties are anxious to, in the vernacular,

1 cut the cord.

2 Let's -- let's determine this once and for
3 all and get it behind us. And -- and I know there was
4 some of that sentiment in -- in the previous Hearing,
5 probably on a number of fronts. So I would encourage the
6 Board to do that to the extent possible. And part of the
7 concern, obviously, is the ongoing attempt to track these
8 synergies.

9 And as I pointed out in my direct
10 yesterday, they have vacillated in terms of totality and
11 allocation and then the Board had an opportunity to
12 review some of those synergies, being advanced by Centra
13 at one (1) point and did not agree.

14 So I'm sure everyone in this room
15 appreciates as time goes by it gets more difficult. And
16 perhaps even to the extent of futility.

17 THE CHAIRPERSON: Thank you. In your
18 survey of utilities you were referring to earlier in your
19 practice and you spoke at some point about the fact that
20 you could imagine, under a regulatory regime, that you
21 could either use of cost of service or rate base rate of
22 return.

23 Is there a particular category of
24 utilities that you tend -- that you know use cost of
25 service as opposed to the other system?

1 MR. GREG MATWICHUK: Yes. Typically they
2 are Crown owned. But they are typically Crown owned that
3 have very little equity in them.

4 And I think I made reference yesterday to
5 one (1) of my old clients, Ontario Hydro, very -- very
6 little equity component when it started and operated for
7 some eighty (80) years before it was re-capitalized and
8 divided into a number of organizations.

9 But after which, it became -- it did have
10 an equity injection and it continues to be regulated on a
11 formulate basis in Ontario.

12 But that's not to say that all Crown owned
13 or government owned or City owned entities are regulated
14 on cost of service. And I try to point out a few of
15 those that are not, ENMAX and EPCOR, Newfoundland Power
16 and Hydro, Newfoundland and Labrador Hydro and so forth.

17 THE CHAIRPERSON: Thank you, sir. Would
18 it be fair for me to summarize some of your comments by
19 saying that you would observe or prefer objectivity,
20 consistency and adherence to generally accepted
21 regulatory principles as the most important factors in
22 regulating a utility?

23 MR. GREG MATWICHUK: Yes it would.

24 THE CHAIRPERSON: Thank you.

25 Mr. Saxberg, do you have reexamination?

1 MR. KRIS SAXBERG: No I don't sir.
2 THE CHAIRPERSON: Then we will stand down
3 until 1:00. Thank you very much. Thank you sir.
4 MR. GREG MATWICHUK: Thank you Mr.
5 Chairman.
6
7 (WITNESS STANDS DOWN)
8
9 --- Upon recessing at 11:44 a.m.
10 --- Upon commencing at 1:06 p.m.
11
12 THE CHAIRPERSON: Mr. Peters, we have a
13 new Panel?
14 MR. BOB PETERS: Yes, Mr. Chairman,
15 we've reached the point in the proceedings where we get
16 to the Cost Allocation and Rate Design Panel, at least by
17 name. It also has a number of matters to deal with, I'll
18 call them Tab 13 issues and related issues.
19 And I believe, Ms. Murphy, can introduce
20 the new members of the Panel and Mr. Singh can swear them
21 in a few minutes.
22 MS. MARLA MURPHY: Thank you. Just by
23 way of housekeeping, I guess, I've circulated and the
24 Board Secretary has been provided with document entitled,
25 Western Transportation Service Conference Call May 11th,

1 2005.

2 This is the final minutes that Mr.
3 Stephens referred to in his direct and in his discussions
4 with Mr. Brown he had asked him to hold off filing them
5 until they were finalized.

6 I understand these are now the finalized
7 minutes, so we propose to file them as Centra Exhibit 26.

8 THE CHAIRPERSON: Very good.

9

10 --- EXHIBIT NO. CENTRA-26: Document entitled, Western
11 Transportation Service
12 Conference Call May 11th,
13 2005.

14

15 MS. MARLA MURPHY: And just to take a
16 moment to introduce the Panel, some of the faces are
17 familiar to you. Immediately to my right is Mr. Warden,
18 who's the Vice President Finance and Administration and
19 CFO for Centra.

20 Seated beside him is Mr. Lloyd Kuczek
21 who's the Division Manager of Consumer Marketing and
22 Sales. Then we have Mr. Robin Wiens, Division Manager of
23 Rates and Regulatory Affairs. Ms. Kelly Derksen, Senior
24 Analyst of Gas Rates. And finally in the post position,
25 Mr. Rainkie, who's the Manager of Regulatory Services.

1 There are a few new faces behind me in the
2 back row as well. Next to Mr. Czarnecki is Greg Barnlund
3 who is the Senior Consultant of Gas Rates and policy.
4 Then we have Kim Cooper, who's the Supervisor of
5 PowerSmart Planning and Market Research. Next to Kevin
6 Sachvie is Michelle Carman who's a Rate Analyst. And Mr.
7 Matwyczek at the end -- Stan Matwyczek, of our Regulatory
8 Department.

9 And I should, I suppose, not let the
10 hearing go by without acknowledging that we have Heather
11 Johnson in the back room who works very hard to keep us
12 all organized and all of our copies up to speed. So
13 she's also in the back listening in as we proceed.

14 The Panel is available to be sworn and we
15 could proceed with direct.

16 THE CHAIRPERSON: Mr. Singh...?
17

18 KELLY DERKSEN, Sworn:

19 ROBIN WIENS, Sworn:

20 LLOYD KUCZEK, Sworn:

21 VINCE WARDEN, Resumed:

22 DARREN RAINKIE, Resumed:
23

24 MS. MARLA MURPHY: Just as we begin, Mr.
25 Chairman, I might indicate that the witness

1 qualifications have been marked as Centra Exhibits.

2 Mr. Warden is Centra Exhibit 4-1, Mr.
3 Kuczek is Centra Exhibit 4-8, Mr. Wiens as Centra Exhibit
4 4-10, Ms. Derksen as Centra Exhibit 4-7 and Mr. Rainkie
5 is Centra Exhibit 4-4. And those have been provided, of
6 course.

7 And there's extra copies available if
8 anybody requires them.

9 THE CHAIRPERSON: Thank you, Ms. Murphy.
10 You can begin at any time.

11 MS. MARLA MURPHY: Thank you.

12
13 EXAMINATION-IN-CHIEF BY MS. MARLA MURPHY:

14 MS. MARLA MURPHY: Mr. Warden, would you
15 please outline your areas of responsibility with respect
16 to this Panel?

17 MR. VINCE WARDEN: Yes, good afternoon,
18 Mr. Chairman, members of the Public Utilities Board,
19 ladies and gentlemen.

20 In my testimony I will be discussing
21 policy issues with respect to cost allocation rate design
22 and terms and conditions of service.

23 MS. MARLA MURPHY: Mr. Warden, what is
24 the impact of Centra's application on a typical
25 residential consumer?

1 MR. VINCE WARDEN: The billed rates that
2 are proposed for August 1st, 2005 result in a typical
3 residential customer's bill increasing by approximately
4 3.1 percent or thirty-nine dollars (\$39) per year,
5 primarily due to the expiry -- expiry of rate riders on
6 that date.

7 The annual bill impacts for the LGS, high
8 volume firm and main line customers range from an
9 increase of 2.6 to 5.6 percent. The annual bill impact
10 for an interruptible customer is -- is decreasing -- a
11 decrease ranging from 2.4 to 3.2 percent.

12 The billed rates that are proposed for May
13 1st, 2006 result in a typical residential customer's bill
14 increasing by approximately 2.9 percent or thirty-seven
15 dollars (\$37) per year.

16 The annual bill impacts for the LGS, high
17 volume firm and main line customers range from a decrease
18 of 2 percent to an increase of 1.5 percent. The annual
19 bill impacts for interruptible customers range from a
20 decrease of 0.2 to an increase of 0.1 percent.

21 MS. MARLA MURPHY: Mr. Warden in Order
22 131/04 the Board directed Centra to file a draft
23 integrated electric gas bill along with draft inserts and
24 other communication material and requested that Centra
25 consult with brokers and CAC/MSOS.

1 Could you please provide a summary of
2 those consultations to the Board?

3 MR. VINCE WARDEN: Yes. Centra met with
4 representatives of CAC/MSOS on October 2nd, 2004 and
5 provided a presentation outlining the new bill format.
6 Comments provided by CAC/MSOS have been filed in this
7 proceeding in the response to an IR.

8 Centra also -- sorry, that is IR DIRECT-
9 MUNICIPAL/CENTRA-5-1.

10 Centra also held a conference call with
11 broker representatives on January the 7th, 2005. The
12 minutes of this meeting are included in the materials in
13 the response to DIRECT-MUNICIPAL/CENTRA-5(B).

14 Centra provided updated material in
15 Attachment 3 to Tab 13 of the Application, which included
16 the customer communication plan, delinquency messages and
17 notices, sample letters and notices, and status of the
18 new bill format and sample bills.

19 MS. MARLA MURPHY: Mr. Warden, natural
20 gas brokers, which Centra consulted with on this
21 initiative, requested that Centra include their logo and
22 bill messages to customers on Centra's bill. Can you
23 please discuss why this is not acceptable to Centra?

24 MR. VINCE WARDEN: Centra and Manitoba
25 Hydro are not able to accommodate this request, as the

1 new bill will be a combined one (1), which will include
2 charges for electricity, natural gas and other services.
3 Primary gas is only one (1) component of one (1) of the
4 services on the bill.

5 In addition of broker logos on the bill,
6 or bill messages from third parties could cause confusion
7 about who was providing other components and services.
8 Instead, Manitoba Hydro is of the view that the greatest
9 clarity can be achieved by identifying a broker name on
10 the primary gas line of the -- of the new Manitoba Hydro
11 bill.

12 MS. MARLA MURPHY: Mr. Warden, would you
13 please describe the status of the one (1) bill
14 initiative.

15 MR. VINCE WARDEN: In November 2005,
16 Manitoba Hydro will begin adding electricity customers to
17 the Banner Customer Information System. As natural gas
18 customers are already on the Banner system, we will begin
19 issuing one (1) bill for all services.

20 The one (1) bill initiative is expected to
21 be fully implemented by April of 2006.

22 MS. MARLA MURPHY: Thank you, Mr. Warden.
23 Mr. Wiens, would you please outline your areas of
24 responsibility with respect to this Application?

25 MR. ROBIN WIENS: Yes, good morning, Mr.

1 Chairman, Members of the Public Utilities Board. Good
2 afternoon, Mr. Chairman, Members of the Public Utilities
3 Board, ladies and gentlemen.

4 In my testimony I will be providing
5 evidence related to cost allocation, rate design, terms
6 and conditions of service. Specifically, I will be
7 responding to questions arising with respect to the
8 matters discussed in the evidence of RCM/TREE.

9 MS. MARLA MURPHY: Mr. Wiens, is Centra
10 proposing any changes to its rate design in this
11 Application?

12 MR. ROBIN WIENS: No, Centra is not
13 proposing any changes to its rate design in this
14 Application.

15 MS. MARLA MURPHY: And can you please
16 address the status of the review of the level of the
17 basic monthly charge directed by the Board in Order
18 131/04?

19 MR. ROBIN WIENS: Yes, since the PUB
20 issued Order 131/04, Centra has undertaken an analysis of
21 the basic monthly charge, including review -- reviewing
22 the levels of basic monthly charges in other
23 jurisdictions. Centra expects to be in a position to
24 file its report with the Public Utilities Board in August
25 of 2005.

1 MS. MARLA MURPHY: Mr. Wiens, could you
2 please describe the changes to the terms and conditions
3 of service, which Centra is seeking in this Application?

4 MR. ROBIN WIENS: Centra is seeking two
5 (2) changes to the terms and conditions of service in
6 this Application.

7 First, Centra is seeking approval of the
8 changes made to the wording related to the allocation of
9 partial account payments, arising out of Order 131/04.
10 Centra is also requesting approval of corresponding
11 changes to the terms and condition of billing and
12 collection service, most recently approved in Order
13 105/97, and which were directed in Order 131/04.

14 Secondly, with respect to the company
15 labour rates, Centra will provide the PUB with a schedule
16 of rates as requested in Order 131/04, for consideration
17 and approval. Centra requested in the Cost of Gas
18 Hearing in 2004, that the Public Utilities Board replace
19 the current approved miscellaneous service rate of fifty-
20 five dollars (\$55), with a reference to activity charges
21 to properly reflect the cost incurred by the company, in
22 providing these services.

23 In Order 131/04, the Board expressed the
24 view that it must approve all rates. Centra has
25 therefore compiled rates to reflect current charges, and

1 will seek approval of the same. Given the administrative
2 complexities associated with development of these rates,
3 it is not the company's intention to seek changes to
4 these rates on a quarterly basis.

5 Centra expects that this proposal will
6 simply provide the regulator a process such that Centra
7 will review the need for changes to these rates on an
8 annual basis only. Centra will file with the
9 Board its proposed schedule of rates tomorrow.

10 MS. MARLA MURPHY: Mr. Wiens, Mr. Weiss
11 on behalf of TREE/RCM has filed evidence suggesting the
12 incorporation of price signals with respect to
13 environmental and conservation concerns in Centra rate
14 design and the assessment of conservation programs.

15 Are you familiar with that evidence?

16 MR. ROBIN WIENS: Yes I am.

17 MS. MARLA MURPHY: Mr. Weiss has defined
18 marginal value of gas to consumers, or MVGC, to include
19 all of the normal costs of procuring transporting and
20 distributing natural gas that are included in Centra's
21 rates plus a notional value for environmental
22 externalities, avoided transmission and distribution
23 expansion costs and pecuniary opportunities and
24 recommends that Centra use this information in setting
25 rates and in a number of other policy areas, such as DSM

1 evaluation, main extension policies and fuel switching.

2 Could you please discuss Centra's position
3 regarding the use of MVGC in the setting of these rates?

4 MR. ROBIN WIENS: Yes, Centra does not
5 agree that the MVGC is currently an appropriate
6 consideration in determination of rates.

7 In making a decision to increase cost to
8 Centra's customer an adequate justification needs to be
9 provided. Centra believes that at least some of the
10 externalities identified in Mr. Weiss' evidence are
11 already incorporated into the market price of natural gas
12 through lease payments, resource royalty fees and taxes.

13 Manitoba Hydro already incorporates
14 consideration of greenhouse gases into its planning,
15 reporting and in DSM evaluations. Additional policy
16 treatment of greenhouse gasses should occur in the
17 context of federal Kyoto initiatives and should not be
18 taken in isolation of compliance in other Canadian
19 jurisdictions.

20 The existence or quantity of pecuniary
21 benefits is likewise insufficiently substantiated,
22 extremely difficult to quantify and certainly non-
23 existent unless provision is made for this factor all
24 across North America.

25 With respect to the inclusion of avoided

1 costs of transmission and distribution expansion, Mr.
2 Weiss' evidence does not provide any clear justification
3 for requiring Manitobans to pay incremental costs which
4 might occur in another jurisdiction.

5 In addition to the documented embedded
6 costs, they already pay for transportation and delivery
7 to them. It is difficult to conceive of any jurisdiction
8 that would require ratepayers to pay both the full
9 embedded costs and the full incremental costs of any
10 utility service.

11 It is noted that the incremental costs of
12 transportation and delivery are incorporated into
13 Centra's demand side management evaluation of programs
14 targeted at natural gas customers.

15 MS. MARLA MURPHY: Mr. Weins, Mr. Weiss
16 also recommends an inverted rate structure as a means to
17 implement his MVGC concept into Centra's rates. In order
18 to give the correct price signal without over collecting
19 revenues, Mr. Weiss recommends pricing only the marginal
20 usage at MVGC and pricing the remaining of base volume
21 usage at a lower rate.

22 Can you please comment on this
23 recommendation?

24 MR. ROBIN WIENS: Centra and Manitoba
25 Hydro are not opposed to the concept of inverted rates in

1 principle and where justified. However, Centra is not
2 convinced that inverted rates are justified in the case
3 of natural gas prices.

4 Unlike the current electricity price
5 structure, the price of the natural gas commodity fully
6 reflects its value in mature functioning markets. The
7 market price of gas embedded in rates and which was
8 adjusted quarterly, reflects marginal costs, including at
9 least some externalities and is therefore a good price
10 signal in itself and without requiring inverted rates.

11 Mr. Weiss' evidence does not convincingly
12 demonstrate the value of externalities or the existence
13 and value of so called pecuniary benefits which provide
14 the basis for concluding that marginal cost is higher
15 than market rate.

16 Much of Mr. Weiss' proposed added to
17 arrive at marginal costs, may actually be reflected in
18 the market price of natural gas or is more appropriately
19 dealt with in the context of Federal Kyoto compliance
20 plans which will, if properly developed and administered,
21 provide a level playing field for all fuels and all end
22 uses.

23 Further, the marginal cost of extending
24 the distribution system is either captured in Centra's
25 feasibility testing and contribution requirements or is

1 less than the average cost of distribution which is
2 recovered in the non-commodity portion of the rate
3 structure.

4 So, to embark on changes which involve
5 some very real costs to administer, such as changes in
6 billing routines, administration of decoupling accounts,
7 adverse impacts on customers with larger than average gas
8 consumption needs, without being confident in the
9 outcome, would not be prudent.

10 It is also important to note that the
11 infra-marginal use in Mr. Weiss' scheme would be priced
12 below marginal cost which has the potential, at any rate,
13 to send a truly inappropriate price signal to many of
14 Centra's customers.

15 MS. MARLA MURPHY: Mr. Weiss also
16 suggests that DSM costs should be considered to be akin
17 to a resource acquisition and allocated on a volumetric
18 basis including transportation customers; can you please
19 comment on this suggestion?

20 MR. ROBIN WIENS: Yes. There are a
21 number of implications associated with instituting a fee
22 to be recovered by all customers on an equivalent per
23 unit volumetric basis as suggested by Mr. Weiss.

24 Imposing an arbitrary tax, as he
25 describes, to all customers creates a cross-subsidy

1 between those who contribute to the program and those who
2 are eligible and able to gain access to the funds.

3 In fact, Mr. Weiss' proposal would cause a
4 number of customers to contribute a significant amount
5 and receive little or no benefit which leads to economic
6 inefficiency.

7 The imposition of such a tax is also
8 contrary to the longstanding principle of basing rates on
9 embedded costs espoused by Centra and endorsed by the PUB
10 over the past twenty (20) or more years in this
11 jurisdiction.

12 As Ms. Derksen will explain in her
13 evidence, Centra's proposal is to allocate DSM cost based
14 on the benefits expected to be received by each customer
15 class.

16 MS. MARLA MURPHY: Thank you, Mr. Wiens.
17 Mr. Kuczek, would you please outline your
18 areas of responsibility with respect to this panel?

19 MR. LLOYD KUCZEK: Good afternoon, Mr.
20 Chairman, members of the Public Utility Board, ladies and
21 gentlemen.

22 In my testimony I will be providing
23 evidence with respect to Centra's demand side management
24 program, the reports which have been filed with respect
25 to fixed price offerings and customer education.

1 I will also be addressing issues that will
2 arise with respect to the preparation of the load
3 forecast.

4 MS. MARLA MURPHY: Mr. Kuczek, Centra
5 recently filed its demand side management program will
6 operate in conjunction with the Manitoba Hydro DSM
7 program.

8 Could you please briefly describe the
9 program as it relates to Centra?

10 MR. LLOYD KUCZEK: The objective of
11 Manitoba Hydro's 2005 natural gas plan is to provide a
12 roadmap for the future direction of the Corporation's
13 natural gas conservation program designs.

14 The plan sets targets for achieving energy
15 efficiencies through various technologies and customer
16 service initiatives.

17 The plan replaces the preliminary natural
18 gas plan that was included in Manitoba Hydro's 2004
19 PowerSmart Plan and builds on the activities that have
20 already taken place to integrate natural gas DSM into
21 Manitoba Hydro's overall PowerSmart efforts.

22 In aggregate, Manitoba Hydro's 2004
23 PowerSmart plan represents the Corporation's first formal
24 integrated PowerSmart plan.

25 MS. MARLA MURPHY: Mr. Kuczek, could you

1 please advise the Board as -- as to the implementation
2 plans for the DSM program?

3 MR. LLOYD KUCZEK: The implementation
4 plan for -- for the natural gas plan is already ongoing
5 as an -- and is an integral part of implementing Manitoba
6 Hydro's overall PowerSmart plan.

7 Implementing the plan involves taking
8 steps to achieve those targets identified in the
9 PowerSmart plan which involve efforts and activities on
10 many fronts. For example, to mention a few, detailed
11 programs still need to be designed to achieve the targets
12 identified with specific technologies, partnerships with
13 trade allies and industry still need to be developed,
14 specific strategies need to be developed for achieving
15 energy efficiencies in hard to reach customer segments
16 including low income and first nation market segments.

17 Specific strategies and initiatives still
18 need to be developed for incorporating energy efficiency
19 standards into codes and standards. And as an ongoing
20 exercise, existing program designs need to be reassessed
21 on a regular basis in search of enhancement opportunities
22 for both -- both in terms of achieving additional energy
23 savings and for improving the effectiveness of program
24 designs.

25 In this regard, as better and more

1 information is obtained, Manitoba Hydro's PowerSmart plan
2 will be modified and updated with this information.

3 MS. MARLA MURPHY: Mr. Kuczek, in
4 addition to those items noted in the DSM report, is
5 Centra planning any initiatives to assist its low income
6 customers?

7 MR. LLOYD KUCZEK: Manitoba Hydro has
8 always considered the needs of low income customers.
9 These needs must continuously be reassessed to monitor
10 their compatibility with community needs and
11 expectations.

12 Recently Manitoba Hydro has undertaken a
13 number of steps to assist the low income customer segment
14 and intends on continuing to explore ways in which it can
15 provide further assistance to these customers.

16 In addition to the activities undertaken
17 to date, Manitoba Hydro is in the process of hiring a
18 dedicated staff person to focus on this market sector, is
19 currently researching best practices in low income
20 programs.

21 It is currently attending a national
22 conference focussed on low income assistance programs and
23 recently participated in a limited income housing
24 progress through partnership workshop sponsored by the
25 Winnipeg Housing and Homelessness Initiative.

1 MS. MARLA MURPHY: Mr. Kuczek, Mr. Weiss,
2 in his evidence, recommends that Centra should use the
3 MVGC, in its planning and evaluation of DSM Program
4 choices and investment level. Can you please comment on
5 that recommendation?

6 MR. LLOYD KUCZEK: Centra believes it is
7 appropriate to use the total resource cost as its primary
8 economic indicator for evaluating the effectiveness of
9 natural gas incentive based programs.

10 As Mr. Wiens pointed out, Centra believes
11 that -- that some of the externalities identified in Mr.
12 Weiss's -- Weiss's evidence are already incorporated into
13 the market price for gas and others are best dealt with
14 as part of the national Kyoto compliance measures, and
15 Provincial resource management measures.

16 To the extent that they are already
17 included in the market price, those costs are already
18 included in Centra's TRC calculation.

19 Mr. Weiss recommends, as a judgment call,
20 that Centra add 10 percent to the commodity cost to
21 account for issues that are difficult to estimate, if not
22 impossible to measure, such as price elasticity of demand
23 and indirect economic benefits to Manitoba.

24 Centra recognizes that in some regions a
25 factor of a range -- in the range of 10 percent has been

1 used to account for external factors, including
2 environmental considerations. These regions use a test
3 referred to as a societal test, or a modified TRC test,
4 which is simply a -- a modification to the TRC test that
5 we're using, with a 10 percent at or included in the
6 benefits component of the calculation.

7 Centra is proposing to include the value
8 of greenhouse gas emission reductions in the use of the
9 total resource costs for evaluating natural gas
10 efficiency programs. This value is more than half the 10
11 percent used by a few other regions that uses societal
12 test.

13 It's expected that the marginal
14 differential between the two (2) tests will result in
15 virtually no impact on the economic potential of energy
16 efficiency opportunities, as most of these opportunities
17 are not on the margin in terms of being economic.

18 Further, Centra intends to promote these
19 opportunities which are on the margin.

20 MS. MARLA MURPHY: Mr. Weiss recommends
21 that large industrial and commercial customers should be
22 allowed the opportunity to self direct a portion of DSM
23 funds. Can you please respond to that suggestion?

24 MR. LLOYD KUCZEK: Centra is of the view
25 that a self directed approach to DSM for industrial

1 customers in Manitoba would not be the most effective or
2 efficient option, for promoting natural gas conservation
3 in Manitoba, nor would it be in the customer's best
4 interest.

5 Manitoba Hydro's strategy is to design an
6 integrated electric and natural gas power smart plan
7 which involves promoting and offering customers
8 assistance from a systems and an eco-efficiency approach.

9 Unlike most other jurisdictions, Manitoba
10 Hydro has developed internal technical expertise in the
11 area of industrial energy efficiency, and this technical
12 advisory service is integrated into Manitoba Hydro's
13 customer relationship management philosophy.

14 Manitoba Hydro's approach captures the
15 knowledge and skills of both the industry and the
16 Corporation's technical staff by partnering with industry
17 in pursuit of energy efficiency opportunities.

18 This approach is -- is effective -- is
19 especially effective, as Manitoba Hydro has integrated
20 its industrial energy and conservation efforts with its
21 customer relationship management efforts.

22 The combined effort provides Manitoba
23 Hydro and its industrial customers with many
24 opportunities to identify and pursue energy efficiency
25 and efficient opportunities.

1 MS. MARLA MURPHY: Mr. Weiss recommends a
2 system of standard hookup charges and credits, to replace
3 the main extension feasibility test, with credits based
4 on the efficiency that the customer plans in terms of gas
5 usage. Can you please comment on this suggestion?

6 MR. LLOYD KUCZEK: As indicated in the
7 Corporation's 2004 Power Smart Plan, Manitoba Hydro is
8 currently assessing the merits of using service hookup
9 fees to encourage conservation efforts.

10 MS. MARLA MURPHY: Mr. Weiss also
11 recommends that Centra design a fuel switching program to
12 provide customers with information and perhaps incentives
13 to choose the most cost effective energy source. Can you
14 comment on this?

15 MR. LLOYD KUCZEK: Manitoba Hydro's DSM
16 efforts are focussed on promoting the efficient use of
17 energy. It is the Corporation's view that the fuel
18 choice is a customer's decision. Manitoba Hydro's role
19 in this regard is to provide customers with information
20 which will assist the customer in making a decision on
21 fuel choice.

22 Manitoba Hydro does -- does recognize that
23 there may be opportunities for the Corporation to include
24 other considerations into the customer's decision making
25 process, and is discussing the merits associated with

1 these types of initiatives.

2 These considerations include some of the
3 suggestions offered by Mr. Weiss, such as the benefits
4 which may be realized through increased export
5 electricity sales when customers choose to use natural
6 gas rather than electricity.

7 Manitoba Hydro is in the process of
8 assessing these opportunities, and expects to have these
9 completed during the current fiscal year.

10 MS. MARLA MURPHY: Mr. Kuczek, would you
11 please highlight for the Board the process Centra has
12 undertaken, leading to its report on Fixed Price
13 Offerings, and its conclusions?

14 MR. LLOYD KUCZEK: In connection with the
15 preparation of Centra's report on Fixed Priced Offerings,
16 Centra undertook consultations with CAC/MSOS, and
17 requested input from the broker industry.

18 The comments received from these parties
19 have been included in Centra's report. As requested by
20 the Board in the last Order, Centra has considered some
21 of the advantages and disadvantages of Centra offering
22 fixed price offerings, however, no conclusion has been
23 reached on whether the Corporation wishes to undertake
24 such an initiative.

25 At this time, Centra is not proposing any

1 change to the current -- current service -- service
2 offerings, nor is Centra seeking any approvals in this
3 Application arising out of this report.

4 MS. MARLA MURPHY: Mr. Kuczek, would you
5 please describe for the Board, the consultation process
6 which Centra undertook with regard to the topic of
7 customer education?

8 MR. LLOYD KUCZEK: In Board Order 131/04
9 the Public Utilities Board directed Centra to consult
10 with brokers and CAC/MSOS with respect to content and
11 focus of customer education and primary gas and other
12 related issues.

13 Centra held a number of informal
14 discussions with CAC/MSOS and organized an initial
15 conference call with the broker community. All parties
16 were invited to participate in these subsequent
17 conference calls to discuss the natural gas education
18 issues.

19 The group agreed on a process to move
20 forward over the next few months and will assess the
21 success of that process over the next year. The outcome
22 of those discussions is summarized in Centra's report.

23 MS. MARLA MURPHY: Thank you Mr. Kuczek.
24 Ms. Derksen, would you please outline your areas of
25 responsibility with respect to this Application?

1 MS. KELLY DERKSEN: Good afternoon, Mr.
2 Chairman, Members of the Public Utilities Board, Ladies
3 and Gentlemen.

4 In my testimony, I will be providing
5 evidence related to the 2005/06 and 2006/07 Cost
6 Allocation Study and the allocation of non-primary PGVA
7 and gas cost deferral account balances as at March the
8 31st, 2005 and the related customer bill impacts for the
9 various customer classes.

10 MS. MARLA MURPHY: Ms. Derksen, is the
11 cost allocation methodology used in connection with this
12 rate Application consistent with that used in previous
13 applications?

14 MS. KELLY DERKSEN: Yes it is. Centra is
15 not proposed any substantial changes in its approach to
16 cost allocation in this Application.

17 Centra has adapted its cost allocation
18 study to conform to a cost of service approach in
19 determining its revenue requirement. While the
20 appearance of Centra's cost allocation study has changed
21 no substantial changes have been made in the allocation
22 of costs. For example, previously Centra's return on
23 rate base which included both a debt and equity component
24 was allocated on the basis of rate base.

25 The move to a cost of service approach

1 replaces return on rate base with net income and finance
2 expense, both of which have been allocated on the basis
3 of rate base.

4 MS. MARLA MURPHY: Can you please
5 describe how the corporate allocation has been allocated
6 in rates?

7 MS. KELLY DERKSEN: The corporate
8 allocation is primarily finance costs for the acquisition
9 of shares of Centra Gas. Therefore, it is appropriate to
10 allocate corporate allocation on the basis of rate base
11 consistent with the allocation of net income and finance
12 expense.

13 MS. MARLA MURPHY: Can you please discuss
14 the allocation of unaccounted for gas or UFG following
15 Order 131/04?

16 MS. KELLY DERKSEN: Order 131/04 approved
17 a change in the allocation of unaccounted for gas or what
18 we know as UFG. Previously, Centra allocated UFA
19 volumetrically to each customer class with the SGS and
20 LGS classes allocation weighted by two (2) times their
21 annual volume.

22 In Order 131/04 the PUB approved Centra's
23 proposed UFG percentages except for the special contract
24 class. The PUB directed that the special contract
25 classes allocation of 5.7 percent UFG be reduced to 2.8

1 percent and the residual be split between the SGS and LGS
2 classes.

3 Centra has allocated UFG consistent with
4 the -- with the UFG percentages approved in Order
5 132/04.

6 MS. MARLA MURPHY: Ms. Derksen, could you
7 please outline for the Board how you've allocated DSM
8 program costs?

9 MS. KELLY DERKSEN: Centra's 2005/06
10 General Rate Application describes the DSM program that
11 Centra will undertake in 2005/06 and describes the
12 proposed amortization of the program costs over a fifteen
13 (15) year period beginning April the 1st, of 2006.

14 Due to the deferred nature of the cost
15 treatment there is no recovery of DSM costs included in
16 Centra's base rates for the 2005/06 year even though the
17 program will be introduced at that time.

18 The DSM program was -- is directed to
19 specific target markets. Not all customer classes will
20 participate in an equivalent manner in the early stage of
21 the program.

22 In the 2005/06 and 2006/07 test periods it
23 is expected that 50 percent of the program budget will be
24 targeted toward commercial end use applications and 50
25 percent of the budget will be directed to residential

1 customers.

2 As such, Centra intended that the DSM
3 costs in 2006/07 be only allocated to the SGS and LGS
4 customer classes. Through the process of preparing the
5 2006/07 cost allocation study, Centra inadvertently
6 allocated a small amount of costs related to DSM to the
7 larger volume customer classes as found on Schedule
8 10.2.5, page 3 of 6.

9 While this amount is immaterial and does
10 not affect the bill impact calculations, Centra does
11 intend on updating the calculation in conjunction with
12 the determination of final August 1st, 2005 rates
13 assuming PUB approval.

14 MS. MARLA MURPHY: Ms. Derksen, could you
15 please describe the allocation of cost to the primary gas
16 rate?

17 MS. KELLY DERKSEN: Certainly. The
18 primary gas base rate may be broken into two (2)
19 components. By far the largest component representing
20 over 99 percent of the base rate is the cost of the
21 commodity itself.

22 This cost component is dealt with through
23 the quarterly rate setting mechanism for the primary gas
24 applications. For purposes of cost allocation in this
25 application, Centra's included an estimate of its cost

1 which is used to drive allocations within the cost
2 allocation study but not to set rates.

3 A second component of the primary gas base
4 rate includes some minor non-gas costs. This component
5 of the primary gas base rate is known as the primary gas
6 overhead rate.

7 In this Application Centra is seeking to
8 increase the non-gas cost component of the primary gas
9 base rate from a dollar, forty-five (\$1.45) per ten (10)
10 three (3) M-3's to a dollar, seventy-three (\$1.73) per
11 ten (10) three (3) M-3's on August 1st of 2005 and then
12 to a dollar, eighty-four (\$1.84) per ten (10) three (3)
13 M-3 on May 1st of 2006.

14 As identified in the response to
15 PUB/CENTRA-90, costs related to procuring natural gas,
16 gas accounting, regulatory and other operating and
17 administration costs as well as working capital which
18 drive the allocation of rate base costs, such as taxes,
19 finance expense, corporate allocation and income, are
20 allocated to the primary gas rate.

21 MS. MARLA MURPHY: Ms. Derksen, could you
22 please explain for the Board why Centra allocates these
23 costs as they do?

24 MS. KELLY DERKSEN: The current
25 allocation of non-gas costs to the primary gas rate

1 reflects policy decisions that were made at the WTS
2 hearing in 2000 that resulted in Order 19/00.

3 Centra's position at the WTS hearing was
4 that choice in natural gas supply was to the benefit of
5 all customers regardless of that choice made, be it
6 system supply or be WTS service.

7 Based on this policy decision, Centra
8 proposed the majority of costs of providing the primary
9 gas service and all of the costs of administering WTS
10 service would be collected from all customers through the
11 distribution rate.

12 It is for this reason that Centra did not
13 recommend a separate WTS or ADC fee to the brokers. With
14 the former bi-cell program, brokers paid fees of
15 approximately a hundred and thirty-three dollars (\$133)
16 per contract per month and fourteen point seven, two
17 (14.72) cents per customer per month.

18 In Order 19/00 the PUB approved Centra's
19 proposed treatment of the costs of providing primary gas
20 service and administering WTS service. The Board -- the
21 PUB also accepted Centra's proposal not to have a WTS fee
22 but directed that the nominal -- a nominal ADC fee which
23 was ultimately set at twenty-five (25) cents per customer
24 per month be instituted to cover some of the costs of
25 billing on behalf of brokers.

1 It is as result of these decisions made in
2 Order 19/00 that most of the indirect costs related to
3 the provision of primary gas service are recovered in the
4 distribution rate and only some of the direct costs are
5 included in the primary gas rate.

6 It is also the reason that Centra does not
7 have a separate WTS fee as is common in other
8 jurisdictions.

9 MS. MARLA MURPHY: Ms. Derksen, would you
10 please outline the rate riders that Centra is proposing
11 in this Application?

12 MS. KELLY DERKSEN: Centra's proposing to
13 implement three (3) types of rate riders in conjunction
14 with the 2005/06 and 2006/07 General Rate Applications.

15 The first set of rate riders disposes of
16 balances in all non-primary gas PGVA's and gas cost
17 deferral accounts as of March the 31st of 2005, including
18 carrying costs and rate rider amortizations to July the
19 31st of 2005. These balances were updated as part of
20 Centra's April the 29th, 2005 filing, and reflect actual
21 information to the end of February of 2005, and forecast
22 information to March -- for March of 2005.

23 The result of the update is to refund to
24 customers, approximately six hundred and seventy thousand
25 dollars (\$670,000), as is summarized in Schedule 11.4.1.

1 The non-primary gas rate riders are
2 proposed to be implemented on August the 1st of 2005, and
3 will be disposed of over a twelve (12) month period, to
4 expire on July the 31st of 2006, as is shown on the
5 attachment to CAC/CENTRA-73.

6 The second rate rider, termed the
7 Reconciliation Rider, has been established to reconcile
8 the differences on a class by class basis, between the
9 non-gas cost portion of the interim base rates that were
10 implemented on February the 1st of 2005, and the non-gas
11 cost portion of the base rate -- base rates that are
12 proposed for August the 1st of 2005.

13 The reconciliation rider has been
14 calculated to be disposed of over a nine (9) month
15 period, beginning August the 1st, 2005, and ending on
16 April 30th of 2006.

17 Centra has proposed to dispose of the
18 reconciliation rider attributable to supplemental gas,
19 through the distribution to customer charge, consistent
20 with the treatment of the supplemental PGVA, for all
21 customer classes except the interruptible class.

22 Centra is proposing a separate line item
23 on the bill, for the interruptible class that includes
24 the supplemental PGVA, as well as the supplemental gas
25 reconciliation rider.

1 A third rate rider called the Rate Delay
2 Rider, has been calculated. Rather than implementing new
3 rates effective April the 1st of 2006, to coincide with
4 the beginning of Centra's 2006/07 fiscal year, Centra's
5 proposing to delay the implementation until May the 1st
6 of 2006. This will avoid another rate change between the
7 planned primary gas changes on February the 1st and May
8 the 1st of 2006.

9 The difference in the revenues as a result
10 of this one (1) month delay is approximately nine hundred
11 and seventy thousand dollars (\$970,000) owing to Centra.

12 It is Centra's preference to recover the
13 rate delay rider over fifteen (15) months, rather than
14 the remaining eleven (11) months of the '06/'07 test
15 year, to synchronize it with the expected expiration of
16 non-primary gas PG -- non-primary gas rate riders on
17 August the 1st of 2007.

18 MS. MARLA MURPHY: Ms. Derksen, can you
19 please explain for the Board how the reconciliation rider
20 was calculated?

21 MS. KELLY DERKSEN: The interim rates
22 that were put in place on February the 1st of 2005, were
23 not based on a full cost allocation study. Rather the
24 required \$12 million increase in non-gas revenues was
25 apportioned between the rate classes on the basis of the

1 2003/04 approved revenue requirement for each class,
2 excluding primary and supplemental gas.

3 Centra stated that it intended on
4 reconciling the difference between the non-gas costs
5 embedded in February 1, 2005 rates, and what ultimately
6 flowed from the cost allocation study.

7 Centra has calculated this rate rider by
8 determining the difference and expected revenues
9 generated by the non-gas cost portion of each base rate
10 established on February 1, and the non-gas cost portion
11 of each base rate that flows out of the full Cost
12 Allocation Study.

13 Given that non-gas costs are embedded in
14 each rate component, including primary and supplemental
15 gas, as well as the basic monthly charge, if approved,
16 all the rate components will be impacted by the
17 reconciliation rider.

18 MS. MARLA MURPHY: Thank you, Ms.
19 Derksen. Mr. Rainkie, would you please outline your
20 areas of responsibility with respect to this Panel?

21 MR. DARREN RAINKIE: Good afternoon Mr.
22 Chairman, Members of the Public Utilities Board, Ladies
23 and Gentlemen.

24 In my testimony on this Panel I will be
25 giving evidence with respect to the rate approvals Centra

1 is requesting in its Application and responding to
2 questions relating to Centra's feasibility and main
3 extension tests as raised by TREE/RCM in their evidence.

4 MS. MARLA MURPHY: Mr. Rainkie, could you
5 please explain to the Board how Centra intends to
6 implement the approved non-gas revenue requirement for
7 the 2006/07 test year?

8 MR. DARREN RAINKIE: Certainly. Centra
9 intends to adjust the non-gas portion of any rates
10 impacted by the 2006/07 non-gas revenue requirement
11 approved by the Board and embed them in the rates applied
12 for the in May 1st, 2006 correlated primary gas rate
13 adjustment.

14 As such, on May 1st, 2006, Centra proposes
15 to change both the primary gas costs and the non-gas
16 costs. Centra expects that the non-primary gas costs
17 will be adjusted on August 1st, 2006 flowing from a
18 2006/07 cost of gas application to be filed next year.

19 MS. MARLA MURPHY: Mr. Rainkie, in his
20 evidence, on behalf of TREE/RCM, Mr. Weiss outlined the
21 number of concerns with respect to Centra's main
22 extension policy.

23 Could you please briefly outline how
24 Centra's main extension test works?

25 MR. DARREN RAINKIE: As was discussed

1 last week with Mr. Peters, Centra uses the same
2 feasibility test for main extensions as it does for out
3 of franchise expansions.

4 The feasibility test is a thirty (30) year
5 net present value test. The feasibility test has two (2)
6 requirements or criteria that must be met to ensure that
7 the extension does not unduly impact existing customers
8 and is indeed feasible.

9 First, the present value of the revenue
10 from the extension have to be equal to or greater than
11 the present value of the costs over the thirty (30) year
12 test period, thus producing a net present value that
13 leaves zero over that timeframe.

14 Secondly, that the extension -- that the
15 extension achieves a revenue to cost ratio of at least
16 one point zero (1.0) or 100 percent by the fifth year of
17 the extension and as such the revenues are sufficient to
18 cover the cost from the point forward.

19 If the revenues of the extension are
20 adequate to cover the cost and meet the two (2) criteria
21 then no financial contribution from the customer is
22 required. If, however, the revenues of the extension are
23 insufficient to cover the costs and meet the two (2)
24 criteria that I just talked about, then the test
25 calculates a financial contribution required from that

1 customer.

2 MS. MARLA MURPHY: Mr. Weiss is concerned
3 that the main extension feasibility test should not
4 include total revenues only the margin. Can you please
5 respond to that concern?

6 MR. DARREN RAINKIE: Centra includes both
7 the total revenues and the cost of gas in its feasibility
8 test and as such, it is indeed the margin that is derived
9 from the test that is compared against the non-gas costs
10 in accessing the feasibility of the extension and the
11 resulting contribution, if any.

12 MS. MARLA MURPHY: Mr. Weiss also
13 expresses concern that Centra's main extension policy is
14 asymmetric in that it only ensures that there's no under-
15 collection related to a new extension and does not pay
16 monies to a new customer whose projected incremental
17 revenue is in excess of the incremental cost to serve it.

18 Can you please respond to that concern?

19 MR. DARREN RAINKIE: Centra notes that
20 there are some circumstances in which refunds are issued
21 to customer who initially pay a contribution and
22 subsequently generate more revenue than was originally
23 assumed in the feasibility test.

24 As such, Centra assumes that Mr. Weiss'
25 concern relates only to those customers who have not made

1 the Book of Documents, that you probably hoped you
2 wouldn't have to refer to again, is a copy of your
3 schedule 3.0.0.

4 Have you found that sir?

5 MR. DARREN RAINKIE: It's etched in my
6 mind, Mr. Peters.

7 MR. BOB PETERS: Well, then you won't
8 have to refer to the paper, Mr. Rainkie, although it's
9 not a memory test.

10 Schedule 3.0.0. What -- what you've done
11 in your previous appearances in the last couple of weeks
12 before this Board is you've asked the Board to award a
13 revenue requirement of five hundred and fifty-eight
14 million and eighty-eight thousand (\$558,088,000) to the
15 Utility to be recovered through the rates that this
16 Panel's going to speak to; would that be correct?

17 MR. DARREN RAINKIE: I think that's
18 correct, Mr. Peters. Keep in mind that the cost of gas
19 number that we have on this schedule includes both a
20 refresh number on the primary gas side which we won't
21 intend to implement in this Application, which we will
22 refresh each quarter in our primary gas Application.

23 So, what I prefer to do is to take the 558
24 million and the 575 million and back off the cost of gas
25 number and talk about the -- the non-gas costs that we

1 are asking for as the net number. And then another
2 schedule, Schedule 9.1.4 provides the calculation of the
3 non-primary gas costs that we're looking for.

4 So -- so, just to summarize, Mr. Peters,
5 through all of that, really this Application is about
6 changing non-gas costs and changing the non-primary gas
7 costs. The primary gas costs forecast that we provide is
8 really just for the Board's information as to the current
9 level of cost expected in the next test year.

10 MR. BOB PETERS: If the Board follows
11 your suggestion, Mr. Rainkie, and they subtract the cost
12 of gas from the total revenue requirement found on Line
13 23, and let's pick column 1, it would be one hundred and
14 twenty-nine million five hundred and forty-two thousand
15 (\$129,542,000) required of non-gas costs, correct?

16 MR. DARREN RAINKIE: That's correct, Mr.
17 Peters.

18 MR. BOB PETERS: And then you want the
19 Board to add to that amount from Schedule 9.1.4 which, I
20 think, is also in this book of documents, the -- the
21 amounts on account of non-primary gas costs, correct?

22 MR. DARREN RAINKIE: That's correct, sir.

23 MR. BOB PETERS: And that's found at Tab
24 3 of the Book of Documents?

25 MR. DARREN RAINKIE: That's correct, Mr.

1 Peters.

2 MR. BOB PETERS: And, again, the -- the
3 supplemental gas on line 2, the transportation on line 3
4 and the distribution on line 4 are the only three (3)
5 items from that schedule that you want then carried
6 forward to the non-gas costs from the previous schedule
7 that we've just talked about?

8 MR. DARREN RAINKIE: That's correct, sir.

9 MR. BOB PETERS: All right. I've got
10 your point on that.

11 Mr. Kuczek, there are, once you know what
12 money the Corporation is seeking, you also have to then
13 decide how you're going to recover it and one (1) of
14 those steps is to determine the customer count and the --
15 and the volumes; would that be correct?

16 MR. LLOYD KUCZEK: I'm sorry, you're
17 going to have to repeat that?

18 MR. BOB PETERS: Are you -- you're
19 conversant on this Panel with customer and annual sales
20 volume forecasts; would that be correct?

21 MR. LLOYD KUCZEK: That's correct.

22 MR. BOB PETERS: And so when it comes
23 time to consider and start building up the amounts we
24 want -- the Corporation wants in rates, you have to
25 compile your customer and volume forecasts, correct?

1 MR. LLOYD KUCZEK: That's correct. I
2 have to apologize, I was reading when you were asking
3 questions earlier.

4 MR. BOB PETERS: That's okay. I should
5 sometimes do more of that before I ask the question.
6 So, it seemed from the materials that
7 there were two (2) different approaches that you used for
8 those customer and volume forecasts; would that be
9 correct?

10 MR. LLOYD KUCZEK: That's correct.

11 MR. BOB PETERS: And the two (2)
12 different methods for the SGS class and the LGS, you
13 would take a regression analysis and -- and figure out a
14 month by month what is your customer and volume
15 forecasts?

16 MR. LLOYD KUCZEK: That's correct.

17 MR. BOB PETERS: And that's been done
18 historically has it, Mr. Kuczek, from 1996 to 2004?

19 MR. LLOYD KUCZEK: I can't speak to prior
20 to us purchasing Centra.

21 MR. BOB PETERS: All right. So, since
22 you've purchased Centra that's the way it's been done?

23 MR. LLOYD KUCZEK: That's my
24 understanding but I'd have to check. That's the way it's
25 been done for the last few years.

1 MR. BOB PETERS: All right. And when we
2 get to the larger volume customers, those would include
3 the mainline customers, the high volume firm, the
4 interruptible and the special contract?

5 MR. LLOYD KUCZEK: That's correct.

6 MR. BOB PETERS: And how do you calculate
7 their customer numbers and volume forecasts?

8 MR. LLOYD KUCZEK: The approach is -- it
9 uses a regression analysis as well but it's more on an
10 account by account basis. We use, on the SGS and LGS, we
11 only go back -- we go back eight (8) years and use
12 historical data.

13 With the large industrial customers, we
14 use the past three (3) years and we come up with the
15 average monthly usage of those customers and then we go
16 out and we talk to those customers and we get more
17 detailed information on what those customers are planning
18 do to in their businesses in the next couple of years and
19 we take that into account in our forecasts.

20 Beyond that, we use regression analysis to
21 forecast the monthly average use of those customers based
22 on regression analysis, with the real GDP as the
23 predictive indicator.

24 MR. BOB PETERS: Once you've done that,
25 sir, you have to then take into account some estimate as

1 to how many of those customers will become direct
2 purchase or WTS customers; would that be correct?

3 MR. LLOYD KUCZEK: That's correct.

4 MR. BOB PETERS: And how do you -- how do
5 you come to that conclusion?

6 MR. LLOYD KUCZEK: We -- we basically
7 look at what the historical trends have been, and we also
8 take into account other information that we have on hand,
9 and come up with a forecast based on basically the best
10 available information at hand, looking forward.

11 MR. BOB PETERS: In that answer, sir,
12 looking at historical trends and also then looking at any
13 matters into the future, have you anything in this
14 Application to suggest to the Board that the number of
15 customers utilizing WTS service will -- will change over
16 the historic information?

17 MR. LLOYD KUCZEK: It's an interesting
18 challenge for the forecaster, because we don't know where
19 the market with the customers signing up with WTS service
20 is going.

21 Based on the information we have looking
22 historically, the trends are showing that there's going
23 to be increased customers signing up with WTS service.
24 However, we have market research that suggests that it
25 can go in either direction.

1 The market research that we have was I
2 believe filed with PUB last year, indicated that a number
3 of customers that are currently signing up with brokers,
4 there's 41 percent of them based on that market research.

5 I believe they signed up with Manitoba
6 Hydro and aren't taking service from brokers. So we're
7 not sure if those customers would continue with the
8 brokers, and not going into -- into the future.

9 Based on that market information, we also
10 know that only 13 percent of the customers prefer to have
11 a hedged product greater than what's offered by Mani --
12 or Centra's current offering. And the number of
13 customers that are currently signed up today is 17
14 percent in the residential, or as residential market.

15 So, based on all that information, we
16 really don't know if the number of people -- customers
17 signing up with WTS service is going to increase or
18 decrease going forward. So what we decided to do was
19 just assume going forward that it is what it is today,
20 and that's our best guess.

21 MR. BOB PETERS: And is it correct it was
22 17 percent of your SGS customers are WTS customers?

23 MR. LLOYD KUCZEK: That's correct.

24 MR. BOB PETERS: And 7 percent of your
25 LGS customers are WTS customers?

1 MR. LLOYD KUCZEK: Correct.

2 MR. BOB PETERS: In the second year of
3 the -- or the second test year that's before the Board,
4 do you include those same assumptions in terms of the
5 number of customers that will be on WTS service, the same
6 percentages?

7 MR. LLOYD KUCZEK: Correct.

8 MR. BOB PETERS: Once you've got the
9 number of customers, how do you determine the average use
10 for these LGS and SGS customers?

11 MR. LLOYD KUCZEK: We look at historical
12 average uses of the two (2) different separate customer
13 classes, and we use that -- those averages to assume and
14 forecast that the same monthly averages will be -- will
15 continue into the future. So, we used historical --
16 historical data that provides us with information on the
17 average use of the two (2) different customer classes,
18 WTS and system supply and forecast the same average use
19 going forward.

20 MR. BOB PETERS: And once you forecast
21 the average use going forward, that's on a monthly basis,
22 is it?

23 MR. LLOYD KUCZEK: Correct.

24 MR. BOB PETERS: And then you'd convert
25 that to annual basis by determining the number of

1 customers you forecast, and multiplying it by that
2 monthly volume consumption that you've estimated?

3 MR. LLOYD KUCZEK: Correct.

4 MR. BOB PETERS: When you forecast your
5 future volumes, you also have to take into account
6 there'll be some conservation efforts made, correct?

7 MR. LLOYD KUCZEK: Yes, that's taken into
8 account.

9 MR. BOB PETERS: Are you using the
10 historic conservation amounts, or are you projecting
11 greater conservation amounts in this Application?

12 MR. LLOYD KUCZEK: We're actually
13 projecting greater conservation efforts going forward.

14 MR. BOB PETERS: And that's based on the
15 DSM programs that you're going to institute, not being
16 successful?

17 MR. LLOYD KUCZEK: No, actually just the
18 way the market has changed over the -- the past number of
19 years, we've noticed the decrease in average use with --
20 without any gas DSM, and this is due to a number of
21 reasons, including our Manitoba Hydro's PowerSmart
22 efforts I'm sure influencing those customers, the natural
23 gas prices influencing the customers and possibly other
24 factors influencing those customers.

25 MR. BOB PETERS: Well, you call it --

1 it's gas -- you don't want to call it DSM because you
2 don't have a formal program for it up until now?

3 MR. LLOYD KUCZEK: We didn't have a
4 formal program, but we had a number of customer service
5 initiatives that were promoting conservation or energy
6 efficiency with natural gas use.

7 MR. BOB PETERS: So, it would be
8 conservation by default then under those other programs
9 not specifically under a gas DSM program?

10 MR. LLOYD KUCZEK: Correct.

11 MR. BOB PETERS: When it comes time to
12 determine the annual volumes for the mainline, the high
13 volume firm and the interruptible classes, as well as the
14 special contract customer, how do you do that?

15 MR. LLOYD KUCZEK: How do we determine
16 the volumes?

17 MR. BOB PETERS: Yes for the larger
18 volume customers?

19 MR. LLOYD KUCZEK: Okay, I think I
20 answered that question actually.

21 MR. BOB PETERS: For the -- specifically
22 for these customers are there -- are there interviews
23 done?

24 MR. LLOYD KUCZEK: Yes, actually we
25 talked to each of the individual customers and inquire

1 into what their business plans are and expected volume
2 uses are on an individual basis and take that into
3 account along with the historical information and
4 forecast into the future.

5 MR. BOB PETERS: As a result of those
6 interviews -- we're talking here about a hundred and
7 fifty (150) customers, correct, in those higher volume
8 classes?

9 MR. LLOYD KUCZEK: A hundred and forty-
10 three (143) I believe, or a hundred and forty-four (144)
11 plus the two (2) Manitoba Hydro generating stations plus
12 Simplot.

13 MR. BOB PETERS: So, a hundred and forty-
14 seven (147) customer then?

15 MR. LLOYD KUCZEK: Correct.

16 MR. BOB PETERS: And in doing those
17 interviews are there any specific downsizing factors that
18 have come to your attention that are included in the
19 forecasting of volumes?

20 MR. LLOYD KUCZEK: I would have to check,
21 I'm not sure if there are or not. I don't believe there
22 are, but, I would have to check that.

23 MR. BOB PETERS: Is the conservation
24 amongst the higher volume customers comparable to what it
25 was before the test year or are you forecasting increased

1 conservation by these higher volume customers?

2 MR. LLOYD KUCZEK: The conservation
3 efforts that were forecasting is on SGS and LGS
4 customers. The forecast that we have with our large
5 industrial customers doesn't take into account increased
6 conversation effort on their part.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: Would it be correct, Mr.
11 Kuczek, to that your forecasting approach in this GRA is
12 unchanged from the last hearing related to this matter?

13 MR. LLOYD KUCZEK: General methodology is
14 the same, correct.

15 MR. BOB PETERS: And in terms of the
16 historic results compared to what you're forecasting,
17 average use has gone down and that's due to this -- I'll
18 call it inadvertent DSM, if you will, or non-targeted
19 DSM.

20 MR. LLOYD KUCZEK: Well, some of it
21 actually is, well, I'm not sure if you want to call it
22 targeted. But, it is targeted in the sense that we do
23 provide customers with the information, with those --
24 under those customer service programs to help them or
25 assist them in implementing energy efficiency measures.

1 Some of those could be -- or do include high efficiency
2 furnaces, putting in insulation and other measures;
3 caulking, weatherstripping.

4 MR. BOB PETERS: Do I take from those
5 answers, sir, that the average use of all customer
6 classes is generally on the decline, at least slightly?

7 MR. LLOYD KUCZEK: SGS and LGS, correct.
8 Large industrial customers, I don't think it's
9 necessarily on the decline. We've been helping those
10 customers through our PowerSmart efforts for a number of
11 years. So when you say on the decline, I don't think
12 that's necessarily true.

13 MR. BOB PETERS: When the sales volumes
14 then are estimated you still have to get that energy from
15 wherever you're buying it to Manitoba, correct?

16 MR. LLOYD KUCZEK: Correct.

17 MR. BOB PETERS: And once the sales
18 volumes are calculated by Centra how are the volumes that
19 Centra must purchase determined?

20 MR. LLOYD KUCZEK: Now, we're outside of
21 my area of responsibility. We pass that onto to the
22 supply side departments and they're responsible for it.

23 MR. BOB PETERS: All right. Do you have
24 any responsibility for the unaccounted for gas portion?

25 MR. LLOYD KUCZEK: For estimating it,

1 yes.

2 MR. BOB PETERS: And you develop the
3 estimate?

4 MR. LLOYD KUCZEK: Correct.

5 MR. BOB PETERS: And what is the estimate
6 that you're using in this Application?

7 MR. LLOYD KUCZEK: I don't recall the
8 specific number but it's around 1 percent.

9 MR. BOB PETERS: Is that relatively the
10 same as it was last time you were before the Board?

11 MR. LLOYD KUCZEK: I believe so.

12 MR. BOB PETERS: In addition to the
13 unaccounted for gas, fuel gas is also factored into the
14 equation?

15 MR. LLOYD KUCZEK: Correct.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: Ms. Derksen, in the cost
20 allocation process, you're provided with the costs of the
21 utility that you have to then run through your cost
22 allocation model; would that be correct?

23 MS. KELLY DERKSEN: Yes, it is, Mr.
24 Peters.

25 MR. BOB PETERS: And when the costs are

1 provided to you, Ms. Derksen, is it a general ledger
2 breakdown or is it in some other fashion that it's
3 provided to you?

4 MS. KELLY DERKSEN: I would say, for all
5 intents and purposes, what you have in the Application
6 before you in Volume I is generally what I get. I get a
7 little bit more specific information on the operating and
8 maintenance side of things.

9 I get a -- a -- I guess, a program
10 breakdown of each of the programs that compile to the
11 \$54.1 million and I am able then to assign costs to each
12 of the customer classes on that basis.

13 MR. BOB PETERS: Once you get the costs,
14 Ms. Derksen, you functionalise all of the upstream costs
15 into one (1) of six (6) categories as I understand the
16 materials?

17 MS. KELLY DERKSEN: I would actually say
18 the upstream costs get functionalized to the upstream
19 functions; those being production, pipeline and storage.

20 MR. BOB PETERS: And then the downstream
21 costs of -- get into transmission, distribution and
22 onsite?

23 MS. KELLY DERKSEN: Generally speaking,
24 Mr. Peters, but I guess I should qualify that some of
25 what we would generally say is downstream costs get

1 embedded in our upstream functions. For example, some of
2 -- which I'm sure we'll talk a lot about, Mr. Stephens'
3 area of responsibility who's responsible to procure
4 natural gas, some of the operating and maintenance
5 expenses associated with that department find their way
6 into the upstream functions.

7 MR. BOB PETERS: Is that the only
8 exception that you can think of?

9 MS. KELLY DERKSEN: No, sir. There are
10 many. There are a number of operating expenses. There
11 are a number of rate base items, taxes, depreciation and
12 so forth find their way in the upstream functions.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: Once you've
17 functionalised those upstream and downstream costs, Ms.
18 Derksen, you then will classify them into one (1) of
19 three (3) categories; would that be correct?

20 MS. KELLY DERKSEN: Yes, sir.

21 MR. BOB PETERS: And one of those
22 categories is called "commodity"?

23 MS. KELLY DERKSEN: Yes.

24 MR. BOB PETERS: Are those costs anything
25 other than the -- the gas commodity that is purchased?

1 (BRIEF PAUSE)

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. KELLY DERKSEN: I believe the majority of the costs related -- that get classified as commodity related or energy related are the commodity -- the actual costs of the molecules itself.

There may be some other minor costs that are variable in nature that may be classified as commodity, but at the top of my head I couldn't think of one.

MR. BOB PETERS: Those other costs would be variable in proportion to the volume of gas that's purchased?

MS. KELLY DERKSEN: Yes, sir.

MR. BOB PETERS: All right. In terms of the second classification, that's known as customer costs?

MS. KELLY DERKSEN: Yes.

MR. BOB PETERS: And those costs are directly affected by the number of customers attached to Centra's system?

MS. KELLY DERKSEN: Yes, sir.

MR. BOB PETERS: And the third classification is that of capacity which would affect costs that are -- or include costs that are needed to

1 meet the peak supply of the Utility?

2 MS. KELLY DERKSEN: Correct, sir.

3 MR. BOB PETERS: Do I take it that each
4 and every aspect and element of the revenue requirement
5 would then be functionally classified by the time you get
6 to the end of the classification stage?

7 MS. KELLY DERKSEN: Yes, sir.

8 MR. BOB PETERS: And all that's left
9 after the classification then, is to allocate those
10 functionally classified costs into the appropriate
11 customer classes?

12 MS. KELLY DERKSEN: Yes, that's true.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: And the commodity costs
17 would be allocated based on the relevant volumes for an
18 appropriate time period for both system WTS and T Service
19 customers?

20 MS. KELLY DERKSEN: Generally speaking
21 you could look at it that way, but keep in mind that we
22 have, kind of almost two (2) streams or two (2) different
23 pools of commodity costs.

24 These days we have the primary gas costs,
25 which are set through the quarterly rate mechanism, and

1 that's just pooled as one (1) lump sum amount. It's
2 divided by total annual volumes that we anticipate to
3 meet for an upcoming period. And so everyone pays the
4 same price. So it's not allocated in -- in a traditional
5 sense.

6 There are other gas costs that we incur,
7 and those would relate to say supplemental, for example,
8 or some of the fixed upstream costs that we incur in
9 transporting natural gas from Alberta, for example, to
10 Manitoba. And so I -- I kind of view them as in two (2)
11 different camps.

12 MR. BOB PETERS: Those costs that you
13 have functionally allocated considered to be customer
14 costs, are allocated on the basis of the number of
15 customers in each class?

16 MS. KELLY DERKSEN: Again, I -- I need to
17 say generally speaking. For example -- and the reason I
18 need to say that is, for example, we do a fairly in depth
19 review of our meters and our -- and our service lines on
20 a customer's property to -- to be able to identify what
21 meters belong to what customers, what service lines
22 belong to what customers.

23 We then are able to get information from
24 our plan accounting folks, that provides the cost per
25 meter, for example, or for service -- for the service

1 line. And so while customers do drive the allocation of
2 meters and services, we also have to take into account
3 cost, because a cost of a residential meter is much less
4 than a cost for an industrial meter, for example.

5 MR. BOB PETERS: Okay. Thank you for
6 that. Those functionally classified capacity costs go
7 down to the customer classes based on the peak and
8 average use by the class?

9 MS. KELLY DERKSEN: Yes, that's true.

10 MR. BOB PETERS: And how long have you
11 used the peak and average methodology for allocating
12 costs for capacity matters?

13 MS. KELLY DERKSEN: Sir, the peak and
14 average methodology was implemented flowing out of the
15 1996 Generic Cost Allocation Proceeding. So I believe
16 the first test period that it was used was for the 1997
17 General Rate Application.

18 MR. BOB PETERS: And based on what Mr.
19 Rainkie has told us this afternoon, the rates that are up
20 for being changed as a result of the Application that's
21 now before the Board, would be the supplemental gas
22 rates, the transportation to Centra rates, the
23 distribution rate as well as for some customer classes,
24 the basic monthly charge?

25 MS. KELLY DERKSEN: Yes, and I would add

1 that there's a small piece in the primary gas component
2 on the bill that I outlined in my direct evidence, that I
3 refer to as the primary gas overhead component, and
4 that's the non-gas cost piece of the primary gas rate,
5 which is also an issue at this Hearing.

6 MR. BOB PETERS: Thank you for reminding
7 me; that was the 1 percent factor that you mentioned,
8 correct?

9 MS. KELLY DERKSEN: Yes, I think it was
10 actually less than 1 percent of the primary gas base
11 rate, but, true.

12 MR. BOB PETERS: And just -- you drew the
13 Board's attention in your direct evidence to PUB/CENTRA
14 Information Request Number 90, and the evidence that you
15 provided the Board, Ms. Derksen, didn't seem to be --
16 line up quite with that Information Request.

17 I wonder if you could bring that out?

18

19 (BRIEF PAUSE)

20

21 MS. KELLY DERKSEN: I have it sir.

22 MR. BOB PETERS: The numbers in PUB-90
23 would have been updated on your buff coloured pages, when
24 you filed the cost of gas update, would that be correct?

25 MS. KELLY DERKSEN: Yes that's true.

1 MR. BOB PETERS: All right. So, that's
2 where the -- for the first test year, the 05/06 year the
3 overheads were reduced to a dollar seventy-three (\$1.73)
4 per 10-3M3.

5 MS. KELLY DERKSEN: Yes, sir, they're
6 slightly different than what's been identified on this
7 information request because this was on the basis of our
8 initial February 21st filing.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: Ms. Derksen, on a purely
13 theoretical sense would all allocated upstream fixed
14 costs and consumer related or customer related costs be
15 recovered through the basic monthly charge?

16 MS. KELLY DERKSEN: I guess I have
17 trouble with the word, 'upstream'. There are no upstream
18 customer related costs. There are only downstream
19 customer related costs. And in theory, yes, we would --
20 they should be recovered through a basic monthly charge.

21 MR. BOB PETERS: I was asking the
22 question from the perspective that there were actually
23 two (2) categories of costs that would be theoretically
24 recovered in a basic monthly charge. One (1) of those
25 was the allocated upstream fixed costs and in addition to

1 those would be the customer related costs, which you've
2 correctly reminded us are also included in the basic
3 monthly charge.

4 MS. KELLY DERKSEN: Yeah, I think I
5 understand your point of view. You're suggesting that
6 any fixed upstream cost which is primarily what we would
7 consider capacity driven could potentially be recovered
8 in a basic monthly charge.

9 If we look at the downstream side of the
10 operations, anything that is capacity driven or customer
11 driven could theoretically be recovered through a basic
12 monthly charge.

13 Certainly not our -- it's certainly not
14 our -- what we would recommend but -- our or position,
15 but it's theoretically possible to do.

16

17 (BRIEF PAUSE)

18

19 MS. KELLY DERKSEN: Yes. And Mr. Rainkie
20 kindly reminds me that we have answered an information
21 request to the Public Utilities Board that identifies
22 what a basic monthly charge would look like if we
23 recovered all of our fixed capacity costs as well as our
24 customer costs through a basic monthly charge. The
25 number at the moment escapes me though.

1 Actually, I think it's in your Book of
2 Documents, Mr. Peters.

3

4

(BRIEF PAUSE)

5

6 MS. KELLY DERKSEN: Yes, I think Mr.
7 Peters, it's Tab 48.

8 MR. BOB PETERS: Well, because you've
9 mentioned it, let's go there right now and you're ahead
10 of me Ms. Derksen. You were referring to PUB/CENTRA-
11 94(A) and the attachment to that?

12 MS. KELLY DERKSEN: Yes sir.

13 MR. BOB PETERS: And what you've shown on
14 the attachment are three (3) tables, table 1, 2 and 3.
15 And each of them contains a different assumption,
16 correct?

17 MS. KELLY DERKSEN: Yes sir.

18 MR. BOB PETERS: And the first, table 1,
19 is the basic monthly charge on the rates that are being
20 proposed in this application which essentially is no
21 change to the previous basic monthly charge, correct?

22 MS. KELLY DERKSEN: Yes, sir in the first
23 table we are -- the rate structure is such that the basic
24 monthly charge for the SGS class is ten dollars (\$10) per
25 month and seventy dollars (\$70) for the LGS customer

1 class.

2 MR. BOB PETERS: And that's what it was
3 before the Application that you've got before the Board?

4 MS. KELLY DERKSEN: Yes and it has been
5 for some time.

6 MR. BOB PETERS: And what you're --
7 explain to the Board what you're showing in Table 2 then?

8 MS. KELLY DERKSEN: Table 2 is where I
9 started off, where you and I started to disconnect a bit,
10 Mr. Peters.

11 What I was suggesting is that if we
12 recovered all of the customer related costs, so any costs
13 that is driven by the number of customers on the system,
14 if we were to cover all of those costs through a basic
15 monthly charge for the SGS and LGS customers classes,
16 those currently are the only two (2) customer classes
17 that we do not recover the full amount of the customer
18 related cost in the basic monthly charge.

19 MR. BOB PETERS: And it would go up to
20 one-twelfth (1/12) of two hundred and ninety-one dollars
21 (\$291)?

22 MS. KELLY DERKSEN: From a hundred and
23 twenty (120) to two hundred and ninety-one dollars (\$291)
24 yes.

25 MR. BOB PETERS: And why is it that you

1 haven't gone that route, Ms. Derksen?

2 MS. KELLY DERKSEN: It's something that's
3 under consideration at the moment, Mr. Peters. We are
4 working on a report on the level of the basic monthly
5 charge which is to be filed sometime this summer.

6 And -- but what I can identify is that
7 historically Centra has not moved off the ten dollar
8 (\$10) per customer basic monthly charge, at least it's
9 been in this jurisdiction for fifteen (15) years, it
10 could be even longer because we feel, and we have felt,
11 that customers -- we would have a customer outcry if we
12 increased to anything greater than the ten dollars (\$10).

13 MR. BOB PETERS: On the Table 3 of
14 PUB/CENTRA-94(A), Attachment found at Tab 48 of the Book
15 of Documents, Ms. Derksen, that's where you and I
16 reconnected on our questioning here and all customer
17 costs, as well as capacity related costs could be
18 embedded in a basic monthly charge and that's what it
19 would look like on an annual basis?

20 MS. KELLY DERKSEN: Yes, sir. That's
21 true.

22 MR. BOB PETERS: And what's of interest,
23 Ms. Derksen, and I'm sure not lost on the Corporation or
24 the Board, is that when the basic monthly charge
25 increases there is a reduction in the volumetric cost

1 recovery; is that correct?

2 MS. KELLY DERKSEN: That's true. That's
3 generally what we'll find when you raise the level of the
4 basic monthly charge, those costs are currently being
5 recovered to the volumetric rate.

6 So, if you're raising the level of the
7 basic monthly charge, the volumetric inherently has to
8 decrease.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: Ms. Derksen, to the
13 extent that the basic monthly charge and the demand
14 charges don't recover all of the related costs, the
15 volumetric rate for all those classes was therefore
16 distorted is what -- is what you're saying?

17 MS. KELLY DERKSEN: I just wanted to
18 clarify on this particular page, Mr. Peters, we are
19 talking about the SGS and LGS customer classes and we do
20 not have a three-part rate structure for those two (2)
21 customer classes.

22 We have a two-part rate structure. One
23 (1) part -- component of that rate is the basic monthly
24 charge. The other component of the rate is a volumetric
25 charge. And, yes, the answer to your question is yes.

1 I guess you could look at it that if we do
2 not recover all of the costs that are driven by the
3 number of customers through a fixed customer charge, it
4 will somewhat distort the volumetric charge. And we've
5 accepted in this Corporation and the Board has accepted
6 over the last, you know, fifteen (15) or more years that
7 that distortion is -- is an appropriate one to make.

8 MR. BOB PETERS: That distortion is
9 really an inter-class cross-subsidization?

10 MS. KELLY DERKSEN: Yes, I would agree
11 that there is a cross-subsidy that occurs between the
12 customers within the class.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: Can you explain, Ms.
17 Derksen, to the Board why a fairly elaborate cost
18 allocation process is conducted and then when it comes to
19 the rate design you deliberately do not recover all of
20 the allocated costs on a consistent basis as amongst the
21 customer classes?

22 MS. KELLY DERKSEN: I think, Mr. Peters,
23 this has some history to it stemming back, likely beyond
24 the 1996 generic cost allocation proceeding.

25 But, at that point we proposed to

1 structure the larger volume customer classes using a
2 three-part rate including a basic monthly charge, a
3 demand charge and a variable charge which exactly mimics
4 the classification phase of the cost allocation study.

5 Because I think, generally speaking, we
6 accepted that the larger volume customers were more
7 capable of understanding a more complex rate structure
8 than the lower volume customer classes.

9 And I -- I would suggest that's probably
10 the -- the most fundamental driver of why we have a two
11 (2) part rate structure for the SGS and LGS customer
12 class, because we believe that from an understandability
13 point of view, as well as a simplicity point of view,
14 that that best meets our needs for the lower volume
15 customers.

16 MR. BOB PETERS: You've mentioned in a
17 previous answer, that the Corporation is studying the
18 basic monthly charge, and plans on bringing forward a
19 report?

20 MS. KELLY DERKSEN: We do, sir.

21 MR. BOB PETERS: That was in response to
22 the Board's request in Order 131/04?

23 MS. KELLY DERKSEN: Yes, sir.

24 MR. BOB PETERS: And I noted the
25 timeline; was it August of '05?

1 MS. KELLY DERKSEN: Yes, our intention is
2 to file in August of '05.

3 MR. BOB PETERS: Is that report being
4 done internally, or is that also being done with the
5 assistance of external consultants?

6 MS. KELLY DERKSEN: It's being done
7 internally, sir.

8 MR. BOB PETERS: And, Ms. Derksen, in --
9 in -- just so I have the answer from -- that you gave
10 Ms. Murphy correct, there are no changes in the cost
11 allocation or rate design, from those approved by the
12 Board in its last order?

13 MS. KELLY DERKSEN: I would say, yes. I
14 just wanted to bring to your attention that we've
15 proposed -- I'm just thinking off the top of my head
16 here, that we've proposed a separate line item for the
17 interruptible class.

18 Currently we have that type of treatment
19 for the mainline customer class. We've separated out the
20 supplemental gas PGVA from its base rate, and we are
21 billing it out as a separate line item, because it is
22 currently a negative amount for the mainline class, and
23 we're proposing that same treatment, this time, for the
24 interruptible class.

25 So, just that one (1) minor change is

1 being proposed in this Application.

2 MR. BOB PETERS: And carrying it forward
3 from the '05/'06 test year to the '07 -- sorry, carrying
4 it forward to the '06/'07 -- let me revise that question.

5 Has the cost allocation and rate design
6 for the first test year of your Application been used in
7 the second test year of your Application?

8 MS. KELLY DERKSEN: Yes, sir, we have not
9 made any changes in the allocations, the classifications
10 or the functionalizations, with the exception of perhaps
11 the fact that we now have DSM costs finding their way
12 into rates in 2006/07. Other than that change, we've
13 functionalised, classified and allocated costs
14 consistently between the two (2) test years.

15 MR. BOB PETERS: In Tab 44 of the Book of
16 Documents, and also under Tab 45, we have schedules
17 10.1.0, and following, as well as 10.2.0, under Tab 45.
18 You prepared those, or were responsible for those, Ms.
19 Derksen?

20 MS. KELLY DERKSEN: Yes, sir.

21 MR. BOB PETERS: And that is -- those
22 schedules are to show a total revenue requirement
23 allocated to each customer class?

24 MS. KELLY DERKSEN: Yes, we initially
25 started this afternoon's discussion about the 558

1 million, and we can see that the 558 million has been
2 split to each of the customer classes, as identified on
3 this schedule.

4 MR. BOB PETERS: And also though on this
5 schedule, there are three (3) -- you call them customer
6 classes, but they're really -- I learned a new word,
7 placeholder classes; is that -- is that what they are?

8 MS. KELLY DERKSEN: Pretty much, Mr.
9 Peters, yeah.

10 MR. BOB PETERS: And that's for primary
11 gas, supplemental gas and supplemental gas for
12 interruptible customers?

13 MS. KELLY DERKSEN: Yes, sir.

14 MR. BOB PETERS: Can you explain to the
15 Board why it's necessary to -- to do such an allocation?

16 MS. KELLY DERKSEN: It became necessary
17 to split up primary and supplemental gas between firm and
18 interruptible, through the unbundling of rates that
19 occurred on July the 1st of 1999.

20 These were not previously separated on the
21 bill, as they are today. And we needed to establish a
22 separate rate class, in order to make sure that the
23 appropriate costs were assigned to each of -- each of
24 those classes, and that they ultimately then flowed
25 through onto the bill.

1 So the bill that's being provided to
2 customers today will have a primary gas rate, a
3 supplemental rate if you're a firm customer, and a
4 supplemental rate if you're an interruptible customer.

5 So, I guess it really stemmed from the
6 unbundling of rates in 1999.

7 MR. BOB PETERS: But, recognizing you
8 have these three (3) placeholder customer classes as I
9 call them, you take the revenues that are -- sorry, you
10 take the costs that are allocated to those three (3)
11 placeholder classes and you have to go back and then
12 figure out how much belongs to each of the PUB approved
13 customer classes?

14 MS. KELLY DERKSEN: Oh, I'd say they all
15 -- are all PUB approved and I don't want to leave the
16 impression with the Board that a placeholder class is of
17 any less importance than any of the other customer
18 classes on the bill.

19 But, essentially we allocate costs to
20 those customer classes no different than they allocate
21 costs to the SGS class. So, for example, if I have in
22 western Canadian supply costs I will allocate them
23 directly to the primary gas class; no different than I
24 would do with any other costs.

25 MR. BOB PETERS: All right. And maybe it

1 was my choice of words, Ms. Derksen, but, you take then
2 the costs from those three (3) placeholder customer
3 classes and you have to them flow that back into the
4 customer classes that would end up being shown on the
5 bill?

6 MS. KELLY DERKSEN: You don't really flow
7 it back to the customer class, I think in the sense that
8 you're describing. It ultimately flows through to the
9 customer bill. Obviously all the costs that we incur are
10 recovered through -- from the customer; and primary gas,
11 for example, is one (1) of those costs.

12 So, we don't actually figure out what
13 needs to be allocated to the primary gas class and then
14 reallocated back to the SGS class. The amount in the
15 primary gas -- primary gas is a bad example because you
16 know, we set that rate on a quarterly rate mechanism,
17 but, let's say the supplemental gas rate.

18 Once we have assigned the cost to the
19 supplemental firm class, I will divide by the number of
20 volumes that we are anticipating purchasing supplemental
21 firm costs and that cost will not hit a customer class,
22 it will hit the customer's bill.

23 MR. BOB PETERS: All right. Thank you.
24 What will hit the customer's bill then on a class by
25 class basis, is also found under Tab 49 of the Book of

1 Documents, where you take information that you would have
2 had from schedule 10.1.0 and then restated it in terms of
3 the SGS, LGS, high volume firm, co-op, main line and
4 special contract?

5 MS. KELLY DERKSEN: You know, we're
6 responding in this particular question was an information
7 request from the Board. And we were providing it for
8 information purposes only. I don't actually deal with
9 allocation of costs in this way.

10 But, this gives a representation of what
11 the SGS class, for example, may see in terms of annual
12 costs. So, it's really just for information purposes
13 only.

14 MR. BOB PETERS: So, when we looked at
15 the primary gas customer class under Tab 45, for example,
16 you would take the volumes by each other class of
17 customer and allocate them to those customers on their
18 bill?

19 MS. KELLY DERKSEN: What I've done is
20 I've taken -- I've established a supplemental gas firm
21 rate, for example, and I've taken that rate and
22 multiplied by the number of volumes that we expect that
23 the SGS class, for example, will consume in the 2005/06
24 test year. I've multiplied those two together and that
25 will tell me roughly what the annual revenues would be on

1 account of supplemental gas for the SGS class and that's
2 what you see then.

3 MR. BOB PETERS: All right. Thank you
4 Ms. Derksen.

5 MS. KELLY DERKSEN: Sorry, in Tab 49.

6 MR. BOB PETERS: Yes. Ms. Derksen, in
7 terms of what you're asking the Board to approve in this
8 Application by way of rate schedules and I believe Mr.
9 Warden spoke briefly to this, there are base rate
10 schedules and billed rate schedules for 2005/05,
11 effective August 1st of 2005, for which you're seeking
12 approval, would that be correct?

13 MS. KELLY DERKSEN: That is one (1) set
14 of rate schedules we are looking approval -- for approval
15 of, yes.

16 MR. BOB PETERS: All right. And another
17 set of rate schedules that you're looking for this Board
18 to approve is for the base rates that will be effective
19 on May the 1st of 2006?

20 MS. KELLY DERKSEN: I would say actually
21 billed rates on May the 1st, 2006 because what we
22 anticipate happening on May 1st of 2006 is that the
23 reconciliation rider that is going to go on on August 1st
24 of 2005, assuming PUB approval, will come off the bill on
25 May 1st of 2006 and a new rate rider will go on and

1 that's called the rate delay rider.

2 So, we're really looking for approval of
3 billed rates effective May 1, 2006.

4 MR. BOB PETERS: Do those billed rates
5 for May 1st of '06, Ms. Derksen, include assumptions as
6 to what will happen at a cost of gas hearing that will be
7 filed upcoming in early 2006?

8 MS. KELLY DERKSEN: Mr. Peters, there are
9 no assumptions included in rates today on account of
10 changes in gas costs for the 2006/07 test year. None.

11 MR. BOB PETERS: But you'll acknowledge,
12 Ms. Derksen, that the -- the non-primary gas cost
13 component of the rate schedules will change following a
14 cost of gas application?

15 MS. KELLY DERKSEN: Yeah, I think what we
16 envision, Mr. Peters, is that we would have changes to
17 the non-gas cost component of the bill on May 1st, 2006
18 and that we would file with the Board sometime in early
19 2006 changes on account of non-primary gas costs for the
20 2006/07 year.

21 And those rates would come into effect,
22 assuming everything, you know, goes as planned, on August
23 1st of 2006.

24 MR. BOB PETERS: So I take that answer,
25 Ms. Derksen, to say to the Board that for the non-gas

1 cost items, the Board can give a final order as to what
2 those rate impacts will be, stemming from this hearing?

3 MR. DARREN RAINKIE: That's what we're
4 seeking in this application, Mr. Peters. You're correct.

5 MR. BOB PETERS: And in terms of the
6 primary gas costs, Mr. Rainkie, Ms. Derksen, we're going
7 to deal with those on a quarterly basis as we have in the
8 past?

9 MR. DARREN RAINKIE: That is correct,
10 sir.

11 MR. BOB PETERS: And for the non-primary
12 gas costs for which the company's indicated it would be
13 making a filing, I believe early 2006, any rate impacts
14 flowing from that filing would be dealt with on the
15 August 1st, quarterly adjustment time?

16 MR. DARREN RAINKIE: That's our
17 intention, sir. Yes.

18 MR. BOB PETERS: All right.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: Ms. Derksen, can you
23 please just assist the Board and myself with Tab 50 of
24 the book of documents on the Schedule 11.1.0 as well as
25 11.1.1.

1 For the first test year of 2005/06 you
2 have billed versus billed, new volumes and load factors;
3 have I got that correct?

4 MS. KELLY DERKSEN: Yes, sir.

5 MR. BOB PETERS: And when I compare it to
6 the next page, 2 of 3, of Schedule 11.1.0, you're talking
7 about previous volumes and load factors?

8 MS. KELLY DERKSEN: Yes, sir.

9 MR. BOB PETERS: And can you indicate why
10 page 2 of 3 is required or what is it demonstrating to
11 the Board?

12 MS. KELLY DERKSEN: Sir, that was really
13 meant to provide information only to the -- to the Board.
14 Really, only -- the only difference between the two (2)
15 is -- well, there's a couple of differences.

16 There was a -- the SGS class' average
17 volume for a typical residential customer, on the very
18 first page, is indicated at twenty-eight hundred and two
19 (2802) cubic metres per year.

20 Whereas on the second page, it's at what's
21 been previously used which was the thirty-two hundred and
22 one (3201) cubic metres a year. In addition, we've added
23 a load factor. We've expanded, let's say, the range of
24 customers in the high volume class as well as in the
25 interruptible class.

1 And the reason that we've done that is
2 that, Mr. Peters, you and I have had a conversation a
3 number of times in the last couple of years and the
4 question was always, you know, are all of the customers
5 represented -- represented on these rate schedules?

6 So we did a little work and identified
7 that there are not some customers -- not all customers
8 are identified on the rate schedules.

9 So we decided to expand the range to
10 include as many customers as we could on these impact
11 schedules.

12 MR. BOB PETERS: You didn't answer the
13 question I'm going to ask you. Are all customers now
14 shown on the -- on the new volumes and load factors,
15 Schedule 11.1.0 page 1 of 3?

16 MS. KELLY DERKSEN: The majority of
17 customers are on this class. Customers loads and so
18 forth change -- can change from month to month, for
19 example, or from year to year. So to the extent that
20 we'd continuously have those changes, not all customers
21 may necessarily be identified.

22 MR. BOB PETERS: When Mr. Kuczek and I
23 were talking about volume usage, it indicated there had
24 been some -- some reductions. Is it now Centra's
25 position that the typical SGS customer consumes two point

1 eight (2.8) ten (10) three (3) M-3's on an annual basis,
2 as compared to three point two (3.2) in previous years?

3 MS. KELLY DERKSEN: Yes, sir.

4 MR. BOB PETERS: So going forward you're
5 redefining the typical residential customer as using two
6 point eight (2.8) ten (10) three (3) M-3's?

7 MS. KELLY DERKSEN: A typical residential
8 customer is two point eight-o (2.80) to ten (10) three's
9 (3's), yes.

10 MR. BOB PETERS: And a typical
11 residential customer is not an average residential
12 customer?

13 MS. KELLY DERKSEN: They are not the
14 same, Mr. Peters, that's true.

15 MR. BOB PETERS: What's the difference?

16 MS. KELLY DERKSEN: The customers within
17 the SGS class vary to some degree. There are some
18 commercial type of customers who use the -- the
19 residential, or sorry, the SGS class; that's what we bill
20 them under. So, for example, we might have some local
21 mom and pop corner stores that would use that type of
22 consumption and be billed under that rate.

23 So customers of that nature who would use
24 more than our -- an average normal residential customer,
25 would tend to increase the -- the average usage from what

1 a typical residential customer would use.

2 MR. BOB PETERS: Just a couple more
3 questions on the -- the documents here at Tab 50, Ms.
4 Derksen. If I go to Schedule 11.1.0 on page 3 of 3, also
5 found under Tab 50, you are putting forward proposed base
6 rates; correct?

7 MS. KELLY DERKSEN: Yes, sir.

8 MR. BOB PETERS: And so long as there are
9 rate riders in effect, the base rates will -- will not be
10 in effect, would that be correct?

11 MS. KELLY DERKSEN: They're not billed, I
12 guess that's the best way of describing it. Base rates
13 will be in effect, but there will be a rate rider that's
14 attached to that base rate, so the customers will not see
15 the base rate.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: In your -- what you're
20 telling the Board is that the base rate is billed, but in
21 conjunction with a rate rider, and that makes it into a
22 billed rate?

23 MS. KELLY DERKSEN: Yes. A billed rate
24 is a combination of the base rate plus the rate rider.
25 So it's the billed rate that is ultimately put on the

1 customer's bill.

2 MR. BOB PETERS: And on the present rates
3 that Centra charges its customers, there is a rate rider
4 that was intended to refund approximately \$16.6 million,
5 ending July 31 of 2005?

6 MS. KELLY DERKSEN: Yes, sir, that's
7 true.

8 MR. BOB PETERS: And when that rate rider
9 is removed, there will be a residual balance; is that
10 correct?

11 MS. KELLY DERKSEN: There is -- I guess
12 there's a couple of things that I'd like to clarify
13 first. When this \$16.6 million is removed, that
14 inherently is going to make the -- the billed impacts go
15 up, because you're -- you're removing something that was
16 good to the customer. So inherently you're -- you're
17 billed impact is going to go up.

18 And secondly, I think that's probably
19 sufficient.

20 MR. BOB PETERS: In your answers to Ms.
21 Murphy, you indicated that you'd calculated what that
22 rate rider coming off would be, and it would be a
23 residual left over; correct?

24 MS. KELLY DERKSEN: That was the second
25 thing I was going to add. There's roughly six hund --

1 six hundred and seventy thousand dollars (\$670,000) owing
2 to customers left, or of the PGVA amounts. All of the
3 PGVA amounts left up to March the 31st of 2005, including
4 carrying costs to July the 31st of 2005.

5 So that residual will -- will go on the
6 bill effective August the 1st of 2005, assuming PUB
7 approval.

8 MR. DARREN RAINKIE: So, Mr. Peters, just
9 to summarize so we're all on the same page here, a \$16.6
10 million refund is coming off on July the 31st, 2005, a
11 \$.7 million refund is going into affect on August 1st,
12 2005, which is likely \$15.9 million increase in rates, in
13 terms of the pro-rate impacts.

14 MR. BOB PETERS: That's what the customer
15 will see, is what you're trying to tell the Board?

16 MR. DARREN RAINKIE: That's correct.

17 MR. BOB PETERS: And in terms of the
18 actual number, just before I lose that point, Ms.
19 Derksen, your numbers that you filed here were based on
20 actuals plus some forecast material; correct?

21 MS. KELLY DERKSEN: Yes. What is shown
22 on the Schedules 11.1.0, all of them for the first test
23 year includes actuals to the end of February 2005, and a
24 forecast for March of 2005.

25 MR. BOB PETERS: Are you going to be

1 revising the -- the number to a more accurate number, or
2 are you going to be throwing that into a PGVA account?

3 MR. DARREN RAINKIE: Sir, because of the
4 small amount of the number, we hadn't intended to adjust
5 our Application. But I guess we're at the pleasure of
6 the Board in that regard, if it maintains our current
7 Application we'll do it. If they order us to update it
8 to the numbers that Mr. Sanderson put on the record in
9 the first Panel, we'll do that as well.

10 THE CHAIRPERSON: Mr. Peters, are you
11 close to a natural break?

12 MR. BOB PETERS: I think we're right
13 there.

14 THE CHAIRPERSON: Okay. We'll have our
15 break. Natural or artificial.

16
17 --- Upon recessing at 2:46 p.m.
18 --- Upon resuming at 3:08 p.m.

19
20 THE CHAIRPERSON: Mr. Peters...?
21 MR. BOB PETERS: Yes, thank you, Mr.

22 Chairman.
23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: I'd like to turn back to

1 Tab 48 of the Book of Documents and look at PUB/CENTRA-
2 94(A), the attachment that had Tables 1, 2 and 3 on it.

3 Ms. Derksen, you and I were talking about
4 that and Table 1 shows the existing situation under the
5 Board approved rates; is that correct?

6 MS. KELLY DERKSEN: Yes, sir.

7 MR. BOB PETERS: If I go down to lines 9
8 and 10 under Table 1, if I consume, as a consumer, eleven
9 thousand, three hundred (11,300) cubic metres, I -- I can
10 choose to be either an SGS customer or an LGS customer;
11 would that be right?

12 MS. KELLY DERKSEN: Yes. Well, in fact,
13 you could consume any amount that's identified in this
14 table and choose if you wanted to be in the SGS or LGS
15 class.

16 MR. BOB PETERS: And one (1) of the
17 factors that would influence my decision would be the
18 basic monthly charge compared to the total costs?

19 MS. KELLY DERKSEN: It could be, yes,
20 sir.

21 MR. BOB PETERS: So, for the same --
22 well, what you're telling the Board is on lines 9 and 10,
23 for consuming the same volume, you pay different amounts
24 just by being in different classes?

25 MS. KELLY DERKSEN: That's true, yes.

1 MR. BOB PETERS: And that's true, because
2 there's a different basic monthly charge, and there's
3 also a different volumetric rate?

4 MS. KELLY DERKSEN: Yes, sir.

5 MR. BOB PETERS: And if you went down to
6 Tables 2 and 3, Tables 2 and 3 don't presently exist
7 under your -- your rates; is that correct?

8 MS. KELLY DERKSEN: Correct.

9 MR. BOB PETERS: And then hypothetically
10 if they did, again on lines 23 and 24, a customer who
11 consumes eleven thousand three hundred (11,300) cubic
12 metres, could again elect to be either LGS or SGS;
13 correct?

14 MS. KELLY DERKSEN: Yes, that's true.

15 MR. BOB PETERS: But what we see here is
16 that the total costs in the far right hand column diverge
17 as a function of the basic monthly charge increasing;
18 would that be correct?

19 MS. KELLY DERKSEN: On account of the
20 basic monthly charge increasing and the volumetric
21 component decreasing, the annual bill is different under
22 the Table 1 and 2, which identifies different rate
23 structure options.

24 MR. BOB PETERS: And what you're doing
25 under this Table 2 is you are more accurately putting the

1 customer related costs into the basic monthly charge for
2 the customers; correct?

3 MS. KELLY DERKSEN: Well I guess it
4 depends on how you define accurately, it's been assumed
5 today that a basic monthly charge at ten dollars (\$10)
6 for a residential customer or for an SGS customer, meets
7 the goals and objectives that we need it to meet. And so
8 from that perspective you could define accurate as
9 today's situation.

10 If you assume that it's in our best
11 interest to increase the basic monthly charge to reduce
12 cross-subsidy that would otherwise occur in the SGS
13 class, for example, you could define Table number 2 to be
14 more accurate.

15 MR. BOB PETERS: And if you wanted to
16 further eliminate any cross-subsidization and -- and
17 arguably totally eliminate it, you could go down to Table
18 number 3 and look at lines 36 and 37, and examine how
19 that customer would be treated under the two (2)
20 different classes.

21 MS. KELLY DERKSEN: Could you say that
22 question to me again please, sir?

23 MR. BOB PETERS: I will rephrase it,
24 which means I can't remember what I asked you. But does
25 Table 3 totally eliminate the cross-subsidization as

1 between the SGS and the LGS class, and let's pick lines
2 36 and 37?

3 MS. KELLY DERKSEN: Well perhaps between
4 the SGS and LGS class it may, but you're introducing a
5 different level of cross-subsidy when you start
6 introducing or recovering your capacity related costs
7 that are really incurred to meet maximum consumption used
8 by a customer, when you're recovering those types of
9 costs that are influenced by demand on the system, and
10 recovering them on the basis of the number of customers
11 in the class.

12 So while you might be fixing one (1)
13 situation, I think you're causing a problem from a
14 different perspective, and that is you're trying to
15 recover a cost that's not influenced by the number of
16 customers, but rather is influenced by the demand on the
17 system or in that class.

18 MR. BOB PETERS: And that's perhaps one
19 (10 argument as to why instead of including capacity
20 related costs in the basic monthly charge, you would set
21 up a three (3) part bill for those types of customers?

22 MS. KELLY DERKSEN: Yes, sir.

23 MR. BOB PETERS: So what the Board will
24 see when it reviews this schedule, Ms. Derksen, is that
25 the existing customer, who would be an LGS customer on

1 line 10, of PUB/CENTRA-94-A attachment, would see their
2 total costs go from about forty-five hundred dollars
3 (\$4500) to up to eight thousand dollars (\$8,000) on line
4 37, if all customer as well as capacity related costs
5 were included in the basic monthly charge?

6 MS. KELLY DERKSEN: That's true, that's
7 the direction the costs are going.

8 MR. BOB PETERS: Ms. Derksen, the last
9 tab in the book, Tab 50, and let's look at Schedule
10 11.1.0, page 1 of 3, because these are the proposed bill
11 rates for which you're seeking PUB approval, correct?

12 MS. KELLY DERKSEN: Yes.

13 MR. BOB PETERS: And we did focus before
14 the break on the SGS customer, which includes the
15 residential customers; correct?

16 MS. KELLY DERKSEN: Yes.

17 MR. BOB PETERS: If we go to the high
18 volume firm customer, and let's take the high-volume firm
19 customer that's functioning at a 25 percent load factor,
20 their total annual bill currently would be approximately
21 three hundred and thirteen thousand dollars (\$313,000)
22 and under the increase of 3.66 percent, that customer's
23 bill would go to three hundred and twenty-five thousand
24 dollars (\$325,000)?

25 MS. KELLY DERKSEN: True.

1 MR. BOB PETERS: And when I look at the
2 components that go along with that, Ms. Derksen, the
3 basic monthly charge is increasing from eighty-one
4 hundred dollars (\$8,100) to eleven thousand seven hundred
5 dollars (\$11,700); correct?

6 MS. KELLY DERKSEN: That's true.

7 MR. BOB PETERS: Why is the basic monthly
8 charge increase seem disproportionate to the overall
9 increase?

10 MS. KELLY DERKSEN: Well, there's a
11 couple of reasons that that -- or, actually, I guess
12 about three (3) reasons that that is happening.

13 First, in my direct evidence I identified
14 that there will be a reconciliation rider that reconciles
15 the difference between the non-gas costs embedded in the
16 February 1 rates and the August 1st, 2005 proposed rates.
17 And so there is a rider that has been attached to the
18 basic monthly charge for every class, including this
19 customer class, the high-volume firm class.

20 So that's one (1) of the reasons that you
21 see a -- an increase in the basic monthly charge.

22 More importantly though, we've had a
23 number of migrations of customers out of that class, out
24 of the high-volume firm class, and either into the LGS
25 class, the mainline firm class, or just have left the

1 system entirely. And, in fact, even if I were to propose
2 the same level of costs on account of customer-related
3 costs in that class, my basic monthly charge would go up
4 because I'm recovering it over a fewer number of
5 customers in that class.

6 So if I did nothing at all, I would see an
7 increase in the level of basic monthly charge for that --
8 for that customer class.

9 And third, and not to discount it, is the
10 fact that there has been an overall increase in the level
11 of customer-related costs and that's -- that we're
12 proposing in this application.

13 MR. BOB PETERS: Does -- do those same
14 three (3) explanations apply when we look down to a
15 cooperative customer or a mainline customer, and looking
16 at their basic monthly charge currently compared to what
17 will be proposed?

18 MS. KELLY DERKSEN: I wouldn't say for
19 the co-op class. In actuality, there is no customer in
20 the co-op class. It was a class that was created for --
21 at the request of the Public Utilities Board as well as a
22 customer, and no customer ever materialized in that
23 class.

24 So it could be a reconciliation rider, it
25 could be the level of costs that have customer-related

1 costs that is causing the co-op class to increase.

2 For the mainline customer class, there is
3 actually an increase in the number of -- of customers in
4 that class. So theoretically that should cause, all else
5 being equal, the basic monthly charge to decrease. But,
6 again, on account of increase in costs, it's very
7 possible that the basic monthly charge increase for that
8 class as well.

9 MR. BOB PETERS: From your answer, Ms.
10 Derksen, on the mainline customer at 40 percent load
11 factor, because the basic monthly charge is increasing,
12 the only thing that can be attributed to is the increase
13 in customer-related costs?

14 MS. KELLY DERKSEN: I think so. I think
15 that's probably what I could conclude as well.

16 MR. BOB PETERS: All right. And, just to
17 conclude on the schedule, the special contract customer
18 class has no demand component but rather all of those
19 costs are recovered through a basic monthly charge; would
20 that be correct?

21 MS. KELLY DERKSEN: Yes. There is no
22 demand rate, there is no three (3) part rate for the
23 special contract class. We've agreed with the customer
24 that we will recover all of their fixed costs, both
25 customer and capacity related, through the basic monthly

1 charge.

2 MR. BOB PETERS: And that was by way of a
3 contract and that was approved -- or that rate
4 arrangement was approved by the Board?

5 MS. KELLY DERKSEN: Yes, sir, that's
6 true.

7 MR. BOB PETERS: Ms. Derksen, you have
8 looked with me to the high-volume firm customer class on
9 Tab 50 on Schedule 11.1.0, page 1 of 3, and the high-
10 volume firm customer has a demand rate as part of its
11 three (3) part rate structure; correct?

12 MS. KELLY DERKSEN: Yes.

13 MR. BOB PETERS: And the demand rate for
14 this customer class is now set based on the peak day in
15 the winter month?

16 MS. KELLY DERKSEN: Yes, sir.

17 MR. BOB PETERS: And this is a change in
18 the last approximate year or two (2) where it used to be
19 set on the daily average of the winter peak month?

20 MS. KELLY DERKSEN: Yes. Previously what
21 we did is instead of bill on the maximum day in a winter
22 month that's registered on the demand meter for this
23 customer class, we took a -- we took a look at all of the
24 consumptions on a daily basis during the highest winter
25 month for a particular customer and we simply divided by

1 the number of days in that month to come up with a -- an
2 amount to bill demand on.

3 MR. BOB PETERS: But with your meters in
4 place now, you can actually get to the -- the peak day in
5 the winter month?

6 MS. KELLY DERKSEN: Yes, we're able to
7 know exactly how much customers use every day of the
8 year.

9 MR. BOB PETERS: And with being able to
10 measure how much customers use on the peak day that the
11 system is required to serve the peak, that's the basis on
12 which you allocate the demand costs?

13 MS. KELLY DERKSEN: We allocate demand
14 costs on the basis of coincident peak day for that class.

15 MR. BOB PETERS: Which means that the
16 extent to which one (1) customer contributes to the
17 overall peak of the class, that's their share of the
18 class peak costs?

19 MS. KELLY DERKSEN: Yes.

20 MR. BOB PETERS: With the inclusion of
21 the demand rate in the billing, does that reduce the
22 cross-subsidization intra-class?

23 MS. KELLY DERKSEN: I guess you'd have to
24 be a bit more specific, sir. Certainly from the
25 perspective of having a two-part rate the -- the downside

1 of a two-part rate is that you have a number of costs
2 that are imposed on the system which are attributable to
3 demand or maximum usage on a specific day.

4 To the extent that you now have a rate
5 that recovers those costs, you reduce the cross-subsidy
6 within the class. So I guess from that perspective I
7 could answer yes.

8 MR. BOB PETERS: For the particular class
9 that we're talking about, the high volume firm, not 100
10 percent of the demand costs are recovered in the demand
11 rate; would that be correct?

12 MS. KELLY DERKSEN: That's true. Only 65
13 percent of the demand related costs are recovered in the
14 demand rates.

15 MR. BOB PETERS: But that's only for the
16 high volume firm and the interruptible class?

17 MS. KELLY DERKSEN: For those two (2)
18 customer classes, yes.

19 MR. BOB PETERS: And all other three-part
20 classes have -- three-part rate classes have 100 percent
21 of the demand costs recovered?

22 MS. KELLY DERKSEN: Yes, sir.

23 MR. BOB PETERS: And you're not asking in
24 this application to increase the percentage of demand
25 costs recovered through the demand rate for this customer

1 class or the interruptible class?

2 MS. KELLY DERKSEN: Sir, we are not?

3 MR. BOB PETERS: Why is that?

4 MS. KELLY DERKSEN: I guess, quite
5 honestly, I -- I think we're a bit gun shy after the
6 amount of negative feedback we've received from a
7 particular customer in that class.

8 We think it's the right thing to do,
9 particularly in the high volume firm class. We're not
10 exactly sure for the interruptible class because we have
11 a number of seasonal customers that, if we move to
12 recovering 100 percent of the demand costs in the demand
13 rate, those seasonal customers would contribute nothing
14 to the -- the demand-related costs and we're not sure
15 that that's 100 percent fair.

16 We're not sure that it's unfair but we're
17 not sure that it's fair either. So for the interruptible
18 customer class, we haven't looked at it any further.

19 For the high volume firm class, I think we
20 need to let things settle. We need to sort things out
21 with this customer before we go any further.

22 MR. BOB PETERS: Without getting
23 specifics of the customer or the sorting out, are there
24 steps being taken to address concerns raised by that
25 customer?

1 MS. KELLY DERKSEN: We have been working
2 with this customer. We have been in contact with them
3 very regularly. We were to meet with them again this
4 month to talk about different energy saving methodologies
5 that we could employ in their plant to help reduce the
6 level of, I guess, both the gas and the electricity
7 bills.

8 And so that's, kind of, where we're at.
9 We have been conversing though, frequently with this
10 customer.

11 MR. BOB PETERS: Do those conversations
12 to your knowledge, include discussions of multiple
13 metering, say one (1) for process load and one (1) for
14 space heat?

15 MS. KELLY DERKSEN: We have had those
16 conversations with the customer. It's something that we
17 are currently evaluating, so I'm not sure that there's
18 anything concluded from -- from that analysis or those --
19 those conversations yet.

20 MR. BOB PETERS: And there's no
21 recommendations coming to the Board as a result of those
22 discussions at this time?

23 MS. KELLY DERKSEN: As to how to improve
24 -- help the energy bill be reduced; is that the question?

25 MR. BOB PETERS: I'm just wondering if as

1 a result of your discussions you are -- you're not
2 proposing any -- any specific rate measures or rate
3 design measures in this Application to the Board?

4 MS. KELLY DERKSEN: No, sir, we're not.

5 MR. BOB PETERS: I'd like to turn to the
6 one (1) bill initiative. Mr. Warden, is that -- is that
7 one (1) that falls to you, sir?

8 MR. VINCE WARDEN: Partly, Mr. Peters.

9 MR. BOB PETERS: All right, well let's
10 start. Would it be correct that the Board is only being
11 asked in this Application to approve the wording in the
12 terms and conditions of service, as well as billing, for
13 the pro-ration of partial payments?

14 MR. VINCE WARDEN: Yes, that's correct,
15 Mr. Peters.

16 MR. BOB PETERS: You're not asking this
17 Board to approve the actual format of the bill, are you?

18 MR. VINCE WARDEN: No, we're not.

19 MR. BOB PETERS: Is it correct, sir,
20 that on the -- on the messages on the -- the bill, let's
21 say on the gas side, the Board had issued Order 13/04,
22 which set out the disconnection and reconnection
23 procedures, and that procedure is being used in designing
24 the one (1) bill format?

25 MR. DARREN RAINKIE: Sir, you're

1 referring to the Board Order that came out of the 2003/04
2 GRA, that approved the revised disconnection and
3 reconnection policies; because there had been several,
4 I'll call them letters of agreement, between the Board
5 and the company over a number of years, and amended --
6 essentially amended those -- those -- that procedure or
7 policy?

8 MR. BOB PETERS: Yes, Mr. Rainkie, and in
9 Order 13/04 dated February 3rd of '04, the service
10 disconnection and reconnection policy and procedures
11 attached as Appendix A, and dated January 30th, were
12 approved by the Board?

13 MR. DARREN RAINKIE: Now I think my
14 memory's with you, Mr. Peters.

15 MR. BOB PETERS: All right. My -- my
16 question is, in the disconnection and reconnection
17 process, you will be putting messages on the customer's
18 bill?

19 MR. DARREN RAINKIE: Yes, as we always
20 have for quite some time.

21 MR. BOB PETERS: And as you always have,
22 Mr. Rainkie, has been in compliance with Board Order
23 13/04?

24 MR. DARREN RAINKIE: That's certainly my
25 understanding, Mr. Peters. In fact, it was my Department

1 and others working with the people in the credit and
2 collection areas that put together those -- those very --
3 that very policy that we revised in the Order that you
4 mentioned.

5 MR. BOB PETERS: And so if the customer's
6 delinquent the messages are then spelled out in the
7 attachment to the Board Order 13/04, and those are the
8 messages that you're putting on the new revised one (1)
9 bill format?

10 MR. DARREN RAINKIE: That's certainly my
11 understanding, Mr. Peters. I'm not as familiar with this
12 particular topic as I would like to be.

13 Can I take that subject to check, that --
14 that the addition of electric and gas on -- on one (1)
15 bill isn't somehow -- I wouldn't say changing the intent,
16 but maybe changing a word here or there. I -- I think
17 I'd like to -- to take that away, Mr. Peters, and just
18 confirm that, unless -- unless there's somebody else on
19 the Panel that -- certainly I don't think it's our
20 intention in the -- in the material that we provided in
21 Tab 13, to change the message or the content.

22 I'm just not sure that in combining the
23 two (2) bills together, that there isn't some change in a
24 line or two (2) in those messages. My general
25 understanding is we're not, but I think I should confirm

1 that.

2 MR. BOB PETERS: Well, certainly I'll
3 take that and that's subject to check, and then you can
4 check that, and if it's incorrect, through your Counsel,
5 you can let the Board know.

6 Would you also then, Mr. Rainkie, let the
7 Board know if, in Centra's view, Order 1 -- if, in
8 Centra's view, Order 13/04 requires any revisions or
9 changes or amendments with respect to the one (1) bill
10 initiative?

11 MR. DARREN RAINKIE: I will, sir. I
12 think you're suggesting to me that one would flow from
13 the other.

14 MR. BOB PETERS: I expect they will.
15 When I looked at the -- the one (1) bill initiative, it
16 struck me that if I was an all-electric customer I
17 wouldn't be affected by -- by this process other than
18 getting a new format of a bill; would that be fair?

19 MR. VINCE WARDEN: If you were an all-
20 electric customer, Mr. Peters -- do you mean if you were
21 an electricity customer or are you -- are you referring
22 to an all-electric in terms of all electric heating?

23 MR. BOB PETERS: Let me -- let me word it
24 this way. If I lived -- or if a customer lived, I
25 suppose, in a -- in a geographic region where there was

1 no access to natural gas, would my bill from the electric
2 utility have any mention of gas on it?

3 MR. VINCE WARDEN: No, it would not.

4 MR. BOB PETERS: I'd be considered an
5 all-electric customer; is that how we've described such
6 a --

7 MR. VINCE WARDEN: In that --

8 MR. BOB PETERS: -- customer?

9 MR. VINCE WARDEN: -- in that
10 circumstance, yes.

11 MR. BOB PETERS: And you have
12 approximately a quarter of a million of those?

13 MR. LLOYD KUCZEK: Correct.

14

15 (BRIEF PAUSE)

16

17 MR. LLOYD KUCZEK: There -- there's
18 approximately four hundred and fifty (450) electric
19 customers and two hundred and fifty (250) gas customers,
20 so the difference is about two hundred thousand
21 (200,000).

22 MR. BOB PETERS: All right. So, I
23 inflated your customer base there. You have two hundred
24 thousand (200,000) all-electric customers who -- who
25 don't utilize natural gas.

1 certainly do that. The -- more than that though, the
2 electricity billing system at Manitoba Hydro, the old
3 customer service system was outdated, needed change. So
4 -- so the efficiencies go beyond just combining
5 electricity and gas. It's a new -- brand-new billing
6 system for all customers.

7 MR. BOB PETERS: All right. If we have
8 an address that receives gas service and electricity
9 service, they're going to receive -- they have the option
10 of receiving one (1) bill combining both utility charges
11 on it?

12 MR. VINCE WARDEN: Oh, they wouldn't have
13 the option, they will receive one (1) bill combining both
14 gas and electricity charges.

15 MR. BOB PETERS: Well, I'm thinking of a
16 situation, Mr. Warden, where the husband is the -- is the
17 electricity customer and the wife is the gas customer and
18 they each want to maintain their account records; that
19 option will be presented to them, that they can still
20 monthly -- or regularly get individual accounts?

21 MR. VINCE WARDEN: You're correct. That
22 will be an option. We sincerely hope not too many people
23 avail themselves of that option, but -- but it will be
24 there, yes.

25 MR. BOB PETERS: And if -- I forget

1 exactly how I phrased that previous question but if the
2 electricity customer is the husband and he doesn't want
3 the gas portion showing up on -- on what's mailed to him,
4 his bill format will look a lot like the one who's -- the
5 two hundred thousand dollar (\$200,000) electric
6 customers; would that be correct?

7 MR. VINCE WARDEN: Fair enough.

8 MR. BOB PETERS: And so you don't have
9 any customers who take gas but not electricity; do you?

10 MR. VINCE WARDEN: Not aware of any
11 customers that would do that.

12 MR. BOB PETERS: All right. So the
13 assumption is that every -- everyone taking gas also has
14 an electricity account with you?

15 MR. VINCE WARDEN: Yes.

16 MR. BOB PETERS: If at one address there
17 is both gas and electricity service provided you're
18 hoping that that one address will identify somebody
19 within the household whose name will then appear on the
20 new bill format and be responsible for both the gas and
21 electric portions of the bill?

22 MR. VINCE WARDEN: We're expecting that
23 to be the case, yes.

24 MR. BOB PETERS: But there is an option
25 being given to homeowners who are presently two (2)

1 different names appear on the gas as compared to the
2 electric bill?

3 MR. VINCE WARDEN: Not something we plan
4 on promoting. But that would be available to a customer
5 should they choose to go that direction.

6 MR. BOB PETERS: And for the -- for the
7 one (1) address where there's going to be one (1)
8 customer name for both gas and electric service; can you
9 tell the Board, presently do all gas customers get one
10 (1) gas bill a month?

11

12 (BRIEF PAUSE)

13

14 MR. VINCE WARDEN: Yes. Unlike the
15 electricity accounts, there are no bi-monthly bills for
16 gas customers.

17 MR. BOB PETERS: All right. On the
18 electricity side you've indicated to the Board then that
19 there could be an account every two (2) months?

20 MR. VINCE WARDEN: Depending on
21 consumption, yes.

22 MR. BOB PETERS: There are residential
23 customers, for example, who would get an electricity
24 account every two (2) months?

25 MR. VINCE WARDEN: Yes, there would.

1 MR. BOB PETERS: And so as I understand
2 it on month one (1) would be a gas bill, month two (2)
3 would be gas and electric and month three (3) would be
4 gas only again; is that how you envision it, that on the
5 months where a homeowner normally would not get an
6 electricity bill because they're billed bi-monthly, would
7 they -- would that now change to monthly billing?

8

9 (BRIEF PAUSE)

10

11 MR. VINCE WARDEN: Mr. Peters, I'm going
12 to perhaps give an answer for you, for sure, on that
13 question. I think it seems reasonable that when we're
14 getting a reading for gas we would -- for that same
15 customer we would also get a reading for electricity and
16 therefore the reason -- the efficiency gained by reading
17 those accounts every second month is no longer there.

18 So if we're going to be reading the gas
19 meter, it seems logical that we also read the electricity
20 meter. I would, though, like to confirm that.

21 MR. BOB PETERS: All right. I'll wait
22 for your undertaking to provide an answer back through
23 your counsel?

24

25 --- UNDERTAKING NO. 34: CENTRA to indicate to Board

1 if, on the months where a
2 homeowner normally would not
3 get an electricity bill
4 because they're billed bi-
5 monthly, would now change to
6 monthly billing.
7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: Mr. Warden, let me just
10 ask this question now so I don't have to ask it of you
11 later, if, for some reason, that's not the intention of
12 the Corporation is to put out twelve (12) electricity
13 accounts whereas before they would send out only six (6)
14 in a year; what happens to the month when there's usually
15 no electricity bill sent out?

16 You can explain, maybe, in your answer to
17 the Board, if you're incorrect in your previous --
18 previous assumption, what would happen in that instance.

19 MR. VINCE WARDEN: We'll do that.

20 MR. BOB PETERS: Thank you, sir.

21 THE CHAIRPERSON: Mr. Warden, I presume
22 one of the options is to have a monthly bill, since
23 you'll be sending a gas one out in any case?

24 MR. VINCE WARDEN: Yes, Mr. Chairman,
25 that's what I'm going to confirm in the answer we bring

1 back tomorrow morning.

2 THE CHAIRPERSON: And in this process you
3 have been consulting with consumer groups on the single
4 bill, I believe?

5 MR. VINCE WARDEN: Yes, there have been a
6 number of consultations that have taken place with --
7 with consumer groups.

8

9 CONTINUED BY MR. BOB PETERS:

10 MR. BOB PETERS: And that brings me to
11 the wording that's in the terms and conditions of
12 service, Mr. Warden.

13 Have there been any further concerns
14 raised with respect to the specific wording in the terms
15 and conditions of service?

16 MR. DARREN RAINKIE: Mr. Peters, you're
17 talking about the wording with respect to the allocation
18 of partial payments, where there's no instructions from a
19 customer?

20 MR. BOB PETERS: Yes, sir.

21 MR. DARREN RAINKIE: Certainly from my
22 reading of the material I don't think so, Mr. Peters,
23 that there's been any other concerns brought forward.
24 That wording is fairly simple. I think we agreed on the
25 principle at the last Hearing and it's pretty much pro

1 rata, based on the -- the vintage of the particular type
2 of arrear or bill that you have.

3 MR. BOB PETERS: In the preface of the
4 question you asked me, Mr. Rainkie, do I take that the
5 consumers will be given a choice as to where to apply any
6 or all of their partial payment, as a first step?

7 MR. VINCE WARDEN: Yes, they will. The
8 payments will be applied to the oldest arrears first,
9 that's step number one (1). But should -- beyond that,
10 if the arrears are of equal vintage, then the customer
11 can elect as to which account that should be applied to.

12 MR. BOB PETERS: All right.

13 MR. DARREN RAINKIE: Mr. Peters, I should
14 note, just before we go too much farther, that this
15 partial payment allocation only applies in the
16 circumstance for a customer that just sends us a partial
17 payment and doesn't specify where that bill will be --
18 where that bill should be split. So this is kind of the
19 -- I guess the exception, not the rule.

20 MR. BOB PETERS: All right, will the
21 consumers be alerted that they -- that there is an
22 exception, that they can choose where to allocate their
23 partial payment?

24 MR. DARREN RAINKIE: I'm not sure that's
25 something that will be widely distributed to customers.

1 But if they -- if they tell us where they want that bill
2 to be split, we will honour their intentions is my
3 understanding, Mr. Peters.

4 If we just receive a random payment that's
5 not the total bill, then we will use the -- the routine
6 that is specified in the revised terms and conditions of
7 service.

8 MR. BOB PETERS: Why wouldn't you educate
9 the consumers that they can choose where the partial
10 payment will be first applied?

11 MR. DARREN RAINKIE: Sir, I'm not sure
12 through what venue we would -- we would do that -- that
13 education. You kind of caught me flat footed here. I'm
14 not sure that -- it may be something that the people that
15 work in this area of the Corporation have thought of, but
16 I'm not aware that we have any specific plans to do that.
17 I mean, we have a number of things that we communicate to
18 the customers every month, I'm not sure that's -- that's
19 one (1) that -- that comes to the top of the list.

20 MR. BOB PETERS: Well, Mr. Rainkie, maybe
21 I haven't thought it through well enough either, but you
22 can put on your utility bill, the cost of your new high
23 efficiency furnace that you buy from the H-Vac dealer on
24 the corner; is that correct?

25

1 (BRIEF PAUSE)

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. DARREN RAINKIE: Sir, there are definitely different charges on the bill, but I think we're missing the point that this is probably the exception and not the rule, and do you -- do you use your valuable communication time with the customer, explaining to them something that would hopefully be used very sparingly.

MR. BOB PETERS: As I take your answers, Mr. Rainkie, the Corporation doesn't see merit in educating customers who are in arrears, that they can choose where their partial payment will go?

MR. DARREN RAINKIE: Sir, I hope that -- I guess our hope as a Corporation is that customers won't be in arrears and that they will pay their total bill. So I'm not sure we want to send a message out there to customers, it's okay to pay your -- a partial bill.

MR. BOB PETERS: But you know currently, Mr. Rainkie, that you have many thousands of customers who are not current in their bill payments?

MR. DARREN RAINKIE: That's correct, sir, and I -- I don't really want to dig into this. I'm not trying to be difficult with you, I -- I'm not sure that - - that somebody may have considered this back at the

1 shop, Mr. Peters, and -- and if you want me to undertake
2 to -- to determine if they have or have not, and the
3 reasons I will, I probably shouldn't -- shouldn't go much
4 further with you on this right now.

5 MR. BOB PETERS: All right. I'll take
6 you up on that undertaking offer, Mr. Rainkie, that you
7 can advise the Board through your counsel then what the
8 Corporation's plans are for providing consumers with
9 choice as to where their partial payment goes.

10 And you can perhaps also indicate in your
11 response how that is to work and whether there is a --
12 any information or education that will be provided to the
13 consumer to assist them in that regard.

14
15 --- UNDERTAKING NO. 35: Advise the Board what the
16 Corporation's plans are for
17 providing consumers with
18 choices to where their
19 partial payment goes and
20 indicate how that is to work
21 and whether there is any
22 information or education that
23 will be provided to the
24 consumer to assist them in
25 that regard.

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Mr. Rainkie, maybe Mr.
3 Warden, just another thought that I had, presently -- you
4 have to excuse me if I have the programs named wrong, but
5 there's an equal payment plan for electricity; is that
6 right?

7 MR. VINCE WARDEN: That's correct, yes.

8 MR. BOB PETERS: And there's a similar
9 equal payment plan for the gas utility?

10 MR. VINCE WARDEN: Yes, there is.

11 MR. BOB PETERS: And if I was one (1) of
12 those electricity customers who received a bill bi-
13 monthly, do those bi-monthly customers also have the
14 option, Mr. Warden, of being on the equal payment plan?
15

16 (BRIEF PAUSE)
17

18 MR. VINCE WARDEN: Mr. Peters, subject to
19 check, again, and we're going to have the expert here
20 tomorrow morning with us on this whole area but, subject
21 to check, the equal payment plan is -- is a monthly plan,
22 so that customers pay monthly rather than bi-monthly. So
23 there's no -- again, subject to check, there's no
24 provision for bi-monthly equal payment plan plans.

25 MR. BOB PETERS: When the one (1) bill

1 program comes into fruition and the resident receives
2 both gas and electricity service from the utility, the
3 consumer will be given an option to go on an equal
4 payment plan as well?

5 MR. VINCE WARDEN: Yes, they will.

6 MR. BOB PETERS: Will that be equivalent
7 to two (2) equal payment plans, one (1) is gas, one (1)
8 is electric, or it will be one (1) combined equal payment
9 plan?

10 MR. VINCE WARDEN: It will be two (2)
11 separate equal payment plans.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Mr. Warden, are you in a
16 position to indicate to the Board the cost of this one
17 (1) bill initiative?

18 MR. VINCE WARDEN: Well, there's cost of
19 converting electricity customers onto the Banner billing
20 system. The one (1) bill initiative is part of -- of
21 that conversion. So there's a -- a total capital cost
22 that is not segregated into a one (1) bill initiative per
23 se but it -- it's more developing a new customer service
24 system for electricity and gas customers.

25 MR. BOB PETERS: And do you know what

1 that total overall cost is?

2 MR. VINCE WARDEN: Yes. Total cost of --
3 of that project, including the cost of converting
4 Winnipeg Hydro customers, when we acquired Winnipeg Hydro
5 customers there was a -- they had their own billing
6 system that had to be dismantled, the total cost of
7 providing for those customer billings, including the
8 conversion of electricity accounts in the Banner was --
9 is -- is \$21 million.

10 MR. BOB PETERS: Are you also aware of
11 what the synergies would be resulting from converting
12 from two (2) separate bills to a single bill?

13 MR. VINCE WARDEN: The synergies that we
14 had identified early on and -- and we're striving to
15 achieve is in the area of \$1 million per year.

16 MR. BOB PETERS: And that \$1 million is
17 then shared equally between the two (2) utilities in
18 terms of allocation?

19 MR. VINCE WARDEN: No. It shouldn't be
20 shared equally. There is a formula as to how that will
21 be shared. I don't have that but I can -- I can
22 certainly obtain that information.

23 MR. BOB PETERS: If you -- if you could,
24 I'd accept that undertaking.

25 MR. VINCE WARDEN: I'll do that.

1 MR. BOB PETERS: Thank you, sir.

2

3 --- UNDERTAKING NO. 36: CENTRA to provide Board the
4 formula that shows how the \$1
5 million shared between the
6 two (2) utilities in terms of
7 allocation.

8

9 CONTINUED BY MR. BOB PETERS:

10 MR. BOB PETERS: In terms of terms and
11 conditions, Mr. Wiens, I think it was you who testified
12 that the hourly rate was also a subject of review; is
13 that correct?

14 MR. ROBIN WIENS: Yes, that's correct,
15 Mr. Peters.

16 MR. BOB PETERS: The terms and conditions
17 before the Board presently have a labour rate at fifty-
18 five dollars (\$55) an hour; is that right?

19 MR. ROBIN WIENS: I believe it's at -- at
20 various rates depending on the appropriate hourly cost of
21 the service that's being rendered, Mr. Peters.

22 MR. BOB PETERS: But you were proposing
23 to go to fifty-five dollars (\$55) for miscellaneous
24 services, would that be a better way to say it?

25 MR. ROBIN WIENS: No. We were proposing

1 to bill out at -- at cost.

2 MR. BOB PETERS: The -- the fifty-five
3 dollar (\$55) number that I have is from the last
4 application where I thought you were considering a
5 category for miscellaneous at being fifty-five dollars
6 (\$55) and then changing that as the actual costs would
7 come in on a quarterly basis?

8 MS. KELLY DERKSEN: Mr. Peters, I'll just
9 clarify the situation. Prior to Order 131/04 of last
10 year, we had in our terms and conditions of service
11 billing out a miscellaneous fee for various services of
12 fifty-five dollars (\$55) per hour.

13 We propose, through the 04/05 cost of gas
14 application to change that from fifty-five dollars (\$55)
15 an hour to various rates as approved by the Board from
16 time to time.

17 And I think ultimately that's what was
18 approved with the caveat that we would supply to the
19 Board on a quarterly basis what those various labour
20 rates were and that's what the subject -- that's what the
21 issue is today.

22 MR. BOB PETERS: And the issue today is
23 that you no longer want to change the rate quarterly, but
24 rather you're -- you want to file it on an annual basis?

25 MR. ROBIN WIENS: That's correct.

1 MR. BOB PETERS: And the first filing,
2 Mr. Wiens, would be, I noted, June 15th; is that when you
3 intend to -- intend to file?

4 MR. ROBIN WIENS: That's tomorrow. I
5 think that's what we said, June 15th.

6 MR. BOB PETERS: And is the request that
7 the June 15th filing would be approved as part of the
8 rates in -- in this application?

9 MR. ROBIN WIENS: Yes, it is.

10 MR. BOB PETERS: Is the June 15th rate
11 that you're going to file a cost-based rate, Mr. Wiens?

12 MR. ROBIN WIENS: Yes, it is.

13 MR. BOB PETERS: And are the costs that
14 support the fifteen dollars (\$15) an hour explained in
15 the filing that the Board will receive tomorrow?

16 MR. DARREN RAINKIE: Sorry, Mr. Peters,
17 fifteen dollars (\$15)?

18 MR. BOB PETERS: No, I may have
19 misspoken. Will the -- will the filing on June 15th
20 detail how these cost-based rates are derived?

21 MR. DARREN RAINKIE: Mr. Peters, the
22 filing will outline the rate that we're seeking approval
23 of. I'm not sure it'll be a complex detailed
24 calculation. I think we were planning on filing a rate
25 schedule for approval tomorrow, Mr. Peters.

1 MR. BOB PETERS: And my question, Mr.
2 Rainkie, went just a bit further than that, wondering
3 whether or not in addition to the rate schedule you'd be
4 filing the backup material which would assist the Board
5 in determining whether it was a cost-based rate?

6 MR. ROBIN WIENS: I'm advised, Mr.
7 Peters, that what we will provide is a schedule of rates
8 and we are hopeful we will be able to provide you a
9 worksheet -- an example worksheet as to how, at least one
10 (1) of those rates was determined.

11 MR. BOB PETERS: Thank you, Mr. Wiens.
12 We'll -- we'll await the filing then and see if there's
13 anything further that flows from it.

14 In terms of the fixed price offering, has
15 this -- it's called a discussion paper, it's been filed
16 as Centra Exhibit 9; have I got that right?

17
18 (BRIEF PAUSE)

19
20 MR. LLOYD KUCZEK: Correct.

21 MR. BOB PETERS: Has this report been
22 considered by Centra's executive committee?

23 MR. LLOYD KUCZEK: Not the executive
24 committee, no.

25 MR. BOB PETERS: Has it been considered

1 by Centra's board?

2 MR. LLOYD KUCZEK: No.

3 MR. BOB PETERS: Has it been considered

4 by Manitoba Hydro's board?

5 MR. LLOYD KUCZEK: No.

6 MR. BOB PETERS: And is it one that would
7 ordinarily be expected to go to the board or would this
8 be just a paper used at the managerial level?

9 MR. LLOYD KUCZEK: It was reviewed with
10 two (2) of the executives at Manitoba Hydro.

11 MR. BOB PETERS: Am I correct that the
12 reason this report has been filed with the -- with the
13 Board is to satisfy a request made by the Board in prior
14 Board Order?

15 MR. LLOYD KUCZEK: Correct.

16 MR. BOB PETERS: And in your direct
17 evidence, and I believe it was your evidence, Mr. Kuczek,
18 that this discussion paper really sets out the pros and
19 the cons or the advantages and disadvantages of a fixed
20 price offering but doesn't come down on one side of the
21 equation or another for the company?

22 MR. LLOYD KUCZEK: Correct.

23 MR. BOB PETERS: And does the company
24 have any plans to take this discussion paper to the next
25 level, and come to a recommendation?

1 MR. VINCE WARDEN: Yes, Mr. Peters, at
2 the appropriate time. At this stage it's a discussion
3 document.

4 MR. BOB PETERS: And when you say the
5 appropriate time, Mr. Warden, is there a time frame you
6 can put on that?

7 MR. VINCE WARDEN: We have not put a time
8 frame around that internally yet.

9 MR. BOB PETERS: A -- a prior time, Mr.
10 Warden, and I'm going to go by memory on this one, so
11 correct me if I'm wrong.

12 It was Centra's official position that a
13 fixed price offering was not needed in the Manitoba
14 market, unless and until -- I'll use the words price
15 gouging was considered prevalent or existing in that --
16 in that market place. Was that -- am I correct in that?

17 MR. VINCE WARDEN: Well, I think, Mr.
18 Peters, you may be referencing some comments I personally
19 made at the Proceeding. I -- I probably was not
20 necessarily stating the Corporate position, but it was a
21 personal opinion at that time.

22 MR. BOB PETERS: Has that personal
23 opinion changed?

24 MR. VINCE WARDEN: No.

25 MR. BOB PETERS: Has the corporate

1 position changed?

2 MR. VINCE WARDEN: Well, we -- as I say,
3 we haven't really reached a firm corporate position.
4 This has never really been a tremendously high priority
5 for us, and it still hasn't risen to that level.

6 MR. BOB PETERS: I think I tried to sneak
7 a few questions into your first Panel, and perhaps, Mr.
8 Warden, you and Mr. Rainkie will recall that.

9 And I wondered whether or not the
10 optimization of the gas asset portfolio would be impacted
11 by any decision respecting fixed price contracts; has
12 that been considered?

13 MR. VINCE WARDEN: It will -- will have an
14 impact, Mr. Peters, there's no doubt about that.

15 MR. BOB PETERS: That hasn't been built
16 into any further plans or intentions as to how you will
17 proceed on the gas asset portfolio?

18 MR. VINCE WARDEN: Again, we're still in
19 the midst of an internal review of that portfolio, and we
20 don't have the corporate position on that yet.

21 MR. LLOYD KUCZEK: Mr. Peters, I would
22 add that our market research shows only 13 percent of our
23 customers would want a product that's greater than what's
24 being offered today in terms of hedged products.

25 So, based on that information, even if we

1 offered a -- a multiple or a fixed priced product with
2 longer terms, we wouldn't expect a number of customers to
3 sign up.

4 MR. BOB PETERS: Mr. Kuczek, for those 13
5 percent who want a product that is hedged further than
6 what the Corporation provides, they can presently access
7 that on the market?

8 MR. LLOYD KUCZEK: Correct.

9 MR. BOB PETERS: And that's through --
10 through the broker community?

11 MR. LLOYD KUCZEK: Yes.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Mr. Kuczek, in your --
16 in your review with the market as to the offerings that
17 Centra presently provides, did your consumers speak as to
18 whether or not the current methodology of setting primary
19 gas rates quarterly, as well as a rate rider for the PGVA
20 that accumulates on primary gas, does that send an
21 appropriate price signal to them?

22 MR. LLOYD KUCZEK: I don't think we
23 actually researched that with that market research that
24 we undertook.

25 MR. BOB PETERS: Did you -- do you know

1 whether or not that's a concern of your customers; that
2 is the accurate pricing signals of -- of gas?

3 MR. LLOYD KUCZEK: Actually we don't know
4 that, but what we do know is that we need to educate our
5 consumers, and part of that education process would be to
6 tell -- to educate them on what the -- the market price
7 is, relative to what our product is, and what a five (5)
8 year or other -- some other term product might mean to
9 them, relative to market prices.

10 But the -- in terms of what the
11 differential is going to be between market prices and
12 some fixed term product, it's going to vary depending on
13 the market conditions.

14 MR. BOB PETERS: Does Centra consider
15 that its present methodology of setting primary gas
16 quarterly together with the included rate rider for the
17 primary gas PGVA, whether that creates any barriers to
18 competition in the marketplace in Manitoba?

19 MR. VINCE WARDEN: We don't believe it
20 does, no.

21 MR. BOB PETERS: Has that been -- been
22 researched with any empirical evidence, Mr. Warden?

23 MR. VINCE WARDEN: No, we would have no
24 empirical evidence to support that, Mr. Peters.

25 MR. BOB PETERS: Just to conclude on the

1 day on Centra Exhibit 21, Gentlemen and Lady, the
2 consultation results on -- on consumer education, that
3 was filed, I have it here, on June 13th; have you a copy
4 of that?

5 MR. LLOYD KUCZEK: Yes.

6 MR. BOB PETERS: And, Mr. Kuczek, this
7 also stems as a result of a Board request from Order
8 131/04?

9 MR. LLOYD KUCZEK: Yes.

10 MR. BOB PETERS: And in my review of the
11 document, the purpose -- or what's come out of this is a
12 plan going forward as to how you were going to educate
13 the consumers; is that correct?

14 MR. LLOYD KUCZEK: No, it's actually a --
15 an agreement among -- about a process that we'll use to
16 consult with the brokers and get input from CAC and MSOS.

17 MR. BOB PETERS: And that's the Appendix
18 B on page 15 of 17 of the Consultation Results; is that
19 correct?

20 MR. LLOYD KUCZEK: Correct.

21 MR. BOB PETERS: And is there any request
22 being made of the Board in this proceeding relative to
23 this document?

24 MR. LLOYD KUCZEK: No.

25 MR. BOB PETERS: And what this sets out

1 is an agreement that you believe you have with the
2 stakeholder community, that is the broker community as
3 well as CAC/MSOS, as to how you would go forward on an
4 educational package?

5 MR. LLOYD KUCZEK: Yes --

6 MR. BOB PETERS: And that educational
7 package could be for -- for primary gas initiatives?

8 MR. LLOYD KUCZEK: That's correct. The -
9 - the plan is to try the process, see how it works and if
10 it's successful, probably to continue with it.

11 MR. BOB PETERS: All right. And the
12 process has not yet been tried as detailed on -- or set
13 out on Appendix B?

14 MR. LLOYD KUCZEK: That's correct.

15 MR. BOB PETERS: And when would -- when
16 does the corporation expect it will be in a position to
17 launch primary gas educational initiatives in accordance
18 with Schedule -- in accordance with Appendix B?

19 MR. LLOYD KUCZEK: Sometime this summer
20 or later in the fall.

21 MR. BOB PETERS: Are there any further
22 consultations taking place or is it now the ball in
23 Centra's court to develop the -- the materials that it
24 intends to put out?

25 MR. LLOYD KUCZEK: Staff have been

1 instructed to develop something right now, so that's
2 where it's at.

3 MR. BOB PETERS: All right. And the
4 process is staff will develop it, they'll share it with
5 industry and consumer stakeholders and then decide if
6 they're going to make any changes?

7 MR. LLOYD KUCZEK: That's correct.

8 MR. BOB PETERS: And the process includes
9 an opportunity for parties who are -- have concerns with
10 the materials to bring those before the Public Utilities
11 Board?

12 MR. LLOYD KUCZEK: That's their option,
13 correct.

14 MR. BOB PETERS: And if such a step was
15 taken, would Centra hold off sending out its educational
16 materials until the PUB had adjudicated the concern?

17 MR. VINCE WARDEN: Mr. Peters, would you
18 repeat that question, please.

19 MR. BOB PETERS: I was just wanting to
20 conclude, Mr. Warden, with an understanding that the
21 primary gas educational initiative that has been
22 developed in apparent consensus form with industry
23 stakeholders and consumer groups, was that if somebody
24 wasn't happy with what was proposed in Centra's
25 educational package, they could bring that concern before

1 the Board and seek some -- some relief; are you aware of
2 that?

3 MR. VINCE WARDEN: That's my
4 understanding, yes.

5 MR. BOB PETERS: And if -- if somebody
6 did bring a concern before the Public Utilities Board in
7 respect of the educational materials that Centra was
8 planning on sending out, would the utility withhold
9 sending out that material until the Board had adjudicated
10 the issue?

11 MR. VINCE WARDEN: Well, as a matter of
12 fact, I think there is a precedent for that. And
13 certainly, if the Board requested us to withhold sending
14 out information, we would comply with that.

15 MR. BOB PETERS: So it would be incumbent
16 on the party bringing it to the Board to also ask the
17 Board to notify Centra that it should withhold sending
18 out its material until the matter had been dealt with?

19 MR. VINCE WARDEN: That would seem
20 reasonable to me, yes.

21 MR. BOB PETERS: Mr. Chairman, in light
22 of the hour, I suggest this might be a good time to
23 adjourn for the day. And I will conclude my questions
24 tomorrow morning, before coffee.

25 THE CHAIRPERSON: Well, with the weather,

1 Mr. Peters, I just thought we'd just go right through the
2 night.

3 MR. BOB PETERS: Well, we can do that too
4 but --

5 THE CHAIRPERSON: Goodnight everyone,
6 we'll see you tomorrow.

7
8 (PANEL RETIRES)

9
10 --- Upon adjourning at 4:04 p.m.

11
12
13 Certified Correct,

14
15
16
17
18 _____
19 Carol Wilkinson, Ms.

20
21
22
23
24
25