

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO'S APPLICATION
FOR APPROVAL OF NEW ELECTRICITY RATES
FOR 2010/11 AND 2011/12

Before Board Panel:

Graham Lane - Board Chairman
Robert Mayer, Q.C. - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
May 26, 2011
Pages 6415 to 6637

1 APPEARANCES
2 Bob Peters (np)) Board Counsel
3 Anita Southall)
4
5 Patti Ramage) Manitoba Hydro
6 Marla Boyd)
7
8 Byron Williams) CAC/MSOS
9 Myfanwy Bowman (np))
10
11 Antoine Hacault) MIPUG
12
13 Michael Anderson (np)) MKO
14
15 William Gange) RCM/TREE
16
17 Delanie Coad (np)) SCO
18
19 Denise Pambrun (np)) City of Winnipeg
20
21 Gavin Wood) Independent Experts
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TABLE OF CONTENTS

Page No.

List of Exhibits	6418
List of Undertakings	6418
INDEPENDENT EXPERTS PANEL:	
ATIF KUBURSI, Resumed	
LONNIE MAGEE, Resumed	
Cross-examination by Mr. Byron Williams	6436
Cross-examination by Mr. Antoine Hacault	6586
Certificate of Transcript	6637

1	LIST OF EXHIBITS		
2	Exhibit No.	Description	Page No.
3	PUB-22	Undertaking Questions 1 to 25 from the	
4		PUB for the Independent Expert Witnesses,	
5		dated May 17, 2011	6420
6	PUB-23	Letter from Fillmore Riley to Manitoba	
7		Hydro, dated May 24, 2011	6421
8	MH-146	Response to Undertaking 91	6422
9	MH-147	Response to Undertaking 138	6422
10	MH-148	Response to Undertaking 139	6422
11	MH-149	Manitoba Hydro's letter of May 20th to	
12		the Public Utilities Board	6423
13	KM-6	Response to the undertaking at page	
14		3,916 of the transcript	6425
15	KM-7	Response to the PUB questions marked	
16		as Exhibit PUB-22	6425
17	CAC/MSOS-25	White book of documents	6431
18	CAC/MSOS-26	Yellow book of documents	6432
19	CAC/MSOS-27	Graph containing supporting material	6432
20	MIPUG-13	Letter of Objection from Mr. Hacault	
21		to PUB, dated May 26, 2011	6436
22			
23			
24			
25			

	LIST OF UNDERTAKINGS		
	No.	Description	Page No.
1			
2			
3	147	Doctors Kubursi and Magee to review the	
4		development of Figure 6.1 to confirm	
5		whether or not water flows were presented	
6		as a fixed value or were allowed to flow	
7		randomly	6446
8	148	Doctors Kubursi and Magee to provide the	
9		probability distribution for water flows	
10		employed for the purposes of developing	
11		the base case as represented in Figure	
12		6.1	6448
13	149	Doctors Kubursi and Magee to provide the	
14		probability distribution of prices for	
15		imports in the United States	6457
16	150	Doctors Kubursi and Magee to provide data	
17		re: Figure 6.1	6602
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:40 a.m.

2

3 THE CHAIRPERSON: Okay. Good morning,
4 everyone. We've had a lengthy break. So we're back at
5 it again. Ms. Southall, do you want to bring us up to
6 date?

7 MS. ANITA SOUTHALL: Yes, good morning,
8 Mr. Chairman, Mr. Vice-Chairman, all in attendance. We
9 have the introduction of some exhibits this morning which
10 we'll proceed with. We also have responses to certain of
11 the pre-asks and undertakings of various parties which
12 will be presented through Mr. Wood. I will start with,
13 please, the introduction of two (2) PUB exhibits, for the
14 record.

15 The next exhibit number is Exhibit 22, and
16 we enter the set of questions called Undertaking
17 Questions 1 to 25 from the PUB for the Independent Expert
18 Witnesses, dated May 17, 2011, as the next PUB exhibit.

19 THE CHAIRPERSON: We have it.

20

21 --- EXHIBIT NO. PUB-22: Undertaking Questions 1 to 25
22 from the PUB for the
23 Independent Expert Witnesses,
24 dated May 17, 2011

25

1 MS. ANITA SOUTHALL: And then if you
2 would, please, mark a letter from Fillmore Riley to
3 Manitoba Hydro, dated May 24, 2011, as the next PUB
4 exhibit.

5 THE CHAIRPERSON: Yes.

6 MS. ANITA SOUTHALL: That would be
7 Exhibit 23.

8

9 --- EXHIBIT NO. PUB-23: Letter from Fillmore Riley to
10 Manitoba Hydro, dated May 24,
11 2011

12

13 MS. ANITA SOUTHALL: That letter was
14 circulated to Manitoba Hydro, counsel for all
15 intervenors, the Board of course, and all email
16 recipients on the general email list on the -- on the
17 dated issue, for the record. And we have now a series of
18 Manitoba Hydro exhibits which I believe Ms. Ramage or Ms.
19 Boyd will be entering. Thank you.

20 MS. PATTI RAMAGE: Yes, thank --

21 THE CHAIRPERSON: Ms. Ramage...?

22 MS. PATTI RAMAGE: Thank you. Manitoba
23 Hydro has distributed a number of undertakings this
24 morning. The first is Undertaking number 91, and that is
25 the December 2010 actuarial evaluation performed on

1 Manitoba Hydro's pensions, and that would be Exhibit
2 Manitoba Hydro 146.

3

4 --- EXHIBIT NO. MH-146: Response to Undertaking 91

5

6 MS. PATTI RAMAGE: The next is Manitoba
7 Hydro Undertaking number 138, which is the arrears of
8 customers for Neighbours Helping Neighbours program at
9 the time the customers applied for assistance. That is
10 Exhibit Manitoba Hydro number 147.

11

12 --- EXHIBIT NO. MH-147: Response to Undertaking 138

13

14 MS. PATTI RAMAGE: The next is Manitoba
15 Hydro Undertaking number 139, and that is Manitoba Hydro
16 undertook to provide what it could in terms of arrears
17 data broken down by mis -- as -- as broken down by Mr.
18 Colton in Table 3, and that's Exhibit Manitoba Hydro
19 number 148.

20

21 --- EXHIBIT NO. MH-148: Response to Undertaking 139

22

23 MS. PATTI RAMAGE: And then, lastly, we
24 would suggest Manitoba Hydro's letter of May 20th to the
25 Public Utilities Board, which is its objection to the

1 undertakings posed by PUB counsel on May 17th. We're
2 suggesting that be marked as Manitoba Hydro Exhibit
3 number 149.

4

5 --- EXHIBIT NO. MH-149: Manitoba Hydro's letter of
6 May 20th to the Public
7 Utilities Board

8

9 THE CHAIRPERSON: Fine. Thank you.

10 MS. ANITA SOUTHALL: Next, if I could
11 turn to Mr. Wood, please, to enter a series of documents
12 based on -- and provide us with a status report with
13 respect to various pre-asks and the PUB undertakings of
14 May 17th.

15 Mr. Wood...?

16 MR. GAVIN WOOD: Thank you. There are
17 two (2) additional documents to enter from KM. The first
18 is a response to one (1) of the undertakings. That's the
19 undertaking at page 3,916 of the transcript.

20

21 (BRIEF PAUSE)

22

23 MR. GAVIN WOOD: And I'll distribute
24 copies in a moment to -- to Intervenor counsel. And then
25 secondly there is a set of answers to the questions that

1 Ms. Southall has just referred to. These set of
2 questions are marked as Exhibit PUB-22 and the way in
3 which we've set the response up is the actual questions
4 are reproduced and then the answers are attached behind
5 each of the questions. And that is through question 17.
6 And then there's also an answer to question 25. That --
7 that's what's been answered to date.

8 MS. ANITA SOUTHALL: If we could just
9 pause and we'll record the proper exhibit numbers for
10 those documents, just confirm with Mr. Singh when he
11 returns to his desk.

12 MR. BYRON WILLIAMS: And, Mr. Chairman,
13 just for clarity, our clients have received the -- the
14 second document referred to by Mr. Wood, which is
15 labelled at the top "Undertakings, Questions 1 to 25."
16 I'm not sure that we've received the -- the other
17 documents.

18 MR. GAVIN WOOD: You may not have. And -
19 - and I've got -- I have copies and I'll give them out in
20 a moment.

21 MS. ANITA SOUTHALL: So just to keep the
22 record straight, please, the first undertaking response
23 referred to by Mr. Wood respecting transcript page number
24 3,916, I believe would be KM Exhibit 6.

25

1 --- EXHIBIT NO. KM-6: Response to the undertaking
2 at page 3,916 of the
3 transcript
4

5 MS. ANITA SOUTHALL: Yes, that's correct.
6 And the undertaking answers of KM to questions 1 to 25
7 from the PUB will be KM Exhibit 7.
8

9 --- EXHIBIT NO. KM-7: Response to the PUB questions
10 marked as Exhibit PUB-22
11

12 THE CHAIRPERSON: Very good.

13 MR. GAVIN WOOD: And if I might advise,
14 the doctors are working on some additional answers.
15 We'll have at least one (1) of them ready for filing this
16 afternoon, sir.

17 THE CHAIRPERSON: Okay. We'll -- we'll
18 review what we have in -- in due course.

19 MS. ANITA SOUTHALL: I believe the plan
20 in terms of process was now to proceed with Mr. Williams
21 cross-examination of the panel. Mr. Williams, are you
22 ready to proceed?

23 THE CHAIRPERSON: I think he wants to
24 receive these exhibits.

25 MR. BYRON WILLIAMS: Subject to that,

1 yes, I am.

2 MS. PATTI RAMAGE: I don't think the
3 other parties have copies of these. Certainly Manitoba
4 Hydro doesn't -- hasn't seen these.

5 THE CHAIRPERSON: Well, we'll have to fix
6 that shortcoming.

7 MR. BYRON WILLIAMS: Mr. Chairman, I'm --
8 I'm now prepared to proceed.

9 THE CHAIRPERSON: Okay. Mr. --

10 MS. ANITA SOUTHALL: We'll just pause
11 while Mr. Wood circulates, please, to all the Intervenors
12 or their counsel, copies of the documents. Just take a
13 moment to make sure those are in hand.

14 THE CHAIRPERSON: Yeah, that's what I was
15 about to suggest.

16

17 (BRIEF PAUSE)

18

19 MR. ANTOINE HACAULT: Mr. Chairman, with
20 respect to the questions and answers by Doctors Kubursi
21 and Magee in the pre-asks, I also have a letter of
22 objection and request to file. We had left the hearing
23 on May 6th on the basis that there would be consultation
24 between counsel with respect to some of the issues on the
25 pre-asks, and my letter sets out some of the extracts of

1 the transcripts, and that hasn't occurred.

2 So, formally, we wish to put some written
3 objections which we will file by way of letter to -- to
4 the Board. But we have some concerns about the
5 procedural issues of not having the answers at this time
6 and not being able to consider the answers and -- and
7 prepare, so that the letter for -- more fully sets out
8 our concerns. So, with leave of the Board, I'd at least
9 like to be able to file the letter so that we have it.

10 I don't know if other counsel have any
11 concerns or objections which they want to state for the
12 record.

13 THE CHAIRPERSON: I'm sure if they do,
14 they'll speak up, Mr. Hacault. Could you provide Mr.
15 Singh with your letter and we'll distribute it.

16

17 (BRIEF PAUSE)

18

19 MS. PATTI RAMAGE: Mr. Chairman, I think
20 it might be helpful for all parties if Mr. Wood could
21 explain -- or just give us the status because I think
22 there's some confusion about what's been filed here,
23 whether this is the pre-ask prior that were requested
24 prior to May 6th or whether this is the response to
25 undertakings requested on May 17th.

1 And -- and while I'm on the mic, I would
2 just say there seems to be some confusion also about the
3 status of Manitoba Hydro's motion. I took it certainly,
4 Ms. Southall's letter, as dis -- as dismissing that
5 request and -- and that was dealt with, but if we could
6 get that clarified it would -- I think it would help
7 everyone.

8 MR. GAVIN WOOD: Certainly, and -- and
9 firstly, Mr. Chair, it -- the one (1) set of responses
10 that have been marked as KM-6 deal with the letter of May
11 17th, 2011, that is --

12 THE CHAIRPERSON: Mr. Wood, if you
13 wouldn't mind holding for a minute, Mr. Singh was
14 speaking to me, so I didn't hear what you had to say.
15 Mr. Singh is making copies of Mr. Hacault's letter, and
16 he will distribute it. Maybe we should take one (1) step
17 at a time. So if you wouldn't mind just waiting a
18 second. There are a lot of paper in play, it would
19 appear.

20

21 (BRIEF PAUSE)

22

23 THE CHAIRPERSON: Mr. Singh has returned.

24 MR. GAVIN WOOD: I -- just in answer to
25 Ms. Ramage's question, the Exhibit KM-7 deals with the

1 questions raised by the letter of May 17th, 2011, which
2 has been mar -- marked as Exhibit PUB-22, and the other
3 document that's been provided, Exhibit KM-6, deals with
4 one (1) of the undertakings given during the -- the oral
5 evidence, and that is found at transcript page 3,916.
6 That's what's been filed today.

7 MS. ANITA SOUTHALL: And Mr. Wood, just
8 apropos Ms. Ramage's comments if you could please then
9 update us as to the status of the balance of the pre-asks
10 of the PUB, the balance of the undertaking questions of
11 the PUB, and the -- and the other pre-ask questions posed
12 by, I believe it was, CAC/MSOS and Manitoba Hydro.

13 MR. GAVIN WOOD: They're -- work is being
14 done on them. There would be at least one more answered
15 in terms of the undertakings given during the tran --
16 transcript -- the -- the oral evidence. Beyond that, I
17 guess there would be an attempt to provide something
18 further by next Tuesday, but at the moment they're being
19 worked on.

20 MR. BYRON WILLIAMS: Ms. Southall, if --
21 if I can just interject in terms of the pre-asks posed by
22 CAC/MSOS, they were really intended, to a large degree,
23 to be almost a notice of question that -- that I intended
24 to pursue through cross-examination. So I'm quite
25 confident that -- that professors Kubursi and Magee will

1 be able to address it through -- through cross-
2 examination and -- and I don't consider those
3 outstanding.

4 MR. GAVIN WOOD: And in -- and in that
5 regard, Mr. Williams and I spoke and the intention is
6 that most or all of those are going to be asked during
7 the course of the cross-examination.

8 THE CHAIRPERSON: So things should
9 become clearer as we go ahead.

10 Mr. Williams...?
11

12 INDEPENDENT EXPERTS PANEL:

13 ATIF KUBURSI, Resumed

14 LONNIE MAGEE, Resumed
15

16 MR. BYRON WILLIAMS: Good morning, Mr.
17 Chairman, and -- and Mr. Vice-Chair, and professors
18 Kubursi and McGee.

19 There have been some comments -- or, I
20 guess, from MIPUG and Manitoba Hydro, objections to some
21 of the undertakings sought by the Public Utilities Board.
22 And our -- I have no instructions from my clients on
23 that issue. I would simply note that some of the
24 material has been filed today and obviously poses
25 challenges to me given that my cross-examination is

1 scheduled to commence twenty-five (25) minutes ago.

2 So with the Board's permission, Professor
3 Simpson has kindly joined us today, he's in the -- I've
4 got a back row for perhaps the first time in history.
5 And -- and he is doing a quick study of them and it may
6 be possible to -- to do any necessary follow-up today.
7 I would like to -- I'm not saying we will need to -- to
8 pursue anything further on the 31st, but reserve the
9 option to make that request if that -- if that -- if we
10 deem it necessary.

11 THE CHAIRPERSON: That's fine, Mr.
12 Williams.

13 MR. BYRON WILLIAMS: And Mr. Chairman and
14 Mr. Vice-Chair, I -- I hesitate to do so given the deluge
15 of paper that you've already faced, but there are three
16 (3) CAC/MSOS exhibits, which I've distributed to the room
17 with the consent of my learned friend Mr. Wood and I will
18 discuss them in -- for a couple of seconds.

19 And, Mr. Chairman, the first document you
20 should have received is a white CAC/MSOS book of
21 documents, yes, which I would propose be marked as
22 CAC/MSOS Exhibit 25.

23

24 --- EXHIBIT NO. CAC/MSOS-25: White book of documents

25

1 MR. BYRON WILLIAMS: And that was, of
2 course, prepared two (2) weeks ago in anticipation of
3 commencing our cross. Since then we've had the
4 opportunity to review the transcript and prepared a
5 supplemental book of documents on yellow paper, which
6 we've also labelled the Yellow Book of Documents, which I
7 would suggest be marked as CAC/MSOS Exhibit 26.

8

9 --- EXHIBIT NO. CAC/MSOS-26: Yellow book of documents
10

11 THE CHAIRPERSON: I trust they bear no
12 relationship to yellow journalism.

13 MR. BYRON WILLIAMS: Mr. -- Mr. Vice-
14 chair, you'll have to draw your own conclusions.

15 Also there is a -- a graph with some
16 supporting material with a lovely blue wavering line
17 going across it labelled "Exchange Rates, Canadian Costs
18 in US Dollars," and we would propose that that be marked
19 as CAC/MSOS Exhibit 27.

20

21 --- EXHIBIT NO. CAC/MSOS-27:

22 Graph containing supporting material

23

24 THE CHAIRPERSON: Where was that drawn
25 from?

1 MR. BYRON WILLIAMS: Do -- do you have
2 the document, Mr. -- I think we have to give credit to
3 Mr. -- to Professor Simpson for that tremendous artwork.

4 THE CHAIRPERSON: Okay. Thank you.

5 MR. BYRON WILLIAMS: Mr. Chairman, just
6 in terms of the three (3) documents, exhibits before you,
7 I just have a couple of other notes, first, in CAC/MSOS-
8 25. That's the white book of documents. Most of the
9 material -- if you turn to the table of contents on page
10 2, most of the material is material already on the record
11 of this proceeding.

12 But with -- what has been included that
13 was not previously on the record of the proceeding is the
14 -- looking at the table of contents, is the article
15 "Methane and the Greenhouse Gas Footprint of Natural Gas
16 from Shale Formations," the famous or notorious Cornell
17 study.

18 And I can indicate, and I'll ask my
19 friend, Mr. Wood, to confirm, that we've shared that with
20 -- with his clients some weeks ago, and they've reviewed
21 it, and they're prepared to -- to address questions with
22 regard to it.

23 MR. GAVIN WOOD: That's correct.

24 MR. BYRON WILLIAMS: And at page 20 of
25 this -- of the white book is also just a very simplistic,

1 normal distribution graph which wasn't on the record, but
2 I think many of us struggle with probability
3 distributions, some more than others. And at least for
4 my benefit, if for no one else's, I thought it might be
5 useful to have that.

6 Turning to the yellow book of documents --
7 already the normal distribution is causing raised
8 eyebrows. Turning to the yellow book of documents, all
9 these documents are drawn from the record of -- of the
10 proceeding with the exception of the document at page 44
11 in the top right-hand corner.

12 And the Board will see that this is a in -
13 - page 44 in the top right-hand corner. The Board will
14 see that this is an information request drawn from the
15 2008 General Rate Application. And I've discussed this
16 matter with my Learned Friend and suggested that his
17 clients review this. We won't get to it until the
18 afternoon. And if they're prepared to comment upon it
19 they're certainly welcome to. If they don't, then we --
20 we understand.

21 And, finally, Mr. Chairman, in terms of
22 Exhibit 27, which is the graph, I'll -- I'll suggest and
23 I'll ask my friend, Mr. Wood, to confirm that these are
24 calculations and a graph prepared by CAC/MSOS. They've
25 been shared in advance with his clients, and they are

1 prepared to -- to discuss it is my understanding.

2 MR. GAVIN WOOD: And they again have seen
3 it prior, and it has been reviewed.

4 MR. BYRON WILLIAMS: And, finally, Mr.
5 Chairman, just in terms of my cross-examination, you've
6 got the three (3) CAC/MSOS exhibits. I -- I hope we
7 don't need to go much to Professor Kubursi and Magee's
8 actual report. We tried to pull from it. But you may
9 just want to keep it in -- at hand.

10 And, also, the PUB had sent out a book of
11 documents for the purposes of their cross-examination,
12 and we have one (1) reference to that as well. I don't
13 recall the PUB exhibit number for their cross-
14 examination. It may be twenty (20).

15 MS. ANITA SOUTHALL: Yes, I believe
16 that's correct, Mr. Williams.

17 MR. BYRON WILLIAMS: Thank you. And, Mr.
18 Chairman, hopefully you've got all your papers sorted and
19 we're -- we're prepared to proceed.

20 THE CHAIRPERSON: I was just going to
21 note that the letter Mr. Hacault distributed, I believe
22 it's MIPUG Exhibit number 13.

23 MS. ANITA SOUTHALL: That's right, Mr.
24 Chairman. Thank you.

25

1 --- EXHIBIT NO. MIPUG-13: Letter of Objection from Mr.
2 Hacault to PUB, dated May 26,
3 2011
4

5 THE CHAIRPERSON: Okay, Mr. Williams.

6 MR. BYRON WILLIAMS: Okay. And I can
7 just indicate that we've not yet received that -- that
8 document. And I --

9 THE CHAIRPERSON: You will.
10

11 CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

12 MR. BYRON WILLIAMS: Professor Magee,
13 good morning.

14 DR. LONNIE MAGEE: Good morning.

15 MR. BYRON WILLIAMS: And we're just going
16 to have a couple of hopefully fun short snappers just to
17 start off with.

18 Professor Magee, without asking you to
19 elaborate, I will ask you to confirm that you were the
20 co-author of a distinguished report:

21 "The National Hockey League Entry Draft
22 1969-1995, An Application of a Weighted
23 Pool Adjacent Violator's Algorithm."

24 Is that correct, sir?

25 DR. LONNIE MAGEE: Yes, it is.

1 MR. BYRON WILLIAMS: And, Professor --
2 Professor Kubursi, again, without asking you to
3 elaborate, I will ask you to confirm that you were the
4 author of a very important study explaining the declining
5 demand for beer in Ontario, which was prepared for the
6 brewers of Ontario. Is that correct, sir?

7 DR. ATIF KUBURSI: Yes, it is.

8 MR. BYRON WILLIAMS: And without seeking
9 any undertaking from your legal counsel, or in any way
10 attempting to influence your evidence, I have to tell you
11 that I would love the opportunity outside the hearing
12 room to sit down with you, perhaps with one (1) of our
13 favourite beverages, and talk about both those very
14 important studies.

15 You'll consider that offer -- offer,
16 gentlemen?

17 DR. ATIF KUBURSI: Of course, if you're
18 paying.

19 MR. BYRON WILLIAMS: Professors Kubursi
20 and Magee, we're going to be working out of the yellow
21 book to start with. And it's been a couple weeks since
22 your evidence, so just by way of refresher, I'm going to
23 ask you to turn to page 1 marked in the top right-hand
24 corner, which is an excerpt and actually -- from your
25 report, namely page 228. Do you have that Professor

1 Kubursi?

2 DR. ATIF KUBURSI: Yes, I do.

3 MR. BYRON WILLIAMS: And Professor
4 Kubursi -- Professor Kubursi, and -- and obviously these
5 questions I'll say a witness' name, but you're equally
6 free to answer on them. Professor Kubursi, again, th --
7 this is kind of by way of refresher, so I don't think we
8 need a lot of details, but if I draw your attention to
9 the second and third paragraphs on this page, without
10 asking you to elaborate, you'll agree that what you're
11 essentially doing in these two (2) paragraphs is setting
12 out the steps leading to the development of your base
13 case. Would that be fair, sir, your Figure 6.1?

14 DR. ATIF KUBURSI: Yes, it is.

15 MR. BYRON WILLIAMS: And essentially, you
16 indicate that you estimated the risk exposure of fifteen
17 (15) different variables on Manitoba Hydro's net revenue.
18 Would that be fair?

19 DR. ATIF KUBURSI: Yes, it is.

20 MR. BYRON WILLIAMS: And that was for the
21 purposes of defining a base case to benchmark the
22 behaviour of the system under average conditions between
23 2001 through 2007, correct?

24 DR. ATIF KUBURSI: That's correct.

25 MR. BYRON WILLIAMS: And the averages you

1 employed were simple averages calculated from the day --
2 the data in Table 6.1?

3 DR. ATIF KUBURSI: You can't say it's
4 simple because it's weighted by the various values over
5 the period.

6 MR. BYRON WILLIAMS: Okay. Fair enough,
7 and I was actually using your words, but I'll -- I'll --
8 I'll accept that edit to them. And essentially what you
9 did is, using these weighted averages and a selected
10 probability distr -- dis -- distribution functions for
11 each one (1) of them for the calculation of net revenue,
12 you generated, using Monte Carlo simulations, the mean,
13 low, and high values of net revenues at the 5 percent and
14 95 percent confidence levels. Would that be fair?

15 DR. ATIF KUBURSI: Yeah, that's fair.

16 MR. BYRON WILLIAMS: And as I understand
17 it, the choice of probability distributions -- the choice
18 of the probab -- excuse me, let me try that again. The
19 choice of the probability density function was based on --
20 -- on the famous chi-square scores of the different
21 distributions. Would that be accurate?

22 DR. ATIF KUBURSI: It would be.

23 MR. BYRON WILLIAMS: And you actually set
24 out the selected -- and we don't need to turn there right
25 now, but you actually set out these selected density

1 functions in Section 6.5 of your evidence, beginning at
2 page 247. Would that be right?

3 DR. ATIF KUBURSI: That's correct.

4 MR. BYRON WILLIAMS: And -- and -- now,
5 Professor Kubursi, would I be -- would I be correct in
6 suggesting that all the probability distributions
7 employed in the base case are set out in Section 6.5 of
8 your evidence?

9 DR. ATIF KUBURSI: I -- I would say so.
10 As you probably know, the @RISK software, whenever you
11 fit the distribution to the numbers, it will give you
12 about thirty-two (32) different distributions, and
13 they're ranked in terms of their chi-square scores.

14 So you have a -- a number of them, and
15 then it would be up to you to choose, and we have chosen
16 primarily those that have the lowest chi-square scores on
17 the presumption that this would be the ones from where
18 you would be more comfortable saying that these numbers
19 that you have fitted the distribution to are coming from
20 that distribution.

21 MR. BYRON WILLIAMS: Okay. Thank you for
22 that, and that's very helpful. Now, when we look at
23 Figure 6.1, which is on page 228 of your evidence, or in
24 the -- page 1 of the yellow book of documents, that
25 figure represents the base case or benchmark for net

1 revenues if all the risk factors that you set out in
2 Section 6.5 are considered. Would that be fair, sir?

3 DR. ATIF KUBURSI: I don't know whether I
4 would call it exactly that way. What we've really done
5 here is to define the net revenue, and this is total
6 revenue, whether you're getting this from domestic load,
7 given its rate, then the export sales under long-term
8 contracts and also opportunity sales, minus the amount of
9 imports that you get. And then you go through the entire
10 array of costs. And then what we've really done here is
11 to take these various prices, and the general values of
12 generation, and the historical averages of these exports
13 and imports, fitted all these distributions, and this is
14 exactly what we ended up with.

15 MR. BYRON WILLIAMS: I think we're saying
16 the same thing but I -- in terms of the distributions
17 that you fitted, those are the ones that are set out in
18 Section 6.5 of your evidence, sir?

19 DR. ATIF KUBURSI: I would say correct,
20 yeah.

21 MR. BYRON WILLIAMS: And essentially, you
22 made a draw from all these distributions for each period,
23 and -- and ultimately calculated net revenue, and plotted
24 this on a histogram, would that be correct?

25 DR. ATIF KUBURSI: The -- the software

1 would do that for you.

2 MR. BYRON WILLIAMS: That's correct,
3 though?

4 DR. ATIF KUBURSI: That's correct.

5 MR. BYRON WILLIAMS: And I consider,
6 given my high respect for your capabilities, you and the
7 software interchangeable, sir, so if -- so if I say you
8 did it, if -- if it's the software, you'll understand
9 that -- that that's what I'm suggesting.

10 DR. ATIF KUBURSI: Except I'm more
11 expensive.

12 MR. BYRON WILLIAMS: Please don't tell
13 your price per hour to Professor Simpson, sir. And the
14 histogram that we see marked as Figure 6.1 approximates
15 the probability distribution of net revenues that could
16 arise based upon those inputs. Would that be fair?

17 DR. ATIF KUBURSI: Yeah, that's fair.

18 MR. BYRON WILLIAMS: And then, Professor
19 Kubursi, in the rest of this section of your evidence,
20 namely, Figure 6.2 through Figure 6.17, what you do is
21 you compare the probability dis -- distribution of this
22 base case to the probability distribution of outcomes
23 under specific adverse events. Would that be fair?

24 DR. ATIF KUBURSI: It's fair in the sense
25 that what we do, we keep everything the same, except we

1 fix a particular variable at a given value and see how
2 this would impact the net revenues.

3 MR. BYRON WILLIAMS: So you -- just if --
4 if I can interpret that, working off the base case, what
5 you in -- in effect do is, for each of the scenarios
6 ranging from six (6) -- Figure 6.2 through Figure 6.17,
7 you fix particular stress and -- and then let the -- the
8 rest of the simulation proceed randomly.

9 Would that be fair?

10 DR. ATIF KUBURSI: That -- that is fair.

11 MR. BYRON WILLIAMS: Professor Magee,
12 I've been ignoring you. I -- I guess I've been
13 reflecting on your NHL research which really looks
14 fascinating. And I want to direct your attention to, in
15 the yellow book, pages 2 through 4. And certainly,
16 Professor Kubursi, please feel free to -- to -- to
17 follow.

18 And in particular, Professor Kuburs --
19 Magee, excuse me -- I'm going to refer you to a reference
20 marked as -- in the top right-hand corner on page 3 of
21 the yellow book of documents, and hopefully you'll see on
22 the right-hand side there's a line indicating that I'm
23 trying to draw that to your attention.

24 Do you see that, sir?

25 DR. LONNIE MAGEE: Yes, I do.

1 MR. BYRON WILLIAMS: And without asking
2 you to elaborate on this quote right at this moment,
3 Professor Magee, you'll agree that you were in a
4 discussion with my gifted and Learned Friend, Ms.
5 Southall, describing some of the elements of Figure 6.1
6 and -- and how you could conceptualize it.

7 Would that be fair?

8 DR. LONNIE MAGEE: Yes.

9 MR. BYRON WILLIAMS: And we'll get to the
10 fact that Professor Kubursi subsequently slightly amended
11 this answer in terms of water flow, but without ask --
12 but without asking you to confirm the accuracy of this
13 statement, I will ask you to confirm that you describe
14 Figure 6.1 as -- and I -- I'm ho -- this should be in
15 quotation marks for the reporter:

16 "Figure 6.1 you can think of is
17 summarizing the net revenues if we let
18 all of the random -- all of the
19 variables be random: the water flows,
20 the net exports, everything. "

21 That's what you -- the transcript
22 reflects, sir?

23 DR. LONNIE MAGEE: Yes, I was -- I was
24 referring to all of the -- you could think of what I
25 meant by all the variables being random as the variables,

1 the fifteen (15) variables that you were discussing
2 earlier with Atif.

3 MR. BYRON WILLIAMS: And I -- I thank you
4 for that.

5 And Professor Kubursi, over to you just
6 for a second to page 4 on the top right-hand corner. And
7 I'm going to suggest to you, without asking you to
8 elaborate, that essentially you noted one (1) additional
9 fact about Figure 6.1, the calculations related to it,
10 namely that the water variable was fixed.

11 Would that be fair, sir?

12 DR. ATIF KUBURSI: Sorry, which -- which
13 figure you're talking about: 6.1?

14 MR. BYRON WILLIAMS: Yes, Professor
15 Kubursi. And I'm -- I'm referring you to your quote on
16 the top right-hand page of the yellow number 4.

17 And, Professor Kubursi, just by -- by way
18 of background, on the previous page Professor Magee had
19 suggested that -- that the fifteen (15) variables were --
20 were moving --

21 DR. ATIF KUBURSI: Yeah, yeah.

22 MR. BYRON WILLIAMS: -- randomly, but
23 also suggested that water was moving randomly. And --
24 and you slightly amended that statement to note that the
25 water variable was fixed.

1 Is that correct, sir?

2 DR. ATIF KUBURSI: No, I -- you see we
3 have to be careful. I was talking here about 6.2. You
4 see, what happens is that in the benchmark everything we
5 fit is a random variable. 6.2, we put that water level
6 at the minimum level; this is probably where the mix up
7 came up here. When we're talking about the benchmark all
8 the variables are random.

9 MR. BYRON WILLIAMS: Professor Kubursi,
10 I'm going to ask you to --

11 MR. GAVIN WOOD: Do you want that -- do
12 you want that once again?

13 MR. BYRON WILLIAMS: No, I understand
14 what he said.

15

16 CONTINUED BY MR. BYRON WILLIAMS:

17 MR. BYRON WILLIAMS: I'm going to ask you
18 to -- I'm going to ask you just to reflect upon that over
19 the break, in terms of whether Figure 6.1, the water is -
20 - is running randomly as well. And I'll just appreciate
21 confirmation on that.

22 Would you do that, sir?

23 DR. ATIF KUBURSI: Yeah, sure.

24

25 --- UNDERTAKING NO. 147: Doctors Kubursi and Magee to

1 review the development of
2 Figure 6.1 to confirm whether
3 or not water flows were
4 presented as a fixed value or
5 were allowed to flow randomly
6

7 CONTINUED BY MR. BYRON WILLIAMS:

8 MR. BYRON WILLIAMS: And the reason we
9 ask, Professor Kubursi -- there's two (2) reasons,
10 actually. First of all, you see a description for Figure
11 6.1 in terms of average flows. And I'm -- I'll -- I
12 guess the question we would pose to you is: In terms of
13 Figure 6.1, what does that average flows mean, and...

14 DR. ATIF KUBURSI: Exactly what we do is
15 the following. We have these numbers between 2001 and
16 2007, we fit a -- probability distribution to them, and
17 at the end we look at what would be the net revenue that
18 would follow from these things. And then we run a Monte
19 Carlo simulation on them, and these are the ones that are
20 plotted in 6.1.

21 So the idea of the averages being the
22 exact number we're using, we're basically saying these
23 are the numbers over the entire period to which we fit
24 that distribution.

25 MR. BYRON WILLIAMS: I thank you for

1 that. And just -- you'll -- if I was looking for the
2 probability distribution for water flows that you relied
3 upon, would I be correct in suggesting to you that --
4 that it's not to be found in Section 6.5 of your
5 evidence, sir?

6 Is it -- is it there?

7 DR. ATIF KUBURSI: Six point five? Which
8 one is 6.5? Yeah, we're just checking --

9 MR. BYRON WILLIAMS: So -- and, Professor
10 Kubursi, I'll direct your attention to -- I think Section
11 6.5 starts at page 247 of your evidence. And we've -- we
12 certainly stand to be corrected, but we've not seen a
13 probability distribution related to water flows.

14 DR. ATIF KUBURSI: Yeah, it -- it may not
15 be here, but we have fit a probability distribution to
16 the water flows too, and this can be -- can be supplied.

17 MR. BYRON WILLIAMS: And then I would ask
18 you by way of undertaking to provide the probability
19 distribution for water flows employed for the purposes of
20 developing the base case as represented in Figure 6.1.

21 Would you undertaking to do so, sir, with
22 the advice of your counsel?

23 DR. ATIF KUBURSI: Yeah, we would.

24

25 --- UNDERTAKING NO. 148: Doctors Kubursi and Magee to

1 provide the probability
2 distribution for water flows
3 employed for the purposes of
4 developing the base case as
5 represented in Figure 6.1
6

7 CONTINUED BY MR. BYRON WILLIAMS:

8 MR. BYRON WILLIAMS: And, Professor
9 Kubursi, if we can -- the -- as I understand your
10 evidence in terms of the probability distribution for
11 water flows that you employed, it would have been based
12 only on the period between 2001 through 2007.

13 Would that be correct?

14 DR. ATIF KUBURSI: Over for that period,
15 where we benchmarked things, we were looking only at 2001
16 to 2007. This was the period that we were considering as
17 the benchmark period for us.

18 MR. BYRON WILLIAMS: So you did not
19 transfer any of the analysis that Professor Magee had
20 done in chapter 4 for the purposes of your benchmark,
21 Figure 6.1?

22 DR. ATIF KUBURSI: No, we did not use it
23 for the benchmark; we used it when we came in to start
24 fixing the values of water at a lower level.

25

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: And, Professor
4 Kubursi, would it be fair to suggest that if you would
5 have used your analysis from chapter 4 in terms of water
6 flows for the purposes of Figure 6.1, that that result
7 would have been mathematically somewhat different?

8 DR. LONNIE MAGEE: I think we established
9 before that the -- the water flow over the whole period
10 on average was a little bit lower than it was during the
11 -- that seven (7) year period. So it might have shifted
12 the net revenue a little bit to the left in -- in Figure
13 6.1 if we'd used the whole period.

14 But I think if we had used the whole
15 period, I think it seemed to us more coherent to use the
16 seven (7) year period since that's the period we were
17 using for everything else, to also use it for the water
18 flows. But as Atif mentioned, then when deciding what
19 would be an extreme value for some of the other special
20 cases that we plot later, we did refer back to the full
21 water flow period.

22 MR. BYRON WILLIAMS: And Professor Magee,
23 or Professor Kubursi, I -- I guess the -- one (1) of the
24 reasons we ask this -- and, Mr. Chairman, if you'll just
25 excuse me for one (1) second.

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: Professor --
4 Professor Magee, per -- perhaps in the yellow book you
5 can keep one (1) finger on page 1 at the top right-hand
6 corner and then have one (1) finger on page 31 in the top
7 right-hand corner. Page 31 in the top right-hand corner.

8

9 (BRIEF PAUSE)

10

11 MR. BYRON WILLIAMS: And Professor --
12 Professor Magee, you'll see what's displayed on page 1 is
13 Figure 6.1 and what's displayed on page 31 is Figure 6.2.

14 Do you see that, sir.

15 DR. LONNIE MAGEE: Yes.

16 MR. BYRON WILLIAMS: And if -- if I look
17 to the extreme of -- focussing on Figure 6.1, if I look
18 to the extreme left-hand side of -- of the negative
19 results, I see a -- a number a bit less than negative 200
20 million.

21 Is that right, sir?

22 DR. LONNIE MAGEE: That's right, a little
23 -- a little bigger than minus two (2) -- well, it's
24 smaller in magnitude, bigger in the sense of being a
25 smaller negative number.

1 MR. BYRON WILLIAMS: I understood that, I
2 think. If I look to Figure 6.2, that -- that larger
3 figure, but also a larger negative is -- is close to a
4 billion dollars, correct?

5 DR. LONNIE MAGEE: Correct.

6 MR. BYRON WILLIAMS: And I guess the --
7 the -- the issue for our clients is -- is that that
8 outlier doesn't appear in your probability distribution
9 for Figure 6.1.

10 Would that be fair, sir?

11 DR. LONNIE MAGEE: That's right.

12 MR. BYRON WILLIAMS: And I guess that
13 goes to a certain degree to the challenges one might
14 experience in terms of using just the seven (7) year
15 period, as compared to the entire flow year, for the
16 purposes of establishing your base case.

17 Would that be fair?

18 DR. LONNIE MAGEE: The Figure 6.2 would
19 be unrelated to the -- the method we used for the -- the
20 water flow distribution in the base case. Figure 6.1
21 does, but if it -- I'm speculating that if we'd redone
22 Figure 6.1 using the distribution that we came up with in
23 chapter 4, the distribution compared to what we see on
24 page 1 would be shifted a little bit to the left. But I
25 don't think it's fair to say that we would see that minus

1 one (1) outlier popping up in Figure 6.1.

2 Because in Figure 6.2 every single
3 simulation has the water flow fixed at the drought level,
4 whereas in -- in Figure 6.1, if we redid it using the
5 entire history, we would have a few drought periods in
6 there, and there are a few in there right now, I -- I
7 think. I -- I -- we'd have to take a closer look to --
8 but -- because it's not just simply the -- the actual
9 numbers from 2001 to 2007; it's the distribution based on
10 those.

11 But in Figure 6.1, even if drought cases
12 were figured in there, they would be much less frequent
13 than they are in Figure 6.2, which is always a drought.

14 MR. BYRON WILLIAMS: So as -- as I
15 understand your evidence, and I'll ask you to confirm,
16 that even if the base case was adjusted to reflect
17 probability risk distribution reflective of your work in
18 chapter 4, the outlier presented in Figure 6.2 is
19 unlikely to -- to appear on it, sir?

20 DR. LONNIE MAGEE: It -- it would be far
21 less likely. So Figure -- that outlier in Figure 6.2
22 must have arisen from a combination of other factors
23 along with the drought; probably mainly the high import
24 prices. So in Figure 6.1, to get a similar minus 1
25 billion number in the Figure 6.1 simulation, we would

1 have had to have a case with that extremely high import
2 price, assuming that's what it was in Figure 6.2, and a
3 drought. So that could happen in Figure 6.1, but it
4 would be a lot less likely than in Figure 6.2.

5 MR. BYRON WILLIAMS: And as I understand
6 your evidence on that point, the extreme outlier
7 presented in Figure 6.2 is a function of both the fixing
8 of the imports and the fixing of a -- a drought
9 situation. And while it's possible it could be reflected
10 in Figure 6.1, if it was amended to -- to reflect longer
11 averages, it's unlikely.

12 DR. LONNIE MAGEE: Yes. Now, just as a -
13 - a minor point, I think in Figure 6.2 the minus 1
14 billion is -- it's an extreme value, but it's not -- you
15 -- we -- you might not -- you could get away with saying
16 it's not an outlier, because it's not that far removed
17 from the rest of the -- the numbers. So, yeah, it would
18 be an outlier if it was in Figure 6.1.

19 MR. BYRON WILLIAMS: Professor Magee, and
20 -- and again, Professor Kubursi, feel free to chip in --
21 I'm going to direct your attention again to the yellow
22 book of documents at pages 5 through 8. The yellow book,
23 top right-hand corner, pages 5 through 8. And, Professor
24 Magee --

25 MR. GAVIN WOOD: Maybe just give -- give

1 him just a moment to --

2 MR. BYRON WILLIAMS: Yeah. And -- and --

3 MR. GAVIN WOOD: -- remind himself.

4 MR. BYRON WILLIAMS: -- and -- and just
5 for Professor Magee's benefit, in particular I'm
6 directing his attention to the bottom of page 6 and to
7 the top of page 7, and that's marked on the right-hand
8 side.

9

10 (BRIEF PAUSE)

11

12 CONTINUED BY MR. BYRON WILLIAMS:

13 MR. BYRON WILLIAMS: And, Professor
14 Magee, without asking you to elaborate at this point in
15 time, essentially in this conversation you're discussing
16 the differences between lines 2 and 4 of Table 6.2, in
17 that line 4 has a fixed price for imports of twelve (12)
18 cents a kilowatt hour, while the information derived from
19 line 2 allows for import prices to vary according to the
20 distributions.

21 Would that be fair, sir?

22 DR. LONNIE MAGEE: Yes.

23 MR. BYRON WILLIAMS: And I'm going to,
24 for the purposes of clarification, ask you to turn to
25 pages 9 and 10 of the yellow book, top right-hand corner,

1 9 and 10. And again, Professor Kubursi, this may be
2 better for you than Professor Magee; either is welcome to
3 respond.

4 Because in the -- and you'll agree with
5 me, first of all, that on focussing first on Figure 6.3
6 at the top of page 9 we see a probability distribution of
7 imports from other provinces.

8 Is that correct?

9 DR. ATIF KUBURSI: That is correct.

10 MR. BYRON WILLIAMS: And Figure 6.1 --
11 excuse me, I misspoke.

12 DR. ATIF KUBURSI: Three one (31).

13 MR. BYRON WILLIAMS: Figure 6.31, again
14 on page 9 of the yellow book, we see a probability
15 distribution of imports from the US.

16 Is that correct?

17 DR. ATIF KUBURSI: Correct. Yes, that's
18 correct.

19 MR. BYRON WILLIAMS: And Figure 6.32, we
20 see a probability distributions of prices for imports
21 from other provinces.

22 Would that be correct?

23 DR. ATIF KUBURSI: That's correct.

24 MR. BYRON WILLIAMS: What -- what we
25 don't see, I'll suggest to you, in Section 6.5 of your

1 distribution of prices for
2 imports in the United States
3

4 CONTINUED BY MR. BYRON WILLIAMS:

5 MR. BYRON WILLIAMS: And again, this can
6 go to either Professor Magee or Professor Kubursi. If
7 you'll turn to page 11 of the yellow book of documents,
8 you'll -- do you have that Professor Magee -- Kubursi?

9 DR. ATIF KUBURSI: Yes, I do.

10 MR. BYRON WILLIAMS: And you'll agree
11 with me that this is an excerpt from the integrated model
12 set out in Appendix B to your evidence?

13 Would you agree with that?

14 Professor Kubursi, it's page 11 in the top
15 right-hand corner.

16 MR. GAVIN WOOD: He has it now.

17

18 CONTINUED BY MR. BYRON WILLIAMS:

19 MR. BYRON WILLIAMS: And Professor
20 Kubursi, just to repeat my question, and I apologize for
21 not letting you get to the right page, you'll agree that
22 this is an excerpt from the integrated model set out in
23 Appendix B to your evidence?

24 DR. ATIF KUBURSI: Yes.

25 MR. BYRON WILLIAMS: And you'll see in

1 this very accessible formula that you've set out here,
2 marked on the right-hand side with a -- a line, you see
3 part of the calculations in Equation 10 include a
4 calculation of the loss on imports of electricity.

5 Do you see that, sir?

6 DR. ATIF KUBURSI: Yes, I do.

7 MR. BYRON WILLIAMS: And Professor
8 Kubursi, our clients are having a bit of trouble
9 identifying where a value for this loss is assigned,
10 either probabilistically or deterministically. And I
11 wonder if you can, first of all, indicate how the value
12 for loss on imports of electricity was calculated.

13 DR. ATIF KUBURSI: I mean, this is
14 primarily the amount of losses that you would have on
15 transmission as -- as you bringing these imports in.

16 MR. BYRON WILLIAMS: It's not related to
17 import prices then, sir?

18 DR. ATIF KUBURSI: No, nothing to do.
19 It's just purely a physical parameter.

20 MR. BYRON WILLIAMS: Now, Professors
21 Kubursi and Magee, I'll direct your attention to page 8
22 of the yellow book, page 8 in the top right-hand corner.
23 And I'll give you a moment just to review the section
24 marked on the right-hand side.

25

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: Professor --
4 Professor Kubursi, you make a really interesting
5 statement here. So, first of all, I -- I'm just going to
6 read it in and ask you to confirm that it's read
7 correctly. You indicate that:

8 "We did not examine the results of a
9 five (5) year or seven (7) year drought
10 as we did not have and did not think
11 that the actual series would produce
12 the best correlation given that our
13 estimate came from a statistical
14 simulation exercise.
15 We could use our estimates of a five
16 (5) year drought from Chapter 4, but
17 for comparison purposes we calculated
18 these losses only for the
19 representative year."

20 Did I read it correctly and well, sir?

21 DR. ATIF KUBURSI: You read it correctly.
22 But, as you know -- and well too. But, as you know, what
23 we've done is we ultimately calculated the five (5) and
24 seven (7) years. In some sense, I admit it was a bit of
25 a cop-out at that time. I mean, we had so many things to

1 do, and we didn't want to go through these things.

2 But when we were challenged we went and
3 calculated it because we get these distributions that --
4 in chapter 4, or Professor Magee, was able to get these
5 numbers.

6 MR. BYRON WILLIAMS: And -- and I
7 certainly wasn't accusing you of a cop-out or anything
8 like that, Professor Kubursi, but I do want to
9 understand. Leaving aside the fact that you had many
10 things to do, you used some inter -- interesting language
11 here, and I just want to parse your words a little more
12 carefully so I can understand.

13 First of all, you refer on the second line
14 of that quote to actual series. And -- and perhaps you
15 can indicate what you mean by "actual series," sir.

16 DR. ATIF KUBURSI: This is the series of
17 water flows that was provided to us.

18 MR. BYRON WILLIAMS: Which series of
19 water flows, sir?

20 DR. ATIF KUBURSI: This is the exact
21 water flows that we got from Manitoba Hydro regarding the
22 water flows documented in the table that we put at the
23 appendix of our, you know, chapter 4, but was redacted.

24 MR. BYRON WILLIAMS: And so at the time
25 you wrote this -- this excerpt, or this comment, you

1 didn't -- you were of the view that the actual series in
2 terms of the information provided by Manitoba Hydro would
3 not produce the best correlation given that your estimate
4 came from a statistical simulation exercise. Would that
5 be fair?

6 DR. ATIF KUBURSI: That would be fair,
7 but let me explain. I mean, what we really have here is
8 a situation where we get the actual numbers, and this
9 represent a very particular set of numbers. It's a
10 historical series. What we tried to do here is to sample
11 a large number of these that could come from that arena,
12 that autoregressive 3 system.

13 And on the base of this what we're really
14 trying to say here, that if we were just to basically and
15 exclusively promise everything on the historical one, we
16 would not be able to take advantage of the rich set of
17 simulations that came up.

18 MR. BYRON WILLIAMS: By statistical
19 simula -- lation exercise you refer to the data collected
20 in Table 6.1 and the base case presented in Figure 6.1,
21 sir. Is that correct?

22 DR. ATIF KUBURSI: That would be correct.

23 MR. BYRON WILLIAMS: And you used the
24 words "best correlation." And what do you mean by that,
25 sir?

1 DR. ATIF KUBURSI: Well, I -- I mean that
2 the historical series would reflect a given correlation
3 as the historical events unfolded. You have a very
4 particular set of relationships serially among the years.

5 In the random one (1) when we picked five
6 (5) or seven (7), there will be other types of these
7 things. So if we thought that the historical period is
8 the only and the best and the optimum one (1), then we
9 would not have gone into simulating the other things.

10 The fact that we went and simulated
11 thousands if not hundred thousands of these things were
12 basically reflecting this advantage that this new sample
13 series would give.

14 MR. BYRON WILLIAMS: Now you mentioned
15 and your -- your words cop-out, not mine, but you -- you
16 mentioned that you ultimately went on to sample
17 historical data. And I take it by that you mean that you
18 did a calculation of a five (5) year -- a five (5) year
19 drought using some of the variables set out in -- in
20 Table 6.1. Is that what you mean, sir?

21 DR. ATIF KUBURSI: Yeah. These are the
22 numbers that I got from the chapter 4 and the simulations
23 that Lonnie did. And then these were the ones that we
24 used.

25

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: And at the time you
4 wrote this though, sir, you were of the view that that
5 would not be the best fit in terms of correlation. Is
6 that correct?

7 DR. ATIF KUBURSI: All right. I mean at
8 that time I thought if I were to go back and get the
9 actual historical series and compare them to the one (1)
10 that would come, there would be a discrepancy. At that
11 time I felt like given that we have thousands of these
12 things I was not in a position to say the historical one
13 it could be the better one.

14 So we ultimately did it. We went and we
15 took the five (5) and seven (7) and now it was an
16 undertaking. We calculated the cost with the five (5)
17 and seven (7) with and without financial things. It --
18 it may have really been better to have done it right from
19 the beginning, but we did it, in the final analysis we
20 did it.

21 MR. BYRON WILLIAMS: And, sir, I know you
22 did. And I'm not -- but would it be fair to say that you
23 still have some discomfort with the fit between -- when
24 you're mixing your simulations from Table 6.1 versus the
25 -- the -- the historical series, sir?

1

2

(BRIEF PAUSE)

3

4

5

6

7

8

DR. LONNIE MAGEE: I think part of the -- the discomfort is that at this point, given the -- the scale of what we were doing, it wasn't feasible for us to build in correlations between the random variables, both at a given point in time and over time.

9

10

11

12

13

14

15

16

So when it got to the -- so at a given -- a one (1) year simulation you could imagine developing this model further and estimating how different random variables are correlated and building that into the -- the simulation, which we didn't do, and that -- but that -- that issue becomes perhaps stronger when you're doing a multi-year simulation because of the strong correlations over time between variables.

17

18

19

20

21

22

So with the multi-year calculations we endeavoured to produce the numbers, given the setup that we had, which was independent random variables. So we -- we did address that undertaking, but, again, a long-run, more ideal approach would be to model the correlations over time.

23

24

25

MR. BYRON WILLIAMS: And -- and again, I don't want you to -- to take this as any criticism of your work. We're -- we're looking at starting with a --

1 from our client's perspective, starting with a good
2 product and -- and improving it. And -- and certainly
3 what I'm -- I'm hearing from you, and perhaps we'll
4 explore this a bit more after the break, is that you see
5 the potential to enhance and refine this analysis
6 further, especially as it relates to long-run serial
7 correlations, would that be fair?

8 DR. LONNIE MAGEE: That would be one (1)
9 way of enhancing it, yes.

10 MR. BYRON WILLIAMS: And what would be
11 another, Professor Magee?

12 DR. LONNIE MAGEE: Well, it -- it never
13 ends.

14 MR. BYRON WILLIAMS: But -- okay. Mr.
15 Chairman, I'm -- I -- I think this would not be a bad
16 time for a -- a break.

17 THE CHAIRPERSON: Very good, sir.

18

19 --- Upon recessing at 10:50 a.m.

20 --- Upon resuming at 11:12 a.m.

21

22 THE CHAIRPERSON: Okay. Any time, Mr.
23 Williams.

24

25 CONTINUED BY MR. BYRON WILLIAMS:

1 MR. BYRON WILLIAMS: Yes, and certainly
2 to either witness, but probably Professor Magee, and --
3 and just for one (1) last moment, if you could again put
4 one (1) finger on page 1 of the yellow book and one (1)
5 finger on page 31, please, sir. Mr. -- Professor Magee,
6 you're nodding your head, which I take it to mean that
7 you have the pages?

8 DR. LONNIE MAGEE: I've got it, yes, I
9 do.

10 MR. GAVIN WOOD: Yeah. Maybe just before
11 you go on, sir, there was one (1) matter that the
12 gentlemen were going to check on over the break and, as
13 it turns out, they're -- they're going to have to have
14 some materials reviewed back in Ontario.

15 So I wonder if, for the transcription, we
16 could show the first exchange that involved Dr. Kubursi
17 indicating that he was going to review one (1) aspect of
18 Figure 6.1 over the break this morning. If we could in -
19 - instead have that referenced as the first of the
20 undertakings, and obviously we'll -- we'll have that
21 answered.

22 MR. BYRON WILLIAMS: And I will try to
23 refine that, just to put a little greater clarity on it.
24 The -- the undertaking would be to review the development
25 of Figure 6.1 to confirm whether or not water flows were

1 presented as a fixed value or were allowed to flow
2 randomly. Would that be satisfactory, Mr. Wood?

3 DR. ATIF KUBURSI: I can maybe contribute
4 a bit to it here because what we do is that we link the
5 water to generation, okay? So the variable into the
6 system is generation, and if water and -- and generation
7 is, as you can see in -- in the graphs here, is a random
8 variable. So it couldn't be that we fix water and then
9 talk about generation as a random variable, so -- but I
10 will confirm these things, right.

11 MR. BYRON WILLIAMS: And, Mr. -- Mr.
12 Chairman, this is a central point to our understanding of
13 the evidence of these witnesses, so I'd certainly want to
14 reserve the right -- well, let me back up. I would
15 appreciate it, Mr. Wood, if your client can provide that
16 undertaking prior to the resumption of the hearing on
17 Tuesday, if -- if that's possible because it's -- and,
18 depending on what the answer is, it -- it may affect our
19 -- our conduct.

20 DR. ATIF KUBURSI: Yes.

21 THE CHAIRPERSON: They're nodding yes,
22 and it sounds fine.

23

24 CONTINUED BY MR. BYRON WILLIAMS:

25 MR. BYRON WILLIAMS: And I -- and I thank

1 you for your consideration in -- in exploring that
2 request.

3 Professor Magee, back to you. Referring
4 you first to Figure 6.1 on page 1 of the yellow book. If
5 I look to the extreme left -- left of that figure I would
6 be correct in suggesting to you that the -- the maximum
7 loss portrayed there is less than \$200 million. Would
8 that be fair, sir?

9 DR. LONNIE MAGEE: Yes.

10 MR. BYRON WILLIAMS: Now if I direct your
11 attention to page 31 and Figure 6.2.

12 Do you have that, sir?

13 DR. LONNIE MAGEE: Yes, I do.

14 MR. BYRON WILLIAMS: And if I look for
15 that same minus 200 million figure, I would suggest to
16 you that it's -- it's towards the extreme right of Figure
17 6.2, fairly close to the 95 percent confidence level.
18 Would that be correct, sir?

19 DR. LONNIE MAGEE: Yes, it is.

20 MR. BYRON WILLIAMS: And, sir, when I put
21 these two (2) figures together, being Figure 6.2 and
22 Figure 6.1, would I be correct in suggesting to you that
23 close to 95 percent of the values presented in Figure 6.2
24 do not appear in the base case, i.e., Figure 6.1?

25 DR. LONNIE MAGEE: That's right.

1 MR. BYRON WILLIAMS: And just to remind
2 the panel, Figure 6.1 involved approximately one thousand
3 (1,000) simulations, correct?

4 DR. LONNIE MAGEE: Yes.

5 MR. BYRON WILLIAMS: So looking at Figure
6 6.2, 95 percent of those values, roughly, do not show up
7 in the one (1) in one thousand (1,000) horizon, would
8 that be fair?

9 DR. LONNIE MAGEE: I think if that means
10 what we were saying before, using slightly different
11 language, that would be fair. Sorry, I got a little lost
12 with the -- your wording.

13 MR. BYRON WILLIAMS: Yeah. And I -- let
14 me -- let me try that a different way, Professor Magee.

15 In reviewing the base case as set out in
16 Figure 6.1, it suggests that the values presented in
17 Figure 6.2, being those greater than negative 200
18 million, have less than a one (1) in one thousand (1,000)
19 chance of occurrence.

20 Would that be fair?

21

22 (BRIEF PAUSE)

23

24 DR. LONNIE MAGEE: I think it's fair to
25 say that almost 95 percent of the simulated net revenues

1 in Figure 6.2 are smaller than the minimum of 200 million
2 that's in Figure 6.1. Now, is it okay if I just add a
3 kind of --

4 MR. BYRON WILLIAMS: Oh, please,
5 Professor Magee.

6 DR. LONNIE MAGEE: Okay.

7 MR. BYRON WILLIAMS: We're trying to --
8 to work our way through this.

9 DR. LONNIE MAGEE: Oh, okay. About the -
10 - the minimum in Figure 6.1, that minus two hundred
11 (200), I wouldn't be comfortable placing too much weight
12 on the fact that the minimum in Figure 6.1 is minus two
13 hundred (200) because some of the random distributions
14 have -- the don't have sharp tails where the -- the edges
15 of the -- the minimum and maximum values are set at
16 finite amounts. So if you look at the distribution, some
17 of them you'll see a minimum is minus infinity or maximum
18 is infinity.

19 So as you do more in -- if you choose to
20 do more and more simulations, so instead of a thousand,
21 suppose we did a million or a hundred million, you'd get
22 a very similar looking picture to this one, but the
23 minimum would get smaller and smaller but would also be
24 less and less likely to happen.

25 So in Figure 6.1 we have a minus two

1 hundred (200), but I'm just speculating that if we did --
2 did it again with a hundred thousand values instead of a
3 thousand values, the minimum would be smaller but you'd -
4 - you'd see in the picture the -- the tail would be even
5 thinner.

6 MR. BYRON WILLIAMS: And what -- just
7 what I -- I take you to mean by that, sir, is that at
8 that extreme edge the -- the probability would be even
9 lower than as presented in the current shape of Figure
10 6.1?

11 DR. LONNIE MAGEE: That's right. It's
12 kind of similar to this discussion we had before about --
13 the last time we were here about Black Swan events, that
14 you could -- you know, you'd be getting -- if you -- if
15 you do more and more of these simulations and you looked
16 at the minimum, it's possible but very unlikely it would
17 be getting to be in Black Swan territory.

18 MR. BYRON WILLIAMS: And -- and figure --
19 just to confirm, Figure 6.2, roughly 95 percent of the
20 values presented lie outside the one (1) in one thousand
21 (1,000) events set out in Figure 6.1, correct?

22 DR. LONNIE MAGEE: That's right, but,
23 again, I -- I wouldn't want to characterize the minus two
24 hundred (200) as a one (1) in one thousand (1,000), as if
25 that was some kind of solid probabilistic fact. It was

1 just -- it happens to be the smallest of the thousand
2 from this particular set of calculations.

3 MR. BYRON WILLIAMS: Sir, would -- would
4 it be fair to characterize the -- the bottom 95 percent
5 of Figure 6.2 as Black Swans?

6 DR. LONNIE MAGEE: No. No. Well,
7 sorry, let me back up. It -- I -- I don't think it would
8 be with Figure 6.2 because although we do need to keep in
9 mind that Figure 6.2 is fixing the water flow at an
10 unusually small value, and so that makes -- the entire
11 distribution is describing what net revenue would look
12 like under certain conditions if we had a very unusually
13 small amount of water flow.

14 But we did actually see that water flow
15 once in the last -- is it -- the minimum of the ninety-
16 four (94) years, so. Yeah. Yeah.

17 MR. BYRON WILLIAMS: Thank you for that.
18 And -- and, Professor Magee, just -- I don't know if the
19 court reporter is going to -- to step in or not, but
20 sometimes when you're speaking you kind of trail away
21 from the mic. So it -- it might help others in the room
22 if you stay with it, for what it's worth.

23 DR. LONNIE MAGEE: Thank you.

24 MR. BYRON WILLIAMS: Thank you so much
25 for that. And I'm -- I'll ask Professors Kubursi and

1 Magee to turn to page 13 of the yellow book of -- of
2 documents. And I'm not sure which witness this goes to
3 properly. This is -- in particular, I'm directing your
4 attention to Figure 6.18, which is titled "The Triangular
5 Probability Distribution of the Exchange Rate."

6 Do the witnesses have that?

7 DR. ATIF KUBURSI: Yes.

8 DR. LONNIE MAGEE: Yes.

9 MR. BYRON WILLIAMS: And if you need a
10 couple seconds to -- excuse me. If you need a couple
11 seconds to review that, Professor Kubursi.

12 DR. ATIF KUBURSI: Yeah, sure.

13

14 (BRIEF PAUSE)

15

16 MR. BYRON WILLIAMS: Now, Professor
17 Kubursi, one (1) of the fifteen (15) variables for which
18 you estimated the risk exposure was the exchange rate,
19 correct?

20 DR. ATIF KUBURSI: Correct.

21 MR. BYRON WILLIAMS: And the selected
22 probability distribution -- let me back up. And if we
23 wish to see the selected probability distribution ex --
24 employed for exchange rates, which you employed in the
25 calculation of net revenue for your base case, we would

1 see that in Figure 6.18, correct?

2 DR. ATIF KUBURSI: Correct.

3 MR. BYRON WILLIAMS: And, Professor
4 Kubursi, you -- you look like a trusting person, but if
5 you don't trust me, a -- a couple of the -- the next
6 points that I'm going to put to you appear on the next
7 page, which is marked as page 14. So if you want to have
8 both those pages nearby, you're welcome to that.

9 Now in terms of this probability
10 distribution, my understanding, based upon the corporati
11 -- excuse me, the witnesses response to CAC/MSOS/KM-44 is
12 that the period used for the information on the exchange
13 rate was 2000 through 2008.

14 Would that be correct, sir?

15 DR. ATIF KUBURSI: For the exchange rate,
16 correct.

17 MR. BYRON WILLIAMS: And employing @RISK,
18 you estimated thirty-three (33) des -- distributions
19 using the time series on the exchange rate between that
20 period of time, correct?

21 DR. ATIF KUBURSI: Correct.

22 MR. BYRON WILLIAMS: And essentially, you
23 picked the triangular probability distribution based
24 primarily on its chi-square score, correct?

25 DR. ATIF KUBURSI: Correct.

1 MR. BYRON WILLIAMS: And, Professor
2 Kubursi, if I'm mispronouncing that, you'll realize I'm a
3 humble lawyer, so you'll correct me if --

4 DR. ATIF KUBURSI: No, you're doing all
5 right.

6 MR. BYRON WILLIAMS: I lack self esteem,
7 sir, so it's always good to get validation. And that's -
8 - and without asking you to elaborate further, that's
9 that probability distribution we see right there,
10 correct?

11 DR. ATIF KUBURSI: Correct.

12 MR. BYRON WILLIAMS: And hopefully you
13 can read the small printing on the right side. Before we
14 get to the distribution itself, you will see to the right
15 of the Figure 6.18 is a reference to the minimum observed
16 during the period of one point zero six six zero
17 (1.0660).

18 Do you see that, sir?

19 DR. ATIF KUBURSI: Yes, sir.

20 MR. BYRON WILLIAMS: And if people are
21 struggling to -- to find it, Mr. Chairman, or Mr. Vice-
22 chair, it's on the -- the right -- right-hand side. And
23 what that figure -- Professor Kubursi, what I'll suggest
24 to you, is what that figure 1.066 means is that it would
25 take one dollar (\$1) and six point six (6.6) Canadian

1 cents to buy one dollar (\$1) US.

2 Is that correct, sir?

3 DR. ATIF KUBURSI: Correct.

4 MR. BYRON WILLIAMS: And, Professor
5 Kubursi, you'll be aware that we often see the -- the
6 relationship between Canadian dollars and American
7 dollars presented almost in a reverse fashion. And --
8 and I don't know if you need a calculator for this or
9 not, but if you want to accept my calculations subject to
10 check, another way to put that one point zero six six
11 (1.066) Canadian would be to say that it would take
12 ninety-three point eight (93.8) cents US to buy one (1)
13 Canadian dollar?

14 DR. ATIF KUBURSI: Yeah, I mean, you
15 divide this number -- one (1) by this number, you get
16 that.

17 MR. BYRON WILLIAMS: And what you're
18 indicating, sir, is to -- to perform that calculation if
19 one didn't trust me, which is not a -- a bad premise to
20 operate from, is to divide the number one (1) by one
21 point zero six six (1.066), correct?

22 DR. ATIF KUBURSI: Correct.

23 MR. BYRON WILLIAMS: And also, Professor
24 Kubursi, to the -- the figure to the right of the
25 probability distribution is the maximum observed during

1 the period of one point seven two two six (1.7226),
2 correct?

3 DR. ATIF KUBURSI: You see the -- the
4 trouble is that you're mixing between what you observe in
5 -- in reality and what the distribution is. This is what
6 you are really looking at the distribution, not the
7 actual numbers.

8 MR. BYRON WILLIAMS: And I misspoke, sir.
9 And what you -- what you're clarifying, and I apologize
10 for that, and I will strike out the word 'observed', what
11 the distribution indicates is that the maximum that one
12 saw from -- from -- via the --

13 DR. ATIF KUBURSI: From a triangular
14 distribution --

15 MR. BYRON WILLIAMS: From the triangular
16 distribution was one point seven two two six (1.7226),
17 correct?

18 DR. ATIF KUBURSI: Correct.

19 MR. BYRON WILLIAMS: And again, for those
20 of us to whom this does not come easily, that means that
21 it would take one dollar (\$1) and seventy-two point two
22 six (72.26) Canadian cents to buy one (1) American
23 dollar, correct?

24 DR. ATIF KUBURSI: Correct.

25 MR. BYRON WILLIAMS: And going back to

1 that other way to look at it, you'd agree that another
2 way to convey this would be to say that it would take
3 fifty-eight point zero five (58.05) cents US to buy one
4 (1) Canadian dollar?

5 DR. ATIF KUBURSI: Oh, yes. Okay.

6 MR. BYRON WILLIAMS: You're agreeing,
7 sir?

8 DR. ATIF KUBURSI: Oh, yeah.

9 MR. BYRON WILLIAMS: Now --

10 DR. ATIF KUBURSI: I mean, what he's
11 doing exactly is dividing the numbers that we have here,
12 use one (1) divided by this number, you should get this.
13 I -- I mean, I'm taking your word. We trust you on this.

14 MR. BYRON WILLIAMS: You'll -- you'll
15 accept it, subject to check?

16 DR. ATIF KUBURSI: Subject to check,
17 okay.

18 MR. BYRON WILLIAMS: And I want to work
19 with that maximum value of -- of one point seven two two
20 six (1.7226) and translate it to the probability
21 distribution. And if I looked for that, I would see it
22 represented towards the extreme right of the horizontal
23 axis, where the small shaded section of the triangle ends
24 just past one point seven (1.7).

25 Is that right, sir?

1 DR. ATIF KUBURSI: Yeah, correct.

2 MR. BYRON WILLIAMS: And for those who --
3 and if I wanted to describe it in terms of US cents
4 instead, if some want to follow along, I could write the
5 figure fifty-eight point zero five (58.05) US --

6 DR. ATIF KUBURSI: Yeah, that --

7 MR. BYRON WILLIAMS: -- at that same
8 place, sir. Would that be correct?

9 DR. ATIF KUBURSI: That would be correct.

10 MR. BYRON WILLIAMS: And again, now I'm
11 going to look for the minimum of one point zero six six
12 (1.066). I would see that represented towards the
13 extreme left of the horizontal axis, would that be
14 correct, sir?

15 DR. ATIF KUBURSI: That's correct.

16 MR. BYRON WILLIAMS: And if I wanted to,
17 again, translate that into US cents to buy one (1)
18 Canadian dollar, I could write ninety-three point eight
19 (93.8) US cents there.

20 Would that be fair?

21 DR. ATIF KUBURSI: That would be fair.

22 MR. BYRON WILLIAMS: Subject to check.

23 DR. ATIF KUBURSI: Sub -- that would be
24 fair.

25 MR. BYRON WILLIAMS: Now, when I look

1 also at this -- this mean or average, excuse me, that is
2 set out to the right, you'll agree with me that the mean
3 indicated as one point two eight four nine (1.2849), sir?

4 Would that be right?

5 DR. ATIF KUBURSI: That would be right.

6 MR. BYRON WILLIAMS: Meaning, on average,
7 it costs one (1) Canadian dollar and twenty-eight point
8 four nine (28.49) cents to buy an American dollar --

9 DR. ATIF KUBURSI: Yes.

10 MR. BYRON WILLIAMS: -- conveyed in this
11 distribution?

12 DR. ATIF KUBURSI: That's correct.

13 MR. BYRON WILLIAMS: And again, doing
14 that old Cana -- US to Canadian, that would mean, on
15 average, it costs seventy-seven point eight three (77.83)
16 American cents to buy a Canadian dollar?

17 DR. ATIF KUBURSI: That's correct.

18 MR. BYRON WILLIAMS: And as I look at the
19 big picture of this distribution, sir, it implies that
20 the probability of occurrence of an exchange rate rises
21 as you go from the maximum observed during the period of
22 one point seven two two six (1.7226) to buy one (1) US
23 dollar, to the minimum observed during the period of one
24 point zero six six (1.066) to buy one (1) US dollar.

25 Would that be fair?

1 DR. ATIF KUBURSI: That's fair.

2 MR. BYRON WILLIAMS: And I want to now
3 use the more familiar US dollar terms. Would -- another
4 way to say that would be to say that, put another way,
5 movements above the trend, being seventy-seven point
6 eight three (77.83) cents US, are more and more likely to
7 the value of ninety-three point eight (93.8) cents.

8 Would that be fair, sir?

9 DR. ATIF KUBURSI: More likely in -- in
10 what sense?

11 MR. BYRON WILLIAMS: They appear more
12 commonly in the distribution, sir.

13 DR. ATIF KUBURSI: Once you -- you -- you
14 -- you bracket these things, yeah.

15 MR. BYRON WILLIAMS: And it would be fair
16 to say that values below the trend, meaning seventy-seven
17 point eight three (77.83) cents US, are less and less
18 likely to a value of fifty-eight point zero five (58.05)
19 cents --

20 DR. ATIF KUBURSI: That's correct.

21 MR. BYRON WILLIAMS: -- would that be
22 fair?

23 DR. ATIF KUBURSI: Yeah, that's fair.

24 MR. BYRON WILLIAMS: And at the top of
25 Figure 6.18, you see the percentage of 90 percent, sir.

1 Do you see that?

2 DR. ATIF KUBURSI: Yes.

3 MR. BYRON WILLIAMS: And what this
4 implies is that one is 90 percent confident that the
5 outcome will fall between one point five seven six
6 (1.576) Canadian dollars to buy one (1) US dollar and one
7 point zero eight three (1.083) Canadian dollars to buy
8 one (1) US dollar, correct?

9 DR. ATIF KUBURSI: Yes, I would say so.

10 MR. BYRON WILLIAMS: And at -- near the
11 extreme left of that 90 percent, or at the extreme left
12 of the 90 percent, you'll see the figure of one point
13 zero eight three (1.083) Canadian dollars to buy one (1)
14 US dollar?

15 DR. ATIF KUBURSI: Right.

16 MR. BYRON WILLIAMS: And you'll agree
17 with me, subject to check, that if I converted that to US
18 cents, that would be ninety-two point three (92.3) cents
19 US, correct?

20 DR. ATIF KUBURSI: Cor -- yes, correct.

21 MR. BYRON WILLIAMS: Now, I want to focus
22 your attention to the left side of the table at the 5
23 percent confidence level.

24 You would agree that as a consequence of
25 this distribution the 5 percent upper window on the left-

1 hand side of the table ranges between one point zero
2 eight three (1.083) to one point zero six six (1.066).

3 Would that be fair, sir?

4 DR. ATIF KUBURSI: Yeah, that would be
5 fair.

6 MR. BYRON WILLIAMS: In other words,
7 you'd agree that the 5 percent uppo -- upper window
8 ranges between ninety-two point three (92.3) to ninety-
9 three point eight (93.8) cents US to buy one (1) Canadian
10 dollar?

11 DR. ATIF KUBURSI: Yeah, if you -- if you
12 reverse it, yeah.

13 MR. BYRON WILLIAMS: And staying with the
14 US dollars if we reus -- it -- duce it, and with that
15 ninety-three point eight (93.8) cents US at the extreme
16 left, would it be fair to say that below or to the left
17 of that ninety-three point eight (93.8) cents US the
18 probability distribution becomes the horizontal axis?

19 DR. ATIF KUBURSI: Yeah, yeah, it would.

20 MR. BYRON WILLIAMS: Put another way,
21 sir, would it be fair -- excuse me. Put another way,
22 would it be fair to say that the probability of an
23 exchange rate over ninety-three point eight (93.8) cents
24 US to purchase one (1) Canadian dollar is zero?

25 DR. ATIF KUBURSI: Okay. I mean because

1 it -- it's right at the horizontal, yeah.

2 MR. BYRON WILLIAMS: Is that correct,
3 sir?

4 DR. ATIF KUBURSI: That is correct.

5 MR. BYRON WILLIAMS: And another way to
6 describe this is to say that the chosen distribution
7 allows for values of the Canadian dollar be -- below
8 ninety-three point eight (93.8) cents US with declining
9 probability, but no value -- but does not allow for
10 values of the Canadian dollar above ninety-three point
11 eight (93.8) cents US.

12 DR. ATIF KUBURSI: That -- that's
13 correct.

14 MR. BYRON WILLIAMS: Professor Magee,
15 it's probably for you, but it's -- it's open to either
16 witness again. I like to -- to share the -- share the
17 wealth.

18 I want to pre -- present you with a -- a
19 very simple hypothetical. If you need a pen to -- to
20 take notes, please feel free to. I don't think it's very
21 complicated, you probably don't need it.

22 DR. LONNIE MAGEE: Ready.

23 MR. BYRON WILLIAMS: I'm just waiting for
24 your counsel, who's very helpful, setting a bad example.
25 I'm not sure I can meet with my clients' witnesses.

1 So Professor Magee, in Example A,
2 researchers are trying -- if you'll consider, reacher --
3 researchers are trying to determine which of two (2)
4 possible distributions best captures a risky outcome for
5 a certain issue. Okay, you have -- you're with me so
6 far, sir? You're nodding your head.

7 DR. LONNIE MAGEE: Yes.

8 MR. BYRON WILLIAMS: Okay. And they --
9 let's assume that they have five (5) observations to work
10 with. Will you assume that, sir?

11 DR. LONNIE MAGEE: Okay.

12 MR. BYRON WILLIAMS: And let's assume as
13 well that they seek to choose a distribution which presu
14 -- produces the best results employing the best chi-
15 squared statistic, okay?

16 DR. LONNIE MAGEE: Okay.

17 MR. BYRON WILLIAMS: Let's take Example B
18 now, sir, and assume that, for the same issue,
19 researchers likewise are trying to determine which of two
20 (2) possible distribution best captures a risky outcome.
21 Same -- same outcome. Okay, sir?

22 DR. LONNIE MAGEE: Okay.

23 MR. BYRON WILLIAMS: And they are
24 considering the same two (2) possible distributions as in
25 Example A. Will you agree with that, sir, for the

1 purposes --

2 DR. LONNIE MAGEE: Okay.

3 MR. BYRON WILLIAMS: -- of the
4 hypothetical?

5 DR. LONNIE MAGEE: Yeah.

6 MR. BYRON WILLIAMS: Thank you. And
7 let's assume that they have the same five (5)
8 observations to work with as in Example A, and also that
9 they have an additional thirty (30) observations of a
10 comparable quality to work with. Are you with me, sir?

11 DR. LONNIE MAGEE: Yes, I am.

12 MR. BYRON WILLIAMS: And again, let's
13 assume that they too seek to chose the distribution which
14 produces the best result, employing the best chi-squared
15 statistic.

16 DR. LONNIE MAGEE: Okay.

17 MR. BYRON WILLIAMS: And I have two (2)
18 questions I -- I wish to ask you from that, Professor
19 Magee. And I wonder if you would agree with me that even
20 if their set of possible distributions includes the
21 correct one for both Example A and Example B, there is a
22 certain probability that they will choose the wrong
23 distribution. Would that be fair?

24 DR. LONNIE MAGEE: That's correct.

25 MR. BYRON WILLIAMS: I wonder if you

1 would agree with me that, all other things being equal,
2 to the extent that the researchers in Example A have
3 relatively fewer observations, the probability is higher
4 that they will have chosen the wrong distribution, as
5 compared to Example B?

6 DR. LONNIE MAGEE: That's correct. If --
7 if in Example B they have thirty (30) more observations
8 from the same distribution that you're trying to capture
9 as -- as the original five (5), then Person B is -- is in
10 a better situation, yeah.

11 MR. BYRON WILLIAMS: I thank you for
12 that, Professor Magee.

13 I'm going to move to another area, Mr.
14 Chairman and Mr. Vice-Chair, and I'm -- I'm anticipating
15 that we should be able to finish this particular area
16 before -- before lunch.

17 And, Professor Magee, I -- I want to
18 direct your attention to page 5 of the yellow book, upper
19 right-hand corner.

20 DR. LONNIE MAGEE: Okay.

21 MR. BYRON WILLIAMS: And you'll -- I'll
22 give you a second certainly out of courtesy to just --
23 you'll see a mark on the right-hand side, just to -- to
24 review those words for a second or two (2). Let me know
25 when you're ready.

1 DR. LONNIE MAGEE: Ready.

2 MR. BYRON WILLIAMS: And just to set the
3 context for this question, you'll recall during your
4 direct-examination by my -- my friend, Mr. Wood, that you
5 had reviewed the evidence of Mr. Cormie dur (sic) his cro
6 -- during his cross-examination by myself.

7 You had discussed it to some degree?

8 DR. LONNIE MAGEE: Yes.

9 MR. BYRON WILLIAMS: And referring you to
10 this quote, which appears at page 6,093 of the
11 transcript, you indicate that you think there is a lot of
12 common ground between our view and wha -- what was
13 expressed earlier in the hearing.

14 Do you see that, sir?

15 DR. LONNIE MAGEE: Yes.

16 MR. BYRON WILLIAMS: And I'm going to
17 suggest to you, and I -- I won't ask you to elaborate
18 just yet, but you'll tell me if I'm correct or not, that
19 you saw some room for common ground between Manitoba
20 Hydro and yourselves in terms of the potential to use
21 quantitative risk analysis to provide better insight into
22 risk issues.

23 Would that be fair, sir?

24 DR. LONNIE MAGEE: Yes.

25 MR. BYRON WILLIAMS: And, again,

1 Professor Kubursi, you may want to step in at some time.
2 I have a few questions more for Mr. Magee though --
3 Professor Magee, excuse me. And just flipping over to
4 page 16 of the yellow book for -- for a second, Professor
5 Magee, page 16 in the top right-hand corner. And I meant
6 to say Professor Magee. I apologize for that.

7 DR. LONNIE MAGEE: That's okay. Got it.

8 MR. BYRON WILLIAMS: And you see a
9 question posed to you by Ms. Southall, and she's asking
10 you whether the use of a Mo -- Monte Carlo simulation of
11 combining the 1940 drought with the high import prices is
12 a good substitute for doing a joint probability.

13 Do you see that, sir?

14 DR. LONNIE MAGEE: Yes.

15 MR. BYRON WILLIAMS: And your answer,
16 I'll suggest to you, is that it's a different exercise,
17 and it would be really great to know both.

18 Would that be fair?

19 DR. LONNIE MAGEE: Yes.

20

21 (BRIEF PAUSE)

22

23 MR. BYRON WILLIAMS: And pre -- and I do
24 apologize for making you flip, Professor Magee; flip
25 pages, not intellectually or anything like that. I'm

1 just asking you to flip back to page 3 of the -- the
2 evidence -- the yellow book for a second. And I'm
3 referring you to the second passage marked on the right-
4 hand side.

5 DR. LONNIE MAGEE: All right.

6 MR. BYRON WILLIAMS: And, Professor
7 Magee, you -- you'll see in that passage -- and I'm --
8 for those still flipping, it's page 3 on the right-hand
9 side -- you're discussing the scenario -- well, you're
10 discussing two (2) ques -- questions you might ask in --
11 in the context of a drought with high import prices. And
12 -- and you suggest, I'll suggest to:

13 "How -- how would it change doesn't
14 require saying how likely it is it
15 would change. It obviously would be
16 important to think about the second
17 question, how likely it is."

18 You see that reference, sir?

19 DR. LONNIE MAGEE: Yes.

20 MR. BYRON WILLIAMS: And what I took from
21 that is what you were saying is that for the purposes of
22 quantitative risk analysis there are two (2) valuable
23 insights that you're -- you're looking for. One (1) is
24 the magnitude of a potential event, and the other is the
25 probability of it.

1 Would that be fair, sir?

2 DR. LONNIE MAGEE: Yes.

3

4 (BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: Now -- whoops -- Mr.
7 Chairman, and, Mr. Vice-Chair, there -- there's a couple
8 pages of notes I have to skip over in anticipation of the
9 undertaking and where that leads us. So if you'll
10 forgive me for just one (1) second, I'll set those aside
11 and then -- and then resume our discussion, if -- if
12 you'll let -- let me sit down for a minute.

13

14 (BRIEF PAUSE)

15

16 MR. BYRON WILLIAMS: And, Professor
17 Magee, I -- I apologize. As I said, I've -- I've had to
18 skip over a little bit, so I'm -- I'm going to direct you
19 to page 17 of the yellow book. And a discussion that you
20 have with Manitoba Hydro in terms of data limitations.
21 And I'll allow you to take a quick look at that, sir.

22 Excuse me, a discussion with -- with your
23 counsel. And "data limitations" is the wrong word, but a
24 discussion with your counsel about data.

25 DR. LONNIE MAGEE: Okay.

1 MR. BYRON WILLIAMS: Now -- and this
2 discussion moves onto the next page, Professor Magee, but
3 you'll agree with me that in this excerpt from the
4 transcript, you're discussing with your counsel potential
5 information dif -- differences between your Statistics
6 Canada data as presented in Table 6.1 and Manitoba
7 Hydro's own data.

8 Would that be fair?

9 DR. LONNIE MAGEE: Yes.

10 MR. BYRON WILLIAMS: Now, Professor
11 Magee, I -- I've never met a social scientist who -- who
12 said that they didn't want more data. And it's -- it's
13 fair to say that you would always be happy to have more -
14 - more information rather than less.

15 Would that be fair?

16 DR. LONNIE MAGEE: I think, just to try
17 and anticipate where this might be going, we -- there's
18 also a -- a benefit to having a -- a kind of a -- a tidy
19 easy to describe exercise that has been undertaken. So
20 sometimes you can end up making things more confusing, or
21 it might look arbitrary, if you have a nice tidy data set
22 and then you say, Oh, well, we were able to get these
23 numbers from here and these numbers from there, and we --
24 we're -- we're throwing them in too. That might have a
25 look of arbitrariness to it. It might make it harder for

1 other people to replicate what you did.

2 So there is a -- a judgment call involved
3 there, in terms of what extra data you -- you throw into
4 a -- some calculations.

5 MR. BYRON WILLIAMS: Fair enough, sir.
6 And -- and let me make my question more precise. Really,
7 in this passage, you're talking about a -- a conscious
8 choice, whether to employee Statistics Canada data or
9 Manitoba Hydro data.

10 Fair enough?

11 DR. LONNIE MAGEE: Yes.

12 MR. BYRON WILLIAMS: And you would --

13 DR. ATIF KUBURSI: Can I just jump in
14 here?

15 MR. BYRON WILLIAMS: Abs -- absolutely.

16 DR. ATIF KUBURSI: Yeah. Yeah, I -- I
17 just want to share the wealth. The -- the point that is
18 really crucial here for us is that we had a choice, all
19 right? At -- our choices are we use Statistics Canada or
20 we use Manitoba Hydro.

21 We thought we are independent consultants.
22 As independent consultants would like to use data that we
23 consider to be in the public -- on the public record,
24 independent, verifiable, and we're quite familiar with,
25 and one we could use without being encumbered by

1 revealing any confidentiality.

2 It's not that we thought that the data
3 from Manitoba Hydro is an inferior or in any way, shape,
4 or form not good to use. No. We said we wanted
5 basically, and fundamentally to use data that Statistics
6 Canada had put on the public record, that we could use it
7 with such a detail and without any consideration or fear
8 that we might be revealing anything confidential, and a
9 consistent set of data that they seem to use for every
10 utility in Canada.

11 That choice for us was no choice at all.
12 We thought that it would be far more useful for our
13 purposes to get that objective, independent Stat Can
14 data. And if there was any quibbles about it, the
15 quibbles should not be with us; it should be with
16 Statistics Canada.

17 Why is it that Statistics Canada has
18 chosen to put on the public record this set of data that
19 may not be consistent with what Manitoba Hydro feels that
20 this is a correct representation? But for us, we thought
21 -- and we, as social scientists, we continuously use and
22 reference Statistics Canada -- we didn't think that we
23 are in any position to raise questions about these
24 things.

25 MR. BYRON WILLIAMS: And I want to follow

1 up that response in two (2) different ways. And let me
2 preface my question in terms of going back to my
3 reference to trying to establish common ground between
4 yourselves and Manitoba Hydro. And so I -- if the Board
5 will allow me, just by way of preamble, my clients are
6 not seeking to criticize what they understand totally is
7 your -- your decision; we're trying to look forward. And
8 I'll go to Dr. -- Professor Magee first, and then I'll --
9 I'll return to Professor Kubursi, on the -- the second
10 point that you made.

11 Professor Magee, there's a -- a reference
12 by you on page 17, lines 20 to 22, to the fact that you
13 might have ended up with better data covering a longer
14 period using the second approach.

15 Do you see that, sir?

16 DR. LONNIE MAGEE: Yes, I do.

17 MR. BYRON WILLIAMS: And I'm not asking
18 you to pick and choose between Stats Can and Hydro, but
19 you would concede that there might be utility in using a
20 longer time series of data, one in which Manitoba Hydro
21 and others might be more confident in, than the
22 Statistics Canada data, moving forward?

23 DR. LONNIE MAGEE: That's possible.
24 Another -- just looking at the other side of it, the --
25 the format that -- that the Statistics Canada data was

1 presented is also applied to other utilities in there,
2 right? Yeah. So, moving forward, there may also be
3 occasion to access literature or research on what other
4 utilities have been doing and other experiences, and if
5 the Statistics Canada data turns out to be consistent
6 across different utilities, publicly available, I think
7 it could be quite useful then to learn from other
8 utilities' experiences, as well.

9 MR. BYRON WILLIAMS: And, Professor
10 Magee, my clients don't dispute that with you, and
11 certainly this is open to either witness, but you're
12 aware that built within Table 6.1 of your evidence is
13 estimates of the average export price to the US market,
14 for example, in 2007, in the range of fourteen point six
15 three (14.63) cents per kilowatt, correct?

16 DR. ATIF KUBURSI: Yeah, correct.

17 MR. BYRON WILLIAMS: And you'll
18 acknowledge that data such as that poses a challenge to
19 all in the room, not attacking you for using Stats Can
20 data, because it doesn't seem to accord at all with the
21 reality of Manitoba Hydro's sales in that particular
22 year?

23 DR. ATIF KUBURSI: All right. I -- I --
24 as I said, and I -- I go again and emphasize it, that if
25 you have a quibble with the Stats Can data, you don't

1 have a quibble with us. I mean, let's bring people from
2 Stats Can to explain how on earth did they get this
3 number, on record?

4 The other thing, which is probably equally
5 important is that, yes, you'd like to have more data, but
6 you really like to make sure that it's consistent. 1.

7 2. You want to see this data that you
8 use, even as a short period, how representative -- and --
9 and you're absolutely justified in raising question about
10 whether it is absolutely consistent with what the
11 objective reality is.

12 But you also need to look at the two (2)
13 and some of the arguments that have come from that cross-
14 examination with Mr. Cormie is that our data re --
15 reflects only -- only one (1) side of the -- the data in
16 the sense that it -- it represents high water flow
17 period, but 2002, 2003 was a drought.

18 So in some sense we -- we tried to see to
19 what extent our data is not reflective of a particular
20 state and that it's rich enough that it covered a variety
21 of states, and -- and we felt confident that that variety
22 is there.

23 MR. BYRON WILLIAMS: And I thank you for
24 that insight. I just want to make sure I've got you
25 pinned down on -- on one (1) point though.

1 To the extent that the regulator or others
2 are uncomfortable with certain information found in Table
3 6.1, you'll agree with me that it is incumbent upon them
4 to -- to explore those and not to rely upon those numbers
5 till they're satisfied that they're accurate.

6 DR. ATIF KUBURSI: There is no question
7 about it. There is no data that's perfect. And there is
8 no organization, or statistician, or statistical
9 institution is beyond accountability. And if there is
10 sufficient evidence that there is this variance it -- it
11 would be incumbent to see what are the reasons.

12 It could be that they have used a
13 completely different weighting scheme. They may have
14 really defined it in terms of a different combination
15 between long term and the opportunity. I mean, these
16 things have to be queried from Statistics Canada. And --
17 and these numbers that you have that are not consistent
18 should be vetted with them.

19 MR. BYRON WILLIAMS: Now would I be
20 correct in -- and Mr. Chairman, I'm close to wrapping up
21 in this area. But, would I be correct in suggesting to
22 you that the same type of analysis that went into Table
23 6.1 of your evidence based upon statistic -- Statistics
24 Canada data could be done with verifiable and consistent
25 Manitoba Hydro data? You're not saying that that's not a

1 -- an approach that one -- one could take?

2 DR. ATIF KUBURSI: I mean, we're using
3 the common ground as we are using the same software.
4 We're approaching this with the same set of questions
5 that they must be raising. There is nothing that would
6 prevent us from, if this data would become available, to
7 -- to deal with it.

8 But there is one (1) proviso and you have
9 been looking at it as you were asking us questions. We
10 are not in any way contingent or dependent on a fixed
11 number. We're basically looking at probability
12 distributions over that period. And in that respect it
13 would be -- and -- and this is probably what you were
14 driving at, I mean, would a different distribution, a
15 superior distribution from where you had more confidence
16 that these numbers had come from, used, it would give
17 different result? It would.

18 But we felt very confident that we used
19 this objective statistical test on each and every single
20 distribution within the same context, using the same
21 measuring rod, that we gave a rich representation of what
22 we considered to be the underlying reality.

23 MR. BYRON WILLIAMS: Two more questions,
24 Mr. Chairman. You'll agree with me, Witnesses, that in -
25 - in considering these approaches it is important for the

1 tribunal to have insight into the best available data and
2 the best available distributions?

3 DR. ATIF KUBURSI: I mean, you ask me if
4 motherhood is great. Yes, of course. I -- I consider
5 this to be --

6 MR. BYRON WILLIAMS: I'll take that
7 answer, sir.

8 DR. ATIF KUBURSI: Yeah, yeah, yeah. I -
9 - I mean, I absolutely would like to see that alternative
10 data be used, other methodologies be used. It's -- it's
11 something that is so serious here. We're not dealing
12 with something that is about things. People can have
13 good and reasonable arguments.

14 We've used a consistent, objective data
15 that we consider to be consistent with our role as
16 independent consultants. It would be quite worthwhile to
17 see that other data are used. And then we could maybe
18 meet again and discuss, you know, the differences and --
19 and see to what extent these could be resolved.

20 MR. BYRON WILLIAMS: Now, by way of last
21 question and -- and this will have -- I've shared this
22 question with your counsel. I hope he shared it with
23 you. But I'm going to -- to share -- share with the
24 witnesses on this particular point the existing CAC/MSO -
25 - MSOS position in terms of where they'd like to see this

1 discussion to go. And then I'm going to ask you to
2 briefly comment on it.

3 So -- so by way of preamble, my -- my
4 clients' current position on quantitative assessment of
5 risks facing Manitoba Hydro is, and you may want some
6 notes on this, or you can just -- is that a useful
7 direction for the quantitative assessment of risks facing
8 Hydro would be developing stochastic models to assess the
9 probability distributions of risky outcomes, including
10 water flows, just as you do in chapter 4, and other
11 financial risk factors, and the development of a model of
12 Manitoba Hydro operations that integrates these risk
13 factors, part 1.

14 This would then allow for the assessment
15 via Monte Carlo simulations of various what-if scenarios.
16 These would consist of a base case in which all material
17 risk factors are allowed to vary, as well as a series of
18 stress tests where one (1) or a series of adverse events
19 are combined to assess or impact Manitoba Hydro financial
20 operations, i.e., net revenues.

21 How does that sound to you, Professor
22 Kubursi?

23 DR. ATIF KUBURSI: I thought I wrote it.

24 MR. BYRON WILLIAMS: Well, then we have
25 some common ground. Thank you, Mr. Chairman.

1 DR. ATIF KUBURSI: We certainly do.

2 THE CHAIRPERSON: Thank you. So we'll be
3 back -- if no one objects, we'll come back for one
4 o'clock.

5
6 --- Upon recessing at 12:03 p.m.

7 --- Upon resuming at 1:06 p.m.

8
9 THE CHAIRPERSON: Okay, folks, as soon as
10 we could get going.

11
12 CONTINUED BY MR. BYRON WILLIAMS:

13 MR. BYRON WILLIAMS: Yes, good afternoon,
14 Mr. Chairman, Mr. Vice-Chair.

15 A couple of short snappers, perhaps -- and
16 more like -- I'm not sure who this goes to, but if you
17 could turn to the yellow book, page 23 in the top right-
18 hand corner. And you'll see the response of Professors
19 Kubursi and Magee to Manitoba Hydro Information Request
20 28.

21 Do you have that, Professor Kubursi?

22 DR. ATIF KUBURSI: Yes, I do.

23 MR. BYRON WILLIAMS: And I just want to
24 make sure I understand your evidence in terms of (c), the
25 answer set out there. You'll confirm that you estimated

1 the cost of a -- the mean cos -- drought cost of a five
2 (5) year drought to be in the range of \$3.342 billion
3 dollars, sir, correct?

4 DR. ATIF KUBURSI: Correct.

5 MR. BYRON WILLIAMS: And the seven (7)
6 year drought you estimated to be -- the mean cost to be
7 around \$4.5 billion dollars, sir, correct?

8 DR. ATIF KUBURSI: Cor -- correct.

9 MR. BYRON WILLIAMS: And just to make
10 sure I understand -- excuse me, I...

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: Clearly Mr.
15 Surminski was trying to preempt our conversation.

16 And just to -- to confirm, in estimating
17 both the cost of the five (5) year drought and the seven
18 (7) year drought, I'd be correct in suggesting to you
19 that the underlying data for the estimates, apart from
20 water flow was initiated flowing from the data in Table
21 6.1 of your evidence?

22 Is that right?

23 DR. ATIF KUBURSI: Yes, correct.

24 MR. BYRON WILLIAMS: And in terms of
25 these estimates, again, leaving aside water flow, would

1 it be accurate to say you employed the underlying
2 probability distributions found in Section 6.5 of your
3 evidence?

4 DR. ATIF KUBURSI: Yes, correct.

5 MR. BYRON WILLIAMS: Turning at long last
6 to the white book, which is CAC/MSOS Exhibit Number 25.
7 And -- and, Professors Kubursi and Magee, we are going to
8 come back to quantitative analysis towards the end of our
9 discussion, but I -- I wanted to have a bit of a change
10 of pace. And I'm going to direct you, first of all, to --
11 -- in the upper right-hand corner, page 1, which is your
12 response to the PUB Information Request number 8. And I
13 think this goes to Professor Kubursi.

14 Do you see that, sir?

15 DR. ATIF KUBURSI: Yes.

16 MR. BYRON WILLIAMS: And without need --
17 needing you to elaborate on your response, this
18 particular response, this is a -- a response to PUB
19 Information Request 8, and regarding your suggestion that
20 the massive capital expense -- expansion will be needed
21 sooner or later to meet existing load.

22 Would that be fair?

23 DR. ATIF KUBURSI: That would be fair.

24 MR. BYRON WILLIAMS: And you -- directing
25 your attention specifically to your answer (a), on the

1 first line you make the point that the issue is the
2 timing of these investments, correct?

3 DR. ATIF KUBURSI: Correct.

4 MR. BYRON WILLIAMS: And where I really
5 want to direct your attention is to your discussion of
6 shale gas, first at the -- in the middle of this
7 response, and then towards the bottom. And, essentially,
8 you -- you note that while shale gas has generated an
9 excess supply of gas, its impact on wat -- water and
10 other environmental and technical considerations are
11 being cited as reasons why this excess supply cannot be
12 expected to last for a long period.

13 Would that be fair?

14 DR. ATIF KUBURSI: That would be fair.

15 MR. BYRON WILLIAMS: And -- and towards
16 the bottom fo this response, you note that environmental
17 considerations would have limited volumetric impacts, but
18 could have serious implications for price.

19 Would that be fair, sir?

20 DR. ATIF KUBURSI: Yes.

21 MR. BYRON WILLIAMS: And I do want to ask
22 you to turn to the next page of -- of this exhibit, page
23 number 2, and this is part of your same response to the
24 PUB, and particularly (iv).

25 Do you have that, Professor Kubursi?

1 DR. ATIF KUBURSI: I do.

2 MR. BYRON WILLIAMS: And again, here
3 you'll agree that you're commenting on natural gas prices
4 and noting that, while they are currently low because of
5 abundant gas supplies on account of shale, certain water
6 requirements and quality of water impingements could slow
7 this reliance on shale, and natural gas prices could
8 start rising.

9 Would that be a fair summary of that
10 response, sir?

11 DR. ATIF KUBURSI: Yes, sir.

12 MR. BYRON WILLIAMS: Now, I -- I would
13 like you to -- to turn, if you would, to tab -- or,
14 excuse me, page 3 of this response. There you will see
15 the -- the article -- the article, "Methane and the
16 Greenhouse Gas Footprint of Natural Gas from Shale
17 Formations," which was published by Professors Atkinson,
18 I-N-G-A-F-F-E-A, and Ms. Santoro from Cornell.

19 Do you see that, sir?

20 DR. ATIF KUBURSI: Yes.

21 MR. BYRON WILLIAMS: And without asking
22 you to elaborate on -- at this point in time, this was
23 provided to you in advance, and you've had an opportunity
24 to review this article and been provided notice of the
25 type of question I will be asking.

1 You'll confirm that?

2 DR. ATIF KUBURSI: Yes, but we divvied
3 the work between me and Professor Magee. He --

4 MR. BYRON WILLIAMS: Oh.

5 DR. ATIF KUBURSI: -- was more
6 responsible for responding for the questions.

7 MR. BYRON WILLIAMS: So, Professor Magee,
8 just recognizing that -- that not everyone in the room
9 will be familiar with this article, I've got a few
10 questions which go back to the -- your response to PUB-8,
11 but I just want to -- to summarize, at a high level, some
12 of the discussion in this article.

13 Would you be prepared to assist me in
14 that, sir?

15 DR. LONNIE MAGEE: Yes.

16 MR. BYRON WILLIAMS: There's no famous
17 words, "high level." Mr. Vice-Chair caught me again.

18 And just on page 3 of -- of the white
19 book, you'll see a discussion in the abstract marked 'A'.

20

21 Do you see that, Professor Magee?

22 DR. LONNIE MAGEE: Yes, I do.

23 MR. BYRON WILLIAMS: And essentially what
24 the authors suggest is that methane is a powerful
25 greenhouse gas with global warming potential far greater

1 than that of carbon dioxide, particularly over the -- the
2 first few decades following emission.

3 Do you see that, sir?

4 DR. LONNIE MAGEE: Yes.

5 MR. BYRON WILLIAMS: And the argument
6 that is made in this abstract is that methane contributes
7 substantially to the greenhouse gas print -- footprint of
8 shale on shorter time scales, especially dominating in a
9 twenty (20) year time horizon.

10 Do you see that, sir?

11 DR. LONNIE MAGEE: Yes.

12 MR. BYRON WILLIAMS: And they suggest
13 that the footprint for shale gas is greater than for
14 conventional gas or oil, when viewed on -- in any
15 horizon, but particularly so over twenty (20) years.

16 Do you see that, sir?

17 DR. LONNIE MAGEE: Yes.

18 MR. BYRON WILLIAMS: If I could just ask
19 you to flip to page 4, in the top right-hand corner.

20 DR. LONNIE MAGEE: Okay.

21 MR. BYRON WILLIAMS: You'll see, as well,
22 marked 'B' on the right-hand side, a concern expressed by
23 the
24 Natural -- you'll see some concerns expressed by the
25 Natural Resource Council in terms of the concern that

1 emissions from shale gas may be greater than from
2 conventional gas.

3 Do you see that, sir?

4 DR. LONNIE MAGEE: Yes.

5 MR. BYRON WILLIAMS: And a warning from
6 the Council of the Scientific Society Presidents that --
7 that some potential energy bridges, such as shall gra --
8 gas, have received insufficient ana -- analysis and may
9 aggravate rather than mitigate global warming.

10 Do you see that, sir?

11 DR. LONNIE MAGEE: Yes.

12 MR. BYRON WILLIAMS: Flipping, if you
13 would, to -- to Tab 11. And, Professor Magee, as I -- I
14 said, I'm trying to kind of go through this quickly, and
15 I'll give you a chance to comment on how it may affect --
16 and certainly if you have anything else you wish to add
17 at the end you're more than welcome to. I don't want to
18 -- to shorten your responses.

19 But turning to page 11, in the top right-
20 hand corner, you'll see marked on the right-hand side at
21 -- at -- do you see that marking 'C', sir?

22 DR. LONNIE MAGEE: Yes.

23 MR. BYRON WILLIAMS: And the authors do
24 note that:

25 "Our analysis does not consider the

1 efficiency of final use, and if fuels
2 are used to generate electricity,
3 natural gas gains some advantage over
4 coal because of greater efficiencies of
5 generation."

6 Do you see that, sir?

7 DR. LONNIE MAGEE: Yes.

8 MR. BYRON WILLIAMS: But they also note
9 that:

10 "This does not greatly affect our
11 overall con -- conclusion, the GHG
12 footprint of shale gas approaches or
13 exceeds coal, even when used to
14 generate electricity."

15 Do you see that, sir?

16 DR. LONNIE MAGEE: Yes.

17 MR. BYRON WILLIAMS: And finally, in
18 terms of pages, I'd ask you to turn to page 12 where
19 you'll see on the right-hand side the markings of 'D' --
20 or, the letter 'D' and the letter 'E'.

21 Do you see those, sir?

22 DR. LONNIE MAGEE: Yes.

23 MR. BYRON WILLIAMS: And focussing first
24 on the letter 'D', you'll see the suggestion by the
25 authors that:

1 alternative energy futures that
2 adecally -- adequately consider climate
3 change."

4 Do you see that, sir?

5 DR. LONNIE MAGEE: Yes.

6 MR. BYRON WILLIAMS: And going back and -
7 - you -- I don't think you need to turn there, but if you
8 wish you could go back to your response to PUB-8A.

9 With -- with reference to your conclusion
10 that excess supply of natural gas cannot -- excuse me,
11 let me try that again. With reference to your conclu --
12 your suggestion that environmental considerations might
13 have serious implications for the price of natural gas, I
14 wonder if you could discuss the implications, if any, of
15 this report and its conclusions, or the potential
16 implications.

17 DR. LONNIE MAGEE: Well, to -- to put a
18 direction on it, it's clear the -- the extra information
19 in the report would lead one to expect higher prices,
20 more serious implications for the -- for gas prices. I
21 think the -- the issue of how much and -- and when
22 relates to something Atif -- Atif was talking about the
23 last time we were here, about all the different lags
24 involved with recognizing a problem. In this case, the
25 global -- or the climate change implications of different

1 methods of producing energy.

2 And then there are a number of lags
3 involved in recognizing the problem, designing solutions,
4 implementing the solutions, the solutions having an
5 affect. In -- in this case for the Hearing it would be
6 the, I guess, ultimately the effect on the demand for
7 hydro and the price that could be charged for hydro and -
8 - and -- based energy.

9 And I think this is just -- the -- the
10 evidence in this paper just adds to the, I guess, body of
11 evidence that over time it -- there's a strong
12 possibility that these other carbon based energy sources
13 will become relatively more expensive and restricted,
14 which is good news in the long-run for Hydro.

15 MR. BYRON WILLIAMS: Now, sir, I -- I
16 just want to -- and -- and this has been helpful and I
17 don't -- don't want to belabour -- belabour this -- is I
18 understood your answer, and I thank you for it, the
19 thrust of it was evidence such as this, and reports such
20 as this, and the growing body of evidence, directionally
21 suggests that -- that there'll be increasing pressure on
22 natural gas prices but you would expect a lag in -- to
23 some degree, in terms of when that occurs?

24 DR. LONNIE MAGEE: That's right, just
25 based on, you know, viewing the -- the -- what many

1 people are concerned about, the lag in policy response
2 already in North America to these issues.

3 MR. BYRON WILLIAMS: I thank you for
4 that. We're going to move fairly rapidly, I hope, to
5 another subject. And we're back to the yellow book at
6 pages 24 through 28.

7

8 (BRIEF PAUSE)

9

10 MR. BYRON WILLIAMS: And, really, for the
11 purposes of the -- the immediate conversation, Professor
12 Magee, you might look at the text on page 24 that's
13 marked. And while he's doing that, Professor Kubursi,
14 you might want to take a peek at pages -- the bottom of
15 page 27, just to anticipate where I'm -- I'm going a
16 little bit.

17 MR. ROBERT MAYER: Mis -- Mr. Williams,
18 none of page 24 is marked on my copy.

19 MR. BYRON WILLIAMS: Oh. Okay, well,
20 that's an oversight for which I apologize. And I'll --
21 just -- just for the -- the Board's attention, it's lines
22 10 through 23. And I apologize for that.

23

24 CONTINUED BY MR. BYRON WILLIAMS:

25 MR. BYRON WILLIAMS: Professor Magee,

1 first of all to you, I was certainly struck by the
2 conversation that you had with the Chairman, and
3 Professor Kubursi as well, on the impact, if any, of
4 factors that might distinguish the level of comfort of a
5 private sector monopoly with a certain level of reserves,
6 as compared to a private company and a competitive --
7 excuse me, let me try that again -- the level of comfort
8 of a public sector monopoly with a certain level of
9 reserves, as compared to the level of comfort of a
10 private company in a competitive marketplace.

11 And so I wanted to move first to you,
12 Professor Magee. And when you were -- I'll suggest to
13 you that when you were having this conversation with the
14 Board Chairman, you were focussed more on the -- let me
15 back up.

16 Do you recall that conversation, sir?

17 DR. LONNIE MAGEE: More or less.

18 MR. BYRON WILLIAMS: Excuse me. Well, I
19 hope the transcript will refresh your memory.

20 Does it?

21 DR. LONNIE MAGEE: Yes, it's -- it's very
22 good. Thank you.

23 MR. BYRON WILLIAMS: Well, the -- and you
24 -- your response, as set out on page 6,184 of the
25 transcript, focus more on the issue of monopoly, I will

1 suggest to you, and -- and the reality that a company
2 with the benefit of a mon -- monopoly could be more
3 confident about the long-run demand for the product.

4 Would that be fair, sir?

5 DR. LONNIE MAGEE: I -- I think it's the
6 -- well, the monopoly aspect is a part of it in -- in the
7 sense that you wouldn't expect some other company to
8 start using the hydro assets in -- in Manitoba to produce
9 energy. But I think it's also -- it -- it's the nature
10 of the product that's being demanded. It's -- it's
11 something every house -- every, you know, elec -- the
12 demand for electricity is something that is relatively
13 stable, compared to say the demand for a certain type of,
14 you know, computer or articles of clothing or, you know,
15 it's -- it's a -- in the long run it's -- it's pretty
16 safe to predict that people will be needing electricity
17 fifty (50) years from now. It's not so safe to say that
18 for other types of products, goods, and services.

19 MR. BYRON WILLIAMS: And that's very
20 helpful. So when you're speaking of long-term demand,
21 one (1) of you -- one (1) of the points you make is the
22 very nature of this commodity provides a -- a supplier
23 with more confidence that they'll still be in the game in
24 the -- in the long -- in the long run?

25 DR. LONNIE MAGEE: Yes.

1 MR. BYRON WILLIAMS: Now, and I accept
2 that and I thank you for that clarification, but if -- if
3 I look to your discussion, whether it's in lines 10
4 through 14, again, you're talking -- comparing
5 competition to a monopoly, or again at line 22, where
6 you're talking about a private-sector company that was --
7 that was a monopoly, I would suggest to you as well, and
8 you'll correct me if I'm wrong, that another factor
9 providing assurance of a -- of a long-te -- run demand is
10 the reality that -- that in Manitoba, Manitoba Hydro has
11 a monopoly in the retail pro -- provision of hydro
12 electricity within the province?

13 DR. LONNIE MAGEE: Yes.

14 MR. BYRON WILLIAMS: And in -- in the
15 context of a company enjoying a monopoly as compared to a
16 cont -- context of a company in a competitive
17 marketplace, you would agree that the consumers of a firm
18 operated -- operating in a competitive marketplace can
19 generally go elsewhere if they don't -- if they don't
20 like the -- the product or the price, whereas those
21 consumers who are captive to a monopoly are essentially
22 always there as a financial backstop to the monopoly?

23 DR. LONNIE MAGEE: That -- that's true.
24 I -- I should mention though that clearly here it's not -
25 - this is a monopoly that's -- where the -- the company

1 is not free to -- to freely set its price at some profit
2 maximizing level. It's a restricted monopoly.

3

4

(BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: Professor Kubursi,
7 do you have something you want to add?

8 DR. ATIF KUBURSI: I -- I mean I -- I
9 just want to say that probably it's not just the nature
10 of the product, it's the very fact that being a monopoly
11 there's so many barriers to entry. You cannot expect
12 that other firms, like in the competitive markets where
13 entry and exit are extremely fluid and -- and easy, it --
14 under monopoly conditions the barriers to entry make it
15 very hard for other companies to jump into these -- this
16 market.

17 So in some sense, a monopoly can, if that
18 product remains variable and the demand remains strong,
19 that could always be assured that there will be no
20 competitors to share this market with.

21 MR. BYRON WILLIAMS: And I want to -- and
22 I thank you both for that -- the combined very thoughtful
23 answer. And -- and I want to keep that thought of a
24 monopoly in mind and look at -- when we look at the
25 concept of an appropriate level of retained earnings.

1 And I wonder if you would agree that all
2 thin -- other things being equal, that in the face of a
3 material adverse affect -- event, affecting retained
4 earnings, a company in a competitive context may be
5 hampered in its ability to rebuild retained earnings
6 through rate increases because if it raises rates too
7 much its consumers have the option of fleeing elsewhere?

8 DR. ATIF KUBURSI: But even a monopoly is
9 not in an extremely protected position, despite all the
10 other considerations. In -- in the sense that people may
11 react by consuming less. They might not have to jump and
12 consume something else, or somebody would be providing
13 this, but the - the market always, under any conditions,
14 there are reasons and logic to believe would -- would
15 come into play. And this logic is higher prices would
16 provoke people to consume less.

17 MR. BYRON WILLIAMS: And that's very
18 helpful, and I'm going to press you a little bit more on
19 this to see if you'll walk with me down this path or not,
20 Professor Kubursi. Accepting what -- that what you say
21 in terms of people might choose to consume less, would
22 you also agree that in the -- in the context of a firm
23 and a competitive market, they would face a dual risk, a)
24 of consumers choosing to -- to choose -- to use less or
25 b) -- of consumers moving to -- to other firms?

1 DR. ATIF KUBURSI: I don't want to
2 belittle the fact that a monopoly has market power that
3 it could use but, as Lonnie was mentioning here, in many
4 respects it's a natural monopoly, regulated monopoly.
5 And therefore there are degrees of freedom less here in
6 the sense that this monopoly does not have the full
7 exercise, or is not in a position to fully exercise all
8 its market power because it's a regulated monopoly.

9 MR. BYRON WILLIAMS: Thank you for that.
10 And I'm going to move to a comment, Professor Kubursi,
11 and I -- I think this is a section of the evidence you're
12 responsible for. So if you'll turn to page 27 of the
13 yellow book of documents, and -- and also keep your hand
14 on page 28. Towards the bottom on page 27.

15 Do you see that, sir?

16 DR. ATIF KUBURSI: Yes, I do.

17 MR. BYRON WILLIAMS: And I'm not sure if
18 this is marked in the Board's text or not. Apparently it
19 is. But, Professor Kubursi, directing your attention to
20 the last paragraph on page 5, and I'm just going to ask
21 you to confirm the -- the paragraph, first of all. You
22 make this statement that:

23 "The public guarantees of debt can
24 tempt a public utility to undervalue
25 risk and behave more recklessly than if

1 it were to bear alone the consequences
2 of its risky behaviour. This
3 temptation is further complicated by a
4 regulatory regime that may set rates to
5 cover the public utility costs and
6 errors, and that allow it to pass the
7 costs of its mistakes, inefficiencies,
8 and risks to domestic customers."

9 Do you see that paragraph, sir?

10 DR. ATIF KUBURSI: I see it.

11 MR. BYRON WILLIAMS: And you've already
12 discussed the first part of that paragraph with my
13 learned friend, Ms. Southall, so I -- I want to focus you
14 on the second part of that paragraph, which relates to
15 complications from a regutory -- a regulatory regime.
16 And what I -- I took you to mean by that was that any
17 regulatory pass of mistakes, and inefficiencies may
18 create a moral hazard in that it might incent less
19 careful or more reckless behaviour.

20 Was that your -- your meaning, sir?

21 DR. ATIF KUBURSI: Yeah, that's
22 absolutely it, and there is a body of literature and
23 there is a general consensus in the profession that moral
24 hazard is a -- is an issue to contend with. It may or
25 may not apply fully to any particular entity, but on a

1 general -- within a general framework, it has been
2 noticed that people who have insurance tend sometimes to
3 feel protected, and may do things under the protection of
4 the insurance that they might not do in -- in its
5 absence. So it's basically -- the extreme case of it is
6 that somebody would insure his bike and steals it, or
7 insures his restaurant and burns it.

8 So in many respects, the moral hazard is -
9 - is a condition that is now quite established, where any
10 insurance may give the wrong signals and incentives for
11 participants to assume and expose themselves to higher
12 risks than they would in its absence.

13 MR. BYRON WILLIAMS: But in your
14 evidence, sir, I'd -- I'll suggest to you that you're --
15 you're making a point that while this may be a -- a
16 common phenomena, whether one is -- is a public or
17 private entity, you're warning that one has to be
18 particularly aware of this in -- in the context of a
19 rate-regulated crown monopoly under a -- a rate-setting
20 regulatory regime.

21 DR. ATIF KUBURSI: I understand by this -
22 - and the reason for this is that the market establishes
23 a very strong discipline on the participants. They will
24 ultimately have to sink or swim based on their own
25 resources.

1 Any public utility where the public may
2 have to bear the responsibility for supporting that
3 utility, particularly if it were to go into debt and the
4 debt is guaranteed, these entities tend to feel they are
5 immune from the discipline of the market, and in this
6 respect may invite and may encourage them to assume a
7 greater amount of risk. And the regulation is
8 challenged. The Regulatory Board would -- would really
9 be challenged to make sure that only rates that are
10 justifiably so, that do not represent errors, mistakes,
11 and inefficiencies. There is no sense at all about a
12 regulatory body that does not ensure that efficiencies
13 are all reaped and that the discipline of maintaining
14 costs at the lowest form.

15 And this -- if you can see I went even to
16 another extreme with my colleague here, suggesting that
17 utilities ought to take as a directive an objective
18 function that should guide their principle is to minimize
19 costs.

20 MR. BYRON WILLIAMS: And let me just try
21 and sum our conversation. And you'll -- focussing on --
22 at the level of theory, a rate regulated Crown monop --
23 monopoly backed by a government debt guarantee,
24 essentially, I'll suggest to you, enjoys a triple layer
25 of insurance in the form of 1) the monopoly, 2) the debt

1 guarantee, and 3) the more nurturing environment of rate
2 regulation, as compared to the competitive marketplace.

3 Would that be fair, sir?

4 DR. ATIF KUBURSI: Yes, but only with one
5 (1) proviso: to the extent that the regulatory body is
6 permissive, and to the extent to which that monopoly is
7 in a position to exercise market power. But if the
8 regulatory body is not permissive and would hold these
9 entities to maintain efficiencies, and if and when this
10 monopoly is unable to exercise its market power, then
11 what you've really said may not hold.

12 MR. BYRON WILLIAMS: And I thank you for
13 that.

14 This is probably still for you Professor
15 Kubursi. White book of documents, CAC-25, page 15, which
16 is the response of Professors Kubursi and Magee to
17 CAC/MSOS number 11. And I'll give you a minute to -- to
18 look that -- in particular I'm focussing you on your --
19 the first paragraph of the response to -- page 15,
20 Professor Kubursi.

21 DR. ATIF KUBURSI: Yeah, I have it. But
22 let me -- if you just --

23 MR. BYRON WILLIAMS: I'll give you a
24 second.

25 DR. ATIF KUBURSI: -- bear with me one

1 (1) minute just to read it.

2 MR. BYRON WILLIAMS: And it's the -- it's
3 -- hopefully it's marked on the right-hand side, where
4 I'm referring you to --

5 DR. ATIF KUBURSI: No, it's not marked.

6 MR. BYRON WILLIAMS: Okay. (a), the
7 first paragraph.

8 DR. ATIF KUBURSI: Okay.

9

10 (BRIEF PAUSE)

11

12 DR. ATIF KUBURSI: Okay.

13 MR. BYRON WILLIAMS: Thank you. And just
14 in terms of the -- the reference, sir, focussing
15 exclusively on (a), the first paragraph, you state that
16 as long as -- you'll -- I'll ask you to confirm that you
17 state that:

18 "As long as there is not an explicit
19 formula that ties rate setting to net
20 earnings of Manitoba Hydro, and the
21 residents of Manitoba do not have a
22 mechanism where they can influence the
23 distribution of MH's net earnings, the
24 increased earnings from selling
25 electricity at times when a risk exists

1 that a water flow may decline means
2 that the reward of risk taking by MH
3 are reflected in higher earnings for
4 MH."

5 Do you see that, sir?

6 DR. ATIF KUBURSI: I see it.

7 MR. BYRON WILLIAMS: And it -- it's fair
8 to say here that you are talking about the potential for
9 asymmetric sharing of risks and benefits between Manitoba
10 Hydro and its ratepayers?

11 Would that be fair?

12 DR. ATIF KUBURSI: That would be fair.

13 MR. BYRON WILLIAMS: Professor Kubursi,
14 if you can't answer this I'll -- I'll understand totally.
15 I'm not sure if you're aware that in the course of this
16 proceeding a witness for CAC/MSOS, Mr. Matwichuk, is
17 exploring mechanisms by which we can ensure that there is
18 a transparent mechanism by which ratepayers can share,
19 not only in the Corporation's downside risks relating to
20 variations from forecasts, but in their upside,
21 opportunity relating to variations from forecasts. Are
22 you aware of that, sir, or -- or not really?

23 DR. ATIF KUBURSI: Not -- not really.

24 MR. BYRON WILLIAMS: Okay. And so we'll
25 leave aside the specifics of that. But without asking

1 you to elaborate on any particular mechanism, would it be
2 fair to say that from the perspective of symmetry you me
3 -- you believe there may be some benefit in the regulator
4 considering a transparent mechanism by which ex --
5 ratepayers can expressly share in the good times as well
6 as the bad?

7 DR. ATIF KUBURSI: I mean, the corollary
8 to what I was saying is precisely that.

9 MR. BYRON WILLIAMS: So that's a "yes"?

10 DR. ATIF KUBURSI: It is a "yes."
11

12 (BRIEF PAUSE)
13

14 MR. BYRON WILLIAMS: Professor Kubursi,
15 again, still with you. I apologize for the volume of
16 questions. I'm going to ask you to pick up the yellow
17 book, put down the white book, and turn to page 30 of the
18 yellow book, which should be Figure 6.3 from your
19 evidence.

20 DR. ATIF KUBURSI: I have it.

21 MR. BYRON WILLIAMS: And -- and,
22 Professor Kubursi, you'll see that at the top of this
23 page is -- is the description "Figure 6.3, Net Revenues
24 2.5 Percent Quantile Minimum with Export Curtailment."
25 Do you see that, sir?

1 DR. ATIF KUBURSI: Yes.

2 MR. BYRON WILLIAMS: And you probably
3 don't need it, but just for your benefit, if you're
4 looking for background on -- on what -- the description
5 of that figure, which is on the preceding page in your
6 evidence, I've attached it in the next page if you're --
7 if you are looking for that. I -- I don't think you need
8 it, sir, but it's there for you if you do.

9 But as I understand this figure -- let me
10 back up for a second. So that figure's before us. And I
11 don't want to get into any issues of commercial
12 confidentiality with regard. But you've -- you've re --
13 reviewed a term sheet related -- a confidential term
14 sheet of Manitoba Hydro.

15 Is -- is that correct?

16 DR. ATIF KUBURSI: Yes, we did.

17 MR. BYRON WILLIAMS: And I believe in
18 your evidence you described the curtailment provisions of
19 -- in -- in the term sheet you reviewed as a significant
20 achievement in -- in these new contracts for Manitoba
21 Hydro?

22 DR. ATIF KUBURSI: Yes, we -- we did.

23 MR. BYRON WILLIAMS: And I'll suggest to
24 you that what Figure 6.3 represents is a scenario which
25 involved constructing a case with lower water flows than

1 the worst one (1) year drought on record but allowing for
2 the curtailment of exports which are reduced by 29
3 percent.

4 Is that correct, sir?

5 DR. ATIF KUBURSI: It's correct in the
6 sense it was not possible for us to let this water flows
7 go below the worst that was on record without triggering
8 the curtailment provisions.

9 MR. BYRON WILLIAMS: And what -- what you
10 noted about this Figure 6.3 with the benefit of the
11 curtailment provisions, I'll suggest to you, is -- is
12 that the -- the actual losses associated with -- with a
13 more severe drought were less than the losses associated
14 with the most severe drought on record absent the
15 curtailment cro -- clause?

16 DR. ATIF KUBURSI: I mean, we wanted --
17 actually, the whole intention of this is to show that
18 some of the -- the curtailments have made the -- a
19 contribution. We wanted to test to see if this a tre --
20 this is a stress test, does -- to what extent do the
21 curtailment provisions reduce the stressfulness of a
22 drought, even a drought that is worse than the one on
23 record.

24 MR. BYRON WILLIAMS: And the insight --
25 and I thank you for that. And the insight that we get

1 from this is that with the curtailment of exports, mean
2 losses from a more severe drought than the 1940 drought
3 are mitigated to the extent that the losses are below the
4 ni -- the 1940 drought scenario without curtailment,
5 correct?

6 DR. ATIF KUBURSI: Correct, because this
7 is exactly the way the scenario was constructed, is to
8 keep everything the same except for the curtailment and
9 see to what extent these curtailment provisions are going
10 to mitigate -- cushion the impact of the drought.

11 MR. BYRON WILLIAMS: Thank you.

12 THE CHAIRPERSON: Were you assuming that
13 the curtailment had no cost attached to it?

14 DR. ATIF KUBURSI: Yeah. I mean, the
15 Chair has a -- a very important point here in the sense
16 that if you were to curtail then there would be certain
17 losses that you have to really filter back. We did not
18 take care of that.

19

20 CONTINUED BY MR. BYRON WILLIAMS:

21 MR. BYRON WILLIAMS: That is an important
22 point. Thank you for that, Mr. Chairman. But, Professor
23 Kubursi, let's -- let's follow up on that point for a
24 second, does that affect your overall conclusions in
25 terms of the utility of the curtailment provisions?

1 DR. ATIF KUBURSI: No, but I mean it's a
2 point to take into account, but the -- the -- the
3 question, and I don't want to go into details because I
4 may slip and say some of the confidential things, we
5 won't, but the curtailment at the level that we did
6 nothing would have made a major change. But depending on
7 what level and what the prices are that would be ruling
8 at the time, these issues may become important. I mean,
9 remember -- I don't know if this is confidential -- can I
10 speak to my counsel?

11 MR. BYRON WILLIAMS: Please do.

12

13 (BRIEF PAUSE)

14

15 DR. ATIF KUBURSI: We would like to
16 confer with Manitoba Hydro to see if it is possible for
17 us to talk about it, two (2) minutes.

18 MR. BYRON WILLIAMS: Certainly. And --
19 and Mr. Chairman and Mr. Vice-Chair, I should note that
20 Ms. DeSorcy is here taking notes on my performance, so
21 I'll encourage you to be kind to me.

22

23 (BRIEF PAUSE)

24

25 DR. ATIF KUBURSI: Okay. We got the

1 clearance. I mean, what -- what we basically --

2 MR. BYRON WILLIAMS: Just one second. I
3 -- I apologize, Professor Kubursi. Please proceed.

4 DR. ATIF KUBURSI: Sorry, I didn't
5 notice. No, I mean, we -- we can talk about it. There
6 are -- no liqui -- you know, liquify -- what do you call
7 it? LD is the liquified -- what's the word --
8 liquidating damages, all right, but there's opportunity
9 cost. But it could also be these things, the market cost
10 could be higher, the contract cost could be higher than
11 the market, or the market could be lower than the
12 contract, so you could buy things, cheaper things and --
13 and then sell it.

14 So there are opportunity costs, but these
15 opportunity costs are not in any particular way unless
16 you know the spread between the price of the mark -- of
17 the contract versus the market price.

18 MR. BYRON WILLIAMS: And just to -- and --
19 - and I thank you for the description. Just to go back
20 to the original question, your conclusions that the
21 curtailments were a -- a major achievement in -- in -- in
22 terms of the new contracts, those are still your
23 conclusions, sir?

24 DR. ATIF KUBURSI: Yes, to the extent
25 that definitely the opportunity costs are low. I mean,

1 if you could conjure a situation in which the opportunity
2 costs are high, one has to then take into consideration
3 these, and then re-run the situation with these
4 provisions into the equation.

5 THE CHAIRPERSON: You presumably -- are
6 you suggesting that you could have a curtailment where
7 the -- there's a strong disincentive to actually declare
8 it?

9 DR. ATIF KUBURSI: Sorry, Mr. Chairman,
10 can I -- I -- I didn't get this one?

11 THE CHAIRPERSON: There could be a
12 situation in which you have adverse water conditions but
13 the -- the financial conditions be -- be such that the --
14 that it's a strong disincentive to declare it?

15 DR. ATIF KUBURSI: Yeah, that's true.

16

17 CONTINUED BY MR. BYRON WILLIAMS:

18 MR. BYRON WILLIAMS: Professor Kubursi,
19 one (1) last question for you and for -- for a few
20 moments anyways, and it's a quick one. I -- I'd just ask
21 you to turn to page 32 of the yellow book of documents,
22 sir. And it's really a definition I'm looking for. On
23 line -- that's page 32 in the top right-hand corner, and
24 it's an excerpt from transcript page 6,335. On line 5,
25 Professor Kubursi, you used the word "covariance." Do

1 you see that?

2 DR. ATIF KUBURSI: Yes, I do.

3 MR. BYRON WILLIAMS: Now, I just want to
4 make sure I understand what covariance means and how it
5 compares to correlation, sir. So I wonder if you would
6 agree that correlation and covariance both measure the
7 extent to which two (2) variables move together but co --
8 correlation removes the influence of the scale of the
9 variables by di -- dividing covariance by the product of
10 the standard deviations of the two (2) variables. Would
11 that be correct?

12 DR. ATIF KUBURSI: Yeah, that's ab --
13 that's absolutely correct. I mean, the correlation
14 coefficient is covariance divided by the standard
15 deviation of the two (2) variables, the product of the
16 standard deviation. So it is basically reducing the
17 scale, taking the scale out, but it's about whether
18 variables move in the same direction or in the opposite
19 direction or no direction whatsoever.

20 MR. BYRON WILLIAMS: And the point you
21 make in this paragraph, it's -- by reference to
22 covariance is you're looking from Mani -- in -- in terms
23 of getting information from Manitoba Hydro in terms of
24 more rigorous analysis in terms of issues like covariance
25 or correlation and the degree to which matters move

1 together.

2 DR. ATIF KUBURSI: Yes.

3 MR. BYRON WILLIAMS: And I just want to
4 thank you for agreeing to that definition because it --
5 it was pretty hard of me -- hard -- hard on me to
6 articulate it. So I thank you for that.

7 To you, Professor Magee, and we're going
8 to move back into some hopefully not too painful stuff,
9 but a bit painful, I'm going to ask you to turn to the
10 white book of documents at page 20. And to the
11 Chairperson and Mr. Vice-Chair, we're moving along fairly
12 well and I'm -- I'm hopeful that we'll be done for the
13 afternoon coffee break. So, so far, so good.

14 Professor Magee, you see -- hopefully what
15 you have before you is a -- a document labelled "A Normal
16 Distribution Graph," is that right?

17 DR. LONNIE MAGEE: Yes.

18 MR. BYRON WILLIAMS: And perhaps you'll
19 forgive me. This was the best I could come up with late
20 on the evening. Just one second. You -- this was the
21 best I could come up with late in the evening of -- of
22 May 5th, so I'm just going to ask you, because I don't
23 think they're relevant, to strike out the word "same as
24 others," "probably more than others." Like, I don't
25 think they're of any purpose to our -- our discussion.

1 So let's start with the normal
2 distribution. You'll agree that it's -- it's a -- a
3 well-known, perhaps the best known probability
4 distribution, sir. Would that be fair?

5 DR. LONNIE MAGEE: It's probably number
6 one (1), yeah.

7 MR. BYRON WILLIAMS: And for those who --
8 who don't use or are not familiar with the term "normal
9 distribution," it is also known as the -- as a bell curve
10 or a G-A-U-S-S-I-A-N distribution.

11 Would that be fair, sir?

12 DR. LONNIE MAGEE: Yes.

13 MR. BYRON WILLIAMS: You're nodding your
14 head?

15 DR. LONNIE MAGEE: Yes.

16 MR. BYRON WILLIAMS: And would it be fair
17 to suggest to you that the normal distribution is based
18 on a series of results, the central limit theorems, which
19 suggest that the outcome of a large series of random
20 processes will often approximate the normal distribution.

21 Would that be fair?

22 DR. LONNIE MAGEE: That's one (1) of the
23 big motivations for why its used so often.

24 MR. BYRON WILLIAMS: So, yes?

25 DR. LONNIE MAGEE: Yes.

1 MR. BYRON WILLIAMS: And would it be fair
2 to say that based on the central limit theorems, if we
3 wanted to look at the outcome of a large series of random
4 processes, we might a priori, P-R-I-O-R-I, assume they
5 follow a normal distribution in the absence of evidence
6 to the contrary?

7 DR. LONNIE MAGEE: I -- I would want to
8 be more specific, that it's -- that -- that this -- if
9 you're estimating the mean of a distribution by taking
10 the average of a -- a bunch of observations from that
11 this -- that are assumed to have come from that
12 distribution, then that mean of the data is itself an
13 estimate of the true underlying mean of the distribution,
14 that thing has a normal distribution.

15 But if you observed a -- a whole bunch of
16 observations from a -- any particular distribution, and
17 you used them to draw a histogram, let's say, of --
18 that's approximating that distribution that they came
19 from, there's no reason why that would be normal, or even
20 remotely like a normal distribution.

21 MR. BYRON WILLIAMS: And I think -- and -
22 - and we'll see if I've -- I've got your answer correct.
23 And you'll correct me if I'm wrong.

24 But, if we wanted to look at the mean
25 outcome of a large series of random processes, absent

1 evidence to the contrary, we might assume they follow a
2 normal distribution, a priori?

3 DR. LONNIE MAGEE: Yes, in the sense that
4 if you repeated the whole exercise over again a bunch of
5 times, and computed the means a whole bunch of times
6 through a histogram of them, it would look like a normal
7 -- yeah.

8 MR. BYRON WILLIAMS: And if we refer to
9 the gra -- to the graph, an outcome that follows the
10 normal distribution, you'll agree, will be within one
11 point nine six (1.96) standard deviations of its mean 95
12 percent of the time, correct?

13 DR. LONNIE MAGEE: Correct.

14 MR. BYRON WILLIAMS: And Professor
15 Kubursi spoke of this a few days ago and I just thought
16 it would be useful to follow-up on it.

17 And Professor Magee, you'll agree that two
18 (2) central features of the normal distribution are
19 symmetry and independence.

20 Would that be fair?

21 DR. LONNIE MAGEE: Symmetry, yes.
22 Independence, you'd have to say more -- then you're
23 talking about two (2) or more random variables, and you'd
24 -- they can be normal and correlated, or normal and not
25 independent, or they might be independent; that's kind of

1 a separate issue.

2 MR. BYRON WILLIAMS: Okay. Well, we'll -
3 - we'll start with symmetry then. And symmetry simply
4 means that for each deviation below the mean of the
5 distribution, there is a corresponding deviation above
6 the mean with equal probability, correct?

7 DR. LONNIE MAGEE: Right. And the -- the
8 way I like to think about it is if you took this picture
9 on page 20, and you put a mirror down right at the middle
10 and you looked at it from one side, it would look exactly
11 the same if the you took the mirror off. So it has the
12 same shape on both sides.

13 MR. BYRON WILLIAMS: And would that mean
14 that, let's say, an outcome in a certain range above the
15 mean, such as more than one point nine (1.96) standard
16 deviations above the mean, is just as probable as an
17 outcome in the same range below the mean, correct?

18 DR. LONNIE MAGEE: Correct.

19 MR. BYRON WILLIAMS: And over a long
20 series of draws from a symmetric distribution the mean
21 outcome should be zero?

22 DR. LONNIE MAGEE: The mean outcome
23 should be the mean. Should be the -- right in the middle
24 there, yeah. Yeah.

25 MR. BYRON WILLIAMS: And I apologise for

1 my inelegant questions about independence before.

2 DR. LONNIE MAGEE: It's okay.

3 MR. BYRON WILLIAMS: You -- you'll
4 forgive me for that?

5 DR. LONNIE MAGEE: Yes.

6 MR. BYRON WILLIAMS: Let's leave aside --
7 let's leave aside the normal distribution for a moment
8 and talk about independence.

9 And in the context of two (2) outcomes,
10 which we will call Adverse Event 1 and Adverse Event 2,
11 would you agree that the term "independent" means that
12 the next outcome is not influenced in any way by the
13 previous outcome?

14 DR. LONNIE MAGEE: Well, if -- if there's
15 Adverse Event 1 and Adverse Event 2, if they're
16 independent that means that being told whether Adverse
17 Event 1 is occurring or not doesn't help you at all to
18 predict whether Adverse Event 2 is going to occur or not.
19 They're unrelated in that sense.

20 MR. BYRON WILLIAMS: Yeah, and I should
21 have phrased my question in the sense of probability. If
22 two (2) outcomes are independent, then if the probability
23 of an Adverse Event 1 is 5 percent, i.e., one (1) in
24 twenty (20), then the probability -- let -- let me
25 scratch that question, and -- and I'll move on.

1 Let's try it in a different way, sir.
2 You're familiar with -- obviously with -- with the term
3 "zero correlation"?

4 DR. LONNIE MAGEE: Yes.

5 MR. BYRON WILLIAMS: And if we say that
6 there is zero correlation between two (2) events, would
7 it be fair to say that what we mean is that they are
8 independent?

9 DR. LONNIE MAGEE: It's -- those aren't
10 quite the same thing. It turns out, if they're both
11 normally distributed and have a correlation of zero, then
12 they are independent, but you can come up with cases
13 where two (2) variables are dependent even though they
14 have a zero correlation.

15 MR. BYRON WILLIAMS: Let's cut to the
16 chase, and maybe this will be more helpful. Let's go to
17 page 40 of the yellow book of documents.

18

19 (BRIEF PAUSE)

20

21 MR. BYRON WILLIAMS: And, Professor Magee
22 -- it's page 40 of the yellow book of documents.

23 DR. LONNIE MAGEE: Yes, I have it.

24 Thanks.

25 MR. BYRON WILLIAMS: Yellow book, page

1 40.

2

3

(BRIEF PAUSE)

4

5 MR. BYRON WILLIAMS: And certainly,
6 Professor Kubursi, you can jump in, but I thought I was
7 having this discussion with Professor Magee on -- on
8 independence and other concepts, and I -- I think it
9 might be useful. First of all, what we see here is
10 Figure 6.17, which is described as a worst-case scenario.
11 Do you see that, Professor Magee?

12 DR. LONNIE MAGEE: Yes.

13 MR. BYRON WILLIAMS: And as I understand
14 it, this worst-case scenario is constructed to include a
15 low water flow at the worst drought on record. Just one
16 (1) second. I'm not sure if we're still -- high import
17 prices at the upset price, which average export prices --
18 an interest rate that is two hundred (200) basis points
19 above interest, and the dollar at parity. Is that your
20 understanding as well, sir?

21 DR. LONNIE MAGEE: Yes.

22 MR. BYRON WILLIAMS: And by the upset
23 price are we referring to twelve (12) cents a kilowatt
24 hour?

25 DR. ATIF KUBURSI: Yeah, that -- that's--

1 MR. BYRON WILLIAMS: Would that be
2 correct?

3 DR. ATIF KUBURSI: That's the one.

4 MR. BYRON WILLIAMS: And the results that
5 flow from this worst-case scenario, you'll agree with me,
6 are fairly grim. Would that be fair?

7 DR. LONNIE MAGEE: There are large
8 negative net revenues, yes.

9 MR. BYRON WILLIAMS: That's an add -- a
10 synonym for -- for grim -- for grim. I'll have to
11 remember that, large negative net revenues. But
12 certainly we can take some comfort from your observation
13 just above Figure 6.17 that this scenario has a very low
14 probability of occurrence, especially if it can be argued
15 that these events are independent, correct?

16 DR. LONNIE MAGEE: Correct.

17 MR. BYRON WILLIAMS: And you go on to
18 state that:

19 "Even when some of these events are not
20 independent, the joint probabilities
21 are low?"

22 Do you see that?

23 DR. LONNIE MAGEE: Yes.

24

25 (BRIEF PAUSE)

1 MR. BYRON WILLIAMS: Excuse me for that.
2 And recalling -- or -- my attempts to engage in this
3 conversation with you from a couple minutes ago, I wonder
4 if you can elaborate to a certain degree on -- on what
5 you mean by the very low probability of occurrence,
6 independence, and even if they are not independent, the
7 joint probabilities are low?

8 DR. LONNIE MAGEE: If -- suppose -- well,
9 one (1) extreme case where things are -- are not
10 independent would be if you had two (2) adverse events
11 and every time one (1) occurred the other one (1) also
12 occurred. Then if -- if that was the case, then let's
13 say a drought of a certain degree of a severity happened
14 1 percent of the time and high import prices above a
15 certain level happened 1 percent of the time, but if --
16 if they were independent, the two (2) things would only
17 happen together 1 percent of 1 percent of the time, which
18 would be .01 percent of the time.

19 Whereas if they were really, really
20 dependent to the extent that they both always happened at
21 the same time, then you'd have a 1 percent chance of them
22 both happening because if one (1) happens they both
23 happen.

24 So you could have dependence working the
25 other way too, where if the -- the two (2) events might

1 never happen at the same time. In that particular
2 example it's hard to argue, you know, persuasively that
3 they would both always happen or could -- neither could
4 happen. So maybe of the three (3) choices, either never
5 -- never both happening at once, always both happening at
6 once, or being independent, maybe independent is the
7 closest to the truth of -- of -- of those three (3) kind
8 of extreme cases.

9 But what -- what we had in mind here is
10 that the worst-case scenario has a whole bunch of bad
11 things happening at once. Unless there's some sort of
12 force or reason for you to think that there's a special
13 reason why they should all happen at once, then the
14 chance of this scenario occurring is -- is fairly small -
15 - is small. It's a product -- if they're independent it
16 would be the product of each individual thing happening,
17 which would make it very small.

18 MR. BYRON WILLIAMS: And let me just
19 follow that through with you because I -- I think, you'll
20 correct me, let's say that we have two (2) events that
21 are independent, both with a one (1) in one hundred (100)
22 chance of occurring. If I wish to calculate their joint
23 probability of occurrence, I would multiply one (1) over
24 one hundred (100) times one (1) over one hundred (100).
25 Is that what you're saying, sir?

1 DR. LONNIE MAGEE: That's right.

2 MR. BYRON WILLIAMS: And what's the
3 product of that?

4 DR. LONNIE MAGEE: Well, one (1) over ten
5 thousand (10,000).

6 MR. BYRON WILLIAMS: Very good, Professor
7 Kubursi. Okay. So I've got that.

8

9 (BRIEF PAUSE)

10

11 MR. BYRON WILLIAMS: Moving on, if -- if
12 -- let's say that there was a very strong correlation
13 between them and if I had one (1) one (1) in one hundred
14 (100) event, and another one (1) in one hundred (100)
15 event, let's assume an extreme case that they're
16 perfectly positively correlated, you're prepared to make
17 that assumption?

18 DR. LONNIE MAGEE: Okay.

19 MR. BYRON WILLIAMS: Then the joint
20 probability of occurrence would be one (1) in one hundred
21 (100)?

22 DR. LONNIE MAGEE: That's right.

23 MR. BYRON WILLIAMS: And let's take the
24 other extreme that they're perfectly negatively
25 correlated, then the joint probability of occurrence be -

1 - would be less -- zero?

2 DR. LONNIE MAGEE: That -- it would be
3 zero.

4 MR. BYRON WILLIAMS: Yeah.

5 DR. LONNIE MAGEE: And the -- the one (1)
6 --

7 MR. BYRON WILLIAMS: I needed a bit of
8 help from Professor Simpson on that one (1).

9 DR. LONNIE MAGEE: So -- so -- I mean,
10 we're -- we're kind of -- if the events are referring to
11 being out in a tail of a distribution, when one (1) -- if
12 they're negatively correlated, one is in one tail and the
13 other one is in -- off in the -- it's just -- it's really
14 far away from being the Extreme Event B, it's the
15 opposite.

16 MR. BYRON WILLIAMS: Now -- and again,
17 this can go either to, you know -- Professor Magee, you
18 and I are on a roll, so if you wish to continue, you can.
19 I just want to follow up on your point that it can be
20 argued that these events are independent and that even
21 when some of these events are not independent the joint
22 probabilities are low.

23 And -- and I'd ask you to -- to turn to
24 the white book of documents now, and you'll see the
25 analysis of -- at page 21, the National Bank Report. So

1 that's the white book of documents, page 21, the National
2 Bank Report. Do you have that, sir?

3 DR. ATIF KUBURSI: Yeah. I -- I looked
4 at the National Bank, so if you want to...

5 MR. BYRON WILLIAMS: And, Professor
6 Kubursi, thank you for assisting me. And you were -- you
7 -- you've had an opportunity to look at this report, so
8 you -- you have at least some degree of familiar --
9 familiarity with it, sir?

10 DR. ATIF KUBURSI: Yes, some degree.

11 MR. BYRON WILLIAMS: And let me just be
12 clear, if you're uncomfortable with answering any of my
13 questions because it goes beyond your comfort level,
14 you'll let me know, please?

15 DR. ATIF KUBURSI: Oh, I will.

16 MR. BYRON WILLIAMS: I thought you might.
17 And before I get to the conclusions or the -- the points
18 that I wish to specifically refer you to, I'm -- it's
19 been some time since the Board has seen this document,
20 and so I -- I was wondering if, at a high level, and I'll
21 walk you through it, you'd be prepared to assist me in
22 reminding persons of -- of what this document attempted
23 to do. Would you be prepared to -- to attempt that with
24 me, sir?

25 DR. ATIF KUBURSI: Yes, I would.

1 MR. BYRON WILLIAMS: Excuse me. You
2 might want to start out by turning to the top right-hand
3 corner at page 43.

4 DR. ATIF KUBURSI: Okay.

5 MR. BYRON WILLIAMS: And before we get to
6 this section, you'll agree that, at a high level, what
7 the authors of this report were considering was the
8 optimal debt mix for Manitoba Hydro. Would that be your
9 understanding, sir?

10 DR. ATIF KUBURSI: In terms of fixed
11 versus variable because there are different maturities --

12 MR. BYRON WILLIAMS: Yes.

13 DR. ATIF KUBURSI: -- and other issues.

14 MR. BYRON WILLIAMS: Yes. Thank you for
15 that. And just directing your attention to the section
16 flowing from page 43 through to 47, really what they were
17 trying to do here, sir, was identify the -- some of the
18 key factors in terms of affecting the historical
19 financial performance of Manitoba Hydro. You'll agree
20 with that, sir?

21 DR. ATIF KUBURSI: Yes.

22 MR. BYRON WILLIAMS: And -- excuse me.
23 And turning you specifically to page 44, under Section
24 3.12 --

25 DR. ATIF KUBURSI: Okay.

1 MR. BYRON WILLIAMS: -- you'll see that
2 two (2) significant -- they identified at least two (2)
3 significant major macroeconomic volatility factors, being
4 spot forward rate risk in the -- in the MISO system, and
5 foreign currency exchange exposure.

6 You see that, sir?

7 DR. ATIF KUBURSI: Yes.

8 MR. BYRON WILLIAMS: And turning to page
9 46 in terms of the key risk factors and identi -- turning
10 your attention both to section 3.2.4, you'll agree that
11 another factor identified was short-term interest rates.

12 Would that be fair, sir? That's in the
13 first --

14 DR. ATIF KUBURSI: In the first
15 paragraph, yes.

16 MR. BYRON WILLIAMS: Okay. And another
17 factor that they identified of -- to no one's surprise,
18 is hydrology risk.

19 Do you see that, sir? Section 3.3.

20 DR. ATIF KUBURSI: 3.3, yeah.

21 MR. BYRON WILLIAMS: And we will come to
22 the point in just a few moments, Professor Kubursi, but I
23 just do wish to remind the Board of the methodology.

24 Turning your attention to page 55 of the
25 report, under Technical Analysis, and the very first two

1 (2) sentences under that -- that heading.

2 You'll agree that under their technical
3 analysis, National Bank was attempting to quantify the
4 volatility and correlation of key factors -- of certain
5 key factors, including domestic utility rates, export
6 power prices, including short-term contract spot
7 transactions, and long term contracts, as well as
8 Canadian and US short-term interest rates.

9 Do you see that, sir?

10 DR. ATIF KUBURSI: Yes, I do.

11 MR. BYRON WILLIAMS: And just staying
12 with that same paragraph. They essentially concluded the
13 differences in volatilities between regulated and spot
14 electricity prices, and the correlation to short-term
15 interest rates were a key element of this analysis,
16 correct?

17 DR. ATIF KUBURSI: Correct.

18 MR. BYRON WILLIAMS: And turning to page
19 57 for those who are particularly sadistic, at the bottom
20 you'll see, Professor Kubursi, Table 12, which sets out
21 the variable correlation matrix that they produce.

22 Do you see that, sir?

23 DR. ATIF KUBURSI: Yes, I do.

24 MR. BYRON WILLIAMS: And finally the --
25 the last background doc -- point I'd ask you to turn to

1 is on page 59, under Scenario Analysis.

2 DR. ATIF KUBURSI: Yes.

3 MR. BYRON WILLIAMS: And just drawing
4 your attention to the first paragraph, plus the first
5 sentence of the second para -- paragraph.

6 You'll agree that they generated a Monte
7 Carlo type analysis by generating a set of ten thousand
8 (10,000) scenarios for each of the identified key fact --
9 factors which were then applied to a hundred portfolios
10 of different fixed versus floating debt rate mixes.

11 Do you see that, sir?

12 DR. ATIF KUBURSI: Yes, I do.

13 MR. BYRON WILLIAMS: And I apologise for
14 the flipping; we're almost done. Turning back to page
15 51.

16 And, Professor Kubursi -- sorry, page 51.

17 DR. ATIF KUBURSI: Got it.

18 MR. BYRON WILLIAMS: And specifically at
19 the bottom under Generation Risk, you'll see a reference
20 to the volatility of hydrology and wind levels, and a
21 suggestion on the second last line of this page that this
22 -- this volatility is not a risk that is correlated with
23 macroeconomic metrics such as interest rates.

24 Do you see that, sir?

25 DR. ATIF KUBURSI: Yes, I do.

1 MR. BYRON WILLIAMS: And would you,
2 Professor Kubursi, in terms of this specific con --
3 conclusion by -- by National Bank that natural weather
4 conditions such as hydrology are not correlated with
5 macroeconomic metrics such as interest rates.

6 Would that be a conclusion that you
7 subscribe to as well, sir?

8 DR. ATIF KUBURSI: Well, okay. Can you -
9 - can you take me back to the correlation metrics --

10 MR. BYRON WILLIAMS: Yes.

11 DR. ATIF KUBURSI: -- page?

12 MR. BYRON WILLIAMS: Yes, I can. Just
13 give me -- I think it's the proceeding -- give me one (1)
14 second and I will.

15 DR. ATIF KUBURSI: Fifty-seven (57).

16 MR. BYRON WILLIAMS: Professor Magee,
17 good work. Thank you.

18 DR. ATIF KUBURSI: Okay. And you notice
19 at the top of it in page 57, Table -- Table 12, it's
20 2005/2009. It's too short a period to make major
21 conclusions.

22 MR. BYRON WILLIAMS: Fair enough, sir.
23 But in terms of -- let's be clear here though. National
24 Bank, I'll suggest to you, didn't -- didn't compare the
25 relationship of hydrology to -- to interest rates because

1 they were of the view that there was -- as a starting
2 premise, that there is no correlation between the two
3 (2).

4 DR. ATIF KUBURSI: Yeah, I -- I mean,
5 this is a testable proposition and I would like to see
6 evidence of that.

7 MR. BYRON WILLIAMS: Have you tested that
8 proposition, sir?

9 DR. ATIF KUBURSI: No, I didn't.

10 MR. BYRON WILLIAMS: So you were agnostic
11 on the issue of whether there is a correlation --
12 positive correlation between hydrology and a
13 macroeconomic metric, such as interest rates?

14 DR. ATIF KUBURSI: No, I mean, the issue
15 there for us was not that I'm agnostic or not. We were
16 literally trying to establish stress tests. And all the
17 stress tests would be to associate a particular hydrology
18 with a difficult macroeconomic situation, one of which
19 would be maybe high import prices or others.

20 It's not that we were saying these are
21 highly correlated or not correlated and are they
22 reasonably -- I mean, we know one (1) fact: 2003/2004,
23 the two (2) went together. So we took this as part of
24 the realm of possibility; we did not assign a
25 probability. And we were looking at stress tests when

1 these are corre -- these happen together.

2 MR. BYRON WILLIAMS: And I thank you for
3 that, but I am focussing you on the relationship, if any,
4 between hydrology and macroeco -- economic metrics, such
5 as interest rates.

6 And would it be fair to suggest to you
7 that you're a priori assumption would be that there would
8 be no correlation between those factors, or a very modest
9 one at most?

10 DR. ATIF KUBURSI: I mean, I -- I mean, I
11 will -- it would take a very -- a very special model to
12 see some interconnection among the logic of a hydrology
13 influencing a macro-economy. But the -- the issue here
14 are twofolds.

15 1. Suppose there is, suppose there isn't.
16 The issue is for me, if I want a stress test where I
17 would look at a drought that is accompanied by a low
18 economic performance or a high economic performance,
19 there are implications that would come, and this was
20 precisely what I was probing for.

21 MR. BYRON WILLIAMS: And I -- I accept
22 that, but I -- I would just want to make sure that I -- I
23 have an answer to my -- my --

24 DR. ATIF KUBURSI: Yeah.

25 MR. BYRON WILLIAMS: -- question.

1 DR. ATIF KUBURSI: I would say on a
2 theoretical basis, no. But this is a empirical statement
3 for which -- and to which one should really test it.

4 MR. BYRON WILLIAMS: And on a theoretical
5 basis as well -- as well, a priori, would it be your
6 assumption that hydrology in -- in terms of Manitoba
7 Hydro has a low or close to zero correlation with the
8 relative strength of the Canadian dollar?

9 DR. ATIF KUBURSI: Okay. I mean, these
10 are certainly and typically created as if they're coming
11 from different systems, all right? But look, I mean, I
12 can conjure a situation, okay? Walk with me. I walk
13 with you several places. Walk with me on this one.

14 MR. BYRON WILLIAMS: I'll walk with you
15 as long as you come back to my question.

16 DR. ATIF KUBURSI: I -- I will come back.
17 All right. I mean, if Manitoba Hydro is such an
18 important economic node in the Manitoba economy and a
19 drought is going to compromise its vitality and its
20 earning power, there will be macroeconomic consequences
21 to it. There will be probably higher rates that would
22 eat into the disposable income of people, and probably
23 now that they have to spend more in electricity they
24 spend less on their favourite beer. And in that respect,
25 there -- there would be some implications for this that

1 you need to take into account.

2 I mean, I could, in some sense, establish
3 some systems where this could be worked and integrated
4 together. But only purely macroeconomic standard,
5 macroeconomic models -- I mean, these two (2) are not
6 systems that people would think of bringing together;
7 they're two (2) separate and different systems.

8 MR. BYRON WILLIAMS: And I -- I thank
9 you, because that's a -- a very fair and -- and helpful
10 answer. So the a priori assumption would be that the
11 relationship is -- is independent or a modest
12 correlation.

13 Would that be fair?

14 DR. ATIF KUBURSI: No, I'm not going to
15 go that far, because I don't -- I don't have a clue.

16 MR. BYRON WILLIAMS: I was -- I was close
17 though, right?

18

19 (BRIEF PAUSE)

20

21 MR. BYRON WILLIAMS: I think we've gone
22 far enough on that, and I thank you for your assistance.

23

24 (BRIEF PAUSE)

25

1 MR. BYRON WILLIAMS: This -- this
2 question can go to either Professor Magee or Professor
3 Kubursi.

4 But it would be fair to say that you're
5 familiar with the term "price taker"?

6 Would that be fair?

7 DR. ATIF KUBURSI: Absolutely.

8 MR. BYRON WILLIAMS: And could -- could
9 you give us a quick working definition of that term, sir?

10 DR. ATIF KUBURSI: Yeah, the economic
11 agents, or in this case, the firms are not powerful, have
12 a market share large enough to influence the price.

13 MR. BYRON WILLIAMS: I apologize for
14 that. And that's a consequence of they -- they not --
15 they're not being in a position to have enough supply in
16 the marketplace such as to influence price or demand?

17 DR. ATIF KUBURSI: But the -- the story
18 is more on the supply side.

19 MS. PATTI RAMAGE: If I could just jump
20 in, Dr. Kubursi, I don't think your mic was on at the
21 beginning of your answer, so I don't think court reporter
22 will have caught that last answer.

23 DR. ATIF KUBURSI: Last answer, the one
24 about the price taker? Yeah, it --

25

1 CONTINUED BY MR. BYRON WILLIAMS:

2 MR. BYRON WILLIAMS: I -- I think she
3 meant the very last answer, and so maybe I'll just ask it
4 again.

5 DR. ATIF KUBURSI: Oh, yeah. No, sorry,
6 go ahead.

7 MR. BYRON WILLIAMS: Or I'll -- I'll
8 attempt to re-ask it, perhaps using different language.

9 In the context of supply, the reason a
10 firm would be a price taker is that its percentage of the
11 market is not large enough to be otherwise?

12 DR. ATIF KUBURSI: Yeah. I mean, as you
13 know, we define -- this is the case of what we call pure
14 competition. And for pure competition there are many
15 different attributes, but the most fundamental one is
16 that there are so many setters that no one (1) of them is
17 large enough to influence the price.

18 MR. BYRON WILLIAMS: And just turning to
19 page 48 of the -- of the yellow book -- the yellow book,
20 page 48 -- you'll see the second part -- page 48,
21 Professor Kubursi.

22 DR. ATIF KUBURSI: Got it.

23 MR. BYRON WILLIAMS: You'll see the
24 Corporation's response to Manitoba Hydro number 8.
25 That's page 48 in the top right-hand corner. And in the

1 context of the MISO marketplace, Professor Kubursi, it
2 would be your view that Manitoba Hydro is a price-taker,
3 given that its exports are a very small fraction of the
4 entire market.

5 Would that be fair?

6 DR. ATIF KUBURSI: That's correct.

7 MR. BYRON WILLIAMS: And moving to
8 imports, and again in the context of the MISO
9 marketplace, it's your view that Hydro is a price-taker
10 as well, in terms of imports, given that its imports are
11 a small fraction of total MISO supply?

12 DR. ATIF KUBURSI: Yeah, I -- I would say
13 so. Yeah.

14 MR. BYRON WILLIAMS: Professor Kubursi,
15 in -- at page 42 of the yellow book, I'd ask you to turn
16 there now, and you'll see the Corporation -- or Manitoba
17 Hydro's response to CAC/MSOS Information Request 1-62.

18 Do you see that?

19 DR. ATIF KUBURSI: Yes, I do.

20 MR. BYRON WILLIAMS: And I don't want to
21 be unfair to you, Professor Kubursi. Have you had a -- a
22 chance to review this response?

23 DR. ATIF KUBURSI: Yeah.

24 MR. BYRON WILLIAMS: Okay.

25 DR. ATIF KUBURSI: But if you can point

1 me out so I can...

2 MR. BYRON WILLIAMS: Well, what I might
3 do, Professor Kubursi, because it's an important response
4 and I -- I want to get your evaluation of it, is -- is
5 walk you through almost the -- the whole response, if
6 that's acceptable to you.

7 Is it, sir?

8 DR. ATIF KUBURSI: Yeah, that's fine.

9 MR. BYRON WILLIAMS: Okay. Starting at
10 the top of the answer, Hydro notes that there are two (2)
11 price -- two (2) types of pricing effects related to
12 market conditions, those being shortage pricing and
13 congestion pricing.

14 Do you see that, sir?

15 DR. ATIF KUBURSI: yes, I do.

16 MR. BYRON WILLIAMS: And they go on to
17 say that:

18 "Shortage priceage (sic) can occur
19 during tighter supply-and-demand
20 situations when there is a premium over
21 normal prices."

22 Do you see that?

23 DR. ATIF KUBURSI: Yes, I do.

24 MR. BYRON WILLIAMS: And Manitoba Hydro
25 goes on in the third and fourth line of this response to

1 say:

2 "There was the potential for shortage
3 pricing prior to 2005, when there was
4 no central market in the MISO
5 footprint."

6 Do you see that, sir?

7 DR. ATIF KUBURSI: Yes, I do.

8 MR. BYRON WILLIAMS: And again, I'll give
9 you a chance to comment on this as we go along. I just
10 want to run you through the --

11 DR. ATIF KUBURSI: Yeah.

12 MR. BYRON WILLIAMS: -- the response.

13 DR. ATIF KUBURSI: I mean, one (1) -- one
14 (1) major, you know, just clarification and maybe a
15 comment, is that when we talk about Manitoba Hydro buying
16 imports from the MISO, and it's a price-taker only to the
17 extent, or in any other market, that it is able to access
18 this import from any of the participants in that market.

19 If, on the other hand, MH is under
20 diversity contracts or is basically into some tight
21 relationship with counterparties, and that it has to be
22 limited to these counterparties, it's not then in that
23 position of being a price-taker.

24 MR. BYRON WILLIAMS: Okay, and that's a
25 very helpful segue to the next --

1 DR. ATIF KUBURSI: Because it's coming
2 into this...

3 MR. BYRON WILLIAMS: -- next part that
4 we're coming into. Now, going to the second paragraph,
5 Manitoba Hydro responds that:

6 "Since the establishment of a central
7 market in MISO in 2005, the issue of
8 shortage priceage -- [excuse me] the
9 issue of shortage pricing has been
10 mitigated to a large degree since
11 purchases can now be made from the
12 market at a transparent market clearing
13 price."

14 Do you see that, sir?

15 DR. ATIF KUBURSI: Yes, and I concur with
16 it, yeah.

17 MR. BYRON WILLIAMS: And you agree with
18 that, sir?

19 DR. ATIF KUBURSI: I agree with it.

20 MR. BYRON WILLIAMS: And at the bottom of
21 this paragraph, Hydro goes on to say:

22 "Hence, in most hours, up to 700
23 megawatts of imports from the MISO
24 market has a relatively minor effect on
25 the MISO market, assuming no

1 transmission constraint within the
2 market."

3 DR. ATIF KUBURSI: If there is no
4 transmission constraints and can access and get into the
5 merit price on the day-ahead or in the real time, that's
6 correct.

7 MR. BYRON WILLIAMS: And in the third
8 paragraph, Hydro goes on to say that:

9 "The second type of pricing effect
10 related to market conditions is called
11 'congestion pricing'."

12 Do you see that?

13 DR. ATIF KUBURSI: Yes, I do.

14 MR. BYRON WILLIAMS: And -- and directing
15 your attention to the very last sentence on this page,
16 you see Hydro states that:

17 "The degree of congestion can be
18 aggravated during severe droughts in
19 the Manitoba Hydro system, where --
20 when large quantities of imports are
21 required."

22 Do you see that, sir?

23 DR. ATIF KUBURSI: Yes, I do.

24 MR. BYRON WILLIAMS: Now, Hydro suggests
25 in its last sentence in this response that:

1 "Congestion pricing is expected to have
2 less of an effect on Manitoba Hydro's
3 import prices, compared to shortage
4 pricing prior to 2005."

5 Do you see that, sir?

6 DR. ATIF KUBURSI: Yes, I do.

7 MR. BYRON WILLIAMS: And do you have any
8 response to that point, sir?

9 DR. ATIF KUBURSI: Yeah. I mean, no
10 question about it, the introduction of the unregulated
11 MISO market gave greater freedom for Manitoba Hydro to
12 access this market and to buy in more opportune times and
13 prices.

14 But even in this market, there are also
15 issues about congestion. It so happens that some of
16 these nodes, there may be situations in which the
17 transmission capacity is not there to deliver. And --
18 and in such circumstances charges -- congestion charges
19 could really run high, and these have to be borne by the
20 -- by the buyer, typically.

21 MR. BYRON WILLIAMS: And I -- I thank you
22 for that, and that's helpful.

23 Now Hydro's suggestion that congestion
24 pricing is expected to have less of an effect on Manitoba
25 Hydro import prices compared to shortage pricing prior to

1 2005, do you have any basis to disagree with that
2 conclusion, sir?

3 DR. ATIF KUBURSI: I mean, I just want to
4 raise some questions here. I -- I mean, I understand
5 fully that now the situation is such that Manitoba Hydro
6 being such a small buyer of power in -- in the MISO
7 market, shortage prices are probably not going to be a
8 prevalent phenomenon. And that's why I'm little bit
9 confused that they have much less congestion, much less
10 than shortage prices.

11 I would have really thought that shortage
12 prices should now be a situation of the past and that it
13 would not really be such a critical fundamental thing.
14 Congestion prices could still arise and these arise
15 because of certain congestion on a particular node in a
16 particular place.

17 MR. BYRON WILLIAMS: And just -- just so
18 I understand that last -- part of -- last part of your --
19 second last part of your response, your expectation is --
20 would have been that in the open MISO market, 2005,
21 moving forward, that shortage prices -- pricings would
22 have effectively be, by and large, a thing of the past?

23 DR. ATIF KUBURSI: Well, it's not just
24 the past; it's -- it's not with very high likelihood of
25 occurrence, yeah.

1 MR. BYRON WILLIAMS: If either Professor
2 Magee or Kubursi would turn to CAC/MSOS Exhibit 27, which
3 is titled, "Exchange Rates-Canadian Cost in US Dollars,"
4 two-o-one (201) to two-o-eleven (211).

5 Is -- is that you, Professor Magee, or
6 Kubursi?

7 DR. LONNIE MAGEE: We're -- we're both
8 looking at it.

9 MR. BYRON WILLIAMS: Well, that gives me
10 a little bit of concern.

11 Well, let's start with the -- the big
12 question. You understand that the underlying data source
13 for this -- for this graph is information provided from
14 the Bank of Canada?

15 Is that correct?

16 DR. LONNIE MAGEE: Yes, cert -- yes.

17 DR. ATIF KUBURSI: Yes.

18 MR. BYRON WILLIAMS: Okay, good. I don't
19 want you two (2) fighting over me.

20 And obviously the -- and the underlying
21 data had -- has been provided to you previously and
22 you've had a chance to check it against the Bank of
23 Canada website.

24 Would that be fair?

25 DR. LONNIE MAGEE: Yes.

1 MR. BYRON WILLIAMS: And given the
2 authority of -- of the Bank of Canada as a source, you
3 don't take issue, I'll suggest to you -- or, I'll -- I'll
4 ask you, with the underlying data?

5 Would that be fair?

6 DR. LONNIE MAGEE: That's fair.

7 MR. BYRON WILLIAMS: Now if we can, just
8 for the purposes of understanding the graph -- and we'll
9 get to the wavy blue line in just a second -- but I --
10 just one (1) -- one (1) second.

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: Are you having --
15 are you able to --

16 DR. LONNIE MAGEE: No, good. We're good,
17 thanks.

18 MR. BYRON WILLIAMS: Just focussing first
19 on the horizontal axis, you'll agree that the horizontal
20 axis starting at the left and moving to the right
21 represents the months beginning in January 2001?

22 Do you see that, sir?

23 DR. LONNIE MAGEE: Yes.

24 MR. BYRON WILLIAMS: And so, for example,
25 the Figure 60 on the horizontal axis, I'll ask you to

1 accept, would represent January 2006, or some sixty (60)
2 months after the starting period depicted on the graph,
3 correct?

4 DR. LONNIE MAGEE: Correct.

5 MR. BYRON WILLIAMS: And one hundred and
6 twenty (120) months in would be January 1st, 2011.

7 DR. LONNIE MAGEE: Right.

8 MR. BYRON WILLIAMS: Fair enough?

9 DR. LONNIE MAGEE: Yeah.

10 MR. BYRON WILLIAMS: And you'll agree
11 that this graph in terms of the underlying information
12 goes out to April, 2011, which is month one twenty-three
13 (123).

14 Would that be fair?

15 DR. LONNIE MAGEE: Yes.

16 MR. BYRON WILLIAMS: And the vertical
17 axis represents the value in American dollars to buy one
18 (1) Canadian dollar, correct?

19 DR. LONNIE MAGEE: Correct.

20 MR. BYRON WILLIAMS: Now, referring to
21 the two (2) lines on the graph, you'll see the one that
22 is blue, wavy, and fluctuates some -- somewhat up and
23 down.

24 Do you see that, sir?

25 DR. LONNIE MAGEE: Yes.

1 MR. BYRON WILLIAMS: And that line
2 represents, at any particular month in time, the amount
3 of American dollars or cents it took to buy one (1)
4 Canadian dollar. Would that be fair?

5 DR. LONNIE MAGEE: Yes.

6 MR. BYRON WILLIAMS: So, for example, at
7 month sixty (60), we can see that it took over eighty
8 (80) cents US to buy one (1) Canadian dollar, quite a bit
9 over that, correct?

10 DR. LONNIE MAGEE: Right. Correct.

11 MR. BYRON WILLIAMS: And at month one
12 twenty-three (123) we can see that it cost more than one
13 dollar (\$1) US to buy one (1) Canadian dollar.

14 Can you see that, sir?

15 DR. LONNIE MAGEE: Yes.

16 MR. BYRON WILLIAMS: And you -- you'll
17 also see on -- on the graph a straight line. Do you see
18 that?

19 DR. LONNIE MAGEE: Yes.

20 MR. BYRON WILLIAMS: And I'll suggest to
21 you and I'll ask you to acce -- accept subject to check
22 that it is a fairly simple trend line derived from the
23 formula printed on the right-hand side of the table.

24 DR. LONNIE MAGEE: Okay.

25 MR. BYRON WILLIAMS: I don't know if

1 you've had an opportunity or you've -- you've chosen to -
2 - to test that or not, sir, or if you're prepared to
3 accept it subject to check.

4 DR. LONNIE MAGEE: It -- it looks fine.
5 Just -- just a quick -- yeah, the intercept plus the --
6 looks like set 'X' equal to a hundred, and it's up around
7 point nine four (.94). So, yeah, it looks right.

8 MR. BYRON WILLIAMS: I wonder if you
9 would agree that if we look to the period from January
10 1st, 2001, through April, 2011, that we see an upward
11 sloping trend line reflecting the overall appreciation of
12 the Canadian dollar during the two-o -- the period from
13 2001 to 2011.

14 Would that be fair?

15 DR. LONNIE MAGEE: Yes.

16 MR. BYRON WILLIAMS: And you'll agree
17 that depending upon the particular period in question we
18 see movements both above and below the trend.

19 Would that be right?

20 DR. LONNIE MAGEE: That's right.

21 MR. BYRON WILLIAMS: And you would agree,
22 would you not, that, typically, the values around the
23 trend are more likely than values farther than the trend.

24

25 Would that be fair?

1 DR. LONNIE MAGEE: Within the -- well, if
2 you're talking about within the sample period, the...

3 MR. BYRON WILLIAMS: Yes.

4 DR. LONNIE MAGEE: Yeah, I guess so. I
5 mean, it's a bit -- a bit of an odd way to look at it
6 because within the sample period we know what the numbers
7 actually were.

8 MR. BYRON WILLIAMS: Fair -- fair enough.
9 Now, I want to draw your attention to around month eighty
10 (80), being August, 2007. Would it be fair to say that
11 the exchange rate at that point in time was above one
12 dollar (\$1) US for a Canadian dollar for that period?

13 DR. LONNIE MAGEE: Yes, just barely.

14 MR. BYRON WILLIAMS: And it would be fair
15 to say that the exchange rate at that point in time was
16 well above ninety-three point eight (93.8) cents US for
17 Canadian dollar?

18 DR. LONNIE MAGEE: If well above means
19 about eight (8) cents above, then, yes.

20 MR. BYRON WILLIAMS: And if we go to
21 month one twenty three (123), again, it would appear that
22 the Canadian dollar -- excuse me, that it would take more
23 than a dollar US to purchase a Canadian dollar in that
24 period in time?

25 DR. LONNIE MAGEE: That's right.

1 MR. BYRON WILLIAMS: I'm going to move on
2 quickly to another subject to fulfill my undertaking to
3 be done by 3:00. The -- and I don't know who this goes
4 to, but I'd like to direct your attention to the yellow
5 book, page 21.

6

7 (BRIEF PAUSE)

8

9 MR. BYRON WILLIAMS: The yellow book page
10 21. And -- and I'm not -- and again, if the witnesses
11 feel uncomfortable with this, you'll -- you'll let me
12 know, but just for background of the Board and others,
13 you'll see that between pages 19 and 22 of the yellow
14 book, this is an excerpt from the evidence of Mr. Wallach
15 on behalf of TREE/RCM.

16 Do you see that?

17 DR. LONNIE MAGEE: Yes.

18 MR. BYRON WILLIAMS: And you'll -- you'll
19 agree, I hope, that this excerpt from Mr. Wallach's
20 evidence was provided to your counsel by email a few days
21 ago and subsequently shared with you?

22 DR. ATIF KUBURSI: Okay. Yes.

23 MR. BYRON WILLIAMS: And so you've had an
24 opportunity to -- to review this excerpt. Would that be
25 correct?

1 DR. ATIF KUBURSI: That's correct.

2 MR. BYRON WILLIAMS: And again, Professor
3 Kubursi, if there's anything that you're uncomfortable
4 with in terms of answering, given that it's not your
5 work, you'll let me know, please?

6 DR. ATIF KUBURSI: Sure.

7 MR. BYRON WILLIAMS: And directing your
8 attention specifically to page 21, and I hope it's marked
9 on the right-hand side, although not all of it is
10 apparently, directing -- directing your attention to
11 lines 9 through 17, you'll see a comment by Mr. Wallach
12 in terms of stress tests -- stress tests as presented in
13 the KPMG Report.

14 Do you see that, sir?

15 DR. ATIF KUBURSI: Yes, I do.

16 MR. BYRON WILLIAMS: And just by way of
17 background, I'm not trying to look to create any
18 dissension between you and the PUB in terms of choosing
19 between stress tests and Monte Carlo simulations, I just
20 want to refine our understanding of the concepts.

21 And -- but you'll see a -- a description
22 by Mr. Wallach. I'll ask you to confirm that:

23 "Stress tests or scenario exercises to
24 determine financial losses that might
25 occur under unlikely but plausible

1 circumstances, traditional stress
2 testing is conducted on a stand-alone
3 basis, and the stress-test results are
4 highly subjective because they depend
5 on scenarios constr -- chosen by the
6 stress tester. As a result, the value
7 of stress testing depends on scenario
8 choice and skill of the modeller. A
9 related problem is that stress-test
10 results are difficult to interpret
11 because the scenarios are not
12 probabilistic."

13 And I'm not going to ask you to comment on
14 this just yet, but I'll ask you to confirm that I
15 correctly presented that infor -- that information.

16 DR. ATIF KUBURSI: You correctly
17 presently this information.

18 MR. BYRON WILLIAMS: And we're going to
19 come -- go down -- and we'll come back to that in a few
20 seconds, sir, but -- now directing your attention to
21 lines 22 -- still on the same page, lines 23 through 27,
22 and -- and then the first full paragraph on the next
23 page, Mr. Wallach suggests, and I'll ask you to confirm
24 that -- that he suggests this in his evidence, that:

25 "Stress testing involves making

1 substantial discrete changes to one (1)
2 or more input assumptions, e.g. water
3 flows, market prices, in order to
4 forecast outcomes, e.g. retained
5 earnings, under unlikely conditions
6 that are considered to be worst case.
7 In contrast, Monte Carlo simulation
8 represents key inputs, not a single
9 expected value, but as probabilistic
10 distributions around expected values.
11 A Monte Carlo simulation will generate
12 multiple, typically one thousand
13 (1,000), forecasts of outcomes, with
14 each forecast relying on a random draw
15 of input values from the probability
16 distribution of each input value.
17 Thus, the Monte Carlo simulation
18 generates a distribution of forecast
19 outcomes, with the expected outcome
20 value reflecting the average over the
21 entire distribution of outcomes and
22 probabilities of extreme outcomes
23 defined by the distribution of
24 outcomes."

25 A mouthful, but did I essentially read

1 that correctly, sir?

2 DR. ATIF KUBURSI: You read it correctly.

3 MR. BYRON WILLIAMS: And I want to start
4 first of all with Mr. Wallach's description of Monte
5 Carlo techniques. In general, do you agree with his
6 description of it, sir?

7 DR. LONNIE MAGEE: He's captured the --
8 the main idea of Monte Carlo, that the distinction
9 between Monte Carlo and the stress tests, I think he's
10 describing the two (2) extremes, and just thinking of
11 what we do in chapter 6, Figure 6.1 that we talked about
12 earlier is like a Monte Carlo simulation, and we viewed
13 Figure 6.2 as being like a stress test.

14 But in its -- in his formulation here --
15 excuse me -- it's -- what we did is because we had a
16 whole lot of different random variables, the stress test
17 involved pinning down just a couple of them, the export
18 prices and the water flow, and leaving the other ones
19 still to be random. So in that sense, it's kind of an
20 like an -- it's somewhere in-between. It's a stress
21 test, but it -- on those two (2) variables, but it's
22 still like a Monte Carlo simulation on all the other
23 variables.

24 DR. ATIF KUBURSI: But -- but more in --
25 in what Mr. Wallach wanted with the alternative. We're

1 much closer to Mr. Wallach, except that he assumed that
2 any time you pick something as if it's something that you
3 shouldn't do. No. I mean, the stress test here, what
4 we're doing, leave everything random, fix one (1) or two
5 (2), and then use the Monte Carlo, allowing all the other
6 variables to be drawn from their respective probability
7 distributions that we have defined.

8 MR. BYRON WILLIAMS: And this is a very
9 helpful discussion, and -- and I'm going to come back to
10 both of you, but I am going to start with Professor
11 Magee. And, Professor Magee, as I understood your
12 evidence, if one was looking for a pure expression of
13 Monte Carlo in -- in chapter 6, as presented in -- in
14 your -- as presented by Mr. Wallach, in your view, one
15 should look to Figure 6.1, correct? And you point out
16 that the subsequent figures, being Figure 6.2 through
17 Figure 6.17, are hybrid, in effect, in that they have
18 some fixed variables and some probabilistic elements,
19 correct?

20 DR. LONNIE MAGEE: Correct. 6.1 is the
21 one that doesn't have any -- by design doesn't have any
22 stress-testing element to it, and the others are -- are
23 all, yeah, stress testing, but still with Monte Carlo
24 simulation, because we haven't fixed all the values of
25 everything, just of some of them.

1 MR. BYRON WILLIAMS: And just following
2 up -- and this can go to either of you because it follows
3 up on both your comments -- Figure 6.2 through Figure
4 6.17, by virtue of the fixing of certain variables, can
5 be characterized as generating values but not
6 probabilities.

7 Would that be fair?

8 DR. ATIF KUBURSI: No, it's not correct.
9 I mean, ours is ultimately a probability distribution. I
10 mean, all these figures that you're looking at, they're
11 probability distributions. We have -- you know, we have
12 the confidence levels, we have the full map of
13 everything. The only thing we've done, and we wanted to
14 basically stress the situation that this is the six point
15 one (6.1), the benchmark, but now I want to literally
16 allow a drought in, and I want to see how the system is
17 stressed and what's the probability distribution of the
18 net earnings. Not as one (1) figure, there is a minimum
19 and a maximum, there is a 95 percent, there is a -- the 5
20 percent. We have a probability distribution and this has
21 been generated by Monte Carlo simulation.

22 MR. BYRON WILLIAMS: Now if I -- now,
23 let's just follow that answer through. If I -- if I went
24 to your worst-case scenario, Figure 6.17, is there a
25 confidence level that you can associate with that result?

1 DR. ATIF KUBURSI: On the net earnings,
2 yes, but not on every single variable that we introduce,
3 it's only on the outcome.

4 MR. BYRON WILLIAMS: Just one (1) -- one
5 (1) moment.

6
7 (BRIEF PAUSE)

8
9 MR. BYRON WILLIAMS: Professor Kubursi,
10 in terms of the worst-case scenario, being Figure 6.17,
11 it would be fair to say that there is no probability
12 association -- no probability distribution associated
13 with the fixed variables that you're testing.

14 DR. ATIF KUBURSI: That's a fair
15 statement.

16 MR. BYRON WILLIAMS: Mr. Chairman and Mr.
17 Vice-Chair, I -- I thank you for your -- your patience.

18 There are two (2) undertakings that we'll
19 be reviewing with interest from our cross-examination
20 which may invite more questions. And then, I've not had
21 an opportunity to review the material file -- filed this
22 morning. So subject to those three (3) caveats, I'll be
23 resting my cross-examination. And I will notify Board
24 counsel if I anticipate that we may require furthering --
25 further questions.

1 And I thank professors Kubursi and Ma --
2 Magee and we do look forward to further discussions.

3 THE CHAIRPERSON: Thank you, Mr.
4 Williams. We'll take our break, when we come back we'll
5 come back with Mr. Hacault. And for Mr. Hacault's
6 benefit and the -- of course, the panel and everyone
7 else, we're planning to carry on till 5:00, if that's all
8 right with you, to give you a good start.

9 MR. ANTOINE HACAULT: Mr. -- Mr.
10 Chairman, two (2) things: I'll go through as best as I
11 can, but also part of what I had done today -- I need to
12 go through my questions because I don't want to repeat
13 them needlessly. That would have -- initially we had
14 thought Mr. Williams would take the day and that would
15 allow me to -- to vet some of my questions and my areas
16 of questions for Tuesday. So I'll do my best to go
17 through that.

18 The second thing I also need to do is to
19 consider the answers that have been given. So I will go
20 through what I have that I think I can do without
21 duplicating things and it will take us to where it takes
22 us, I guess. I'm not too sure whether that will take us
23 to five o'clock, it may -- I may end a bit earlier.

24 THE CHAIRPERSON: As best as you can do.
25 Thank you, sir. Okay, we'll be back in no more than

1 fifteen (15) minutes.

2 MR. BYRON WILLIAMS: Mr. Chairman -- Mr.
3 Chairman, I might have just -- I apologize for this, one
4 (1) -- one (1) final question, if I -- if I might.

5 THE CHAIRPERSON: Well, you might as
6 well ask it now.

7 MR. BYRON WILLIAMS: Yeah.

8

9 CONTINUED BY MR. BYRON WILLIAMS:

10 MR. BYRON WILLIAMS: Yellow book,
11 Professor Kubursi, page 8, top right-hand corner. Yellow
12 book, page 8, sir. Professor Kubursi, if I turn to Table
13 6.2, the fourth line, "Drought (1940 Flows, High Import
14 Prices)." Would it be fair to -- and that's the fourth
15 line. Would it be fair to say that there is no
16 probability of occurrence associated with these results?

17 DR. ATIF KUBURSI: You -- if you mean no
18 probability distribution assigned to imports or to flows,
19 yes.

20 MR. BYRON WILLIAMS: Okay. Thank you,
21 Mr. Chairman.

22 THE CHAIRPERSON: Thank you. Okay, we'll
23 see you back no later than 3:15.

24

25 --- Upon recessing at 3:01 p.m.

1 --- Upon resuming at 3:20 p.m.

2

3 THE CHAIRPERSON: Okay, Mr. Hacault.

4 MR. ANTOINE HACAULT: Thank you very
5 much, Mr. Chairman, Vice-Chair, and all. I have
6 distributed to the Board secretary, as if we don't have
7 enough paper, two (2) additional pages which are to be
8 inserted at Tab 75 of our book of documents, and I've
9 given copies to Doctors Kubursi and Magee. So if those -
10 -

11 THE CHAIRPERSON: We haven't got them
12 yet.

13 MR. ANTOINE HACAULT: Yes, I hadn't put
14 it on your chairs. I had assumed the process you wished
15 was that the Board would have them. We are having them
16 distributed to all parties now.

17 THE CHAIRPERSON: We have them now, sir.

18 MR. ANTOINE HACAULT: A short
19 explanation, and there's one (1) typographical error. If
20 everyone has the coloured graph, on the left-hand side at
21 the very bottom there's a number, six nine eight (698).
22 That's incorrect. It should be five nine eight (598).
23 This table is already in the book of documents but not
24 with the additions to the left which are in red and
25 without the black line that goes through the centre of

1 the graph.

2 THE CHAIRPERSON: We should probably give
3 it an exhibit then, number.

4 MR. ANTOINE HACAULT: Well, it has --

5 MR. ROBERT MAYER: Okay, where -- where
6 in the book again?

7 MR. ANTOINE HACAULT: It would be -- we
8 have empty tabs, and the intent was to have them added.
9 And we'll give you an updated index so that we wouldn't
10 have a whole bunch of documents in a loose format. We
11 had hoped to consolidate everything.

12 THE CHAIRPERSON: Very good.

13 MR. ROBERT MAYER: So this just goes in
14 the back of the book?

15 MR. ANTOINE HACAULT: Correct, and
16 they're all given consecutive pages so that you have the
17 typewritten document with a graph at page 311 and 312.
18 And, finally, the coloured graph is given page number
19 313.

20

21 (BRIEF PAUSE)

22

23 MR. ANTOINE HACAULT: While people are
24 organizing those two (2) pages, could they also pull out
25 the direct examination of Doctors Kubursi and Magee,

1 which I understand was marked as Exhibit 4. It was
2 presented in May.

3

4

(BRIEF PAUSE)

5

6 MR. ROBERT MAYER: Mr. Hacaault, what is
7 three twelve (312)? I have three eleven (311) and three
8 thirteen (313).

9 MR. ANTOINE HACAULT: If you flip to the
10 other side, Vice-Chair, of three eleven (311) --

11 MR. ROBERT MAYER: Oh, okay.

12 MR. ANTOINE HACAULT: -- you will have
13 another page, 312.

14 MR. ROBERT MAYER: Thank you.

15 MR. ANTOINE HACAULT: I'm trying to save
16 the forests.

17

18 CROSS-EXAMINATION BY MR. ANTOINE HACAULT:

19 MR. ANTOINE HACAULT: Now, if all could
20 turn to the direct evidence at page 13. This is where
21 Doctors Kubursi and Magee give their estimates of the
22 dollar impact of a five (5) year drought.

23 And also keep these additional pages that
24 I've distributed handy because I'll be asking some
25 questions in correlation with that. So without getting

1 into the details of how you've arrived at a five (5) year
2 drought, there's some dispute about that, my
3 understanding is that it's the impact on net income as
4 opposed to actual losses. Is that correct?

5 DR. ATIF KUBURSI: Yes, it's correct.

6 MR. ANTOINE HACAULT: Okay. And Manitoba
7 Hydro, as part of PUB/MH Interrogatory 81, filed a
8 response with respect to the revenue impact based on IFF
9 -- or the load forecast 2009 and the forecast
10 export/import prices updated. And as I understand it,
11 that's listing, historically, from 1912 up to 2005. Have
12 you seen that table that I've distributed, sir?

13 DR. ATIF KUBURSI: Yes, I see it.

14 MR. ANTOINE HACAULT: And when we talk of
15 a variation of net revenue from average in that table,
16 although I wasn't able to find a consequence of a one (1)
17 year drought at 788 million, which is shown on page 13,
18 there are two (2) instances where the financial impact
19 come fairly close to that. One (1) being in 1940, if
20 everybody locates 1940 and goes across the line, there's
21 a variation of net revenue of 747 million. Have you
22 found that?

23 DR. ATIF KUBURSI: Yes, I have it.

24 MR. ANTOINE HACAULT: And the other one
25 (1) in 1988. There's, again, a variation of 744 million.

1 So am I correct in understanding that even though there
2 is that impact on net income, it really depends as to
3 what your projected average income is going to be as to
4 whether you're actually going to have a loss and have to
5 dig into retained earning or some other form of
6 borrowing. Is that correct?

7 DR. ATIF KUBURSI: That's correct.

8 MR. ANTOINE HACAULT: And if we look at
9 the graph at page 313, what that graph on the left-hand
10 side has in red, it refers to the interrogatory that we
11 just have looked at, being Manitoba Hydro Interrogatory
12 81. And from the Manitoba Hydro information, which is at
13 page 312 of the document I've given, Tab 75, at the very
14 end of that table, there is, in bold, a heading,
15 "Average." And then there are numbers across from that
16 heading. Have you located that?

17 DR. ATIF KUBURSI: I have.

18 MR. ANTOINE HACAULT: Okay. So that the
19 net revenue with the variations in -- in the rates that
20 have existed over the years on average is \$202 million,
21 correct?

22 DR. ATIF KUBURSI: Correct.

23 MR. ANTOINE HACAULT: So that one (1) of
24 the things I had gone through with previous witnesses is
25 that there's two (2) ways to look at the variation of

1 flow and the impact on revenue. One (1) has been
2 depicted by the Manitoba Hydro table, which is now
3 amended with the big black line. It shows a zero with
4 about a third, I think, according to the evidence, of the
5 green bars above that line, and about -- or, sorry, two-
6 thirds (2/3) above the line and one-third (1/3) below the
7 line.

8 Correct? Are you following me?

9 DR. ATIF KUBURSI: Yes.

10 MR. ANTOINE HACAULT: Okay. So that --
11 am I correct, then, if I looked at the table, and based
12 on your understanding of the review of the evidence, that
13 there are many years which are -- have been categorized
14 with big circles as drought years, where there is still
15 net income being produced by the Corporation.

16 So, for example, when the Chairman has
17 been referring to the long period with the two circles on
18 the left-hand side of page 313 of -- of being more than a
19 five (5) year drought, and we see that there's -- of all
20 those years, there are more years where there is still
21 net income than losses. Is that correct?

22 DR. ATIF KUBURSI: Maybe it would be
23 better if we go through the table because the table is
24 showing that over the years -- like, let's look 1937 to
25 1942, they're all negative.

1 MR. ANTOINE HACAULT: Okay. That's the
2 variation of -- from net revenue --

3 DR. ATIF KUBURSI: From -- from --

4 MR. ANTOINE HACAULT: -- average.

5 DR. ATIF KUBURSI: From average, yes.

6 MR. ANTOINE HACAULT: And then, if you go
7 to the line immediately next to that --

8 DR. ATIF KUBURSI: Yes.

9 MR. ANTOINE HACAULT: -- which is the net
10 revenue, would -- that's the line that would show you
11 whether you --

12 DR. ATIF KUBURSI: Right, so --

13 MR. ANTOINE HACAULT: -- actually have a
14 profit or loss, correct?

15 DR. ATIF KUBURSI: Right. 1936 would be
16 43 million. 1937, 104 million. And they become negative
17 afterwards till 1941.

18 MR. ANTOINE HACAULT: So out of the seven
19 (7) years of -- that have been categorized as a drought,
20 1936 is a \$43 million profit. Correct?

21 DR. ATIF KUBURSI: Yes, correct.

22 MR. ANTOINE HACAULT: And 1937 is \$104
23 million profit. Correct?

24 DR. ATIF KUBURSI: Correct.

25 MR. ANTOINE HACAULT: And that's what

1 we've been talking about as drought years. Correct?

2 DR. ATIF KUBURSI: Correct. But -- but
3 why is this number more important than the opportunity,
4 which is you usually make money, and now you're making
5 much less.

6 MR. ANTOINE HACAULT: Okay. Well, and
7 that's -- that's, I guess, a debate that we'll have in --
8 in submissions and -- and arguments, Dr. Kubursi. If the
9 purpose -- and -- and that gets to some of the
10 recommendations that you had on mitigating and providing
11 kind of -- I'm going to practically say an insurance
12 fund. Do we need to insure against profits is the
13 question we'll have to ask ourselves. If we're still
14 being profitable and adding to our retained earnings, do
15 we need to insure against making profits?

16 DR. ATIF KUBURSI: Okay, yeah.

17 MR. ANTOINE HACAULT: Do you understand -
18 - is that a normal thing that you would see if a company
19 is profitable, to ensure against profitable years?

20 DR. ATIF KUBURSI: Yeah. See, because
21 there are two (2) concepts of profit. The concept of the
22 accountant is whether you have positive or negative. The
23 concept of the economist is: What are your
24 opportunities?

25 MR. ANTOINE HACAULT: Okay. And I gather

1 you probably wouldn't have surveyed Manitobans to ask
2 them whether they want to have rates increased in years
3 where they make profits. A drought year, they're making
4 profits. Why should they put money aside when they're
5 still making profits? They -- they maybe have a view
6 that, while they're making profits, they don't need to
7 put aside for that eventuality.

8 DR. ATIF KUBURSI: Yeah, yeah.

9 MR. ANTOINE HACAULT: Is that fair?

10 DR. ATIF KUBURSI: Fair enough.

11 MR. ANTOINE HACAULT: So when we -- when
12 you have talked about the consequences of a drought,
13 letting aside for the time being whether or not there's
14 agreement on how you got there with the inputs, et
15 cetera.

16 It's not from an accounting perspective.
17 The public, when they see three point three (3.3) might
18 think, Oh, well, we're gonna have losses of 3.3 million -
19 - billion dollars, but that's not the case, correct?

20 DR. ATIF KUBURSI: That's correct.

21 MR. ANTOINE HACAULT: Now, I'd like to
22 take you and have you explain to me -- and I apologize if
23 I'm asking some of these questions, and you'll have to
24 help me, maybe, in the vocabulary.

25 I'm now switching you to what Mr. Williams

1 was referring to as -- as his yellow book of documents
2 because conveniently on the first page of that book
3 there's Figure 6.1, which is the base case that has been
4 used by both of the doctors.

5 DR. ATIF KUBURSI: Correct.

6 MR. ANTOINE HACAULT: And my question --
7 and not under -- understanding your software well -- well
8 enough, are you able to produce or have you saved -- I'm
9 maybe calling it incorrectly, but a pro forma -- the data
10 that underlines a particular result?

11 So, let me try to explain that a bit
12 further. In the extreme left, as I understand it,
13 there's about \$186 million loss is one (1) of the
14 scenarios, correct?

15 DR. ATIF KUBURSI: Yes.

16 MR. ANTOINE HACAULT: Now what data does
17 the software use or what were the base of the fifteen
18 (15) points that were inserted that makes it such that
19 you arrive at a number of negative \$186 million? Are you
20 able to print that out? Is that something that we can
21 see?

22 DR. ATIF KUBURSI: Yeah, yeah, we can
23 print it.

24 MR. ANTOINE HACAULT: I would request
25 that as an undertaking.

1 And would you be able to do it for -- and
2 it can be arbitrarily chosen, but in the left five (5)
3 percentile choose the most extreme to the left, somewhere
4 in the middle of that data point, and somewhere closer to
5 the ninety-five (95) percentile number just so we have a
6 little bit of a sampling as to what data the computer was
7 putting to arrive at those numbers. Could you do that?

8 DR. ATIF KUBURSI: Yeah. As you know the
9 computer would use the probability distributions. And I
10 can provide you the numbers and the probability
11 distributions with them.

12 MR. ANTOINE HACAULT: That would be
13 fantastic. So for three (3) points there.

14

15 (BRIEF PAUSE)

16

17 MR. ANTOINE HACAULT: Now, for example --

18 MR. GAVIN WOOD: Just one (1) second.

19

20 CONTINUED BY MR. ANTOINE HACAULT:

21 MR. ANTOINE HACAULT: Okay. Maybe I
22 could explain a bit more on the --

23 DR. ATIF KUBURSI: Yeah, yeah.

24 MR. ANTOINE HACAULT: -- record. For
25 example, there's an underlying value for each of -- for

1 example, wages would be derived from Figure 6.33 -- one
2 for the exchange rate six point one eight (6.18).

3 Would there be an underlying value at a
4 specific point on that graph that you could give us?

5 DR. ATIF KUBURSI: Yeah. Mr. Hacault, I
6 mean, what we do is we have the input data that goes into
7 @RISK, it generates this probability distribution. This
8 is why probably I got confused.

9 You can't see from the data anything more
10 than what we have in this figure. But what I could give
11 you is the set of data and the distributions of each of
12 the variables that went into generating it. But once the
13 output comes it's nothing more than the picture that you
14 see.

15 MR. ANTOINE HACAULT: So there's no way
16 to understand, for example, if on the extreme left when
17 we show the \$186 million, whether the exchange rate was
18 at seventy (70) cents or whether it was at ninety-three
19 (93) cents?

20 DR. ATIF KUBURSI: No, thi -- this --
21 this is -- this is not something that I -- we could go
22 and deconstruct the system to do. It just basically
23 takes these variables and then generate thousands upon
24 thousands, you see, and these are the one that plotted
25 here. But I can't go and refer from this to any

1 particular value of the variable that really gave rise to
2 it.

3 MR. ANTOINE HACAULT: So --

4 DR. ATIF KUBURSI: I can give you a much
5 bigger or, you know, wider description, but I would not
6 be able to go to one-to-one basis.

7 MR. ANTOINE HACAULT: Thank you. And --
8 and that's why I prefaced my question. I am not -- I
9 wasn't too sure whether your software would be able to do
10 that. Because it would have been useful for us to know,
11 for example, say -- I shouldn't put it this way, but how
12 unlikely and maybe unreasonable from, you know, just a
13 conceptual perspective you'd say, Well, listen, you know,
14 it's assuming fourteen (14) cent power. Well, that's not
15 happening, you know. But we can't tell -- we can't have
16 that kind of precise data as to what the machine was
17 thinking when it spit out the \$186 million dollars.

18 DR. ATIF KUBURSI: The logic that you are
19 describing is exactly where it goes, but we can't go and
20 get for one (1) -- for every one of these one thousand
21 (1,000) runs the specific values it picked from the
22 random distributions for each and every variable.

23 MR. GAVIN WOOD: So -- so as I'm
24 understanding then, sir, there is no undertaking then?

25 MR. ANTOINE HACAULT: Well, I think the

1 undertaking is we can't provide it.

2

3 CONTINUED BY MR. ANTOINE HACAULT:

4 MR. ANTOINE HACAULT: Now, if I ask you
5 to turn to page 59 of your direct testimony, please.

6 DR. ATIF KUBURSI: I have it.

7 MR. ANTOINE HACAULT: This is Table 6.2,
8 where you describe certain values of the net impact and
9 impact on net revenue without interest costs. And there
10 are different scenarios which are ascribed here. One (1)
11 would be high import prices, that's in the middle of the
12 table, together with the 1940 flows, correct?

13 DR. ATIF KUBURSI: Number 4?

14 MR. ANTOINE HACAULT: I believe it's a
15 four (4) -- yeah, the fourth -- fourth line.

16 DR. ATIF KUBURSI: Yes.

17 MR. ANTOINE HACAULT: Mr. Williams went
18 through with you where Hydro is exporting and importing
19 basically through the MISO market. What's the likelihood
20 that the high import and export prices would be identical
21 if you're in the same market?

22 DR. ATIF KUBURSI: I mean, the -- the
23 question is quite -- quite relevant in the sense that
24 you're in the same market whether you're a buyer or a
25 seller, and there is an equilibrium price or merit price

1 that is available for both. The -- the issue is, if you
2 are able to access the same amount exactly from that
3 market that you're in, you can't -- it's -- it's -- I
4 don't know to what extent could you possibly think that
5 you will be a buyer and seller in that market at the same
6 time.

7 MR. ANTOINE HACAULT: So I don't want
8 belittle the two (2) examples, but, again, we don't know
9 anything about the probability of that event occurring.
10 It's just a stress test.

11 DR. ATIF KUBURSI: Precisely, it's a
12 stress test.

13

14 (BRIEF PAUSE)

15

16 MR. ROBERT MAYER: I -- this issue of
17 buying and selling into the same market, Manitoba Hydro's
18 been clear that on the same day they may be buying off
19 peak and selling on peak, which presumably is into the
20 same market, so I'm not sure that that's as absurd as it
21 seems to sound.

22 DR. ATIF KUBURSI: But -- but at
23 different times. You see my worry was -- is that, you
24 know, how could these prices be different. Yeah, they
25 could be different. You could be selling off peak, you

1 could be buying on peak. You could be selling in this
2 market tomorrow and you're buying today. And these
3 prices are not necessarily exactly one (1) and the same.
4 That's the one (1) I wanted to establish.

5

6 CONTINUED BY MR. ANTOINE HACAULT:

7 MR. ANTOINE HACAULT: And that would be a
8 useful exercise if we knew the probability of those items
9 and -- and that spread occurring with any measure of
10 accuracy, correct?

11 DR. ATIF KUBURSI: Correct.

12

13 (BRIEF PAUSE)

14

15 MR. GAVIN WOOD: Could I just have a
16 moment, please?

17

18 (BRIEF PAUSE)

19

20 MR. GAVIN WOOD: Mr. Hacault, as you can
21 see, there -- there just was a discussion, I think they -
22 - they want to consider again that request to provide an
23 undertaking of seeing whether they can show some
24 meaningful data as to how the -- the runs were performed.
25 And I think the concern is they don't want to undertake

1 something that ultimately they can't -- they can't give,
2 but they obviously would like to cooperate so that you
3 have some data that you can take a look at to see if that
4 charting does -- is -- is meaningful.

5 DR. ATIF KUBURSI: You see, we can stop
6 at the 10th percentile, the 20th percentile and go on,
7 but there would be no chance, given the software, that we
8 can make these correspondences between that level of net
9 revenue and a particular exchange rate at that level.

10

11 CONTINUED BY MR. ANTOINE HACAULT:

12 MR. ANTOINE HACAULT: Can we leave it
13 this way then, that you'll do your best to try and
14 provide some kind of a response, and if that means having
15 a brief discussion with your counsel or with yourself to
16 see whether something meaningful can be provided, we can
17 -- we can have that discussion.

18 MR. GAVIN WOOD: And just one (1) moment.

19

20 (BRIEF PAUSE)

21

22 DR. ATIF KUBURSI: We're trying to see if
23 we can do it before Tuesday. The -- you see, I'm staying
24 around, you know. I'm not going and coming. And -- and
25 we have a number of undertakings, but later on, if this

1 is okay, we -- if the panel would allow it, we would be
2 more than happy to do it.

3

4 CONTINUED BY MR. ANTOINE HACAULT:

5 MR. ANTOINE HACAULT: Could you, because
6 I'm going to royally screw this up, try to explain what
7 you're going to try to do with respect to Figure 6.1 and,
8 I'm going to say, the tail end to the left of the \$200
9 million number? Can you describe that right now for the
10 reporter so -- because we need some kind of a description
11 of the undertaking.

12 DR. ATIF KUBURSI: Yeah. I mean, what we
13 typically do is we get the input data -- it will be old
14 numbers, just one (1) column -- and then we have the
15 formula at the end that will say price times quantity,
16 and this is the total revenue minus the total costs, all
17 the elements of cost. And then you make every one of
18 these variables a random variable, and you go back to the
19 numbers that you have over five hundred (500) --

20 MR. ANTOINE HACAULT: If I can -- if I
21 can just interject, we're not looking for a full
22 explanation of the model. We're just looking for an
23 explanation of the data you're going to try to provide us
24 because she needs --

25 DR. ATIF KUBURSI: Yeah, yeah.

1 MR. ANTOINE HACAULT: -- some kind of a
2 description.

3 DR. ATIF KUBURSI: Okay, but -- but
4 that's precisely what I was trying to do, but ultimately
5 what we will do, instead of producing the full
6 distribution here, we will only concentrate on giving you
7 all the data in an exaggerated way, so you could see it
8 at the tail end of it, which I thought that's what you
9 were asking for.

10 MR. ANTOINE HACAULT: Thank you very
11 much.

12

13 --- UNDERTAKING NO. 150: Doctors Kubursi and Magee to
14 provide data re: Figure 6.1

15

16 CONTINUED BY MR. ANTOINE HACAULT:

17 MR. ANTOINE HACAULT: Could you turn to
18 page 24 of your direct evidence, Doctors, please?

19 DR. ATIF KUBURSI: We have it.

20 MR. ANTOINE HACAULT: Page 24 is preceded
21 on page 23 by a heading Misalignment Problem or Issue,
22 and it talks about the risk and -- and your views of the
23 risk issue of various stakeholders involved in -- in this
24 process.

25 My question is: Have either of you

1 doctors had the opportunity to meet with representatives
2 of the province to get a better understanding of the risk
3 tolerance that the province wishes and is prepared to
4 accept with respect to the Utility and its plans?

5 DR. ATIF KUBURSI: I mean, if you --
6 counsel, please, tell us who do you mean represents the -
7 - I mean, are you talking about the minister, the deputy
8 minister, the premier? I mean --

9 MR. ANTOINE HACAULT: Well, it would be
10 anybody from the assistant deputy level above.

11 DR. ATIF KUBURSI: I mean, we -- we did
12 not.

13 MR. ANTOINE HACAULT: Okay. You wouldn't
14 be aware, sir, then, of the meetings that would occur
15 between Manitoba Hydro representatives and
16 representatives of the province with respect to the
17 Utility, its plans, and its financial status?

18 DR. ATIF KUBURSI: No, we're quite aware
19 and we know how many oversight committees and with whom
20 they meet. I mean, that one (1) we know, but we have not
21 gone to these committees ourselves and asked them: Is
22 your risk tolerance exactly similar to the one (1) of
23 Manitoba Hydro? No, we didn't do that.

24 MR. ANTOINE HACAULT: And I'll go to the
25 -- the next level. You make some statements with respect

1 to tax payers, generally Manitoba tax payers, and I
2 distinguish those between ratepayers and I'll explain why
3 later.

4 You haven't had any statistical study or
5 any kind of survey information as to what the risk
6 tolerance of Manitoba tax payers would be, would you?

7 DR. ATIF KUBURSI: You see, the story is
8 misalignment. And our proposition was -- and this is
9 basically the whole story that came with Bernoulli who
10 said that people pay the same price but they have
11 different utilities, and even two (2) individuals will
12 have two (2) different assessment of the risk. What we
13 were basically and fundamentally underlining here, that
14 there is a misalignment problem whenever you have more
15 than one (1) party dealing with a particular issue of
16 risk.

17 And here we aggregated -- one (1) on -- on
18 the one (1) side we have the Corporation, on the other
19 side the ratepayers, and also the tax payers, because
20 each and every one of them, at one (1) level or the
21 other, would be involved either in the decision or the
22 consequence.

23 MR. ANTOINE HACAULT: But my point to you
24 and -- and the point of the question, sir, is that it's
25 speculation by yourself as to what the -- their tolerance

1 is for risk. You don't know because you haven't done a
2 survey of those people to know whether there is a
3 misalignment or whether they're unanimous with the
4 province on what their risk tolerance is.

5 Isn't that correct?

6 DR. ATIF KUBURSI: It is correct in the
7 sense that we did not have a survey. Our issue is that
8 there is ample reasons to believe, and there is quite a
9 bit of literature on this, there is a misalignment
10 problem among even two (2) parties with identical
11 utilities, because of the way they perceive these things.

12 So we we're raising here the issue about
13 the existence of multiple parties and the theoretical
14 issue of having difference tolerance for risk. That's
15 all we need. We don't need to know whether it's a -- you
16 know, this much or that much. All that we really need is
17 that the two (2) are not identical.

18 MR. ANTOINE HACAULT: So am I to take it
19 you believe that they may not be identical, but you
20 wouldn't be able to tell us because you have no specific
21 literature on Manitoba tax payers to base that conclusion
22 on; it's just general literature with respect to that in
23 a very general way?

24 DR. ATIF KUBURSI: No, I mean, I won't go
25 that far. But all I would like to really say, is that we

1 know that people in general -- and we know it from the
2 way they behave with respect to lotteries, or casinos, or
3 other betting, that they are risk adverse. Corporations
4 are typically more tolerant of risk, even when they're
5 conservative, and that there is very little likelihood
6 that the two (2) risk tolerance and appetites are
7 identical and equivalent.

8 MR. ANTOINE HACAULT: So am I
9 understanding you correctly, if I switch to ratepayers,
10 even between the Manitoba Hydro ratepayers, it's your
11 view that there would be different risk tolerances,
12 depending on whether -- what type of consumer they are of
13 electric power and what type of entity they are?

14 DR. ATIF KUBURSI: Yeah, well, in general
15 the people are more risk adverse than corporations.

16 MR. ANTOINE HACAULT: But you would agree
17 then, sir, that tax payers in this province are comprised
18 both of corporations and of individuals, correct?

19 DR. ATIF KUBURSI: Yeah, but primarily
20 individuals.

21 MR. ANTOINE HACAULT: And if we switch to
22 ratepayers, you would agree that ratepayers may have
23 different priorities than a tax payer?

24 DR. ATIF KUBURSI: In -- indeed.

25 MR. ANTOINE HACAULT: So if we have a

1 northern person that has different consumption of
2 electric power than a City of Winnipeg person who has
3 options as far as gas, they may have different
4 priorities?

5 DR. ATIF KUBURSI: Yes, it is a
6 possibility.

7 MR. ANTOINE HACAULT: And the -- the same
8 thing; you heard the presentation of one (1) of the
9 members of MIPUG who consumed -- I think it was \$48
10 million of hydro electric power. That company might have
11 different priorities and risk tolerances than say, for
12 example, another company in the City of Winnipeg, like
13 Great West Life, that has an office building with
14 employees and doesn't consume very much power as part of
15 its output of services?

16 DR. ATIF KUBURSI: Precisely. That's why
17 I say there's misalignment.

18 MR. ANTOINE HACAULT: How do we know what
19 the misalignment is if we have different people with
20 different priorities in the same group of ratepayers?

21 DR. ATIF KUBURSI: I mean, I'm willing to
22 concede that there are in among the ratepayers, even
23 among individuals, there are -- people are risk lovers.
24 But, in general, the consensus is, and lots of
25 experiments have been made, that these people have what

1 we call technically quadratic utility functions, which
2 means there is marginal -- there is decline in the
3 marginal utility of wealth. A dollar gain -- the utility
4 of a dollar gain is not equivalent to a dollar lost.

5 MR. ANTOINE HACAULT: I think I'll move
6 on to another subject, which is: There was some
7 suggestion at page 22 and 23 in the discussion, that
8 there was moral hazard problems within the utility.

9 Sir, are you aware as to whether Manitoba
10 Hydro employees have any incentives to take additional
11 risk, such as private corporations might have, in the
12 nature of stock options or increased compensation?

13 MR. ATIF KUBURSI: No, I -- I -- you
14 know, there was never any -- and I want to make it very
15 clear, any intention or any suggestion here that people
16 at Manitoba Hydro undertaking of certain risk is for any
17 self-enrichment or aggrandisement. But what we really
18 said, that the incentive regime that governs the way
19 corporations and individuals behave, whenever you have a
20 situation in which you have an entity that is insured for
21 its mistakes and for its risk taking, it would behave
22 differently than an entity where this regime or insurance
23 does not exist.

24 MR. ANTOINE HACAULT: And, as I
25 understand your evidence, that's why you recommended the

1 middle office function.

2 Is that correct?

3 DR. ATIF KUBURSI: In -- in many
4 respects, yes, we would like to really see that the
5 middle office vets and -- and that multiple checks and
6 balances exist within the organization.

7 MR. ANTOINE HACAULT: Now, this is a
8 question I've asked all the consultants, because there
9 were various risk issues that were identified. And I
10 just want to make sure I have your complete answer on
11 this issue because I see there was part of an undertaking
12 provided earlier today. The first thing was with respect
13 to the organizational structure of Manitoba Hydro. In
14 the scoping of this Hearing there was a question as to
15 whether the internal capabilities and governance
16 structures of Manitoba Hydro are sufficient.

17 So, firstly, with respect to the internal
18 capabilities and governance structures, is there anything
19 that has come to your attention during the course of this
20 Hearing that is not dealt with in your report, or answers
21 to undertakings, that you wish to add with respect to the
22 internal capabilities of Manitoba Hydro?

23 DR. ATIF KUBURSI: As you know, I mean,
24 there were issues involving the proper placing and the --
25 the positioning of the middle office. The risk

1 management and governance at Manitoba Hydro is an
2 evolving one and has moved considerably in the past few
3 years.

4 There are ways in which we felt that this
5 governance could be strengthened, all right? And now
6 it's becoming clearer that some of these things have
7 really been addressed. We wanted to see that an
8 individual office and person is associated to generate a
9 sense of ownership on ever single risk. We have now, and
10 we're being given an undertaking by the panel to look
11 further into it and we are.

12 We wanted to see that the Risk Management
13 Committee is put in a way in which it can exercise its
14 functions at a responsible and authority level
15 commensurate with its responsibility, and we wanted to
16 see it elevated to report and even sit into the senior
17 vice-president office.

18 There are a number of issues that we have
19 raised in our report that we feel will strengthen, will
20 align more the risk governance in management at Manitoba
21 Hydro with what we call best practice.

22 MR. ANTOINE HACAULT: And do you have any
23 sense, Dr. Kubursi, whether there is resistance at
24 Manitoba Hydro to any reasonable recommendations that are
25 being made?

1 DR. ATIF KUBURSI: Actually, I would
2 probably go even the contrary. I mean, we've seen and we
3 were discussing this actually at lunch. We're quite
4 impressed with the responsiveness in things, but there
5 are certain things we'd like to really see more and
6 faster.

7 I mean, I've seen quite a bit of things
8 coming from Manitoba Hydro about emergency training
9 drills and things. I -- I'd like still to put my hand on
10 a drought prepara -- preparation manual.

11 MR. ANTOINE HACAULT: And we understand
12 it, but -- and thank you for your answer, but do you
13 understand the line of questioning, firstly, is there a
14 problem with the organization; you've answered that.
15 Secondly, is -- because some corporations might have, I'm
16 going to say an attitude problem, they -- they know
17 everything, they -- they don't -- aren't open to
18 suggestions or recommendations, and what I'm hearing from
19 you is the Public Utilities Board and the Manitoba
20 ratepayers don't have to be concerned; they've got a
21 responsible corporation that takes reasonable
22 recommendations in a very serious manner.

23 Is that correct?

24 DR. ATIF KUBURSI: It's correct. And I
25 just put an undertaking and it's with you -- I don't know

1 what exhibit it is -- in which I looked at KPMG
2 recommendations and the way -- responses that Manitoba
3 Hydro had made, and I found that there are certain areas
4 that I had flagged -- that we had flagged, that we would
5 like to really see a continuation and a quicker delivery,
6 and that some of the responses we are reviewing. And
7 this is not anymore the time for review; it is time for
8 action. Let's see what -- what things are coming up from
9 it.

10 It is Exhibit KM-6.

11 MR. ANTOINE HACAULT: The next area that
12 I covered with most of my witnesses was the -- or the
13 witnesses I was cross-examining is the Crown
14 Corporation's approach to risk management, whether it was
15 appropriate or not.

16 Do you have anything further to add, apart
17 from what's in your report, or answers to undertakings on
18 that issue, on the approach to risk management?

19 DR. ATIF KUBURSI: We've never been -- we
20 cannot be accused of being short on recommendations and
21 things.

22 MR. ANTOINE HACAULT: But there's nothing
23 further to add that hasn't been put in -- in the reports?

24 DR. ATIF KUBURSI: No, no, I mean --

25 MR. ANTOINE HACAULT: I just want to make

1 sure you had the opportunity to answer that.

2 DR. ATIF KUBURSI: Right. I mean, pages
3 27 and all the way to -- yeah, 27 and 28, we -- we -- we
4 have summarized some of the things. But our report
5 outlines and details, you know, the concerns and
6 recommendations and what we would like to see take place
7 to -- we've always seen our -- our position as being
8 helpful.

9 MR. ANTOINE HACAULT: Next I'm going to
10 ask some questions with respect to -- there was some
11 issue as to whether or not Manitoba Hydro should be
12 maximizing profits or not. And I just want to make sure
13 I understand your -- the evidence of -- of the doctors on
14 this.

15 Is it your view that the way Manitoba
16 Hydro is approaching income generation inappropriate?

17 DR. ATIF KUBURSI: Okay. I'm -- I'm glad
18 you're asking me about this. And in our evidence we
19 explained it. Maybe it's -- it's also a good opportunity
20 to go through the logic that we have been suggesting
21 here.

22 We said that Manitoba Hydro cannot set its
23 own price, all right? It cannot even choose its
24 quantity. It has made it -- its overriding objective to
25 meet domestic load. So it's quantity constrained, price

1 constrained, in the domestic market.

2 It has long-term contracts where it would
3 be also quantity and price constrained in the export
4 market. The only little place where is left for it to
5 make any choices would be in the opportunity market, and
6 that is really a small -- a 14 percent or something, 16
7 percent, all right?

8 We said that probably a far more
9 meaningful objective would be here, is -- and over which
10 it has considerable control, is to minimize costs, to be
11 extremely efficient. Given all these revenue values set,
12 it would maximize its profit by minimizing its costs.
13 You can't do much about the price, about the quantity.
14 Let's make sure that we have the most efficient
15 organization and the most efficient production, the most
16 efficient generation by reducing losses, the most
17 efficient transmission that we could possibly have.

18 And that's why -- and -- and there is an
19 optic things -- you're a natural monopoly, regulated
20 Crown corporation; it would make much more sense to look
21 more responsive and responsible by minimizing costs and
22 creating the greatest efficiency, then seeking the same
23 way as any private corporation: the maximization of
24 profit.

25 MR. ANTOINE HACAULT: Now, you may not

1 have seen that, but in the -- some of the cross-
2 examination I conducted before, I asked whether or not
3 there were any directives from the Chief Executive
4 Officer, Mr. Brennan, and some memos were provided
5 indicating some concerns, I'll parafray -- paraphrase it
6 that way, with respect to cost control cutting measures.
7 And I had also gone through a number of extracts of
8 decisions from Board members in previous hearings where
9 they were concerned about that issue.

10 Do you have any specific recommendations
11 that you might make to this Board as to how, with respect
12 to a Crown ol -- monopoly, there's some mechanism to
13 encourage cost control and -- and measure it? For
14 example, universities might have to, or hospitals might
15 have to, do a zero budget or a cost-of-living budget and
16 explain how that might achieve and what they might have
17 to cut.

18 Is there any kind of recommendation, based
19 on your experience, as to how the Board could be assisted
20 in its concern, and how we could measure those things in
21 upcoming hearings?

22 DR. ATIF KUBURSI: I mean, this has not
23 been a major focus of our reports. I mean, our terms of
24 reference were, to a great extent, to the risk
25 management.

1 But Manitoba Hydro has a number of models,
2 and the objective function that they use in the
3 optimization is maximize net export revenue. I would
4 like to see that this can be turned around and run as
5 minimize the costs of a given level of generation that is
6 required for domestic and long-term things. And you
7 would see that there would be solutions that would come,
8 optimizing solutions that would come. I would like to
9 compare them to the ones that would come from just purely
10 maximizing net export revenue.

11 MR. ANTOINE HACAULT: But I don't
12 understand how a model could -- could tell you that. For
13 example, how does a model tell you that about how many --
14 you've -- you've asked that they add some employees to
15 enhance their capabilities; how can a model tell you
16 whether you have to add or remove employees, and whether
17 they're running the operation efficiently?

18 DR. ATIF KUBURSI: No, a model would, all
19 right, in the sense that what the model would do, any --
20 any of these optimization models would literally compare
21 different specification of costs, whether it's labour or
22 machinery or depreciation or assignment of people, and
23 will give you a complete different menu of ways where you
24 would have rooms to compare alternatives.

25 I mean, you can't expect anybody to be in

1 their chair and then to know exactly how much they
2 produce, at what time, and -- and what hour and what
3 market. Usually the models will -- will give you some
4 outposts that will guide you in this way. It will do the
5 same thing by telling you that you -- there are
6 efficiencies that you could generate in this area if you
7 were to use this time or at night or at day or this type
8 of labour or that type of labour, or that you buy this
9 purchase fewer here -- I mean, I cannot sitting down
10 here, but I can assure you that a person like me who
11 works with these models, that I could give you a number
12 of examples that these models would tell me that you
13 could optimize and minimize your costs, subject to these
14 constraints that are typically specified, and you'll --
15 you'll get a different solution than a profit
16 maximization or a net revenue maximization would have
17 suggested.

18 MR. ANTOINE HACAULT: I'm not too sure I
19 understand how the Board might be able to use this in --
20 in future hearings and -- and even how Manitoba Hydro
21 might be able to use what -- what you're saying. Are
22 there any models that tell us, for example, how you run
23 projects more efficiently in northern Manitoba where you
24 have to train people and -- and house people, et cetera?

25 DR. ATIF KUBURSI: No. I mean, you're --

1 you're only looking at it as if it's only training
2 people, firing people. No, there are many other
3 efficiencies that could come, efficiencies in -- in the
4 way you produce particular set of outputs, the way you
5 combine your inputs, the way you would assign different
6 functions.

7 I mean, I cannot, just sitting in here,
8 but these are the same models that we're using. I mean,
9 I'm talking nothing new here. I mean, HERMES and SPLASH
10 and other ones, by looking at a different objective
11 function, will gen -- will generate different bases,
12 which we call solutions, and these solutions may really
13 look different than the ones that we are using now in
14 order to maximize net revenues.

15 MR. ANTOINE HACAULT: I'll move on to
16 another subject. Thank you very much for your thoughts.
17 You've suggested in your report that water and storage
18 might also be used to deal with risk issues, correct?

19 DR. ATIF KUBURSI: Correct.

20 MR. ANTOINE HACAULT: Are -- do you know,
21 for example, how long it takes, if we decide -- if
22 Manitoba Hydro decides to release water from Lake
23 Winnipeg into its dams up north, how long it takes to get
24 to the dams?

25 DR. ATIF KUBURSI: Yeah, I know it's a

1 long distance and a long period of gestation, but we had
2 a much serious issue for us than the amount of money or
3 the amount of time it takes.

4 Our argument was the following: We did
5 not want to depend solely, exclusively on retained
6 earnings. We felt that retained earnings as a financial
7 fund can be used for other things and -- and lots of
8 rating agencies and other groups that always look at the
9 retained earnings, accumulated retained earnings, whether
10 it is the investment-coverage ratio or the debt-equity
11 ratio and things. We wanted basically to have adequate
12 amount, but also complement, supplement, add on things.

13 And we felt like three (3) other things
14 could come to play here, one (1) of which is the amount
15 of water storage. We know that, you know, one foot extra
16 is about 2,000 gigawatt hours and, at fifty dollars
17 (\$50), it means 100 million or something like this. I
18 mean, the amount of money we're talking about is not very
19 much, but -- but not -- but not anything to forget about.

20 But we've also been concerned that that
21 might be another way of giving incentives to the
22 management to be more conservative and leaving more water
23 into the system to meet expected shortfalls in the
24 future. So this is basically part of our mitigation,
25 part of our conceptualization of what a risk-management

1 strategy would be.

2 We also said we wanted, and I'm sure
3 you're not happy about this, an -- a rider to the -- to
4 the rates. And we suggest that --

5 MR. ANTOINE HACAULT: I -- I will deal
6 with that issue. Could we just, you know, stick with the
7 water.

8 DR. ATIF KUBURSI: All right.

9 MR. ANTOINE HACAULT: So water storage.
10 And -- and I'll let --

11 DR. ATIF KUBURSI: Water storage, okay.

12 MR. ANTOINE HACAULT: I'll give you the -
13 - the opportunity to talk about --

14 DR. ATIF KUBURSI: All right.

15 MR. ANTOINE HACAULT: I didn't want to
16 interrupt you with respect to as long you were talking
17 about the water storage.

18 DR. ATIF KUBURSI: That's fine.

19 MR. ANTOINE HACAULT: Have you done any
20 analysis, Doctor, as to, with your recommendation, how
21 often Manitoba Hydro would have to spill water?

22 DR. ATIF KUBURSI: You know, I mean, one
23 (1) thing we know, and, I mean, I would take that figure
24 that you gave, but we -- you could also look at the
25 corresponding one (1). There -- there's one (1) which is

1 the revenue-related variation with water flow. There is
2 one (1) which is purely water.

3 As we have shortages, we have surpluses of
4 water. I mean, if you're talking about conditions that
5 prevailing -- at this time I'm sure you're spilling, all
6 right. I mean, the issue here is that there are limited
7 capacity. This is one (1) of the problems that we have
8 here, is that we don't have much storage capacity. The
9 only two (2) areas, I guess, Cedar Lake and Winnipeg.
10 And they have limited capacity. And there's certain
11 times, you know, you can't store much, especially in the
12 winter. Then you have really problems with extraction
13 and so on and so forth.

14 No, the issue is primarily one (1) of
15 orientation, all right, and that you want to diversify
16 the sources that you depend on to insure yourself, okay.

17 MR. ANTOINE HACAULT: But could I have
18 just a very quick answer to my question? My question
19 was: Have you analyzed over any time period how often
20 Manitoba Hydro would have to spill water, in other words,
21 not --

22 DR. ATIF KUBURSI: No.

23 MR. ANTOINE HACAULT: -- put it through
24 the generating station?

25 DR. ATIF KUBURSI: No. I mean, we did --

1 MR. ANTOINE HACAULT: Have you done that?
2 Okay. You wouldn't have also calculated, sir, then how
3 much losses in revenue would be caused by the spills and
4 caused by implementation of your conservative plan, have
5 you, sir?

6 DR. ATIF KUBURSI: No, I mean, whether
7 we've really conducted analysis of how many times there
8 was spilling? No, we didn't do that. Whether we know
9 that there are times in which they have really been
10 spilling? Yes, we know, and we have a good, you know,
11 handle on the number of times that they've done it. But
12 the -- the issue here, as I said, it's diversification.

13 MR. ROBERT MAYER: Mr. Hacault, the --
14 this issue of spilling water, I'm sort of getting the
15 impression that for about almost two (2) years now those
16 floodgates have been open pretty much moving the water
17 down to the lower Nelson.

18 Each time I've crossed one (1) of those
19 generating stations the flood -- the -- they've been
20 spilling water. I suspect that until you can get all
21 that water out of Lake Manitoba and Delta Beach they're
22 going to be spilling water there -- well, spilling water
23 as much as they can there too if they can get it into
24 Lake Winnipeg in order to get it out the other end. I --
25 I'm not sure where this line of questioning is going.

1 CONTINUED BY MR. ANTOINE HACAULT:

2 MR. ANTOINE HACAULT: Well, the point of
3 the line of questioning, and I was trying to get there,
4 Mr. Vice-Chair, is that if you run your water levels on a
5 consistent basis even higher than they currently are
6 you're going to be always spilling.

7 And my -- the line of questioning was to
8 test this witness as to whether or not he had any idea of
9 the reduction in net revenue that would be caused by this
10 conservative plan where we already are spilling water.
11 If you run the lake levels even higher you'd be spilling
12 even more, and you'd -- you wouldn't -- you wouldn't --
13 because you wouldn't -- in times where you could have put
14 it through, you're keeping the water levels high, then
15 you get the rain, and you -- you have to spill it again.

16 So that if you run the levels at the lake
17 where they are on the basis that they are now running it,
18 they spill less often than if you run it a foot or two
19 (2) higher. And if you run it a foot or two (2) higher
20 you're going to be spilling more off. And if you spill
21 more off, then you lose revenue. And that kind of
22 analysis has not been done by Dr. Kubursi, correct?

23 DR. ATIF KUBURSI: Yeah, but -- but what
24 we're -- you know, we're -- first of all, there are two
25 (2) things we have to take into consideration. First,

1 we're not unreasonable and we don't think Manitoba Hydro
2 is ignorant of -- of opportunity costs. What we're
3 really saying here is that, on average, at the end of the
4 period, and we have had so -- several cases in which the
5 -- the lake -- the -- the ending balances of lakes were
6 below what would have been required to maintain the
7 minimum amount to meet the critical period.

8 What we're suggesting here that, in such
9 circumstances -- I mean, if the choice is raising it and
10 spilling it, I want to raise it so that I make money. I
11 don't want to raise -- raise it so that I lose money. I
12 mean, I -- I want this to be a complement to beefing up
13 the fund, not as a way in which I am just, for the sake
14 of it, raising water and then I have to spill it.

15 We're assuming that there is really some
16 way and a trajectory of water husbanding or water
17 warehousing that would be consistent with the level of
18 retained earnings that you are -- and -- and amount of
19 money in that fund that you would be targeting.

20 MR. ANTOINE HACAULT: So, Dr. Kubursi,
21 I'm suggesting to you that the evidence on record so far
22 is that if your conservative plan would be implemented,
23 and I had gone through a cross-examination with Mr.
24 Cormie on that, is that it wouldn't be a positive thing.
25 There would be further losses caused over the long run.

1 You would defer to the specific knowledge and analysis
2 done by Manitoba Hydro, would you not? Because you have
3 not done your own analysis of that.

4 DR. ATIF KUBURSI: But I am also looking
5 at the picture you gave me, and show me in this picture
6 that there is always continuous really amount of water
7 above the -- the level. I can see more times that this
8 water is not really at this high where you would spill.

9 MR. ANTOINE HACAULT: So two-thirds (2/3)
10 of the time, you would be put in situations, because
11 you've got higher flows and that graph is at a higher
12 amount, where you would be put at a situation where you
13 would have -- have to spill and lose revenues because
14 you're spilling, based on a visual.

15 DR. ATIF KUBURSI: Yeah. I'm not going
16 to claim I know more than Manitoba Hydro, or I am going
17 to really impute any lack of consciousness on the part
18 that they would like to optimize, but all we were really
19 saying here, we want to be a little bit more concerned
20 about beefing a fund to ward off these incredible costly
21 droughts that we have really gone into and are likely to
22 go into again. That's all.

23 MR. ANTOINE HACAULT: As long as that
24 doesn't cause Manitoba Hydro to lose money on the long
25 run.

1 DR. ATIF KUBURSI: I -- I would -- I
2 would put this as a constraint, yeah. Why not?

3 MR. ANTOINE HACAULT: Thank you. I think
4 over the next ten (10) minutes I can cover the rate rider
5 issue. First, I just want to clarify, either of you
6 doctors -- neither of you doctors have been qualified as
7 rate-structure experts, correct?

8 DR. ATIF KUBURSI: No.

9 MR. ANTOINE HACAULT: Okay. Neither of
10 you have analyzed the impact on rates and rate structure
11 of having a rate rider, correct?

12 DR. ATIF KUBURSI: Okay, let -- let me
13 explain this a bit. I am involved in rate setting on
14 water, and I've published actually a -- a paper coming
15 into the Encyclopedia of the Environment and Management
16 on -- on rate set -- setting, and what are the
17 implications of different rate sets, and what are the
18 qualifications and the structures that would really go
19 with this. And I don't think this is very much different
20 than what we're talking about here.

21 MR. ROBERT MAYER: You want to try to
22 qualify it, Mr. Hacault? You might make it.

23

24 CONTINUED BY MR. ANTOINE HACAULT:

25 MR. ANTOINE HACAULT: With respect to the

1 rate rider, would you agree that there's other options to
2 achieve the objective that you're talking about?

3 DR. ATIF KUBURSI: All right. I mean,
4 there are questions about whether we can really push
5 further the DSM, we can use more non-renewables -- sorry,
6 more renewable sources, more conservation and -- and
7 different ways of getting some good balances between the
8 environment and the revenue sufficiency considerations.

9 What we wanted here, and -- and this is
10 why probably it's worth explaining, is that we want all
11 the stakeholders to be partners into this endeavour to --
12 and because they are the people who would bear the
13 consequences, they would also benefit. There are inter-
14 generational issues that were also raised by the Chair
15 and the Vice-Chair.

16 And -- and the issue here, we're basically
17 saying, look, there is high probability we're going to be
18 into a drought. There are going to be losses. We want
19 to be in a position that the financial viability -- and
20 we -- we dismissed any of these claims that we're going
21 to be going into blackouts or things, but we said this is
22 a financial issue and that there are going to be losses.

23 And then these losses, you could meet them
24 by a sufficient amount of retained earnings, but we felt
25 like that these retained earnings should not be totally

1 exclusively earmarked for this because they play so many
2 other functions. And it assumes that the onus is going
3 to be totally on the Utility.

4 We want to really say that if any time
5 there going to be a drought, which is a forced measure
6 and something that is imposed on us by nature, we would
7 like that all the stakeholders would put shoulder to
8 shoulder and share these things, and the ratepayers wou -
9 - would share, especially if they need -- if they can be
10 shown that they're doing this in a very transparent way
11 and that whatever they -- they're paying for it, but
12 they're paying for it as -- as they pay for any
13 insurance, in order that in the future they can avoid any
14 rate shocks that may be necessary to compensate for the
15 losses that would come from a drought.

16 MR. ANTOINE HACAULT: So if you have a
17 company that's spending \$48 million in hydro-electric
18 power in one (1) year, and for whatever reason they stay
19 around for two (2) or three (3) years, are you suggesting
20 they get all their money back if there's a rate rider
21 that gets put in place because they're definitely not
22 going to benefit going forward?

23 DR. ATIF KUBURSI: Well, I mean, you can
24 -- you see, I'm suggesting this to be an insurance
25 scheme, and I'm sure there could be -- there -- there

1 would be actuarial houses that would give you exactly
2 what would really be the appropriate rate structure that
3 would build things, that would compensate you for
4 whatever shortfall that -- that may be expected.

5 MR. ANTOINE HACAULT: So is this a
6 hundred-year plan?

7 DR. ATIF KUBURSI: Well, I mean, you see,
8 we're not -- and we're not actuarial people. We know
9 probability, and he knows much more than I do. We're
10 looking at it in terms of a mechanism, a structure, an
11 economic arrangement regime, so to speak, that would ward
12 off the society and this economy from rate shocks.

13 MR. ANTOINE HACAULT: But I still haven't
14 heard you tell me how it's going to work.

15 DR. ATIF KUBURSI: Well, it works like
16 any -- any insurance fund, you see.

17 MR. ANTOINE HACAULT: Is it -- is it
18 based on a hundred years for -- for --

19 DR. ATIF KUBURSI: I mean.

20 MR. ANTOINE HACAULT: Is it based on
21 fifty (50) years? Do people get it back if they put an
22 amount in it? Because you said --

23 DR. ATIF KUBURSI: You see -- you see --

24 MR. ANTOINE HACAULT: -- that they're
25 supposed to --

1 DR. ATIF KUBURSI: Yeah, yeah, yeah.

2 MR. ANTOINE HACAULT: -- have some vested
3 interest in it.

4 DR. ATIF KUBURSI: I --

5 MR. ANTOINE HACAULT: They invest.

6 DR. ATIF KUBURSI: Yeah, yeah.

7 MR. ANTOINE HACAULT: So if they invest,
8 they should get back if --

9 DR. ATIF KUBURSI: I know, but --

10 MR. ANTOINE HACAULT: -- if they -- they
11 leave.

12 DR. ATIF KUBURSI: Okay, you see, there
13 are all these inter-generational things. I mean, I'd --
14 I'd like it to be in the lifetime of a -- of a
15 generation. A lifetime of a generation is forty (40)
16 years. We have overlapping generations. We can shift it
17 over.

18 So if you push me, to me, and I'm not an
19 expert and I'm not going to pretend I'm one, and if you
20 really want me to -- to give you a number, the best
21 number I can give you without any inter-generational
22 problems, I will say the lifetime of this present
23 generation, which is forty (40) years.

24 MR. ANTOINE HACAULT: We've heard that
25 some of the generation facilities are still in place and

1 they've been there for a hundred years.

2 DR. ATIF KUBURSI: Yeah.

3 MR. ANTOINE HACAULT: Does that change
4 your answer?

5 DR. ATIF KUBURSI: No, there is
6 overlapping generation. But I don't want this generation
7 to pay for the next generation, all right. I want at
8 least some sort of inter-generational equity, and that's
9 why I'm building it on a forty (40) year basis.

10 You see, if I make this generation to pay
11 for more than forty (40) years, then -- then the next
12 generation is being con -- you know, gaining at the
13 expense of this generation. If we do it less, we're
14 making the next generation pay for this one (1). So I
15 want really some sort of a balance between generations.

16 And typical models, you know, that are
17 used in -- in inter-generational equity they've put in
18 the cutoff over the forty (40) years.

19 MR. ANTOINE HACAULT: So if they pay
20 today do they get the same amount back when it starts --

21 DR. ATIF KUBURSI: I --

22 MR. ANTOINE HACAULT: -- generating
23 profits?

24 DR. ATIF KUBURSI: No. I mean -- you
25 see, I'm -- I'm not going to be in a position, and I'm

1 sure you don't expect me to solve a insurance problem
2 right here. I'm just giving general ideas.

3 All I really want is this present
4 generation, if it really has concerns, that these
5 droughts that are likely to happen are going to impose on
6 them the possibility of a rate shock. And if they want
7 to protect themselves against it, and if you want to make
8 sure that the financial viability of this Corporation is
9 not compromised by a drought, and if everybody that gains
10 would chip in, that would be the best way to do it.

11 MR. ANTOINE HACAULT: But we don't have
12 any concrete plan as to how that works and who does it --

13 DR. ATIF KUBURSI: Yeah --

14 MR. ANTOINE HACAULT: -- and what -- how
15 it gets shared between companies and when they get money
16 back if they leave, or whatever, all of that is --

17 DR. ATIF KUBURSI: You could work --

18 MR. ANTOINE HACAULT: -- very vague.

19 DR. ATIF KUBURSI: -- you could work this
20 out you know, I -- I'm not the guy who could do it, but I
21 -- I'm telling you this had been done in other places and
22 -- and could be designed. I mean, there are people who
23 specialize in these things and they're extremely
24 competent and they've done it.

25 MR. ANTOINE HACAULT: Well, thank you

1 very much for answering that for me. And that -- with
2 that, Mr. Chairman, I'll thank everybody for their
3 patience. And see you on Tuesday.

4 THE CHAIRPERSON: Okay. Just before you
5 shut down I -- I believe Mr. -- or Dr. Magee has to leave
6 by 4:45. Is that correct?

7 I just want to follow up on a couple of
8 things that came up. Mr. Hacault got into the -- the
9 issue of what is a profit, in a sense. If the number was
10 black all is well, and then if it's red there's a
11 problem. And basically the -- the issue being is, what
12 is the return on -- on -- on the assets, in a sense?

13 I'm wondering, Dr. Kubursi, from an ang --
14 an economists per -- perspective, is it not possible that
15 even an accountant could agree that a reasonable return
16 would be a return that would be comparable to some other
17 form of asset that involves risk?

18 DR. ATIF KUBURSI: You're absolutely
19 right. I mean, I drew a distinction, Mr. Chairman,
20 between accounting profits and economic profits.
21 Economic profits would really mean that you earn your
22 opportunity cost, whatever you could -- the best rate of
23 return you could get on the assets. You have assets
24 invested in here and then if you didn't invest them here
25 and you locate them someplace else they would have earned

1 a particular return.

2 The -- the way you would consider
3 something to be a fair return, it would be that fair rate
4 that could be generated, the best next alternative return
5 on these assets.

6 THE CHAIRPERSON: Thank you, sir. One
7 (1) other question. This -- this arose out of something
8 that Mr. Williams said and you commented on it. It had
9 to do with the understanding of M -- Manitoba Hydro's
10 place in the MISO market. And I -- I apologize if I
11 misheard you, but I -- I just want to check.

12 Would you agree that within the MISO
13 market a significant portion of the total energy
14 generated is committed to specific customers and is not
15 available by -- for purchase in the market?

16 DR. ATIF KUBURSI: Mr. Chairman, I -- I
17 also drew a distinction here. If you are doing long-term
18 contracts, if you conclude long-term contracts then
19 you're basically tied to particular counter-parties, and
20 this is not an open market access.

21 The only open market is when you're in
22 that market in the non-committed firm exports. And --
23 and there the -- the -- you represent a very small
24 proportion and that is the reason we said you're a price-
25 taker.

1 THE CHAIRPERSON: Yes, that's what I
2 heard. And I'm just wondering from other information
3 that was in evidence and had been raised previously, in
4 the real-time or day -- day-ahead MISO market, does not
5 Manitoba Hydro play a larger role?

6 DR. ATIF KUBURSI: It's not my
7 understanding. I -- I thought that the -- you know, the
8 capacity in that market is in the upward of a hundred
9 thousand (100,000) megawatts, and that we only have there
10 about seven hundred (700) to eight hundred (800), so it's
11 not really that big a proportion.

12 But the -- the story is to what extent are
13 you entering into a market where you can influence the
14 price?

15 And the way I understand the way the
16 market works is that you put these offers, whether in the
17 real market or for the day ahead, and then there is a
18 price -- merit price that would really be established.
19 And then those who are bidding below will get it; those
20 are really above it would be weeded out.

21 And in that respect, whatever price you
22 put there you're basically competing against others, and
23 whether you are able to influence the outcome of that
24 price is not very clear.

25 THE CHAIRPERSON: Would you grant that at

1 certain times and in certain circumstances you may have
2 an effect on the market?

3 DR. ATIF KUBURSI: Yeah, I mean, I'm --
4 I'm sure it depends on the circumstances and -- and
5 things. I mean, I -- I would say, in -- in general, you
6 are one (1) of the participants and you are very small
7 compared to the total capacity, and that the way the
8 market works is that you have these bids, and then there
9 is a certain process that will ultimately determine the
10 intersection between demand and supply, and that would be
11 the market price.

12 I -- I think this would conjure a
13 situation that you really have a competitive market and
14 you don't have really influence to put the price at a
15 particular level of the other. I could easily conjure a
16 situation where there may be not too many participants
17 and you're in this market at a particular node, at a
18 particular place, and you represent a very large
19 proportion of that node that you would be considered to
20 be with some market power to influence it.

21 THE CHAIRPERSON: You haven't
22 specifically examined Manitoba Hydro's participation in
23 the day-ahead market over a period of time then?

24 DR. ATIF KUBURSI: I -- I did not go into
25 details. I went into the MISO market. I spent a couple

1 of days and I saw how the work -- how it works and where
2 Manitoba Hydro -- but if you ask me, Mr. Chairman, that -
3 - did we go and look at and examine at -- exactly the
4 prices and things in other than the general numbers that
5 we looked at, no.

6 THE CHAIRPERSON: Thank you very much,
7 sir. So thank you to the panel. Thank you to the
8 Intervenors and Board counsel. And we will adjourn for
9 the day and see you back on -- Ms. Southall, is it
10 Tuesday at 9:30?

11 MS. ANITA SOUTHALL: It is Tuesday at
12 9:30, May 31st.

13 THE CHAIRPERSON: Very good. Thank you.

14 MS. ANITA SOUTHALL: Thank you.

15

16 (PANEL RETIRES)

17

18 --- Upon adjourning at 4:41 p.m.

19

20 Certified Correct

21

22

23 _____
Cheryl Lavigne, Ms.

24

25