

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO'S APPLICATION  
FOR APPROVAL OF NEW ELECTRICITY RATES  
FOR 2010/11 AND 2011/12

Before Board Panel:

Graham Lane - Board Chairman  
Robert Mayer, Q.C. - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
May 31, 2011  
Pages 6638 to 6859

1 APPEARANCES

2 Bob Peters (np) )Board Counsel

3 Anita Southall )

4

5 Patti Ramage )Manitoba Hydro

6 Marla Boyd )

7

8 Byron Williams )CAC/MSOS

9 Myfanwy Bowman (np) )

10

11 Antoine Hacault )MIPUG

12

13 Michael Anderson (np) )MKO

14

15 William Gange )RCM/TREE

16

17 Delanie Coad (np) )SCO

18

19 Denise Pambrun (np) )City of Winnipeg

20

21 Gavin Wood )Independent Experts

22

23

24

25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	
4	List of Undertakings	
5		
6	INDEPENDENT EXPERTS PANEL:	
7	ATIF KUBURSI, Resumed	
8	LONNIE MAGEE, Resumed	
9	Cross-examination by Mr. Antoine Hacault	6651
10	Cross-examination by Mr. William Gange	6751
11	Re-cross-examination by Mr. Byron Williams	6763
12	Cross-examination by Ms. Patti Ramage	6770
13		
14	Certificate of Transcript	6859
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	Exhibit No.	Description	Page No.
3	PUB-24	Letter of May 30, 2011, from Fillmore	
4		Riley to Thompson Dorfman Sweatman to	
5		the attention of Mr. Hacault 6645	
6	KM-8	Response to Undertaking 1626735	6646
7	KM-9	Response to Undertaking 149	6646
8	KM-10	Response to Undertaking 150	6646
9	KM-11	Graph entitled "Price of US Imports"	6734
10	KM-12	Replacement document to Figure 6.44	6734
11	KM-13	Document entitled "Flow/Generation"	6735
12	CAC/MSOS-28	Water flows and Manitoba Hydro	
13		generation 1912-2005	6811
14	MH-150	Book of Documents	6825
15	MH-151	Additional Handout	6826
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

	LIST OF UNDERTAKINGS		
	No.	Description	Page No.
1			
2			
3	151	Doctors Kubursi and Magee to produce a	
4		spreadsheet including information from	
5		Exhibit KM-10 and Statistics Canada	6706
6	152	Doctors Kubursi and Magee to provide the	
7		calculations of the relationship between	
8		flow and generation assumed in the model	
9	153	Doctors Kubursi and Magee to provide, in	
10		the event that six point four four (6.44)	
11		on page 260 is not the probability	
12		distribution used in the base case, what	
13		in fact is that probability distribution	6732
14	154	Doctors Kubursi and Magee to indicate	
15		where they got the data, with respect to	
16		average water flows	6743
17	155	Doctors Kubursi and Magee to provide the	
18		formula which is shown on KM-13 applied	
19		to the two (2) scenarios identified, the	
20		first one is the 54 kcfs flow, and the	
21		second one is thirty-eight point five	
22		seven six (38.576) flow, and what the	
23		computer then assumed was the generation	
24		resulting from that flow	6747
25			

		LIST OF UNDERTAKINGS (Con't)	
2	No.	Description	Page No.
3	156	Doctors Kubursi and Magee to provide	
4		numbers, in regards to Table 6.1 on	
5		page 227, for wind and thermal	
6		generation	6748
7	157	Doctors Kubursi and Magee to plot the	
8		formula set out in KM-13 against data	
9		relating to Manitoba Hydro hydraulic	
10		energy and annual system inflows for the	
11		period 1912-2005, as set out in Manitoba	
12		Hydro's response to PUB-1-81	6765
13	158	Doctors Kubursi and Magee to provide any	
14		data that was provided by any party that	
15		is not included on the record	6788
16	159	Doctors Kubursi and Magee to produce	
17		names of engineers involved in developing	
18		models at BC Hydro and Quebec Hydro	6800
19			
20			
21			
22			
23			
24			
25			

1	LIST OF UNDERTAKINGS (Con't)		
2	No.	Description	Page No.
3	160	Doctors Kubursi and Magee to use the data from PUB 1-81, in terms of annual system inflow and Manitoba hydraulic energy tested using a simple regression, and by simple regression, ordinary least-square regression of water flow on generation with zero intercept, and as to how that would fit the data	6809
11	161	Doctors Kubursi and Magee to examine Table 3 and comment on its contents	6832
13	162	Doctors Kubursi and Magee to check Figure 6.38 to determine where the negative number comes from	6842
16	163	Doctors Kubursi and Magee to advise if they have seen any of the following documentation: master purchase and sale agreements, the electricity transaction confirmations, the natural gas transaction confirmations, the storage injection and withdrawal schedules, the option transaction confirmations, the corporate import/export policies and procedures, and any export strategy documentation	6856

1 --- Upon commencing at 9:35 a.m.

2

3 THE CHAIRPERSON: Okay. Good morning,  
4 everyone. Is there any further exhibits to be filed, Ms.  
5 Southall, before we return to Mr. Hacault?

6 MS. ANITA SOUTHALL: Yes, Mr. Chairman,  
7 we have one (1) further PUB exhibit, which will be  
8 Exhibit number 24. This is a letter of May 30, 2011,  
9 from Fillmore Riley to Thompson Dorfman Sweatman to the  
10 attention of Mr. Hacault. It was emailed to the GRA  
11 email distribution list yesterday. And so that would be  
12 PUB Exhibit 24.

13

14 --- EXHIBIT NO. PUB-24: Letter of May 30, 2011, from  
15 Fillmore Riley to Thompson  
16 Dorfman Sweatman to the  
17 attention of Mr. Hacault

18

19 THE CHAIRPERSON: Very good.

20 MS. ANITA SOUTHALL: We also have a  
21 series of KM responses to undertakings, and Mr. Wood will  
22 identify those at this time.

23 THE CHAIRPERSON: Mr. Wood...?

24 MR. GAVIN WOOD: Good morning. Firstly,  
25 there is an additional exhibit answering one (1) of the



1 older undertakings given on May 5th, I believe. It's a  
2 transcript page 6,268. It's Undertaking nu -- number  
3 162, and that would KM Exhibit number 8.

4

5 --- EXHIBIT NO. KM-8: Response to Undertaking 162

6

7 MR. GAVIN WOOD: There is in addition, as  
8 well, turning to page 6,419 of the transcript where the  
9 list of undertakings are located, there is additional  
10 material to be filed in answer to numbers 149 and 150.  
11 The first of those is headed, "Imports from US." It's a  
12 -- a single page. It's an answer, in part, to number  
13 149. There has to be a supplement yet filed to that, I'm  
14 -- I'm told by Dr. Kubursi. And it would be KM Exhibit  
15 Number 9.

16

17 --- EXHIBIT NO. KM-9: Response to Undertaking 149

18

19 MR. GAVIN WOOD: And then there's a  
20 further one (1) page set of data in answer to Undertaking  
21 number 150. That's at page 6602 of the transcript. And  
22 again, it's a single page. That would be KM Exhibit  
23 number 10.

24

25 --- EXHIBIT NO. KM-10: Response to Undertaking 150

1                   MR. GAVIN WOOD:    And then Dr. Kubursi had  
2 undertaken to check with regards to Undertakings number  
3 147 and 148.  And I believe he's in a position to respond  
4 to those verbally at this time.

5                   THE CHAIRPERSON:    Dr. Kubursi...?

6                   DR. ATIF KUBURSI:    Yeah, good morning,  
7 Mr. Chairman.  We checked the answers to both the number  
8 147 and 148 that -- we're here to confirm that we did not  
9 use water into these calculations.  The numbers that we  
10 use are generation.

11                   And whatever water flows that we have used  
12 were basically following the two (2) statistical  
13 processes that we've used.  The one (1) is the auto-  
14 regressive 3 and extreme value distribution.  They were  
15 all random numbers.

16                   THE CHAIRPERSON:    Thank you, sir, just  
17 give us a second.

18

19   (BRIEF PAUSE)

20

21                   THE CHAIRPERSON:    Ms. Southall, now we're  
22 onto Mr. Hacault?

23                   MS. ANITA SOUTHALL:    Yes, that's correct.

24                   THE CHAIRPERSON:    Mr. Hacault, anytime.

25

1 INDEPENDENT EXPERTS PANEL:

2 ATIF KUBURSI, Resumed

3 LONNIE MAGEE, Resumed

4

5 MR. ANTOINE HACAULT: Well, after the  
6 knockout punch filed by Exhibit 24, I'll continue my  
7 cross-examination. Thank you very much for responding,  
8 Ms. Southall. I do have some preliminary comments. I'll  
9 do the best I can ask questions with respect to the  
10 information that's on file.

11 I still request, based on the initial  
12 correspondence to the PUB, the opportunity to ask  
13 questions with respect to responses to the MIPUG  
14 undertakings, to the CAC undertakings. We've cooperated  
15 with CAC in trying to get that information and we note  
16 also that we haven't received responses to the PUB's pre-  
17 asks. At least I don't have a record of receiving them,  
18 or the Manitoba Hydro pre-asks marked as Exhibit 145. So  
19 we'd like to reserve the right to ask any questions with  
20 respect to those responses because they're fairly  
21 important answers, I believe.

22 Just a -- a note for the -- the record,  
23 we've -- I've cooperated... I note that we have had a  
24 revised schedule distributed and I thank Mr. Peters for  
25 that. I just note for the record that since last year I

1 had advised counsel that I had a 30th anniversary trip  
2 and vacation starting June 11 to June 27 that I wasn't  
3 able to displace. I displaced a lot of other hearings  
4 and commitments to make sure I was available, but I would  
5 only be available via email during that vacation time,  
6 out of the country.

7                   So I will be making a -- a formal request,  
8 I guess, that MIPUG be granted a little bit more time to  
9 file its written submission, which is requested to be  
10 provided on June 23, while I'm away.

11                   With respect to -- those are all my  
12 preliminary comments. I understand Mr. Williams also has  
13 some preliminary comments. So before I start asking  
14 questions, I'd put the matter over to him.

15                   THE CHAIRPERSON: Mr. Williams...?

16                   MR. BYRON WILLIAMS: Just very quickly,  
17 Mr. Chairman. And I wasn't able to -- the undertakings  
18 hadn't been distributed when you handed out exhibit  
19 numbers.

20                   But, just a question of clarification for  
21 Mr. Wood, if I -- I might. At the back of our handout is  
22 a -- that you distributed there is a table, "Imports from  
23 US."

24                   MR. GAVIN WOOD: And that's Exhibit  
25 number 9. And the -- the second-last document is

1 actually Exhibit number 10.

2 MR. BYRON WILLIAMS: And was Exhibit  
3 number 9 intended to be responsive to Undertaking 149?

4 MR. GAVIN WOOD: It is, but it -- it  
5 isn't a complete response to it, as it turns out, and it  
6 has to be -- it has to be supplemented. Dr. Kubursi can  
7 explain that.

8 MR. BYRON WILLIAMS: And -- and just --  
9 and Mr. Chairman, I'm sorry, I just need this for  
10 clarification. And just -- obviously the undertaking was  
11 for the probability distribution of prices and it doesn't  
12 appear that -- that this is the probability distribution  
13 of prices.

14 DR. ATIF KUBURSI: Yeah, that's -- that's  
15 precisely true. It was my -- my mistake where we asked  
16 our people to produce the import prices, they sent us the  
17 total imports, but this will be filed either today, at  
18 the latest tomorrow.

19 MR. BYRON WILLIAMS: And just -- just so  
20 I understand, Mr. Chairman, I apologize for circumventing  
21 Mr. Hacault's questions.

22 Will the witnesses be available if we --  
23 tomorrow if we have any questions on this? I'm just  
24 trying to -- and I don't know if we will, but we've not  
25 seen the undertaking.

1 THE CHAIRPERSON: Ms. Southall, do you  
2 have any comments?

3 MS. ANITA SOUTHALL: Well, I haven't  
4 canvassed that with Mr. Wood. I think --

5 THE CHAIRPERSON: Why don't we get back  
6 --

7 MS. ANITA SOUTHALL: -- I think we --

8 THE CHAIRPERSON: -- to Mr. Williams  
9 after the break.

10 MS. ANITA SOUTHALL: I think that's a  
11 good idea. Thank you, Mr. Chairman.

12 MR. GAVIN WOOD: And -- and what they'll  
13 undertake -- they're gonna try to do is get it here by  
14 the -- or early afternoon then because they're not  
15 available tomorrow.

16 THE CHAIRPERSON: Okay. Mr. Hacault...?  
17

18 CROSS-EXAMINATION CONTINUED BY MR. ANTOINE HACAULT:

19 MR. ANTOINE HACAULT: Thank you. I had  
20 explained to the doctors that I would be referring to the  
21 -- the table of numbers at Tab 75 again. As I understood  
22 the further clarification this morning, the doctors did  
23 not use water flows, but rather used generation for their  
24 modelling.

25 Is that correct?

1 DR. ATIF KUBURSI: That's correct.

2 MR. ANTOINE HACAULT: And you would agree  
3 that there exists a difference between flows and  
4 generation, they aren't always correlated one to one, is  
5 that correct?

6 DR. ATIF KUBURSI: I mean, of course  
7 there is a formula for that which is dependant also on  
8 the energy efficiency that translates flows into energy.

9 MR. ANTOINE HACAULT: So that -- for  
10 example if we look at the table at Tab 75, and in  
11 particular, page 312. So I'll let everybody get that  
12 table, Tab 75, page 312.

13

14 (BRIEF PAUSE)

15

16 MR. ANTOINE HACAULT: If we, for  
17 convenience sake, pick the first number on that table  
18 across the flow year 1912 we see an annual system inflow  
19 of a hundred and eleven (111).

20 Do you see that?

21 DR. ATIF KUBURSI: Yes.

22 MR. ANTOINE HACAULT: And then across  
23 from that we see that that flow, according to Manitoba  
24 Hydro, would have generated thirty-five thousand two  
25 hundred and two (35,202) gigawatt hours per year.

1 Do you see that?

2 DR. ATIF KUBURSI: Yes, I do.

3 MR. ANTOINE HACAULT: Okay. And if we  
4 just go down the table to 1923 we also see an annual  
5 inflow of, again, a hundred and eleven (111).

6 Do you see that?

7 DR. ATIF KUBURSI: Yes, I see.

8 MR. ANTOINE HACAULT: And across from  
9 that number, for the record it's thirty thousand thirty-  
10 two (30,032) gigawatts per year, correct?

11 DR. ATIF KUBURSI: Yeah, that's correct.

12 MR. ANTOINE HACAULT: So -- 'cause I just  
13 got this answer this morning, but that's a fairly -- it's  
14 a material percentage difference with the same flows,  
15 correct?

16 DR. ATIF KUBURSI: As I said there are  
17 differences that could come from head and also the energy  
18 coefficient.

19 MR. ANTOINE HACAULT: And just one (1)  
20 further example of how this would probably skew your  
21 calculations. If we could go to one of the worst flows  
22 on record at 1940 on the table, have you located that?  
23 It shows an inflow of fifty-four (54), correct?

24 DR. ATIF KUBURSI: Yes, correct.

25 MR. ANTOINE HACAULT: Generating nineteen



1 thousand three hundred and eighty-nine (13,389), correct?

2 DR. ATIF KUBURSI: Correct.

3 MR. ANTOINE HACAULT: And then, if we go  
4 across to 1988, we see the flow as, I would suggest --

5 DR. ATIF KUBURSI: Seventy-two (72).

6 MR. ANTOINE HACAULT: -- seventy-two  
7 (72), so it is higher. It's a material difference, you  
8 would agree, sir?

9 DR. ATIF KUBURSI: Yes, sir. It is.

10 MR. ANTOINE HACAULT: Okay, but that the  
11 generation is very similar in that it's nineteen thousand  
12 four hundred and forty-five (19,445)?

13 DR. ATIF KUBURSI: Yeah, yeah, but I will  
14 interpret it exactly, that what counts is not the flow.  
15 You get your money on generation, and therefore that's  
16 the thing that we use to anchor our calculations.

17 MR. ANTOINE HACAULT: But you would  
18 agree, sir, that the generation is a function of how the  
19 flow is managed?

20 DR. ATIF KUBURSI: How it's managed, and  
21 the efficiency with which, and, you know, the head. It's  
22 a -- it's a very standard formula, but what counts is --  
23 and that's exactly probably why we have anchored  
24 everything on generation because we have the same flow  
25 but different generation and, therefore, if we anchored

1 everything on flow, we would not capture the variations  
2 that could come from the generation. And your money is  
3 generated by the amount that you're able to serve from  
4 this generation.

5 MR. ANTOINE HACAULT: So you believe that  
6 your model can capture the subjective and discretionary  
7 operation by Manitoba Hydro of its water flows?

8 DR. ATIF KUBURSI: I -- I don't know  
9 whether this is -- yeah, I don't think -- I don't really  
10 believe that Manitoba Hydro would try to reduce the  
11 efficiency with which it transforms water into -- into  
12 generation. It -- it so happens that certain flows would  
13 create larger or smaller heads, and the efficiency is one  
14 where they would target to be as efficient as -- as one  
15 can imagine using these choices that come from HERMES.

16 MR. ANTOINE HACAULT: I don't know,  
17 Doctor, if you had the opportunity to read the transcript  
18 evidence as to how the flows were managed in what we've  
19 referred to as drought years 2003 and 2004, where Hydro,  
20 as I understand the evidence -- and I'm paraphrasing, the  
21 transcript will speak for itself -- went into kind of a  
22 conservative mode and held a lot of water back as a  
23 result of an anticipated drought in that year. And that,  
24 in effect, had an impact on the generation in that  
25 particular year, correct?

1 DR. ATIF KUBURSI: Yeah, that's -- that's  
2 correct, and -- and that's precisely what we're talking  
3 about, is that the ultimate difference here is going to  
4 come from the way you manage your generation.

5 MR. ANTOINE HACAULT: So does your  
6 assumption and your model assume that they manage the  
7 system as they did in 2003/2004, or as they managed it in  
8 a non-drought year?

9 DR. ATIF KUBURSI: No. I mean, the way  
10 we deal with this is to look at the generation and look  
11 at the prices, look at all the costs, and try to see what  
12 would really be the probability distribution of all these  
13 components and, ultimately, how do they impinge on net  
14 revenue.

15 MR. ANTOINE HACAULT: But you'll agree,  
16 sir, that a model has to have certain assumptions, and  
17 I'm asking you, sir, if you can clarify as to whether the  
18 assumption that you based your model on is the  
19 conservative gen -- management of water that happened in  
20 2003/2004, or the assumption that the management of the  
21 water flow is that of a, I'm going to say, more regular  
22 year?

23 DR. ATIF KUBURSI: As I'd mentioned  
24 before, what we did, we looked at all these variables  
25 between 2001 and 2007, and 2001 and 2007 included both a

1 very low flow and a very high flow. So we were able to  
2 look at all the different values that would come, and  
3 these were the one (1) that we tried to capture because  
4 you want to get a rich distribution of all the variables  
5 that would influence your net revenue. And we felt like  
6 2001-2007 was a representative period where you were able  
7 to capture both low and high flows.

8           And what we wanted to basically feel  
9 confident about is that we are not looking at a very  
10 unrepresentative distribution. And we felt confident  
11 that covering this two (2) large and low flows gave us a  
12 good representation of this flow.

13           MR. ANTOINE HACAULT: Do I take your  
14 answer then to mean, sir, that your model assumes the  
15 2003/2004 management, the way it was managed in actual  
16 fact in those years in addition to the other years, from  
17 2001 to 2007?

18           DR. ATIF KUBURSI: Yeah. What -- what  
19 counts for us is not one (1) particular year but the  
20 distribution over these years, and this we thought we  
21 captured.

22           MR. ANTOINE HACAULT: So then flowing  
23 from that you're aware, sir, that Manitoba Hydro's  
24 ability to deal with drought situations in its opinion,  
25 according to the evidence as a -- and the transcript will

1 seek -- speak for itself, has materially changed because  
2 of their new contracts in the MISO market, but your model  
3 assumes that none of those new efficiencies are in fact  
4 available to Manitoba Hydro.

5                   You haven't modelled the new situation  
6 that would arise in a drought, correct?

7                   DR. ATIF KUBURSI:    I -- I won't say so  
8 because, as you know, 2005 was the year that MISO was  
9 introduced. And since we took 2001 and 2007, we probably  
10 took three (3) years within MISO and four (4) with --  
11 that were not within MISO. But we -- we have some  
12 representation of MISO, values and variables, in the  
13 distributions that we took care of.

14                   MR. ANTOINE HACAULT:    But my question was  
15 more specific, sir, as to whether or not your model has  
16 taken into account in a drought year all the efficiencies  
17 that now are gained through the new contracts and the new  
18 MISO market. And my understanding is that it does not.  
19 Isn't that correct?

20                   DR. ATIF KUBURSI:    No, I -- I won't go  
21 that far. What -- what we basically and fundamentally  
22 have done is to look at these representative years, fit  
23 the distributions to them. They include both MISO and  
24 non-MISO periods. And we -- we feel that the  
25 distribution is rich enough that it would allow us to

1 capture these MISO efficiencies.

2 MR. ANTOINE HACAULT: Sir, I don't hear  
3 an answer to my question in what you've said. And my  
4 question was very specific to drought --

5 DR. ATIF KUBURSI: Yeah, all right.

6 MR. ANTOINE HACAULT: -- and whether or  
7 not you have in your sample from 2001 to 2007 a drought  
8 year with the new MISO circumstances and the new  
9 contracts. And I would have thought the answer would  
10 have been simply, no. Isn't that correct?

11 DR. ATIF KUBURSI: No, it's not.  
12 Absolutely, yes, and I'll tell you why. And the reason  
13 for this is the following. What we've really done here  
14 is that we looked at distribution that included all these  
15 years. And I'm sure you would admit that if I use 2005,  
16 2006, and 2007, these are periods where the prices would  
17 reflect the new regime that came from open access and  
18 competitive pricing.

19 Now, when we pulled a year where there is  
20 a low flow we did not in any way fix the other years to  
21 be the year of the drought that was before the MISO  
22 period. We allowed the distribution that includes  
23 information from the MISO market to be embedded into the  
24 system.

25 So in my res -- and -- and simply to say

1 this. It would not be correct to assume we did not take  
2 into account some MISO efficiencies during our drought.  
3 We did.

4 MR. ANTOINE HACAULT: So, as I understand  
5 this fairly lengthy answer, your distribution includes  
6 non-MISO samples and MISO samples, correct?

7 DR. ATIF KUBURSI: That's correct.

8 MR. ANTOINE HACAULT: Even though today  
9 we are in a MISO market. We are no longer in a non-MISO  
10 market, correct?

11 DR. ATIF KUBURSI: Correct, but if -- if  
12 you -- if you really assume that when we're talking about  
13 a single array of numbers, and then we fit a probability  
14 distribution. It's a very rich number of observations  
15 that would come. That it would not be up -- fair to  
16 characterize it as if it's not able to capture some of  
17 these efficiencies, when in fact we have a very rich,  
18 dense probability distribution with lots of information  
19 embedded into it.

20 MR. ANTOINE HACAULT: Thank you for your  
21 answer, sir. While we have this table at Tab 75, page  
22 312, could I ask you to identify the first five (5) year  
23 time period in terms of when the years start to when they  
24 finish, of the first scenario of drought that you've  
25 considered?

1 DR. ATIF KUBURSI: Yes, the -- we -- we  
2 picked 1937 to 1942. So this is the one (1)  
3 corresponding to 96 cubic -- the cubic feet per second,  
4 all the way to 1942. So we're talking between a  
5 variation of ninety-eight (98) to one-oh-one (101), so it  
6 is 1937-1942.

7

8 (BRIEF PAUSE)

9

10 MR. ANTOINE HACAULT: So you didn't take  
11 into account the 1936 year, sir, you didn't consider that  
12 to be part of the drought?

13 DR. ATIF KUBURSI: No, we wanted to take  
14 it five (5) years.

15 MR. ANTOINE HACAULT: '37 to '42, I think  
16 in my count is six (6) years if we count each of the  
17 years.

18 DR. ATIF KUBURSI: No. Yeah, nine (9) --  
19 nineteen thir -- to '41 then, 1937 to 1941.

20 MR. ANTOINE HACAULT: Okay. If you  
21 consider that the drought period, you've considered a  
22 period which is slightly different than most consultants  
23 who had started in the year prior to that, which would  
24 have been 1930 -- sorry --

25 DR. ATIF KUBURSI: '36?



1 MR. ANTOINE HACAULT: '36, correct.

2 DR. ATIF KUBURSI: Yeah, correct.

3 MR. ANTOINE HACAULT: Would you agree  
4 that it's fair to include 1936 as other consultants did?

5 DR. ATIF KUBURSI: I -- I -- I don't  
6 think it make much of a difference, I tell you why,  
7 because if you look at this ninety-six (96), then we --  
8 the other one (1), ninety-eight (98), eighty-eighty (88),  
9 seventy-nine (79), fifty-four (54), ninety-two (92), I  
10 mean the...

11

12 (BRIEF PAUSE)

13

14 THE CHAIRPERSON: We thought it would be  
15 the NHL expansion announcement.

16 DR. ATIF KUBURSI: Okay. I mean the --  
17 the most important year, Mr. Hacault, is -- and -- and  
18 this is really where we wanted to anchor things, the  
19 lowest one (1) recorded is 54 kilo cubic feet per second,  
20 and -- and -- and that's the -- the most important anchor  
21 year that we worked on with.

22

23 CONTINUED BY MR. ANTOINE HACAULT:

24 MR. ANTOINE HACAULT: Thank you. So  
25 using your parameters, which is six (6) years instead of

1 seven (7), KPMG and ICF had used seven (7), could we add  
2 the total net revenue for those years to determine what  
3 the net loss is to the Company, how -- how much would it  
4 reduce its retained earnings?

5 DR. ATIF KUBURSI: I mean, you -- you  
6 certainly can add and subtract any number of years. The  
7 issue here is that what would be the lowest revenues that  
8 you're likely to contend with that will characterize the  
9 largest downside risk of flow revenues. And that one (1)  
10 would definitely come when you're operating with nineteen  
11 thousand (19,000), I mean the gigawatt hour that we  
12 talked about. And -- and -- and that's the one (1)  
13 actually we anchored everything on.

14 We took -- you know, we wanted minimum  
15 regret, we wanted to take the worst possible loss and see  
16 how this would affect your net revenue and -- and -- and  
17 that's the one that we have focussed on.

18 MR. ANTOINE HACAULT: So, subject to  
19 check, if we exclude the 1936 year which generated a  
20 little bit of net revenue, we have a net loss of \$1  
21 billion 6 million, correct?

22 DR. ATIF KUBURSI: Yeah. But as you can  
23 tell, you know, from your table, Mr. Hacault, 1936 would  
24 have really reduced net revenues further because it's a  
25 nine -- one fifty-nine (159) loss.

1 MR. ANTOINE HACAULT: But I'm not talking  
2 about net reduction in profit, sir, I'm talking about an  
3 actual loss. And in 1936 there was not an actual loss,  
4 correct? There was actually profit that year of \$43  
5 billion.

6 DR. ATIF KUBURSI: Yeah, yeah, but again,  
7 I mean, we're going back into that question the extent to  
8 which accounting profits is the one that we ought to be  
9 looking at rather than the rate of return -- opportunity  
10 rate of return on your assets.

11 MR. ANTOINE HACAULT: Correct, sir. But  
12 you're aware that the legislation requires Manitoba Hydro  
13 to provide service at cost. This is not a private  
14 utility where we determine what an appropriate rate of  
15 return is, correct?

16 DR. ATIF KUBURSI: Yes, but it's not to  
17 provide this service outside Manitoba at cost.

18 MR. ANTOINE HACAULT: But in any event  
19 the modelling and the average over this time period would  
20 result in Manitoba Hydro, according to the calculations  
21 here, earning on average over \$200 million per year,  
22 correct?

23 DR. ATIF KUBURSI: Yeah, okay.

24 MR. ANTOINE HACAULT: So that although  
25 you may have some bad years, or not so good years, in the

1 sense that your profits are not as high, on average,  
2 based on this lengthy time period, Manitoba Hydro will be  
3 earning an average of \$200 million per year?

4 DR. ATIF KUBURSI: It should.

5 MR. ANTOINE HACAULT: I don't know  
6 whether the Chairperson had a question, or...

7 THE CHAIRPERSON: No, I just -- just a  
8 comment. And I -- I don't know if it's particularly  
9 useful or not, but I -- you're assuming rate increases at  
10 the same time in part of your calculations, I suppose,  
11 eh?

12 DR. ATIF KUBURSI: Sorry, I didn't hear  
13 it well because I had my mic on, so I didn't...

14 THE CHAIRPERSON: As a part -- as a part  
15 of arriving at your -- of your simulated net income going  
16 back, assuming the generation is -- as it is now and the  
17 transmission is as it is now and being in the MISO market  
18 and everything else, you're also presumably assuming  
19 expense growth and rate increases as well, correct?

20 DR. ATIF KUBURSI: Correct.

21

22 CONTINUED BY MR. ANTOINE HACAULT:

23 MR. ANTOINE HACAULT: But in your table,  
24 sir, as I understand it, the distribution of revenues is  
25 -- there's a distribution, but you have, for example, a

1 particular revenue ascribed in your calculations,  
2 correct?

3 DR. ATIF KUBURSI: I mean --

4 MR. ANTOINE HACAULT: It's Figure 6.21, I  
5 believe.

6 DR. ATIF KUBURSI: If you -- you want to  
7 go to the table exactly the one we just distributed?

8 MR. ANTOINE HACAULT: Well, Exhibit 10, I  
9 believe, you have a domestic price -- yeah, you have the  
10 different values.

11 DR. ATIF KUBURSI: Exhibit 10.

12

13 (BRIEF PAUSE)

14

15 MS. PATTI RAMAGE: If -- if I could just  
16 interject, I don't think we have KM Exhibit 10 on this  
17 side of the room.

18 THE CHAIRPERSON: Mr. Singh --

19 MR. ROBERT MAYER: If you did it might be  
20 difficult to figure it out. Yeah, it's not making much  
21 sense to us up here.

22 THE CHAIRPERSON: The Vice-Chair is  
23 basically, I think, suggesting that a layperson's  
24 explanation of the import of KM-10 might be helpful.

25 DR. ATIF KUBURSI: Yeah. All right.

1 Everybody has a copy now?

2

3 CONTINUED BY MR. ANTOINE HACAULT:

4 MR. ANTOINE HACAULT: Yes, that  
5 explanation would be useful --

6 DR. ATIF KUBURSI: Okay.

7 MR. ANTOINE HACAULT: -- because then we  
8 need time to digest it and -- and make sense of it, Mr.  
9 Chair. Thank you very much.

10 DR. ATIF KUBURSI: All right. This is  
11 basically a set of inputs that we use in order to  
12 generate the numbers and the graphs that you have in  
13 tables -- in -- in chapter 6. And this is exactly the  
14 numbers we used to generate particularly graph 6.1, all  
15 right?

16 What we do is we begin with a set of  
17 numbers, and as you can see, we tried to put age in every  
18 one of them, which one were the random and what type of  
19 distribution. If you can see some of the things I said  
20 random, if you go into the actual chapter 6, you could  
21 find exactly the distribution that was used for each and  
22 every one, like, in the -- in the event of you look at  
23 your imports, you know, it was an extreme value  
24 distribution -- well, specific distributions.

25 But let's begin. We begin with

1 generation, all right? This is the average over the  
2 period, and the wind then the coal, and this -- the total  
3 generation, and we look at the domestic load, and then we  
4 look at the exports and all their components, then at the  
5 imports. And then you get to the operating expenses.  
6 You have the wages and salaries, the costs of fuel, costs  
7 of material used, costs of purchases, maintenance,  
8 royalty, indirect taxes, other expenses.

9 THE CHAIRPERSON: Dr. Kubursi, just to  
10 stop you for a minute, when you're getting into the  
11 expenses, you're taking into account the deferred and  
12 capitalized. This is net of expenses that have not been  
13 treated as a period cost, I take it?

14 DR. ATIF KUBURSI: Yeah, they are --  
15 they're just net.

16 THE CHAIRPERSON: In other words, they're  
17 the -- if you want to call it, the financial statement  
18 numbers?

19 DR. ATIF KUBURSI: It's absolutely the  
20 financial statement.

21 And then we go into domestic prices,  
22 export prices, then the import prices, then the exchange  
23 rate, and all these numbers that you see here are the  
24 averages, but then they are part of the distribution.  
25 And when we do the calculations to generate the Figure

1 6.1, the distributions are entered into the calculations.

2 Cross-revenue would be basically the  
3 prices times the generation, and the export revenues  
4 minus the import revenues. And then we get the domestic  
5 revenue component, which is just coming from load times  
6 the rate. Then you have the US revenues, then the  
7 provincial revenues, and then we have the total import  
8 costs, and then you get the net revenue, which will be  
9 the gross revenue minus all these expenses.

10 And then we run the Monte Carlo on these  
11 net revenues, allowing all these variables to vary  
12 according to distributions that are on the right-hand  
13 side, and then you get that graph where you get the  
14 average, the mean value, the 95 percent value, the 5  
15 percent value. You get the full distribution.

16 THE CHAIRPERSON: There's no disc --  
17 sorry, go ahead.

18 MR. ROBERT MAYER: Doctor, if I recall  
19 correctly, this Exhibit 10 was produced in response to  
20 Mr. Hacault's question about could you change this input  
21 and run it again. And this is showing us why you can't  
22 do that, right?

23 DR. ATIF KUBURSI: No, no. What -- what  
24 we do is, we begin -- we need a benchmark. We need  
25 basically a distribution anchored around the averages



1 without changing any of the critical variables. One of  
2 the critical variables would be to change the flow. So  
3 we get exactly what is the average revenue under all  
4 these assumptions that we have here. Then the next one,  
5 we do the stress test. Suppose that all these variables  
6 remain the same, except now we change the flow. That  
7 would change the generation. And we anchored that flow  
8 to be exactly the lowest flow between the period 1937 and  
9 1941 and look -- nothing else changes except this  
10 variable. With all this random distribution what will be  
11 the net revenue, and that's exactly that one comes to six  
12 point two (6.2).

13                   And then we do this and change another  
14 one, keep everything else random. We fix the low flow  
15 and the import prices that were in the worst period and  
16 see what would the combination of a low flow and high  
17 import -- what would it do to your net revenues. And we  
18 get this very strong stress test that this is going to  
19 end up being a very hefty, large net revenue loss.

20                   And this is the one that you might want to  
21 look as your downside risk, that you have to be prepared  
22 to -- to deal with this extreme situation. And what we  
23 did, we did lots of stresses, and we tried to see how  
24 these stresses worked in combination, but, particularly,  
25 one (1) by one (1).

1                   For example, we found that the exchange  
2 rate changed. It doesn't make much of a difference. The  
3 interest rate change makes a major difference. We -- we  
4 -- a change in the cost of fuel made some difference.  
5 But we will be able to see each contribution, how each  
6 one (1) of these variables -- or we could do it for every  
7 variable that you see in this table.

8                   We only chose twelve (12), but we could  
9 have done it for every one (1) of them. We -- I mean,  
10 when you change wages and salaries it makes -- it makes a  
11 difference. If you change the domestic rate it would  
12 make a difference. And we wanted to know the sensitivity  
13 of that revenues to changes in one (1), keeping  
14 everything else exactly within the distribution that we  
15 have defined here.

16                   THE CHAIRPERSON: Dr. Kubursi, another  
17 way of describing this. This distribution that you've  
18 developed that has arrived at this simulated net revenue  
19 of two hundred and two (202) --

20                   DR. ATIF KUBURSI: Yes.

21                   THE CHAIRPERSON: -- represents the  
22 status quo system, generation as it is, transmission as  
23 it is. In other words, left alone, no new development.  
24 This would be the expectation --

25                   DR. ATIF KUBURSI: As -- as captured --

1 THE CHAIRPERSON: -- based on historical  
2 past events?

3 DR. ATIF KUBURSI: And the distributions  
4 that fit and represented these past events. That's  
5 exactly it.

6 THE CHAIRPERSON: So potentially you  
7 could do a prospective one then --

8 DR. ATIF KUBURSI: Ye -- yes, you can.

9 THE CHAIRPERSON: -- involving a  
10 development plan of a variety of different ways and  
11 different assumptions for exchange rates, interest rates,  
12 et cetera, et cetera?

13 DR. ATIF KUBURSI: Precisely. Actually,  
14 in -- in one (1) of the answers to the questions that  
15 came from PUB we suggested that maybe we're -- we're  
16 moving into this new development, another benchmark  
17 should really be done, assuming that these developments  
18 are all complete and you allow this distribution and see  
19 what are your downside risks now that you have really put  
20 all these expansions in.

21 THE CHAIRPERSON: But you have not done  
22 that, have you?

23 DR. ATIF KUBURSI: No.

24 THE CHAIRPERSON: Thank you. Mr.  
25 Hacault...?

1

2 CONTINUED BY MR. ANTOINE HACAULT:

3 MR. ANTOINE HACAULT: Just a point of  
4 clarification arising out of the discussion between the  
5 Chairman and -- and yourself, Dr. Kubursi. The table  
6 that I've shown to you at page 312, Tab 75, is numbers --  
7 or are numbers produced by Manitoba Hydro and not by  
8 yourself, correct?

9 DR. ATIF KUBURSI: Yeah, correct.

10 MR. ANTOINE HACAULT: So that the line of  
11 -- or the exchange appeared to assume that those were  
12 your numbers, but those are Manitoba Hydro's numbers  
13 based on its operations and experience, correct?

14 DR. ATIF KUBURSI: Correct. But our  
15 numbers, given the numbers you use from Statistics  
16 Canada, would give you also an average revenue, but it  
17 would be based on -- on different numbers than the one  
18 that we have here.

19 MR. ANTOINE HACAULT: And for the  
20 prospective evaluation, as the Chairperson was asking, in  
21 fact, Manitoba Hydro does have that modelling in, and  
22 they call it SPLASH, correct?

23 DR. ATIF KUBURSI: The one -- the one  
24 that is closest to the things we're doing here is -- is  
25 basically PRISM.

1 THE CHAIRPERSON: Just for the  
2 understanding, following up on Mr. Hacaault's question,  
3 when you respond that these are Manitoba Hydro's numbers,  
4 okay, but they're historical representations of past  
5 events, but you're putting it through your own program to  
6 develop this?

7 DR. ATIF KUBURSI: Correct. I mean, what  
8 would -- what would be shared would be the flows. We use  
9 the same flows that came from the first column. The  
10 generation, we use the second column. What the  
11 differences would be in net revenues, because we have  
12 used different prices and exports, volumes and import  
13 volumes, that Manitoba Hydro have different numbers.

14 THE CHAIRPERSON: Thank you.

15

16 CONTINUED BY MR. ANTOINE HACAULT:

17 MR. ANTOINE HACAULT: I'm not so sure if  
18 I'm clearer or more confused on the issue of flow and  
19 generation. I had understood your initial answer, Dr.  
20 Kubursi, to be that your modelling was based on the  
21 generation numbers.

22 DR. ATIF KUBURSI: Yeah, and -- and as  
23 you can see --

24 MR. ANTOINE HACAULT: And not on the flow  
25 numbers. There isn't any distribution that you actually

1 -- where you actually plucked -- picked the flow numbers,  
2 the numbers on the extreme left of the table I've shown  
3 you from Tab 75, page 312.

4                   You didn't use those numbers, you used the  
5 generation numbers, correct?

6                   DR. ATIF KUBURSI:   Yeah, correct, but in  
7 all our analysis, and ultimately the stress things, Mr.  
8 Hacaault, we ultimately brought in the first column. All  
9 right. In a sense, what we really said, okay, and -- and  
10 this is something that you referred to and -- and -- and  
11 it's important that we clarify this.

12                   The number you -- you see in the Exhibit  
13 10, thirty-five-o-eighty (35080), all right, this -- this  
14 is the generation, all right. And this corresponds to an  
15 average between 2001 and 2007.

16                   MR. ANTOINE HACAULT:   Correct. And --  
17 and Manitoba Hydro's average, historically, as we see it  
18 on that table is --

19                   DR. ATIF KUBURSI:   Thirty (30).

20                   MR. ANTOINE HACAULT:   Thirty thousand  
21 (30,000).

22                   DR. ATIF KUBURSI:   Yeah.

23                   MR. ANTOINE HACAULT:   So there's, what I  
24 would say, a material difference between your assumptions  
25 and historical records and production, correct?

1 DR. ATIF KUBURSI: No, it's not correct,  
2 because that number, thirty thousand sixty-seven (30,067)  
3 is over the entire period, 1912 to 2005. And our average  
4 is 2001 to 2007.

5 MR. ANTOINE HACAULT: I won't get into  
6 all the questions that Mr. Williams asked, but you've  
7 chosen then a very small sample as opposed to the large  
8 historical sample?

9 DR. ATIF KUBURSI: Yeah. Okay. The --  
10 the -- the issue is that, yes, I have generation and I  
11 have water flows over a much longer period, but the  
12 numbers in terms of finances and prices, and we were  
13 restrained and constrained by what's available from  
14 Statistics Canada, and Statistics Canada was 2001 to  
15 2007.

16 MR. ANTOINE HACAULT: Thank you. Perhaps  
17 we can now go to the undertakings, which were distributed  
18 on May 26th. They're answers to the undertakings that  
19 you provided. I believe it's marked as KM-7, for the  
20 record. It contains the questions posed and the answers  
21 provided.

22

23

(BRIEF PAUSE)

24

25

DR. ATIF KUBURSI: I have it now.

1 MR. ANTOINE HACAULT: In particular, I'll  
2 want to ask a couple questions with respect to the  
3 question posed on the first page, which is identified as  
4 (d). And I'll read it in for the record:

5 "Assumes that beyond 2035, market  
6 conditions will likely yield higher  
7 prices than would be achieved by an  
8 extrapolation of term-sheet prices,  
9 this based on the assumption that  
10 significant CO2 pricing will come into  
11 effect?"

12 And then if we flip to the next page...

13 MR. GAVIN WOOD: I'm sorry, what question  
14 are you on?

15 MR. ANTOINE HACAULT: That was question  
16 1(d) is what I read into the record.

17 MR. GAVIN WOOD: Sub -- sub (d), thank  
18 you.

19 MR. ANTOINE HACAULT: And --

20 MR. GAVIN WOOD: Could you start that  
21 again, please?

22

23 CONTINUED BY MR. ANTOINE HACAULT:

24 MR. ANTOINE HACAULT: Well, perhaps just  
25 take time to read that question and the answer and then



1 I'll proceed with a couple questions. Thank you.

2 DR. ATIF KUBURSI: Yeah, thank you.

3

4 (BRIEF PAUSE)

5

6 MR. ANTOINE HACAULT: Okay?

7 DR. ATIF KUBURSI: Yeah, I read, sorry.

8 MR. ANTOINE HACAULT: Now, in your direct  
9 evidence, and in some of the information requests, I  
10 understood that both yourself, Dr. Kubursi, and Dr. Magee  
11 wrote the report and Grant Graham (phonetic) edited the  
12 report.

13 Is that correct?

14 DR. ATIF KUBURSI: Sorry, Graeme  
15 MacQueen.

16 MR. ANTOINE HACAULT: Oh, so it's Grant -  
17 - sorry, spell that, please.

18 DR. ATIF KUBURSI: No, no, Graeme, G-R-A-  
19 E-M-E.

20 MR. ANTOINE HACAULT: Now in the answer  
21 to question 1(d), in the middle of that response, and I'm  
22 quoting for the record:

23 "There exist now some calculations that  
24 would suggest a carbon level of eighty  
25 dollars (\$80) per tonne is required

1                   before this tax would make future  
2                   electricity prices high enough to  
3                   warrant a future expansion plan."

4                   My first question is: Did you, or Mr.  
5 Graeme, or Mr. Magee perform those calculations?

6                   DR. ATIF KUBURSI: Well, Mr. -- Mr.  
7 MacQueen only read the English and tried to put it in  
8 Scottish. But the -- just for Gavin. Okay.

9                   Dr. Magee and I -- and Lonnie will speak  
10 for himself -- we did not perform the calculations, but  
11 we have literature that we reviewed that showed two (2)  
12 graphs. One (1) is the price of electricity at different  
13 carbon taxes. And the only time when the two (2)  
14 intersect would be at the eighty dollars (\$80), which  
15 means that you can get a sufficiently high electricity  
16 price only to the extent that an eighty dollar (\$80) per  
17 tonne tax is put because at twenty (20), or thirty-five  
18 (35), at forty (40), they showed the impact on  
19 electricity prices are likely to be quite low.

20                   MR. ANTOINE HACAULT: Sir, are you aware  
21 that there are different -- differing opinions on that  
22 produced in different papers than the one that you  
23 apparently have read?

24                   DR. ATIF KUBURSI: Yes, and we evaluated  
25 quite a bit of this literature. This was, and we can

1 produce it, was quite persuasive because it went into the  
2 detailed calculations of how each tax, and given  
3 elasticities of substitution between gas, hydro, and  
4 coal, they got this.

5           Most of the others assumed that no matter  
6 what the tax is you're going to use the same amount of  
7 carbon. This is heresy for an economist. In many  
8 respects we believe the price of a particular product  
9 rises there will be enough incentives for people to  
10 economize on it. And in that respect we felt that this  
11 paper dealt very sophis -- in a very sophisticated way,  
12 in a very credible way, with what the carbon tax would  
13 likely bring about to the price of electricity. And  
14 there that calculation of eighty dollars (\$80) seemed to  
15 be the most credible for us.

16           Now we're aware there are a number of  
17 things, but -- a number of papers and num -- number of  
18 opinions. In our opinion -- and we can maybe send this  
19 part of evidence and the reasons why we felt that the --  
20 that paper was most credible in our view.

21           MR. ANTOINE HACAULT: Now, did that paper  
22 deal with the MISO market and Manitoba Hydro's  
23 circumstances?

24           DR. ATIF KUBURSI: It was not dealing in  
25 any specific way with Manitoba Hydro case, but it was

1 basically on the side -- on the US side and it dealt with  
2 more than MISO, but also the New York and the eastern one  
3 too.

4 MR. ANTOINE HACAULT: So the one (1)  
5 statement I'd like to explore a bit here is that, as I  
6 understand this particular statement that you've made and  
7 I quoted into the record, that eighty dollars (\$80) per  
8 tonne is required before this tax would make future  
9 electricity prices high enough to warrant future  
10 expansion plan.

11 Am I correct in understanding that it's  
12 your opinion that prices need to get that high before  
13 Manitoba Hydro can justify any future expansion plan?  
14 Did we just look at that item?

15 DR. ATIF KUBURSI: Yeah, yeah. Okay. I  
16 mean, at -- at this point, what we were basically looking  
17 at is the following. At the present time, the prices of  
18 electricity are quite low, and one (1) of the major,  
19 crucial, critical factors for a future expansion would be  
20 the negotiated price that you would be able to get for  
21 your long-term contract, and an expectation of a high  
22 electricity price in the opportunity market.

23 And the way we felt, like, this would be a  
24 very crucial factor, because there is some general  
25 presumption that the increase in the price of electricity

1 is going to be very much contingent on a greater  
2 awareness and, ultimately, the change in the carbon tax.  
3 And we felt that it's not just that you bring a carbon  
4 tax, that this carbon tax must be at a particular level,  
5 because only at that level of eighty dollars (\$80) would  
6 this really raise the price to a level considered to be  
7 sufficiently high enough to bring about a -- a price that  
8 a future expansion would be profitable at.

9 MR. ANTOINE HACAULT: I'll try and break  
10 that answer down a bit. Thank you for your answers, but  
11 they're pretty lengthy. You talked about the negotiated  
12 price for long-term contracts being important. If the  
13 price is equal to the marginal cost of bringing that  
14 additional generation online, does that make a difference  
15 in your opinion?

16 DR. ATIF KUBURSI: Yes, but we've always  
17 argued, too, that the price equal to the marginal cost is  
18 a necessary condition, all right? In economics, you  
19 really need to make sure that there doesn't exist an  
20 extra unit of production that you would bring to the  
21 market, that you would not fetch a price that's equal to  
22 it. I mean, it doesn't make sense for anybody to bring  
23 or to produce one (1) extra unit if it costs them more  
24 than the price they're going to fetch for it, all right?  
25 But this is the necessary condition for what we call

1 profit maximization.

2                   But there is also another thing that we  
3 need to worry about, and this is the price that should  
4 cover what we call total cost, which would be your av --  
5 you know, that the price should be larger than your  
6 average variable plus your average fixed cost because if  
7 you only cover in the short term the variable cost and  
8 some part of the fixed costs it's okay because if you  
9 were to shut down and don't do this the only thing that  
10 you would wash out would be the variable cost, but the  
11 fixed cost would remain because this fixed cost, by  
12 definition, is the amount that you would pay whether you  
13 produce or not.

14                   In the long run, everything becomes  
15 variable, and therefore, what you really want to target  
16 is the price at which the marginal cost is equal to the  
17 price, but that the price is high enough to pay for all  
18 your costs. And now, and one (1) of the reasons in  
19 expansion where these prices would rise is because you  
20 put so much capacity, and this capital is -- is a fixed  
21 cost because you put that capacity. Whether you produce  
22 this amount or that amount, it doesn't vary with the  
23 amount of output, and you want to make sure that this  
24 price is high enough that it would pay for your variable  
25 costs, whatever you need to produce this extra unit, plus

1 whatever fixed cost that you end up with, having made the  
2 expansion.

3 MR. ANTOINE HACAULT: So if you have  
4 those elements, then carbon tax becomes irrelevant,  
5 correct?

6 DR. ATIF KUBURSI: If -- if you get that  
7 price without them, you're right.

8 MR. ANTOINE HACAULT: Now, with respect  
9 to this carbon level, you would also agree, sir, that for  
10 major additions which are required in hydro-electric  
11 utilities, such as Manitoba Hydro, to serve domestic  
12 load, that there needs to be some caution and, I'll say,  
13 prudence in planning the online demand for domestic  
14 needs. You can't wait until the last minute to start  
15 building these projects which take maybe ten (10) to  
16 twelve (12) years to bring online, correct?

17 DR. ATIF KUBURSI: Correct.

18 MR. ANTOINE HACAULT: And would you also  
19 agree that given that we have evidence that some of these  
20 generation facilities continue to generate power,  
21 although they've been built over a hundred years ago, or  
22 approximately a hundred years ago, that it would be  
23 shortsighted to just look at a very small portion of that  
24 economic life and physical life of that asset in making a  
25 decision?

1 DR. ATIF KUBURSI: Yeah, I mean, this is  
2 something that we had a good discussion with the Chair.  
3 And the issue here is two (2) things. There is a  
4 physical life and there is an economic life, and one is  
5 usually shorter than the other.

6 The real challenge here is to make sure  
7 that your economic life is taken into account. You can't  
8 possibly look and say, Well, I'm going to recover my  
9 costs in a hundred years. You -- you -- and why?  
10 Because the average fixed cost is so low because we  
11 spread that fixed capital over a hundred years.

12 If I have a \$100 million in a hundred  
13 year, each year is a million dollar, all right. If I  
14 have fifty (50) --

15 MR. ANTOINE HACAULT: That's on a  
16 straight line depreciation --

17 DR. ATIF KUBURSI: Okay, let's make it --

18 MR. ANTOINE HACAULT: -- as opposed to a  
19 regular depreciation table, correct?

20 DR. ATIF KUBURSI: No, no, I want to make  
21 the best case for you, and then try to show you that it  
22 may not work, okay. I'm -- I'm making it the -- the  
23 easiest possible way, a hundred years, a hundred million,  
24 one (1) a year.

25 Now, suppose that all of a sudden we have



1 a technological change and hydro is no longer the  
2 cheapest. We can get and deliver electricity using  
3 fusion that they keep threatening us with, and we can do  
4 it, and it's safer, it's not nuclear, and we can deliver  
5 it on any computer it takes.

6                   Your -- your hundred years, you're stuck  
7 with about fifty (50) or sixty (60) years of a physical  
8 asset undepreciated as you -- you did not use in your  
9 calculation to recover it and it becomes a sunk cost on  
10 you.

11                   What you really want to do here is to  
12 balance your perspective in a way in which the economic  
13 and the possibility of technological change is there.  
14 And -- and most prudent would be to use not a linear, but  
15 maybe double-digit, you know, declining balance, any one  
16 (1) single method that would allow you to recover the  
17 economic value of what you have sunk rather than the  
18 physical value, just on the uncertainty that the future  
19 may bring a major technological change that this hundred  
20 years where your assets would last may not really be  
21 economically serviceable or they deliver economically the  
22 potential that you thought it would on a physical basis.

23                   MR. ANTOINE HACAULT:    So your  
24 recommendation is to -- sorry if I'm maybe putting this  
25 in strong words, but to speculate as to what might arise

1 in the future even though we don't know to discount the  
2 projected economic life of a facility?

3 DR. ATIF KUBURSI: I -- I won't call it  
4 speculation. I call it risk management.

5 MR. ANTOINE HACAULT: But is it fair when  
6 we talk about economic life, sir, that it's the period  
7 over which the asset is expected to be economically  
8 useable by one (1) or more users?

9 DR. ATIF KUBURSI: Tha -- that would be a  
10 good definition.

11 MR. ANTOINE HACAULT: Okay. So that, at  
12 least for the current assets by -- that Manitoba Hydro  
13 operates in its water -- hydraulic generation, none of  
14 them have had their economic life spent. In fact, the  
15 hydraulic generation in Manitoba results in the lowest  
16 rates in North America, correct?

17 DR. ATIF KUBURSI: Correct. And I could  
18 not really go ahead and say that because we didn't have  
19 something happening in the past it's not going to happen  
20 in the future.

21

22 (BRIEF PAUSE)

23

24 MR. ANTOINE HACAULT: Could you now turn  
25 to the same exhibit, but Question 8 of the KM-7, the

1 answers to the undertakings request posed by the Board.

2 MR. GAVIN WOOD: He has it now. Just  
3 review it for a moment.

4

5 (BRIEF PAUSE)

6

7 MR. GAVIN WOOD: Please go ahead. Please  
8 go ahead.

9

10 CONTINUED BY MR. ANTOINE HACAULT:

11 MR. ANTOINE HACAULT: Okay. It's just  
12 basically a follow-up to the questions that I had.  
13 There's one (1) statement in there:

14 "KM are not in a position to determine  
15 the length of the useful economic life  
16 of dams."

17 That's at page 6. Is that correct?

18 DR. ATIF KUBURSI: Yeah, it's correct.

19 MR. ANTOINE HACAULT: Okay. Now I just  
20 have one (1) or two (2) other questions with respect to  
21 the eighty dollar (\$80) carbon tax issue. What's the  
22 breaking point, in your opinion, as to when Manitoba  
23 Hydro should not be building a dam on that price? And  
24 I've read your evidence and some of your evidence I  
25 understand brings in a whole bunch of other factors, but

1 it seems in this answer that you're suggesting that we  
2 ignore all the other factors.

3 If we don't hit eighty dollars (80), you  
4 don't build. Is that your opinion?

5 DR. ATIF KUBURSI: No. No. I mean, this  
6 is really -- I'm going to go into a -- a very simple  
7 logical structure here for the argument. What we are  
8 arguing is for sufficient conditions. We say it's a  
9 sufficient condition that eight dollars (\$80) a tonne  
10 would warrant these things. It's not necessary. There's  
11 other factors that come into the picture.

12 You see, I would say if there is clouds is  
13 sufficient condition for rain, but I won't argue that  
14 clouds is necessary in the sense that if it is -- if it  
15 was necessary then the minute you have clouds then you  
16 have rain. No, I mean, I could have clouds, but no  
17 rains.

18 So I'm really saying here that if you have  
19 eight (8) -- eighty dollars (\$80) it's a sufficient  
20 condition to make it profitable, but it need not be,  
21 because you could get a contract negotiated long-term  
22 price that's high enough to warrant it. And when you  
23 asked me this I said, Yes, of course. The economy could  
24 be so buoyant, so strong, that electricity demand is so  
25 high that the eighty (80) -- you know, that it would

1 really fetch a price higher than eighty dollars (\$80) of  
2 the carbon.

3 But if you really have an eighty dollar  
4 (\$80) a tonne price of carbon, that's a sufficient  
5 condition for a very high electricity price, but not  
6 necessary.

7 MR. ANTOINE HACAULT: And you'll agree a  
8 lot of that is a judgment call because I think you had  
9 one (1) quote, I forget from whom, with respect to the  
10 future, The only thing we know about the future is that  
11 we don't know what it will be and people have to make  
12 educated guesses as to what's going to happen in the  
13 economy, gas prices, as to whether the generation costs  
14 when we defer building them are going to increase  
15 significantly and whether that's going to have an -- an  
16 effect.

17 There's a whole bunch of facts that are  
18 discretionary that need to be considered in a hearing  
19 that would relate to that, correct?

20 DR. ATIF KUBURSI: Yeah. I mean, the --  
21 the -- the person you're referring to is Plato, and the  
22 way he said it is, The future -- The trouble with the  
23 future, actually, is that there will be more things that  
24 are likely to happen than what will happen. That the br  
25 -- there are greater possibilities than things that would

1 happen.

2                   And the -- the thing we're talking about  
3 here is that if anybody, other things being equal, is  
4 betting on a -- an expansion solely, exclusively, on the  
5 environmental set-up framework that would be  
6 accommodating, which is a carbon tax, then you better not  
7 do it unless the carbon tax is eighty dollars (\$80) a  
8 tonne and that's all I'm saying.

9                   MR. ANTOINE HACAULT:    Doctor, Mr. Hacault  
10 got to the end of a sentence, but he didn't get to the  
11 one (1) thereafter.  I'm on page 6 of Exhibit KM-7.  You  
12 go on from KM:

13                                   "We're not in a position to determine  
14                                   the length of the useful economic lives  
15                                   of -- life of dams.  We are confident,  
16                                   however, that it is shorter than the  
17                                   physical life."

18                   How do you come to that conclusion in  
19 light of the fact that Manitoba Hydro's -- the -- the  
20 oldest dam on the system is now almost -- I believe in  
21 2012 will be a hundred years old.  It is still  
22 functioning, it is still economic, they are still  
23 producing power.

24                   How do you come -- are -- are there dams  
25 that you are aware of that have continued to produce

1 power and have yet not been economical? I -- I'm not --  
2 I don't know how you come -- can be confident of that  
3 statement.

4 DR. ATIF KUBURSI: Yeah. We're confident  
5 because of the world of technical and technological  
6 change and technical and technological obsolescence.  
7 There is no question about it, in every field that we  
8 look at the new technologies that have emerged have made  
9 things totally obsolete.

10 I mean, at one time even something that  
11 was considered to be technologically superior -- actually  
12 most people assume that Betamax was far superior than  
13 VCR, but it didn't live and completely was a major  
14 economic catastrophe for -- for the people who produced  
15 it.

16 What we're really confident about is that  
17 there are so many technological changes, particularly now  
18 with all the new developments in wind and photocells and  
19 some new technologies where they can transform kinetic  
20 energy into useful energy -- what we're really saying  
21 here is that there's ample evidence in every field, and I  
22 won't in any respect feel that this is going to be  
23 strange or different in the electricity field, that these  
24 technological changes are making economic life far  
25 shorter than the physical life.





1 getting back this hockey team, so, yeah, that's all done.  
2 Apparently everybody has signed. That was that yelp that  
3 was out there, and --

4 MR. ANTOINE HACAULT: So do we get to do  
5 the rest of the hearing at Portage and Main, Mr.  
6 Chairman?

7 MR. DAVID CORMIE: So, Mr. Chairman, is  
8 it -- is it a term sheet or not?

9 THE CHAIRPERSON: Actually, Mr. Cormie,  
10 you're correct, because it's subject to the NHL's  
11 approval, so you'll have to buy at least four (4) season  
12 tickets. That'll be, what, twelve thousand eight hundred  
13 dollars (\$12,800) a year, so I'm sure you'll rush out for  
14 that.

15 Mr. Hacault, you can start up whenever you  
16 wish.

17

18 CONTINUED BY MR. ANTOINE HACAULT:

19 MR. ANTOINE HACAULT: Thank you, Mr.  
20 Chairman. Dr. Kubursi, I'll be taking you to the Exhibit  
21 10 in -- in due course, but firstly, Exhibit 8 is a  
22 response with respect to drought costs when costs of  
23 financing are included. It's the first page of the  
24 handout that you provided to us today. It's a response  
25 to Undertaking number 142, transcript page number 6,268.

1 Have you located your answer, sir?

2 DR. ATIF KUBURSI: Yes, I did.

3 MR. ANTOINE HACAULT: Now, just to again  
4 refer to Tab 75, page 312, I just want to use some of  
5 those numbers to get an understanding of what your  
6 response means. Am I correct, firstly, you're  
7 essentially taking the worst five (5) year drought costs,  
8 and they may be different, but they could be similar to  
9 the example we started with this morning, which was a six  
10 (6) year period from 1937 to 1942, correct? And you  
11 started in 1937. That was the first year of -- of what  
12 you considered to be the drought period, correct?

13 DR. ATIF KUBURSI: Correct.

14 MR. ANTOINE HACAULT: So am I correct in  
15 -- in understanding then, based on your previous answers,  
16 that we're looking at opportunity cost, so that if we use  
17 1937 as a particular example, your answer in Exhibit 8  
18 would have us adding interest to arrive at the total  
19 costs of five point three (5.3) in a year like 1937 where  
20 Manitoba Hydro actually made a profit of \$104 million, or  
21 whatever that number was?

22 DR. ATIF KUBURSI: It -- it's correct to  
23 go this way. What we have without the interest cost, we  
24 go and find the net revenues that would come when you  
25 have a very low flow, and low generation, and all the

1 prices that we talked about that are in Exhibit 10.

2           What we add now is the interest rate on  
3 whatever debt you started the period with, and this debt  
4 accumulates, and the interest rate that is imposed on  
5 that debt. So we ultimately end up paying not only the  
6 costs of production and imports, but also -- and that's  
7 only cost here is the interest rate, we don't allow any  
8 amortization of the debt. We're just simply charging an  
9 interest on that debt at that interest rate that is on  
10 the income -- on the probability distribution between  
11 2001 and 2007.

12           MR. ANTOINE HACAULT: So again, I just  
13 want to make sure I've understood, and I'm sorry for  
14 repeating my question, but it assumes, because your  
15 calculation is on loss of opportunity, that Manitoba  
16 Hydro, in my example in 1937, will have to go borrow  
17 money when it made \$104 million of profit, and it will  
18 have to pay interest with respect to loans that it's had  
19 to take, theoretically, even though it made \$104 million  
20 of profit.

21           DR. ATIF KUBURSI: No. No, I -- sorry if  
22 I gave you that impression. No. The debt is basically  
23 accumulated on the actual net revenue, not on the  
24 opportunity cost. But the costs in terms of the one I  
25 calculated here, for example, the number that you have

1 for the five (5) years is basically, when financing costs  
2 are included, okay...

3 MR. ANTOINE HACAULT: Sir, do you have  
4 the sheet for that? Because we -- you've clearly  
5 explained that the \$3.3 billion, that's lost opportunity  
6 cost. Have you rerun your model to show what the net  
7 loss is as opposed to the net opportunity loss?

8 DR. ATIF KUBURSI: Yeah, these are  
9 definitely opportunity costs. The three point three  
10 (3.3) is opportunity costs. The debt, five point three  
11 (5.3) when you include the interest cost, is not on the  
12 debt that is calculated on opportunity but on the actual  
13 debt that would accrue.

14 MR. ANTOINE HACAULT: But how does your  
15 model change to convert the numbers that you've inputted,  
16 which is the opportunity cost, to the net loss? I mean,  
17 what are you assuming as far as average revenue and --  
18 and actual losses? So if you had a hundred million  
19 dollar loss you might have to go on the market to get  
20 that hundred million dollars.

21 DR. ATIF KUBURSI: No.

22 MR. ANTOINE HACAULT: How does your -- do  
23 you have a sheet that shows how your model works to  
24 decide how much the loss is, and then convert that into a  
25 loan?

1 DR. ATIF KUBURSI: No. No, I -- I don't  
2 calculate -- I don't calculate the debt that would emerge  
3 from these losses. What I am doing here is I'm looking  
4 at the debt as it progresses over the period, and I am  
5 taking the interest costs on this debt as it is reflected  
6 in an actual number, not my calculations.

7 And -- and in a nice way, I -- I see your  
8 question. In -- in a perfect world what I should really  
9 do is I benchmark at a particular year, and every year I  
10 get a cost. I add it. I assume that it is financed by  
11 debt. And then I raise the debt. And then the interest  
12 now is not only on the debt I started with but on the new  
13 debt from which the losses have added to. I don't do  
14 that.

15 I -- I literally take the debt that is  
16 embedded in that period, and I apply the interest rate to  
17 it, and I add it to the costs.

18 MR. ANTOINE HACAULT: So it's not the new  
19 debt and the incremental cost of the new debt that you're  
20 trying to identify here. You just put an interest amount  
21 to the existing debt and say, Well, if you continue --  
22 and that's part of your operating cost, isn't it,  
23 already?

24 DR. ATIF KUBURSI: No, it's not in the  
25 operating cost because now I'm adding it. You see, all

1 the calculations of net revenue were made exclusive of  
2 the interest. So all I'm doing now, I'm adding.

3 But in -- in a nice neat calculation,  
4 you're absolutely right, it would be nice. I benchmark  
5 the debt, and I augment to the debt the losses as we go.  
6 And then it will become an extremely important question.  
7 Would you include the opportunity losses or the actual  
8 losses? And -- and if I were to make a judgment, it  
9 should be the actual losses.

10 THE CHAIRPERSON: But in any effect, if  
11 you drop five (5) -- say \$500 million, absent losing that  
12 \$500 million you would pay down debt and have a lower  
13 interest cost, so, either way, there's costs associated  
14 with a loss?

15 DR. ATIF KUBURSI: No -- no question  
16 about it. But the -- the point that I am -- we're trying  
17 to really get here is that there is an interest cost  
18 because if you go into debt and this debt is going to  
19 rise as you lose because of the -- the interest cost is  
20 not going to be only on the average debt that prevailed  
21 but on the increased debt that this drought had  
22 occasioned, and we didn't do that.

23 THE CHAIRPERSON: Yeah, we have your  
24 point.

25

1 CONTINUED BY MR. ANTOINE HACAULT:

2 MR. ANTOINE HACAULT: Thank you. So  
3 these calculations tell us nothing about the debt which  
4 is actually caused by the drought. It tells us about the  
5 interest that the corporation is already bearing in its  
6 operations, correct?

7 DR. ATIF KUBURSI: Correct. It -- it  
8 just -- what it does is that whatever the debt that we  
9 began the period with, we put an interest rate on it and  
10 we add it to the costs.

11 And -- and this -- the -- the -- the issue  
12 here is that because of this interest rate your debt is  
13 going to get bigger. And -- because your net revenue is  
14 going to be much smaller, and the losses are going to be  
15 exaggerated. And this should have added to the next debt  
16 and the debt after it. In some sense we're  
17 underestimating the -- the -- the cause of the debt.

18 THE CHAIRPERSON: Well, I think we all  
19 understand that the -- the -- the numbers here on net  
20 revenue are -- are basically accounting numbers, and in  
21 actual fact when you're arriving at debt, you're looking  
22 at cash flow. And cash flow, for example, is, absent  
23 amperdite -- amortization, it's plus principal  
24 repayments, anything -- any costs that are deferred or  
25 capitalized aren't included. You could have a profit and

1 still be borrowing more.

2 DR. ATIF KUBURSI: Absolutely, because  
3 it's not a cash flow.

4

5 (BRIEF PAUSE)

6

7 CONTINUED BY MR. ANTOINE HACAULT:

8 MR. ANTOINE HACAULT: Thank you, Dr.  
9 Kubursi. And flipping to the next page immediately  
10 after, which has two (2) probability distribution  
11 diagrams, one (1) for a seven (7) year drought with  
12 interest, and one (1) five (5) year drought with  
13 interest, could you explain how these tables help us  
14 understand what you put on the first page?

15 DR. ATIF KUBURSI: All what -- all what  
16 this would do is to look at a particular year. It  
17 doesn't do it over the five (5) or seven (7) years, only  
18 particular year. You raise, you know, the -- the -- the  
19 -- the debt is at the particular interest rate. This is  
20 the way it would affect your mean revenue.

21 That mean revenue -- and this is the  
22 actual, not the opportunity, all right, is -- is  
23 negative. Remember in the ben -- in the benchmark case  
24 the net revenue was about four hundred forty-five (445)  
25 positive. Now it's a negative 12 million. So you're



1 basically beginning the period, even with positive gross,  
2 net -- I don't want to use gross, net revenue exclusive  
3 the interest, it's positive.

4           The -- the minute you include the -- even  
5 in the benchmark, you include the borrowing cost, your  
6 net revenue becomes a negative number. And this becomes  
7 even bigger when you have a drought. So this is  
8 basically the mean number -- the minus twelve (12) is  
9 primarily the difference from a benchmark when you have  
10 the cost of that drought because of reduction of  
11 generation from 35 to 19, all right, and the fact that  
12 you have to pay the interest.

13           MR. ANTOINE HACAULT: So this table is  
14 generated from the base case, which is all the numbers  
15 that you've given us on --

16           DR. ATIF KUBURSI: Six.

17           MR. ANTOINE HACAULT: -- Exhibit -- Table  
18 --

19           DR. ATIF KUBURSI: Yeah.

20           MR. ANTOINE HACAULT: -- 6.1, Exhibit 10.

21           DR. ATIF KUBURSI: Right, but with two  
22 (2) things. One (1) is the change in generation because  
23 now it's adjusted to the low flow of five (5) or seven  
24 (7) years, and these are the numbers that could come from  
25 the random distribution that we talked about coming from

1 the flows that Lonnie had generated.

2 He would take the minimum of five (5)  
3 years, all right, different five (5) years minimum, and  
4 he takes them and gives me the average. So the average  
5 five (5) year minimum. This is the one (1) I adjust the  
6 flow for this number, and I adjust the generation  
7 corresponding to this low flow, and then in my  
8 calculation of net revenue -- before I used to only get  
9 gross revenue minus the cost. Now I add one (1) new  
10 cost, which is the interest rate.

11 And here all these numbers are not  
12 opportunity. Just -- what they are, I have to subtract  
13 them from the benchmark number to get to the opportunity  
14 cost.

15 MR. ANTOINE HACAULT: Contrary to the  
16 table I've been referring you to that shows average net  
17 revenue of 202 million which is the Manitoba Hydro  
18 numbers.

19 DR. ATIF KUBURSI: Right.

20 MR. ANTOINE HACAULT: First, am I correct  
21 in understanding that your average is put somewhere  
22 around four forty-five (445)?

23 DR. ATIF KUBURSI: Right.

24 MR. ANTOINE HACAULT: Correct. And  
25 that's based on Stats Can information, correct?

1 DR. ATIF KUBURSI: Right. And the -- the  
2 seven (7) -- the seven (7) -- the 2001-2007.

3 MR. ANTOINE HACAULT: In 2001-2007 --

4 DR. ATIF KUBURSI: Correct.

5 MR. ANTOINE HACAULT: -- sample? So what  
6 you're calculating is the diversion from that average  
7 revenue, how much down it will go both from the net  
8 revenue excluding interest and, now if you add the  
9 interest, how much down will it go further from the  
10 average that you had come out at four forty-five (445).

11 DR. ATIF KUBURSI: Correct.

12 MR. ANTOINE HACAULT: Okay. Now just  
13 help me understand this part because you say that the  
14 mean is minus 12 million, is that correct?

15 DR. ATIF KUBURSI: Correct.

16 MR. ANTOINE HACAULT: And the average is  
17 four hundred and forty-five (445) --

18 DR. ATIF KUBURSI: Right.

19 MR. ANTOINE HACAULT: -- million,  
20 correct?

21 DR. ATIF KUBURSI: Right.

22 MR. ANTOINE HACAULT: Okay. What does  
23 that give me? That is, do I add the twelve (12) to the  
24 four forty-five (445), or do I subtract the twelve (12)--

25 DR. ATIF KUBURSI: No, you --

1 MR. ANTOINE HACAULT: -- from the four  
2 forty-five (445)?

3 DR. ATIF KUBURSI: No, you add it.

4 MR. ANTOINE HACAULT: Okay. So then I  
5 get 457 million.

6 DR. ATIF KUBURSI: Right.

7 MR. ANTOINE HACAULT: Correct.

8 DR. ATIF KUBURSI: Which --

9 MR. ANTOINE HACAULT: And --

10 DR. ATIF KUBURSI: -- which on average,  
11 we multiply by five (5) years and added would be the two  
12 (2) billion, but it's not because there were also  
13 different variations in the level of water between the  
14 period.

15 MR. ANTOINE HACAULT: Okay. So this is  
16 not a mean of what we might expect because if we do it  
17 times five (5) or times (7) it would give us a number  
18 substantially lower than what you've responded to in this  
19 answer, correct?

20 DR. ATIF KUBURSI: Correct.

21 MR. ANTOINE HACAULT: Okay. Now what  
22 additional data would you have to print out to help us  
23 understand the -- the tables there?

24 DR. ATIF KUBURSI: Yeah. I'm -- I'm  
25 going to give you a spreadsheet that would include all

1 the information that you have in Exhibit 10 and the  
2 corresponding numbers that are brought from Statistics  
3 Canada. So I'll -- I'll submit this as an undertaking.  
4 I have it with me here, all I need to do is to print it  
5 and give it to you.

6 MR. ANTOINE HACAULT: Thank you. Could  
7 we turn to Exhibit 10, which is the sheet with the  
8 inputs.

9 Just for the reporter, we will record that  
10 as an undertaking. Thank you.

11

12 --- UNDERTAKING NO. 151: Doctors Kubursi and Magee to  
13 produce a spreadsheet  
14 including information from  
15 Exhibit KM-10 and Statistics  
16 Canada

17

18 MR. GAVIN WOOD: I think he meant he --  
19 he'll produce it over the -- by -- over -- over the lunch  
20 break. So it's -- it'll be something that will be before  
21 you today.

22 MR. ANTOINE HACAULT: Thank you.

23

24 CONTINUED BY MR. ANTOINE HACAULT:

25 MR. ANTOINE HACAULT: Going down the

1 table in Exhibit 10, did I understand your answer  
2 correctly that you believed that the first line, which is  
3 identified as "Hydro Generation," and then thirty-five  
4 thousand eighty (35,080), is an average over the period?

5 DR. ATIF KUBURSI: That's correct.

6 MR. ANTOINE HACAULT: Could you turn to  
7 page 227 of your report which is, as I understand, the  
8 numbers that you got from Stats Can. So page 227 of the  
9 original report there's a table there.

10 DR. ATIF KUBURSI: I have it.

11 MR. ANTOINE HACAULT: So before I turn to  
12 that table -- or actually, going to it, if I look under  
13 2007, going down to the heading "Generation," I see the  
14 number thirty-five thousand eighty (35,080), which is  
15 exactly what you put in this Exhibit 10. Are you sure  
16 that you averaged the numbers?

17 DR. ATIF KUBURSI: No, no.

18 MR. ANTOINE HACAULT: Just visually  
19 looking at the numbers, they don't look like an average.

20 DR. ATIF KUBURSI: No. This one is -- is  
21 this number here, but we used the average, so I have to  
22 check this to make sure that we used the average over the  
23 period.

24 MR. ANTOINE HACAULT: So are you saying  
25 this printout may be the wrong printout that we're

1 looking at?

2 DR. ATIF KUBURSI: No, just only this  
3 number, but I'll check it out and report, and -- and  
4 during lunch break I'll open the -- the account.

5 MR. ANTOINE HACAULT: Could you go, then  
6 -- and I'm just taking this randomly, but down in Exhibit  
7 10, if we go to the heading "US Exports Firm." It's  
8 about seven (7) or eight (8) lines down, and there's the  
9 number three thousand five hundred and thirty-eight  
10 (3,538) and beside it the word "random." Have you found  
11 that?

12 DR. ATIF KUBURSI: Three five three eight  
13 (3,538), yes, and the number is -- where is it?

14 MR. ANTOINE HACAULT: And if we go to the  
15 table --

16 DR. ATIF KUBURSI: Yeah.

17 MR. ANTOINE HACAULT: -- under "Export  
18 Firm," if I go to 2007, again I see the identical number:  
19 three thousand five hundred and thirty-eight (3,538).

20 DR. ATIF KUBURSI: Yeah, okay. I -- I  
21 see what -- what the point. All these things are random  
22 numbers. We just put this 2007, but when we use it, we  
23 use the distribution, because if you look I put 2007  
24 everything here. If you look at costs of fuel -- where  
25 is it, costs of fuel? I -- you know, I have only the

1 distribution. All these numbers are distribution.

2 They're coming from distributions.

3 I'm representing only 2007 numbers here,  
4 but they're all -- when we run the system, they are  
5 basically the distribution, not the number, because  
6 everything here is exactly the -- the 2005, except maybe  
7 some numbers. Let me see the price, export price.  
8 Export price.

9 You see, I'm putting the 2007 numbers, but  
10 when we run the system, it's -- these numbers are  
11 replaced by distribution, because everything random  
12 except, as I said, the -- when -- when we run the first  
13 benchmark, all these numbers that you have is 2007, but  
14 when we run them, they're not the 2000 number. We pick  
15 the distribution numbers, okay, and put 2007 here so that  
16 you could see it one to one, so you know that this is  
17 coming exactly from Table 6.1.

18 But when we run the PRISM, you don't run  
19 it with these numbers. You run it with the distribution,  
20 okay?

21 MR. ANTOINE HACAULT: I'm thoroughly  
22 confused because --

23 DR. ATIF KUBURSI: Okay. No, no. Let me  
24 go --

25 MR. ANTOINE HACAULT: -- you -- you



1 indicated Table 6.1, which was the base case --

2 DR. ATIF KUBURSI: Right.

3 MR. ANTOINE HACAULT: -- that you used --

4 DR. ATIF KUBURSI: Right, right. Okay.

5 Let --

6 MR. ANTOINE HACAULT: -- was based on all  
7 these numbers.

8 DR. ATIF KUBURSI: No. No, no. Let me -  
9 - let me --

10 MR. ANTOINE HACAULT: And now you're  
11 indicating to us that this sheet that you've given us  
12 basically repeats 2007 numbers, and that something else  
13 generates the base case.

14 Is that what you're saying?

15 DR. ATIF KUBURSI: No, I -- I know  
16 exactly what I've done. I'm putting all -- all these  
17 numbers here are exactly the last column of 2007, but  
18 this is not what we start the system with. When we start  
19 the system, we use the distribution. That's why all  
20 these things are random. Even generation is random.  
21 Nothing in the 6.1 is fixed. The base case is basically  
22 on the average distributions of these things. I put  
23 these numbers here so you could see one to one  
24 correspondence with 6.1.

25 But when we run the system, we don't use

1 these numbers. We use the distrib -- the distribution  
2 number, you see? Anyone who is familiar with PRISM would  
3 know -- or @RISK is that you have to basically put  
4 numbers, and then you put the distribution, and you allow  
5 the distribution to overrule these numbers. And we made  
6 this very clear in our evidence, that when we did the  
7 benchmark everything was random, and the random was  
8 basically 2001-2007.

9                   And then we ran the numbers and get the  
10 net revenue, and this became the mean net revenue that  
11 comes from all these random numbers coming in. Each one  
12 (1) of them is random. I'm representing here -- because  
13 if I just said random numbers, and gave you these things  
14 as this distribution, that distribution, like the way I  
15 put it in the things in operating expenses, you probably  
16 would have no clue where these things are coming from.

17                   So I went and put 2007 -- actually, you  
18 know, the person who helps me with this, Steve, put all  
19 the 2007 so you could see the one-to-one correspondence  
20 between Table 6.1 and this one. But when we run it the  
21 benchmark is basically fundamentally overruled, these  
22 numbers, not using them but the distribution from which  
23 they came.

24                   And that's why we said in six point two  
25 (6.2) we keep everything random, we fix the amount of

1 generation. And we fix the amount of generation to  
2 correspond to the new flows, like the minimum flow that  
3 we have. Everything else remains.

4 MR. ANTOINE HACAULT: Well, you say  
5 "minimum flow," but that's confusing. You never actually  
6 use the flow. We cleared that up.

7 DR. ATIF KUBURSI: No.

8 MR. ANTOINE HACAULT: You use generation,  
9 not flow.

10 DR. ATIF KUBURSI: But the -- you know,  
11 like, okay, let's say that the number is one thirteen  
12 (113) is the average flow and the minimum flow is fifty-  
13 four (54). Okay, you have it from your table just to  
14 show you how we -- how we do this because we did exactly  
15 almost the same.

16 You -- you're with me in -- in Tab 75?  
17 Okay, the average is a hundred thirteen (113) KCFS,  
18 right?

19 MR. ANTOINE HACAULT: I see that.

20 DR. ATIF KUBURSI: You're with me. And  
21 in 1940 the flow is fifty-four (54), correct? The  
22 similar things what we do is we look at this one thirteen  
23 (113), and then I take the average of the minimum that  
24 Lonnie gave me from the random distribution of the flows,  
25 and I correct the generation by the ratio of the average

1 of the minimum to the average, and that will be the fixed  
2 generation that corresponds to that drought.

3 MR. ANTOINE HACAULT: Now, again, you've  
4 thoroughly confused me because what's the ratio you use?  
5 We -- there's no correlation between flow and generation.  
6 We've seen that.

7 DR. ATIF KUBURSI: Yeah. I mean, you --  
8 you can't judge, you know, no correlation by two (2)  
9 numbers. I mean, there is a formula, all right. There  
10 is a formula that is on page -- in -- in our report, we  
11 have it on a particular page. It's the formula that  
12 translates flow into generation.

13 MR. ANTOINE HACAULT: So your model is  
14 making some kind of assumption on storage and water flow?

15 DR. ATIF KUBURSI: No, no, noth --  
16 nothing at all. All I'm really saying, corresponding to  
17 a particular flow, there is a generation level. And that  
18 flow and generation has this formula. We assume  
19 everything to remain the same in that formula, except now  
20 instead of the -- the hundred thirteen (113), we put the  
21 new flow.

22 MR. ANTOINE HACAULT: So what's your  
23 generation value that you've assumed in your  
24 calculations? Because you said you've assumed some kind  
25 of a value. You've assumed some kind of a calculation.

1 You think that it's derived, but -- but you've taken a  
2 sample from 2001 to 2007. What -- what did you assume  
3 Hydro would do in its operations of its storage and water  
4 flow?

5 DR. ATIF KUBURSI: We didn't -- all --  
6 all we really needed to know, that now there is a -- as  
7 you can see, for example, the nineteen thousand (19,000)  
8 corresponds to the -- to the -- you know, from thirty  
9 thousand (30,000). I mean, there is a relationship  
10 between the two. All we -- all we have really to do here  
11 is to basically say that now drought is not about  
12 generation. Drought is about flow.

13 The water flow is low, therefore,  
14 generation is going to be low. And we say there is a cor  
15 -- one-to-one correspondence between flow and generation.  
16 That's all we've done.

17 MR. ANTOINE HACAULT: But how -- how do  
18 you know what the storage was at the beginning, and  
19 you're looking at inflows here, and your -- what formula  
20 did you use? I mean, did you assume that the water  
21 levels in the lake were high? Did you assume they were  
22 low?

23 DR. ATIF KUBURSI: All -- all we did is  
24 basically say that there is a particular relationship  
25 between flows and generation. And we looked at our

1 average flow and -- that corresponded to that average of  
2 the period. And then we looked at that low flow and  
3 adjusted the average to the low, that's all.

4 MR. ANTOINE HACAULT: But you see, why  
5 I'm asking that question, sir, is that the average flow  
6 is about thirty thousand (30,000), correct? Aver --  
7 average generation.

8 DR. ATIF KUBURSI: Yes.

9 MR. ANTOINE HACAULT: Okay. In the  
10 lowest flow on record at fifty-four (54) --

11 DR. ATIF KUBURSI: Yeah, it was nineteen  
12 (19).

13 MR. ANTOINE HACAULT: It's -- it's --  
14 it's less than half that average flow, correct?

15 DR. ATIF KUBURSI: No. It's above that,  
16 it's nineteen (19).

17 MR. ANTOINE HACAULT: Well, it's -- it's  
18 from a hundred (100) and --

19 DR. ATIF KUBURSI: The flow -- the flow --  
20 - the flow, yes.

21 MR. ANTOINE HACAULT: The flow --

22 DR. ATIF KUBURSI: Fifty-four (54).

23 MR. ANTOINE HACAULT: -- was a hundred  
24 and thirteen average (113).

25 DR. ATIF KUBURSI: Fifty-four (54) over

1 one thirteen (113), yeah.

2 MR. ANTOINE HACAULT: That's -- it's less  
3 than half.

4 DR. ATIF KUBURSI: Yeah.

5 MR. ANTOINE HACAULT: And I want to know  
6 whether your model assumed that there would be half the  
7 generation?

8 DR. ATIF KUBURSI: No.

9 MR. ANTOINE HACAULT: What is the formula  
10 that you used?

11 DR. ATIF KUBURSI: Well, you know, I'll -  
12 - I'll share it with you. All right. We have a formula,  
13 it's a little bit more complicated than that because it's  
14 not just fifty-four (54) divided by one thirteen (113)  
15 times really the -- the average flow -- the average  
16 generation.

17 Because, you see, you're taking the  
18 average to be the thirty thousand (30,000). We took the  
19 average over our own period, all right, which is the  
20 2001-2007, then we looked at the, you know, the average  
21 flow over that period, and then the minimum that is to  
22 that average. That's -- that's the way we did it.

23 All right, 2001-2007. Okay. You have a  
24 generation. I can -- I can read it to you, between -- it  
25 goes between basically thirty-four (34) to thirty-five

1 (35).

2 THE CHAIRPERSON: Perhaps, Dr. Kubursi,  
3 if you were to provide the details of your calculation to  
4 Mr. Hacaault --

5 DR. ATIF KUBURSI: Yeah, yeah.

6 THE CHAIRPERSON: -- it might facilitate  
7 moving ahead.

8 DR. ATIF KUBURSI: Yeah, but -- but just  
9 -- let's very quickly summarize. I have the average  
10 generation, 2001-2007, I have the average flow, 2001-  
11 2007. I have the minimum flow that comes from the random  
12 things. I divide the minimum by that average and then I  
13 adjust by the ratio the generation.

14

15 CONTINUED BY MR. ANTOINE HACAULT:

16 MR. ANTOINE HACAULT: So that ignores  
17 storage. So when in 2003/2004 Manitoba Hydro  
18 intentionally kept more in storage, excuse your number  
19 because your number has no idea what's in storage, it  
20 assumes that there wasn't human intervention in the  
21 storage, that it was just a natural flow and your  
22 calculations assumed that Hydro did not interfere in the  
23 usual flow?

24 DR. ATIF KUBURSI: Yeah. That -- that  
25 would be correct if I'm talking about a very par -- one



1 (1) particular year. If I'm looking at over a period of  
2 time I must have taken all these variations of  
3 relationship between the flow to generation with storage.  
4 If you take one (1) year and say that year is the only  
5 year I'm going to use, then I may be liable to some of  
6 the issues.

7 But if I'm looking over an entire period,  
8 then one (1) time I kept the flow, the -- the storage  
9 high, one (1) time even lower, it averages out. That's -  
10 - that's -- that's the logic. I mean, it averages out.

11 MR. ANTOINE HACAULT: Well, perhaps you  
12 can give me those calculations, sir, because --

13 DR. ATIF KUBURSI: Oh, I can do that, no  
14 problem.

15 MR. ANTOINE HACAULT: -- that would be  
16 the easiest way.

17 DR. ATIF KUBURSI: Yeah. Yeah.

18 MR. ANTOINE HACAULT: Now -- undertaking  
19 to provide the calculations of the relationship between  
20 flow and generation assumed in the model done by Dr.  
21 Kubursi and, who is this assistant, Steve? What are --

22 DR. ATIF KUBURSI: Steve Spencer, yep.

23

24 --- UNDERTAKING NO. 152: Doctors Kubursi and Magee to  
25 provide the calculations of

1 the relationship between flow  
2 and generation assumed in the  
3 model

4  
5 DR. ATIF KUBURSI: He's the one running  
6 around to get you the numbers for the other one (1).

7  
8 CONTINUED BY MR. ANTOINE HACAULT:

9 MR. ANTOINE HACAULT: Now are all these  
10 numbers on Exhibit 10 independent, or -- for example, let  
11 me ask you a question, there's a heading under operating  
12 expenses. It's entitled "Royalty Expenses." Do you see  
13 that?

14 DR. ATIF KUBURSI: Yeah.

15 MR. ANTOINE HACAULT: What's Royalty  
16 Expenses? Is it the water rentals?

17 DR. ATIF KUBURSI: Okay. I mean why  
18 don't you go to that Table 6.1, page 227.

19

20 (BRIEF PAUSE)

21

22 DR. ATIF KUBURSI: It certainly must be  
23 the water rental.

24 MR. ANTOINE HACAULT: Do you know whether  
25 it is?

1 DR. ATIF KUBURSI: I -- I think it's a  
2 good guess it is.

3 MR. ANTOINE HACAULT: My next question  
4 then, is it randomized independently?

5 DR. ATIF KUBURSI: Every one is  
6 randomized independently.

7 MR. ANTOINE HACAULT: Does that mean,  
8 sir, then that you could have in your distribution, when  
9 your computer does its run, a high royalty based on the  
10 sampling that you've given here?

11 DR. ATIF KUBURSI: M-hm.

12 MR. ANTOINE HACAULT: So that would mean  
13 high water rentals in a low generation year.

14 DR. ATIF KUBURSI: I mean, it's a  
15 randomized process and each one (1) of them follows with  
16 this. But, I didn't just get -- you know --

17 MR. ANTOINE HACAULT: But -- but is the  
18 answer, yes, sir? Could you have --

19 DR. ATIF KUBURSI: No, it's -- it's  
20 never, yes or no because you're dealing with economists.  
21 Okay.

22 As -- it's -- it's really a little bit  
23 more complicated, I tell you why. I mean, I didn't get  
24 this -- I did not create a random distribution here out  
25 of nowhere. I looked at the distribution that fit the

1 actual number over seven (7) years that you have here and  
2 I felt what is the best distribution that these numbers  
3 could have come from. So it couldn't possibly be just a  
4 random process this way.

5 No, this is a probability distribution  
6 that was particularly chosen, carefully chosen, where I  
7 could really say with some confidence that the numbers  
8 that you see here must have come from that random  
9 distribution.

10 MR. ANTOINE HACAULT: But, you'll agree  
11 with me, sir, that in your random distributions there are  
12 extremes, correct? So if you are attributing random  
13 distribution for royalty expenses, the computer could  
14 choose either a low number for water rentals or a high  
15 number for water rentals --

16 DR. ATIF KUBURSI: No, no --

17 MR. ANTOINE HACAULT: -- within the  
18 distribution that you've chosen, correct?

19 DR. ATIF KUBURSI: Not correct. You see,  
20 I'm -- I'm -- let me say it again -- I mean, you're  
21 talking about it as if I am some sort -- pulling from a  
22 probability urn. I'm not.

23 All I'm really saying, I am picking  
24 numbers from a distribution that I'm so confident that  
25 the seven (7) numbers that I began with must and are best

1 -- best characterized by this distribution, all right?

2 MR. ANTOINE HACAULT: Could you go to --  
3 could you go to your Table 6.38, which is your random  
4 distribution as I understand it for royalties.

5 DR. ATIF KUBURSI: Six point three eight  
6 (6.38)?

7 MR. ANTOINE HACAULT: Yeah. It's on page  
8 257, I believe.

9 DR. ATIF KUBURSI: Two five seven (257)  
10 yeah. Correct.

11 MR. ANTOINE HACAULT: So I'm asking the  
12 same question, sir. This is the distribution you told  
13 the computer to consider, correct?

14 DR. ATIF KUBURSI: Correct.

15 MR. ANTOINE HACAULT: And the computer  
16 will randomly consider, within that distribution, a  
17 combination, each independent, giving you an answer,  
18 correct?

19 DR. ATIF KUBURSI: Correct.

20 MR. ANTOINE HACAULT: So the computer  
21 could chose something at the cost of royalties a little  
22 bit over a hundred and twenty thousand (120,000). It  
23 could chose that in its random sampling, correct?

24 DR. ATIF KUBURSI: Correct.

25 MR. ANTOINE HACAULT: And it could chose

1 something a little bit less than twenty (20) in its  
2 ramble --

3 DR. ATIF KUBURSI: Yes.

4 MR. ANTOINE HACAULT: -- random  
5 selection.

6 DR. ATIF KUBURSI: But -- but you have to  
7 read this distribution also too, that the largest number  
8 of things that you could possibly expect to pick are  
9 going to be bounded by one (1) standard deviation add on  
10 the mean.

11 MR. ANTOINE HACAULT: So it's most likely  
12 to pick --

13 DR. ATIF KUBURSI: It would be the mean--

14 MR. ANTOINE HACAULT: -- plus seventy  
15 (70) -- seventy-six (76), I think it says the mean --

16 DR. ATIF KUBURSI: Yeah, yeah. Seventy-  
17 six (76), three-o-one (301).

18 MR. ANTOINE HACAULT: Okay.

19 DR. ATIF KUBURSI: Plus a standard  
20 deviation around the mean of one (1), which is thirty-  
21 three (33). So I am going to pick most of my numbers to  
22 be between forty (40) something and a hundred.

23 MR. ANTOINE HACAULT: Okay. But, sir, I  
24 don't want to -- is it your understanding then that water  
25 rentals have no relation to the -- the generation? In

1 other words, you can have low generation but high water  
2 rentals.

3 DR. ATIF KUBURSI: Yeah.

4 MR. ANTOINE HACAULT: So...

5 DR. ATIF KUBURSI: I mean, you have --  
6 you have a point in the following sense. I did not  
7 impose any correlation among these different components  
8 of cost. Mr. Hacaault is right in the sense that I could  
9 pick a lower royalty and a high, you know, different  
10 number from this course. It is possible.

11 I mean, it would be nice if I were able to  
12 really say that I would weed out all these that would  
13 suggest a low royalty with a high flow. I -- I can't --  
14 I can't do this.

15 All I'm really saying here, I am looking  
16 at a broad distribution of possibilities, and I'm looking  
17 at the risk factors that could come. There could be  
18 situations in which there would be a possibility of the  
19 variations you're talking about, but that probability  
20 could be extremely low, and I'm going to look at all the  
21 possibilities and then concentrate on the average. And  
22 when I'm talking about the average, it will not be far-  
23 fetched to suggest that this average would only emerge if  
24 I'm using all these average values of the different  
25 things.

1 MR. ANTOINE HACAULT: But, you see, that  
2 that's one (1) of my points, sir, is that if you go to  
3 page 228, which is your Table 6.1 --

4 DR. ATIF KUBURSI: Yes.

5 MR. ANTOINE HACAULT: -- when you allow  
6 these variables, such as a high water-rental rate when  
7 you would have low generation, which just can't happen in  
8 real life, those little probability or not-likely  
9 situations would appear in the tails of this diagram  
10 because the computer is thinking, well, it might happen.

11 DR. ATIF KUBURSI: Absolutely, and that's  
12 what we would like to know. I mean, one (1) of the most  
13 important lessons we learn from risk analysis is that you  
14 can't look everything to be along the average. You ought  
15 to look also at these situations which have very little  
16 likelihood, the head, the tail, but if they still have a  
17 chance of occurring, and they would im -- have  
18 implications that you have to be aware of and be prepared  
19 to deal with.

20 MR. ANTOINE HACAULT: So the computer is  
21 assuming that the province is going to increase its water  
22 rental rates in a drought year. That's one (1) of the  
23 scenarios, and it shows up in the tail end of your  
24 probability distribution.

25 DR. ATIF KUBURSI: I mean, it -- it could



1 -- it could easily be that the tail end is exactly the  
2 opposite in the sense that they would reduce it. All I'm  
3 really talking about here is the combinations that would  
4 come, and the one we're talking about that the most  
5 likely would be the average, and when you're looking at  
6 the average, you're possibly looking at the average of  
7 all these variables.

8           But if you want to be in a situation where  
9 you know all the possibilities, it's there, but it has  
10 such a low probability of occurrence, and you want to  
11 know what will be the one that is most likely to happen,  
12 then you don't look at the tail, you look at the average.

13           You see, the trouble is that if you don't  
14 do this then you weed out an incredible number of events,  
15 and you won't have as rich a menu to be looking at. I  
16 mean, one (1) of the greatest advantages of risk analysis  
17 is you look at all possible combinations that are likely  
18 to happen and you put a probability distribution and  
19 confidence levels.

20           And we're saying, you see, I have a  
21 confidence level that this kind of situation you're  
22 talking about has less than 5 percent of occurrence, or  
23 maybe 1 percent. But if I want to look at situations  
24 where there is a very high probability of occurrence,  
25 which is really at the mean, then that situation you're

1 talking about is most likely not going to happen.

2 MR. ANTOINE HACAULT: And, on average,  
3 then, your testimony is that Manitoba Hydro, based on  
4 your Stats Can analysis and this small sample, should be  
5 making \$445 million a year, minus -- or you -- you may  
6 have to add some interest costs on that.

7 DR. ATIF KUBURSI: Yeah.

8 MR. ANTOINE HACAULT: I -- I do have one  
9 (1) -- just a question of clarification, then. On this  
10 table that you've produced as Exhibit 10, is it --  
11 firstly, is it Steve that produced this table?

12 DR. ATIF KUBURSI: Oh, yes.

13 MR. ANTOINE HACAULT: Yes. Okay. Do you  
14 know -- did you instruct Steve that every time there was  
15 a random number in the six point one (6.1), that he  
16 should indicate the word "random" beside?

17 DR. ATIF KUBURSI: Yes.

18 MR. ANTOINE HACAULT: So am I correct in  
19 looking at this table, then, if I don't see "random," the  
20 base case includes the number that is actually shown on  
21 the sheet?

22 DR. ATIF KUBURSI: No, I -- I mean, for  
23 example, I -- I told you, in this table everything is  
24 random. He -- he probably didn't put random next to  
25 generation. He just put the 2007. And, in some sense,

1 maybe he's reflecting my instructions. I wanted you to  
2 see, if I give you this number and say, Everything  
3 random, I don't put a number here, you say, What -- what  
4 did you give me.

5 I want to tell you that these are numbers  
6 that could come, exactly 2007 table, so you could see  
7 them. But when we run that system we don't run it with  
8 thirty-five-o-eight-o (35080). We run it with the random  
9 distribution that is basically -- best characterizes the  
10 generation.

11 MR. ANTOINE HACAULT: Now, let's just  
12 look at generation -- but page 260 of your report.

13 DR. ATIF KUBURSI: yes.

14 MR. ANTOINE HACAULT: There's the  
15 triangular probability of distribution of generation --

16 DR. ATIF KUBURSI: Which is --

17 MR. ANTOINE HACAULT: -- which shows --

18 DR. ATIF KUBURSI: Yeah. Yeah, it's a  
19 triangular --

20 MR. ANTOINE HACAULT: Okay, have you  
21 located?

22 DR. ATIF KUBURSI: Yeah.

23 MR. ANTOINE HACAULT: Okay. Now, what  
24 I'm having trouble understanding is that you say that the  
25 thirty-five zero eight zero (35080) in Exhibit 10, as I

1 understand your answer, I should be able to find it  
2 somewhere on this table, six point four four (6.44), and  
3 I don't see it. It goes down to, in the tail end, a  
4 little bit under nineteen (19), and at the top end a  
5 little bit over twenty-two thousand (22,000).

6 DR. ATIF KUBURSI: Let -- let me check  
7 Table 6.1.

8

9 (BRIEF PAUSE)

10

11 DR. ATIF KUBURSI: I think it's titled  
12 wrongly. This looks more -- in -- in my view, more --  
13 this is a representation of load. Because if it was  
14 really generation, these numbers that you have should  
15 have really been there.

16 MR. ANTOINE HACAULT: But you have a  
17 Table 6.19 as load, sir.

18 DR. ATIF KUBURSI: I'm just checking it  
19 just to see it.

20 MR. ANTOINE HACAULT: And if I look at  
21 that probability distribution I don't have your number  
22 from this Exhibit 10 anywhere on that sheet either. Six  
23 point one nine (6.19) is at page 247 of your report, sir.

24 DR. ATIF KUBURSI: Yes. And, you know,  
25 these numbers that are in parentheses, they're the

1 average and the standard deviation. In triangle, at one  
2 (1) I should have the min, the -- the max, and the  
3 average. None of these things seem to be -- I -- I'll  
4 have to check on this one. It -- it doesn't look at all  
5 to be the representation of generation.

6                   If it was generation, I should have the  
7 minimum generation, which I -- Table 6.1 is two two seven  
8 (227). I mean, these numbers should have really been  
9 there, and that's why -- let's see. I have the min --  
10 the minimum, eighteen seven six (1876). Is there any one  
11 -- eighteen seventy six (1876).

12                   THE CHAIRPERSON:   Perhaps you could take  
13 your time over lunch.

14                   DR. ATIF KUBURSI:   Yeah. Yeah, let me  
15 check this one because --

16                   THE CHAIRPERSON:   Yeah. Mr. Hacault --

17                   DR. ATIF KUBURSI:   -- it doesn't look  
18 like the generation to me.

19                   THE CHAIRPERSON:   Yeah, it's best you  
20 take your time and determine that. Mr. Hacault, I'm not  
21 trying to hurry you. I'm just wondering, do you know how  
22 much longer you'll require the panel before we can move  
23 on to the next Intervenor?

24                   MR. ANTOINE HACAULT:   I had expected,  
25 quite frankly, to finish my questions, but every time I'm

1 getting an answer it seems to be confusing me more about  
2 what his calculations are and what his base case is. I  
3 will say, at -- at the outside, half an hour. I -- I  
4 would hope that I can finish in ten (10), fifteen (15)  
5 minutes, but...

6 THE CHAIRPERSON: Okay. Well, hopefully  
7 over the break Dr. Kubursi will find a way to address  
8 some of your issues.

9 DR. ATIF KUBURSI: Yeah.

10 THE CHAIRPERSON: So we'll -- we'll come  
11 back at one o'clock to try and make up a bit of time.

12 MR. BYRON WILLIAMS: Mr. Chairman, could  
13 you hold just one (1) second before you break.

14

15 (BRIEF PAUSE)

16

17 MR. ANTOINE HACAULT: I guess just to  
18 clarify over lunch, in the event that six point four four  
19 (6.44) on page 260 is not the probability distribution  
20 used in the base case. Could we have what in fact is  
21 that probability distribution? Thank you. Do -- do I  
22 have that undertaking?

23 You have to indicate yes or no, sir.

24 DR. ATIF KUBURSI: Yes, sir.

25 MR. ANTOINE HACAULT: Thank you.

1 --- UNDERTAKING NO. 153: Doctors Kubursi and Magee to  
2 provide, in the event that  
3 six point four four (6.44) on  
4 page 260 is not the  
5 probability distribution used  
6 in the base case, what in  
7 fact is that probability  
8 distribution  
9

10 THE CHAIRPERSON: Thanks. Okay. We'll  
11 be back at 1:00.  
12

13 --- Upon recessing at 12:01 p.m.

14 --- Upon resuming at 1:17 p.m.  
15

16 THE CHAIRPERSON: Okay. Welcome back,  
17 everyone. As a matter of time, we had a bit of a  
18 discussion amongst ourselves, and -- and given the  
19 timetable and the expectations for different witnesses  
20 appearing in a -- in a row, basically, following the --  
21 the doctors' testimony today, after Mr. Hacault is  
22 finished with his cross, we'll be going to Mr. Gange.  
23 We're aware that Mr. Williams was reserving the right to  
24 ask some additional questions, and then we -- we know we  
25 have Manitoba Hydro's cross.

1                   Based on our indications through counsel  
2 of the timing, we'll see how it goes, whether or not we  
3 can completely finish with the doctors today, subject to  
4 whatever may come up. So we may go past our normal  
5 closing hour to be able to accomplish this. It'll all  
6 depend on the -- the length of time it takes to finish  
7 the cross-examinations of the various Intervenors, and a  
8 short break to allow Manitoba Hydro to catch its breath  
9 and -- and then begin its examinations of the doctors.

10                   So, with that note, we'll return to Mr.  
11 Hacault, unless Mr. Wood has something from Mr. -- Dr.  
12 Kubursi.

13                   MR. GAVIN WOOD: We -- we do, sir, and I  
14 think this may in fact shorten at least the one (1)  
15 cross. There's several documents that we'd like to  
16 enter. Dr. Kubursi, would you go through them for me,  
17 please?

18                   DR. ATIF KUBURSI: Yeah. We have three  
19 (3) documents. One (1) was something outstanding from  
20 last time, which is the distribution for the US import  
21 price. And this is the first graph. If you can see,  
22 it's titled "Price of US Imports."

23                   MR. GAVIN WOOD: And that really is the  
24 second sheet to KM Exhibit number 9, and I'd ask that it  
25 be marked now as KM Exhibit number 11. That completes



1 that undertaking answer.

2

3 --- EXHIBIT NO. KM-11: Graph entitled "Price of US  
4 Imports"

5

6 DR. ATIF KUBURSI: The -- the second one  
7 is the generation distribution with the one that we have  
8 in our report on page 260, unfortunately, is load, and  
9 was labelled wrongly as generation. The new generation  
10 and the correct one that was also used in the model is  
11 now submitted as a separate document.

12 MR. GAVIN WOOD: That is, Mr. Chair, then  
13 Figure 6.44 at page 260, should be replaced with the  
14 document that's been distributed, and we'd ask that it be  
15 marked as KM Exhibit number 12, please.

16 THE CHAIRPERSON: That should prove  
17 helpful. Thank you.

18

19 --- EXHIBIT NO. KM-12: Replacement document to  
20 Figure 6.44

21

22 DR. ATIF KUBURSI: And there is also one  
23 (1) more, and this is the response to Mr. Hacault  
24 regarding the way we translated flow into generation.  
25 The formula that we used is also submitted. And this is

1 literally a shorter method for the formula that we have  
2 in our report on page 178 under footnote 27.

3 MR. GAVIN WOOD: So that's page 178 of  
4 the KM report, footnote 27.

5 DR. ATIF KUBURSI: Twenty-seven (27).

6 MR. GAVIN WOOD: And the document itself  
7 is a hand-written; it's -- it's titled "Flow/Generation,"  
8 and that's KM Exhibit number 12, please.

9 THE CHAIRPERSON: Thirteen (13).

10

11 --- EXHIBIT NO. KM-13: Document entitled  
12 "Flow/Generation"

13

14 MR. GAVIN WOOD: And then there --  
15 there's also -- Dr. Kubursi was hoping he could just  
16 clarify, sir, the exchange that took place. I think we  
17 were concerned, no fault, of course, of Mr. Hacault. We  
18 just felt it got a little ragged the last half hour or  
19 so, and if you would, I -- we think we -- it might save  
20 time if he just clarified, if that would be okay.

21 THE CHAIRPERSON: Yes, for sure.

22 DR. ATIF KUBURSI: Thank you, Mr.  
23 Chairman. There are three (3) important overriding  
24 commitments we made and I'd like to reiterate them, and  
25 they will explain things.

1                   First, we haven't done anything that we  
2 did not document. We probably, as now, we have seen that  
3 in Figure 6.44 it was mislabelled. This was -- we ran  
4 one (1) more time load under the triangular distribution  
5 and was mislabelled as a "generation"; we have now the  
6 new generation.

7                   2. The base case that we have -- and we  
8 made it very clear right at the beginning that this was a  
9 case in which we allowed all the variables to come from  
10 probability distributions. We did not use a single fixed  
11 number. We wanted to see what, if this period, 2001 and  
12 2007, and we fit probability distributions that we  
13 considered to be the best fit, where they give you some  
14 level of confidence that the numbers that were in Table  
15 6.1 are coming from these distributions.

16                   And then one (1) we wanted to share with  
17 you something. I mean, we could have easily said, These  
18 are the variables and everyone of them came from a random  
19 distribution, and we gave the probability distribution.  
20 It would have been absolutely in -- you couldn't read it  
21 because, I mean, all that we really say, They're all  
22 distributions.

23                   To make things clearer we wanted to show  
24 numbers that correspond to the table from which they  
25 came, and we used the last year to do so. I misspoke

1 myself by saying the average. Because if we used the  
2 average it would have never been show, because the  
3 average would be a number that is not necessarily one (1)  
4 of the observations. So we wanted to show you and give  
5 some level of comfort that what we've used here are  
6 numbers coming from this table in our report and each one  
7 of which is a probability distribution.

8           And to make and underscore this, we  
9 present it; we didn't have to, actually. I mean, one (1)  
10 of the things people were a bit objecting to it is that,  
11 Why do you want to put all this distribution at the end  
12 with all these colours? We wanted to give a level of  
13 comfort to everybody that we want to present something  
14 that could be replicated, and that every single variable  
15 that we are putting in this Exhibit 10 is coming from a  
16 particular well documented situation.

17           The other thing that we want to -- I mean,  
18 there was a bit of a -- an exchange with Mr. Hacault and  
19 necessarily -- probably I did not clarify. There is no  
20 one to one (1) to one (1) correspondence between flow and  
21 generation; nobody's claiming that. There is a formula,  
22 and this is the one we said in page 178, footnote 27,  
23 Exhibit 30, that shows the strict formula that engineers  
24 use and I see it -- and I saw it in SPLASH and in HERMES.  
25 We paraphrased it by saying --- and I -- I mean, I

1 haven't done this, but I'm -- will be more than happy to  
2 do this as undertaking at no charge. I want a  
3 correlation between flow and generation and I will bet my  
4 sweet life it will be higher than 95 percent, and could  
5 use the coefficient to adjust.

6 But what we did, we made it a bit of a  
7 heuristic, but because we're literally interested in the  
8 big picture here, and the story is: Look, this are the  
9 generation that correspond to a particular flow. What if  
10 this flow is a drought flow? And what would really  
11 happen if we were to stress the system?

12 And remember, all what we were doing is  
13 stressing the system. And we put that generation that  
14 corresponded to that lowest flow over that period of  
15 2001-2007, yes.

16 THE CHAIRPERSON: Thank you, sir. Mr.  
17 Hacault...?

18

19 CONTINUED BY MR. ANTOINE HACAULT:

20 MR. ANTOINE HACAULT: Thank you, Dr.  
21 Kubursi. Bringing you then to Exhibit 13. Where did you  
22 take the numbers for the first item in the formula  
23 Average Generation? Is that from the table that -- of  
24 Statistics Canada?

25 DR. ATIF KUBURSI: Correct. This is

1 Table 6.1, page 227.

2 MR. ANTOINE HACAULT: Okay. So that if  
3 we want to do the calculation we would take the total  
4 generation numbers on page 227.

5 Is that correct?

6 DR. ATIF KUBURSI: Correct.

7 MR. ANTOINE HACAULT: And add all -- all  
8 of those and divide it by -- by the number of years and  
9 we would get the average?

10 DR. ATIF KUBURSI: And you'd get the  
11 average.

12 MR. ANTOINE HACAULT: Okay. Now with  
13 respect to average water flows, where did you get that  
14 data?

15 DR. ATIF KUBURSI: The same data that you  
16 have. This was supplied by Manitoba Hydro to us. It was  
17 at the end of one of our chapters, but for some reason,  
18 because we had a little bit richer data, it was redacted.  
19 But it's exactly the same way. And our average is 113  
20 kcfs; the one you have.

21 MR. ANTOINE HACAULT: That's -- that's  
22 from the seven (7) years? Because my table doesn't go up  
23 to 2007, the one that --

24 DR. ATIF KUBURSI: Well --

25 MR. ANTOINE HACAULT: -- I've marked, so.

1 DR. ATIF KUBURSI: -- the -- the one we  
2 have I think goes to 2006 probably. This is it.

3 MR. ANTOINE HACAULT: So did you just --

4 DR. ATIF KUBURSI: So it would be -- it  
5 would be on 2006 -- 2001-2006.

6 MR. ANTOINE HACAULT: Could -- could you  
7 just --

8 DR. ATIF KUBURSI: But I will check this,  
9 yeah.

10 MR. ANTOINE HACAULT: -- verify where you  
11 got that information, because it --

12 DR. ATIF KUBURSI: Yeah.

13 MR. ANTOINE HACAULT: -- it makes a  
14 difference in the -- that a -- because, you know, when I  
15 asked my secretary; I said, How did you get that number.  
16 She says, Well, I pressed this and this. And I said, It  
17 it gave you that number?

18 DR. ATIF KUBURSI: Well, there was --

19 MR. ANTOINE HACAULT: And said, Oh, wrong  
20 numbers in, wrong numbers out.

21 DR. ATIF KUBURSI: No, no, no. I mean,  
22 we got this exactly from probably where you got yours  
23 from: Manitoba Hydro. We had the flows that were from  
24 1912 all the way to 2000. The last things I got, 2006.

25 MR. ANTOINE HACAULT: So can you tell us

1 then what number you put your 2007?

2 DR. ATIF KUBURSI: I -- I could give you  
3 these numbers.

4 MR. ANTOINE HACAULT: Where did you get  
5 that number?

6 DR. ATIF KUBURSI: No, this is something  
7 I -- I would -- you see, it's redacted. I don't have it  
8 with me, but I can share these numbers --

9 MR. ANTOINE HACAULT: Okay.

10 DR. ATIF KUBURSI: -- with you.

11 MR. ANTOINE HACAULT: Where is the  
12 redacted form of that?

13 DR. ATIF KUBURSI: It's -- what was it?  
14 Table -- it's -- it was the last page in chapter 5. I'll  
15 give you the page number.

16

17 (BRIEF PAUSE)

18

19 DR. ATIF KUBURSI: Sorry, chapter 4.  
20 Chapter 4.

21

22 (BRIEF PAUSE)

23

24 DR. ATIF KUBURSI: It's page 311.

25 MR. ANTOINE HACAULT: It's completely



1 black.

2 DR. ATIF KUBURSI: Well, I mean, this was  
3 requested of us. I know --

4 MR. ANTOINE HACAULT: No, that's okay.  
5 I'm not criticizing you, Dr. Kubursi, at all.

6 THE CHAIRPERSON: You must be getting  
7 used to that, aren't you, Mr. Hacault?

8 MR. ANTOINE HACAULT: Completely in the  
9 black. Okay, so you'll give us those numbers.  
10 Presumably, those aren't confidential.

11 DR. ATIF KUBURSI: The -- the  
12 unredacted...

13

14 (BRIEF PAUSE)

15

16 MR. ANTOINE HACAULT: Ms. Ramage has a  
17 comment.

18 MS. PATTI RAMAGE: Now -- yeah, I'm just  
19 raising the concern. If that's been redacted  
20 information, that's numbers that Dr. Kubursi can supply.  
21 And I'd have to look at exactly what we're speaking of,  
22 but as a -- as certainly an interim measure, perhaps if  
23 you could supply them to us, to Manitoba Hydro, and we  
24 can confirm that they are the numbers that were behind  
25 the redaction, if that would assist Mr. Hacault.

1 THE CHAIRPERSON: He's nodding. Sounds  
2 okay.

3 MR. ANTOINE HACAULT: Correct, Mr.  
4 Chairman. I just want to know what numbers he used in  
5 his formula.

6  
7 --- UNDERTAKING NO. 154: Doctors Kubursi and Magee to  
8 indicate where they got the  
9 data, with respect to average  
10 water flows

11  
12 CONTINUED BY MR. ANTOINE HACAULT:

13 MR. ANTOINE HACAULT: Now, number 3, in  
14 the series of formula on KM Exhibit 13, indicates ratio  
15 of minimum flow. So minimum flow, is that the fifty-four  
16 thousand (54,000), or is it the minimum flow between the  
17 years 2001 and 2007?

18 DR. ATIF KUBURSI: Now, we -- we used two  
19 (2) numbers. In one (1) case, we used the actual  
20 minimum, which was the lowest minimum, which is the  
21 fifty-four (54). And the second one was the distribution  
22 that Lonnie gave me, which is an average of the minimum  
23 at the 2.5 percent interval level.

24 MR. ANTOINE HACAULT: And what's that  
25 number then?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(BRIEF PAUSE)

DR. ATIF KUBURSI: Sorry. This is a situation where we tried to stretch the system at the minimum that has not been observed but is possible. And this is the average of the minimum at the two point five (2.5) level, and it's in page -- Table 4.5, and at what page?

Sorry, page 151, and the number thirty-eight point five seven (38.57).

(BRIEF PAUSE)

MR. ANTOINE HACAULT: Okay. So the kcfs is -- the flow is thirty-eight point five seven (38.57)?

DR. ATIF KUBURSI: Six (6), yeah.

MR. ANTOINE HACAULT: Five six (56)?

DR. ATIF KUBURSI: Five (5) -- point five seven six (.576).

MR. ANTOINE HACAULT: Five (5) --

DR. ATIF KUBURSI: Thirty (30) -- three eight point five seven six (38.576).

MR. ANTOINE HACAULT: Okay. Now, I did a quick calculation while you were looking at your computer

1 and we came to an average, between 2001 and 2007, in the  
2 range of thirty-three thousand one seventy-four (33,174).  
3 And then what we did is we divided that by what you  
4 indicated was the -- you thought was the average at one  
5 hundred and thirteen (113).

6 DR. ATIF KUBURSI: The hundred and  
7 thirteen (113) is the total average of the entire one,  
8 but for that period you have to calculate it.

9 MR. ANTOINE HACAULT: And that's the  
10 number we don't have yet. Okay.

11 Because doing that calculation, are -- are  
12 you able to tell me at the fifty-four (54) level,  
13 firstly, what the computer assumed as a generation  
14 number? Is it like around fourteen (14) or fifteen  
15 thousand (15,000)?

16 DR. ATIF KUBURSI: I -- I can't unless I  
17 have the numbers in front of me.

18 MR. ANTOINE HACAULT: Okay.

19 DR. ATIF KUBURSI: But I -- I can supply  
20 these, yes, no problem.

21 MR. ANTOINE HACAULT: Is that an  
22 undertaking? We need to -- to have that understanding.

23 MR. GAVIN WOOD: Could you set it out in  
24 detail, one (1) of your, please --

25 MR. ANTOINE HACAULT: Well, I'd like --

1 I'd like the formula which is shown on KM-13 applied to  
2 the two (2) scenarios that Dr. Kubursi identified, the  
3 first one is the 54 kcfs flow, and the second one is  
4 thirty-eight point five seven six (38.576) flow, and what  
5 the computer then assumed was the generation resulting  
6 from that flow.

7 DR. ATIF KUBURSI: Is it correct, Mr.  
8 Hacaault, you want me to put the numbers that are on this  
9 sheet, which is Exhibit -- what number is it?

10 MR. GAVIN WOOD: Thirteen (13).

11 DR. ATIF KUBURSI: Thirteen (13). And I  
12 will just put the numbers that we used here?

13 MR. ANTOINE HACAULT: Correct.

14 DR. ATIF KUBURSI: Fill it in.

15 MR. ANTOINE HACAULT: For the two (2)  
16 scenarios, because we know that the actual generation was  
17 around nineteen thousand (19,000) something, and our  
18 calculations based on your formula, seem to -- to think  
19 that the computer would probably be thinking that it's  
20 fourteen (14) or fifteen thousand (15,000) instead of the  
21 actual nineteen (19), so we want to know how much the  
22 computer's off.

23 THE CHAIRPERSON: So -- okay, so Dr.  
24 Kubursi is taking that as an undertaking, just for the  
25 record. Thank you.

1 DR. ATIF KUBURSI: Yes. Yes, sir.

2

3 --- UNDERTAKING NO. 155: Doctors Kubursi and Magee to  
4 provide the formula which is  
5 shown on KM-13 applied to the  
6 two (2) scenarios identified,  
7 the first one is the 54 kcfs  
8 flow, and the second one is  
9 thirty-eight point five seven  
10 six (38.576) flow, and what  
11 the computer then assumed was  
12 the generation resulting from  
13 that flow

14

15 CONTINUED BY MR. ANTOINE HACAULT:

16 MR. ANTOINE HACAULT: Now, just a point  
17 of clarification, when we've been talking about  
18 generation and water flows, although your table shows a  
19 number of components leading to the generation, including  
20 wind and coal, is your average the average of the water  
21 generated, or the power generated by wind and coal?  
22 Because the table that you've now provided shows the  
23 maximum and minimum for generation as the total of all  
24 forms of generation, not just the water.

25 DR. ATIF KUBURSI: Yeah. We use only

1 water, the hydro generation.

2 MR. ANTOINE HACAULT: So going to your  
3 Table 6.1 on page 227, I believe. What number are you  
4 taking as the water generation number?

5 DR. ATIF KUBURSI: We take the total  
6 generation minus the two (2) that we have, which is the  
7 wind and the thermal.

8 MR. ANTOINE HACAULT: Where is wind and  
9 termal -- thermal in this table?

10 DR. ATIF KUBURSI: I -- I don't see them  
11 here, but we have -- we have this information.

12 MR. ANTOINE HACAULT: The only way we can  
13 do the calculation is by having those additional numbers,  
14 then.

15 DR. ATIF KUBURSI: You -- you'll get them  
16 for you it.

17 MR. ANTOINE HACAULT: Could you undertake  
18 to provide those to us, please?

19 DR. ATIF KUBURSI: Yes.

20 MR. ANTOINE HACAULT: Thank you.

21

22 --- UNDERTAKING NO. 156: Doctors Kubursi and Magee to  
23 provide numbers, in regards  
24 to Table 6.1 on page 227, for  
25 wind and thermal generation

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CONTINUED BY MR. ANTOINE HACAULT:

MR. ANTOINE HACAULT: Just one (1) question on a different subject. Sir, we had talked about earlier on about depreciation; do you have any definition of depreciation, just like how do -- how do we define depreciation?

DR. ATIF KUBURSI: As we discussed it, there are several ways of -- of doing it. There is declining balance, double declining balance, some of the year digits, linear. Here, we did not make our own calculations; we took the actual numbers, as reported by Statistics Canada, to reflect depreciation.

MR. ANTOINE HACAULT: Would I be correct in suggesting to you, sir, that in asset valuation, depreciation could either be one (1) of those two (2) methods, either the straight line or the -- the curve method, but starting with the cost of reproducing or replacing the asset?

DR. ATIF KUBURSI: I mean, depends what the actual accounting system that's used. We just took the numbers.

MR. ANTOINE HACAULT: But my question to you was: In the context of asset valuation, am I correct in understanding that your start number is either the



1 cost of reproduction or the cost of replacement of the  
2 asset, to which then is applied the depreciation?

3 DR. ATIF KUBURSI: Yeah. I mean, the --  
4 the standard -- even the Canadian Revenue Agency, it  
5 tells you, if you use one (1) method, you stick to it.  
6 You have to be consistent.

7 MR. ANTOINE HACAULT: I'm not so sure I  
8 have my answer yet.

9 DR. ATIF KUBURSI: Yeah. I -- I really  
10 don't know.

11 MR. ANTOINE HACAULT: Is -- is it an  
12 accepted definition, that for asset valuation you start  
13 with the cost of reproducing or replacing the asset, then  
14 you apply depreciation?

15 DR. ATIF KUBURSI: But -- but you could  
16 easily start with the cost of the actual asset and you  
17 use it. But whatever is the method that you use, you  
18 cannot flip through another one in the middle, or use a  
19 different one.

20 Typically, there are two (2) ways, and you  
21 already outlined them. I'm not so sure which one is  
22 being used here. My -- if -- if you ask me which one I  
23 would recommend, which one I feel more comfortable with,  
24 it would be the cost of replacement.

25 MR. ANTOINE HACAULT: Thank you. Those

1 are all my questions, subject to my initial  
2 qualifications at the outset, that I hadn't received  
3 answers to the undertakings that I had asked before we  
4 broke last time. And so I'm not in a position,  
5 obviously, to ask questions with respect to those or  
6 other answers that Hydro had posed, and that we  
7 cooperated with in not asking again.

8 THE CHAIRPERSON: Okay. Thank you, Mr.  
9 Hacault. We'll see how we make out.

10 We're moving now onto Mr. Gange for  
11 RCM/TREE. Mr. Gange, are you ready to begin?

12 MR. WILLIAM GANGE: Yes, I am, sir.

13 THE CHAIRPERSON: Thank you.

14

15 CROSS-EXAMINATION BY MR. WILLIAM GANGE:

16 MR. WILLIAM GANGE: Professors, during --

17 MR. GAVIN WOOD: Mr. Gange, could I  
18 bother you just to move that chair out of the way. Thank  
19 you.

20

21 CONTINUED BY MR. WILLIAM GANGE:

22 MR. WILLIAM GANGE: Professors, during  
23 the course of your review, did you have unrestricted  
24 access to the ICF report, the KPMG report, and the New  
25 York Consultant reports, and the Manitoba Hydro

1 responses, in terms of that -- that you saw the entire  
2 reports prior to any redactions?

3 DR. ATIF KUBURSI: We have seen the  
4 unredacted reports of ICF, KPMG, Manitoba Hydro  
5 responses. We only saw the public document of the NYC.

6 MR. WILLIAM GANGE: Okay. Thank you.  
7 And during the course of your review, did you have access  
8 to the Manitoba Hydro model inputs, algorithms, and  
9 outputs, without -- without any redaction? Did you have  
10 full disclosure of those?

11 DR. ATIF KUBURSI: We have what you might  
12 comfortably call full disclosure, in the sense that we  
13 have seen these models run, we saw the numbers, we saw  
14 different simulations. We feel comfortable that we've  
15 seen unredacted versions of them.

16 MR. WILLIAM GANGE: Thank you. And --  
17 and so -- and in particular, the -- the PRISM and the  
18 SPLASH models, you had basically unrestricted access to  
19 them in being able to ask Hydro employees questions that  
20 might arise as you were reviewing them.

21 Is that correct, sir?

22 DR. ATIF KUBURSI: That's correct.

23 MR. WILLIAM GANGE: Would you agree with  
24 me, sir, that if -- if you did not have access to all of  
25 that information, it would have been extremely difficult

1 for you to have conducted your review?

2 DR. ATIF KUBURSI: We certainly feel  
3 comfortable and feel enabled, you know, by looking at  
4 these models and seeing the runs. We certainly would  
5 have been in a more difficult position, particularly in  
6 regards to the forecasting, to the simulation, to the  
7 antecedent forecast, to the long-term plans, the models  
8 and the way they run, and the unfettered access we had to  
9 the people who ran them. And the -- we -- we still came  
10 up with recommendations that we would like to see more  
11 formal documentation of the system. But we felt quite  
12 comfortable with what we saw.

13 MR. WILLIAM GANGE: That's not quite the  
14 -- the focus that I'm putting on this. I understand that  
15 because of the -- the significant access that you did  
16 have that you would, in fact, feel quite comfortable.

17 I'm putting to you the -- the  
18 hypothetical, that if you had only been able to see the  
19 redacted versions of all of those reports would you have  
20 been comfortable in coming before this panel and saying,  
21 We can give you an appropriate assessment of the risk of  
22 Manitoba Hydro?

23 DR. ATIF KUBURSI: I mean, this is quite  
24 hypothetical. With hindsight, now that I've seen them, I  
25 would really say that we were in a position where we

1 found ourselves confident in our evaluation and judgment.  
2 I -- I -- it would be extremely hard to believe that  
3 if these redactions were kept and we were denied the full  
4 access whether we would have been able to conduct our  
5 work in the way we did.

6 MR. WILLIAM GANGE: Yes. It would have  
7 been extremely difficult for you to have conducted your  
8 work in the way that you did.

9 That's -- that's a fair statement?

10 MR. GAVIN WOOD: Yeah, appreciating it  
11 depends what's taken out.

12

13 CONTINUED BY MR. WILLIAM GANGE:

14 MR. WILLIAM GANGE: It's -- but, Dr.  
15 Kubursi, you've seen the redacted reports, haven't you?

16 DR. ATIF KUBURSI: Yes.

17 MR. WILLIAM GANGE: And -- and you're  
18 aware of -- you, better than anyone, except perhaps the  
19 Hydro people, understand the extent of -- of the  
20 redactions. And ex -- and do understand better than  
21 anyone, other than Hydro, the importance of -- of the  
22 information that was in the redactions?

23 That would be fair, wouldn't it, sir?

24 DR. ATIF KUBURSI: Yes, and no. I -- I  
25 hate to always be in this position where I can't give you

1 yes or no, but I'll tell you why I am saying yes and no.

2                   The number of redactions were not very  
3 large, but they were very critical, all right? So in  
4 some sense the redactions made a difference. If I were  
5 to look, for example, at KPMG and I did not have the full  
6 access to the sale/no-sale calculations, I wouldn't have  
7 been able to understand and grasp fully what their  
8 conclusions and recommendations mean.

9                   MR. WILLIAM GANGE: Thank you. I'm going  
10 to move on, sir, that one (1) of the issues that -- that  
11 KPMG raised was that -- and -- and I'll quote for you  
12 from -- from the KPMG report. It -- just for the record,  
13 it's found at page 113 of the KPMG Report. It says:

14                   "KPMG has a concern that the assumption  
15 of perfect foresight will tend to  
16 understate operating costs when the  
17 model is used to generate forecasts of  
18 future financial results."

19                   Were you able to follow me on that, sir?

20                   DR. ATIF KUBURSI: Yes, and we came to  
21 the same conclusion ourselves.

22                   MR. WILLIAM GANGE: Yes. I was going --  
23 that was going to be my next. That was a conclusion that  
24 you came to, that -- that the use of perfect for --  
25 perfect foresight has the probability that costs will be

1 understated, especially at times of adverse water  
2 conditions. Is that correct, sir?

3 DR. ATIF KUBURSI: That's correct. The -  
4 - the assumption would allow you to know with complete  
5 foresight the amount of water needed in the next period.  
6 And if you run a situation where you have a bit of  
7 uncertainty you might have kept more water and,  
8 therefore, you would have got less revenue and,  
9 therefore, you understate the cost of the drought.

10 MR. WILLIAM GANGE: Mr. Wallach has  
11 suggested -- and you -- you've reviewed Mr. Wallach's  
12 report and his testimony, sir?

13 DR. ATIF KUBURSI: Yes, sir.

14 MR. WILLIAM GANGE: And he suggests that  
15 the Company should study the issue of perfect foresight  
16 and the effect that it may have on the costs and the  
17 risks and -- and that -- that the company should attempt  
18 to determine the effect of the underestimate. Would you  
19 agree with him on that, sir?

20 DR. ATIF KUBURSI: Yes. And we -- we --  
21 I mean, I agree. My -- it's my understanding, and the  
22 way we saw the way HERMES run is that it doesn't assume  
23 foresight and, therefore, it's in a better position to  
24 estimate these costs.

25 MR. WILLIAM GANGE: Thank you, sir. One

1 (1) of the points that you raised is that -- you stated  
2 that one (1) method of reducing risk related to drought  
3 would be the development of -- of diversification. Is  
4 that correct, sir?

5 DR. ATIF KUBURSI: Yeah, that's correct.

6 MR. WILLIAM GANGE: And -- and one (1) of  
7 the comments that you made was the -- the development of  
8 other power sources. And -- and do I have this, sir,  
9 that -- that in a period of stress, in a period of -- of  
10 extreme water conditions, the fact that Hydro had  
11 alternate power sources would, to some degree, lessen the  
12 risk with -- that arises out of the drought scenario? Is  
13 that correct, sir?

14 DR. ATIF KUBURSI: It's correct if you're  
15 talking about the physical one, the physical possibility  
16 of not having enough energy and that -- blackouts, but  
17 the issue is also financial. And, yes, you may have  
18 alternates, such as, say, thermal, but it may be out of  
19 the money and may be quite expensive.

20 MR. WILLIAM GANGE: Yes. However, that -  
21 - that question of quite expensive would -- would  
22 obviously have to be weighed at the market in which the  
23 drought would occur. Tha -- that's fair, sir?

24 DR. ATIF KUBURSI: It's fair. And you  
25 have to also see to what extent you could import power



1 instead of -- at a cheaper price rather than firing your  
2 own expensive thermal.

3 MR. WILLIAM GANGE: Yes. Although we  
4 know that in the 2003/2004 drought scenario one (1) of  
5 the stresses on the system was that the import price was,  
6 to use my word, not Hydro's word, but I'll use my word,  
7 perhaps exorbitant, and -- and that that -- that the --  
8 that the exorbitant import price added to the stress  
9 level of -- of the -- of the drought?

10 DR. ATIF KUBURSI: Yeah, we -- we agree.  
11 And one (1) of the stressors that we use is we look at a  
12 situation where you have a drought in the -- captured by  
13 low flow, the minimum flow, and we added to it a very  
14 high -- we didn't use the word "exorbitant," but very  
15 high import prices.

16 MR. WILLIAM GANGE: Yes, thank you. And  
17 -- and you've used thermal as your example of other power  
18 sources. You also looked at -- at wind as -- as a  
19 potential alternative source. Is that correct, sir?

20 DR. ATIF KUBURSI: Yes, but we also  
21 recognize that -- two (2) issues with wind. One (1),  
22 there isn't much. You're talking at maybe 300 megawatts.  
23 At most times, you know, it's even less than that. And  
24 there's this issue of you cannot dispatch wind when you  
25 like it, when you need it.

1 I mean, you don't push a button and let's  
2 say, Let it be windy and you get the wind.

3 MR. WILLIAM GANGE: Sir, when you were  
4 being examined by -- by Ms. Southall, you were referred  
5 to the Dependable Resources 2009 Base Load Forecast. And  
6 the number that you used for wind in that, at page 6,360.  
7 6,360, Mr. Wood.

8

9 (BRIEF PAUSE)

10

11 MR. GAVIN WOOD: He has it now, thanks.

12

13 CONTINUED BY MR. WILLIAM GANGE:

14 MR. WILLIAM GANGE: At -- at Line 19,  
15 sir, I think the -- the -- the value that you used was  
16 twelve fifty-four (1,254), not three hundred (300).

17 DR. ATIF KUBURSI: These are different  
18 units. We're talk -- I'm talking megawatt, and here  
19 you're talking about gigawatt hours. They're not the  
20 same units.

21

22 (BRIEF PAUSE)

23

24 MR. WILLIAM GANGE: But in -- in that --  
25 that statement, sir, about it not -- it not being

1 dispatchable, one (1) of the -- one (1) of the elements  
2 that is at play in drought is the reserve -- the  
3 reservoir capacity. You'd agree with me on that?

4 DR. ATIF KUBURSI: Oh, I agree.

5 MR. WILLIAM GANGE: So that anytime that  
6 the wind power -- so when the wind is blowing and the  
7 wind power is available, Hydro would be able to store  
8 more reservoir water. Is that correct, sir?

9 DR. ATIF KUBURSI: Correct.

10 MR. WILLIAM GANGE: So that although it  
11 may not be dispatchable, wind power has the capacity in -  
12 - in a drought situation of being a firming capacity at  
13 any particular time when it is -- when it is operative.  
14 Would you agree with that, sir?

15 DR. ATIF KUBURSI: I agree with  
16 everything except the word "firming."

17 MR. WILLIAM GANGE: And -- and can you  
18 tell me what -- what you disagree with in terms of the  
19 word "firming"?

20 DR. ATIF KUBURSI: You see, because it's  
21 not dispatchable, I can't consider it to be firm.

22 MR. WILLIAM GANGE: Oh, I see. Okay.  
23 But you would agree with me that -- that -- that although  
24 it's not dispatchable, it has the ability to -- to allow  
25 Hydro to save more hydro power, water power for when the

1 wind is not blowing. Is that right?

2 DR. ATIF KUBURSI: That's correct.

3 That's correct.

4 MR. WILLIAM GANGE: Thank you. And would  
5 you also agree with me, sir --

6 MR. ROBERT MAYER: Excuse me, Mr. Gange.

7 MR. WILLIAM GANGE: Yes, sir.

8 MR. ROBERT MAYER: Is that what you call  
9 shaping?

10 DR. ATIF KUBURSI: I'm not so familiar  
11 with that word, but from what I know it -- it's close.

12 MR. ROBERT MAYER: Mr. Cormie seems to  
13 think that that's what you call shaping. Okay.

14

15 CONTINUED BY MR. WILLIAM GANGE:

16 MR. WILLIAM GANGE: If Mr. Cormie says it  
17 it's good enough for me, Mr. Mayer. The -- the other  
18 point that you -- that we talked -- or that you mentioned  
19 in terms of diversification would be the -- the -- the  
20 demand-side management programs?

21 DR. ATIF KUBURSI: I -- I agree.

22 MR. WILLIAM GANGE: And would you agree  
23 with me, sir, that -- that at any time it makes  
24 significant sense to invest as much as you can from --  
25 from the Company's perspective in the demand-side

1 management program because that operates as -- as a -- as  
2 -- as a reduction of -- of the requirements on the  
3 system?

4 DR. ATIF KUBURSI: I agree with the  
5 spirit, but economists would -- would like to add a  
6 couple of provisos to it. One (1), that the marginal  
7 costs, the additional costs of an -- of a program should  
8 at least be balanced by an equal to additional benefit  
9 you get from it. I mean, to say that I will invest all  
10 the amount of money may not really be an appropriate way  
11 of looking at it because some of this investment may not  
12 be justified because there is no net benefit that's  
13 positive from it.

14 MR. WILLIAM GANGE: Yes, thank you.  
15 Thank you, Doctors. Those are -- thank you, Dr. Magee,  
16 especially. Thank you for -- for your assistance. Thank  
17 you.

18 THE CHAIRPERSON: Thank you, Dr. Gange --

19 MR. GAVIN WOOD: I could tell --

20 THE CHAIRPERSON: -- Mr. Gange.

21 MR. GAVIN WOOD: Doctor -- professor is -  
22 - is fine, too, if you want to go there, but that's fine.  
23 We -- we've had several fights over that, Professor  
24 Hacault and I, so.

25 THE CHAIRPERSON: Yeah. We won't have to

1 ask: Is there doctor in the house? That's for sure.  
2 Mr. Williams...?

3 MR. BYRON WILLIAMS: Mr. Chairman, I  
4 wonder if I might have a few minutes to confer with my  
5 friend, Mr. Wood, and I may be able to -- I've got Dr.  
6 Simpson away scrambling to produce an exhibit, but I --  
7 we may be able to do it via undertaking, which might  
8 expedite things.

9 THE CHAIRPERSON: Very good. We're quite  
10 interested in that.

11

12 (BRIEF PAUSE)

13

14 THE CHAIRPERSON: How did you make out?

15 MR. BYRON WILLIAMS: We're optimistic,  
16 Mr. Chairman.

17 THE CHAIRPERSON: That's good.

18

19 RE-CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

20 MR. BYRON WILLIAMS: And good afternoon,  
21 and good afternoon Professors Kubursi and Magee.

22 Professor Kubursi, first of all, if I  
23 could get you to -- to turn to Exhibit KM-13, which is  
24 the handwritten formula --

25 DR. ATIF KUBURSI: I have it.

1 MR. BYRON WILLIAMS: -- relating to the  
2 relationship between flow and generation. You have that,  
3 sir?

4 DR. ATIF KUBURSI: Yes, I do.

5 MR. BYRON WILLIAMS: And, sir, in looking  
6 at this formula, would I be correct in suggesting to you  
7 that your calculation of generation corresponding to  
8 minimum water flow, set out in point number four (4), is  
9 obtained by fitting, F-I-T-T-I-N-G, a line through the  
10 data using an intercept of zero and a slope equal to the  
11 ratio of average generation to average water flow from  
12 2001 to 2007, sir?

13 DR. ATIF KUBURSI: That's correct.

14 MR. BYRON WILLIAMS: Now, sir, I'm going  
15 to ask you for two (2) undertakings and, Mr. Wood, just  
16 because Professor Simpson's out of the room trying to  
17 perform the same task, I -- I'll ask these undertakings,  
18 and if he corrects me, we'll -- we'll -- we might have to  
19 go back on the record. Is that understood, sir?

20 MR. GAVIN WOOD: You've only got one (1)  
21 shot at it.

22 THE CHAIRPERSON: Good for you, Mr. Wood.

23 MR. BYRON WILLIAMS: Well, then, I'd want  
24 to stand down, sir. But I -- I think my friend will be  
25 accommodating.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CONTINUED BY MR. BYRON WILLIAMS:

MR. BYRON WILLIAMS: Mr. -- Professor Kubursi, excuse me for that. I'm asking, first of all, if you could undertake to plot the -- your formula set out in KM-13 against the data relating to water flow -- excuse -- Manitoba Hydro hydraulic energy and annal -- annual system inflows as for the period between 1912 and 2005 as set out in Manitoba Hydro's response to PUB-1-81.

Are you prepared to undertake to do so?

DR. ATIF KUBURSI: This is something that I would very much like to share it with Professor Magee too. So I -- I'm taking this to be undertaking for both of us.

MR. BYRON WILLIAMS: Yeah, we would appreciate that as well, of course.

--- UNDERTAKING NO. 157: Doctors Kubursi and Magee to plot the formula set out in KM-13 against data relating to Manitoba Hydro hydraulic energy and annual system inflows for the period 1912-2005, as set out in Manitoba



1 Hydro's response to PUB-1-81

2

3 CONTINUED BY MR. BYRON WILLIAMS:

4 MR. BYRON WILLIAMS: And the second  
5 undertaking would be to perform a similar exercise, again  
6 using the information from PUB Manitoba Hydro-1-81, but  
7 examining how a simple regression with zero intercept  
8 would fit through that data.

9 Would you undertake to do so?

10 DR. LONNIE MAGEE: Sorry, just want to be  
11 sure, do you mean zero intercept, or non-zero intercept?

12 MR. BYRON WILLIAMS: We're meaning zero  
13 intercept.

14 DR. LONNIE MAGEE: Zero, okay. 'Cause  
15 the ration one in Undertaking 1 is effectively --

16 MR. BYRON WILLIAMS: Zero.

17 DR. LONNIE MAGEE: -- a zero intercept.

18 MR. BYRON WILLIAMS: Yes. And what we're  
19 effectively looking for is a comparison between the fit--

20 DR. LONNIE MAGEE: M-hm.

21 MR. BYRON WILLIAMS: -- using the simple  
22 regression analysis and -- and the -- the formula --

23 DR. LONNIE MAGEE: Right.

24 MR. BYRON WILLIAMS: -- employed by  
25 Professor Kubursi.

1 DR. LONNIE MAGEE: So the simple  
2 regression analysis is with an intercept?

3 MR. BYRON WILLIAMS: With zero intercept.  
4 We might have to clarify that with Professor Simpson.

5 DR. LONNIE MAGEE: Yeah, okay.

6 THE CHAIRPERSON: Perhaps -- it sounds  
7 like Dr. Magee has a take-up on this that might be useful  
8 to hear from, it might help you.

9 Did the -- Dr. Magee, you had difficulty  
10 with Mr. Williams question?

11 DR. LONNIE MAGEE: Well, the -- it -- it  
12 looked like what -- what he was interested in is how two  
13 (2) different formulas fit the data.

14 And the first formula is based on a ratio  
15 as like a straight line that goes through the origin,  
16 which is another way of saying it doesn't have an  
17 intercept. So that's why I expected that the second way  
18 would have an intercept, or would have a non-zero  
19 intercept.

20 So that's why I was puzzled that the  
21 second method was described as having a zero intercept  
22 because that would be quite similar to the first method.

23 MR. BYRON WILLIAMS: And, Mr. Chairman,  
24 I'll check on that and I'll reserve the right to -- to  
25 come back on for that simple point.

1 THE CHAIRPERSON: Yes, just in case if -  
2 - if Dr. Simpson meant something different.

3 MR. BYRON WILLIAMS: I -- I think we'll  
4 clarify the undertaking -- the second undertaking on the  
5 record, so I wouldn't note it as of yet.

6 MR. GAVIN WOOD: And then I would --  
7 would remind Mr. Williams he had gone over a figure with  
8 the doctors at the break, the -- the graph that you  
9 showed them. And if we could get that for them because  
10 you were -- you were showing that it had already been  
11 grafted -- graphed

12 MR. BYRON WILLIAMS: Absolutely.

13 MR. GAVIN WOOD: -- graphed by you -- by  
14 Dr. Simpson. And they --

15 MR. BYRON WILLIAMS: Yes.

16 MR. GAVIN WOOD: -- that would help them.

17

18 CONTINUED BY MR. BYRON WILLIAMS:

19 MR. BYRON WILLIAMS: Okay. And we'll  
20 provide that to Mr. Wood.

21 And then I have one (1) other question for  
22 Professor Kubursi, which you may have already undertaken  
23 to do so in your response to My Friend, Mr. Hacault, but  
24 I just want to make sure that if -- if you haven't, that  
25 I ensure you have.

1                   And if you could -- I don't know if you  
2 have the -- the yellow book of CAC/MSOS nearby, but if  
3 you could turn to page 31 of that yellow book in the top  
4 right-hand corner. You will see -- you'll see before you  
5 Figure 6.2, sir. Do you see that?

6                   DR. ATIF KUBURSI:    Yes.

7                   MR. BYRON WILLIAMS:   And just to remind  
8 us all, if you look to the paragraph of -- above, you'll  
9 see on the -- the second and third line that the next  
10 scenario involves construct -- let me back up. I wonder  
11 if you could indicate what specific value was chosen for  
12 generation to represent 1940 water flows.

13                  DR. ATIF KUBURSI:    We -- the generation,  
14 I have to give it to you, but what we use is the lowest  
15 water flow, which was the fifty-four (54).

16                  MR. BYRON WILLIAMS:   To be correct  
17 though, sir, you used generation as a proxy for water  
18 flow, correct?

19                  DR. ATIF KUBURSI:    Yes.

20                  MR. BYRON WILLIAMS:   And what I'm asking  
21 for is the actual figure --

22                  DR. ATIF KUBURSI:    Yeah, yeah, and --

23                  MR. BYRON WILLIAMS:   -- that was used for  
24 generation for the 1940 year, sir.

25                  DR. ATIF KUBURSI:    Yeah, and this is what

1 Mr. Hacault has asked us.

2 MR. BYRON WILLIAMS: Okay. And so you've  
3 already undertaken to provide that?

4 DR. ATIF KUBURSI: Yes.

5 MR. BYRON WILLIAMS: Okay. And thank  
6 you, Mr. Chairman. Subject to clarifying my inelegant  
7 question --undertaking, those are my questions.

8 THE CHAIRPERSON: Thank you, Mr.  
9 Williams. You're going to be remaining on-site? Very  
10 good. Ms. Ramage, I think it's finally reached Manitoba  
11 Hydro.

12 MS. PATTI RAMAGE: You know,  
13 interestingly, I think this is exactly what I was doing  
14 in 1996 when the Jets were going down. We were in a GRA,  
15 and this is what I was doing, so.

16 THE CHAIRPERSON: But they probably  
17 weren't cheering on the outside.

18 MS. PATTI RAMAGE: Exactly.

19

20 CROSS-EXAMINATION BY MS. PATTI RAMAGE:

21 MS. PATTI RAMAGE: Dr. Kubursi, Dr.  
22 Magee, you've made a number of suggestions for improving  
23 Manitoba Hydro's risk-management programs. I'd like to  
24 put some context around those suggestions. First off,  
25 would you confirm that Manitoba Hydro would be

1 categorized as a fairly large company with complex issues  
2 associated with its operations?

3 DR. ATIF KUBURSI: Yes, we can.

4 MS. PATTI RAMAGE: And during the course  
5 of your review did you note a distinction between the  
6 operations of Manitoba Hydro and those of other  
7 organizations in -- engaged in power-trading operations,  
8 for example, private organizations or -- did -- did you  
9 recognize that difference between Manitoba Hydro and a --  
10 as a Crown and -- and those type of power-trading  
11 operations?

12 DR. ATIF KUBURSI: Yes.

13 MS. PATTI RAMAGE: Would I be -- if you  
14 could maybe elaborate on what that difference is maybe?

15 DR. ATIF KUBURSI: Well, in -- in --  
16 there are a number of difference -- differences. One  
17 (1), the objective of a private corporation is to  
18 maximize profits for -- and value for its shareholders,  
19 which are basically private investors.

20 The -- the other one, they probably have a  
21 different governance structure that would be different in  
22 terms of its accountability and its reward and penalties  
23 than a public corporation. And there are also different  
24 limitations, and oversight would be exercised over a  
25 public corporation that may not exist for a private

1 corporation.

2 MS. PATTI RAMAGE: Would you also agree  
3 that, in Manitoba Hydro's case, we're looking at  
4 physically backed assets wi -- as compared to many -- a  
5 power-trading operation where they may be premised on  
6 betting on spreads?

7 DR. ATIF KUBURSI: That is a possibility,  
8 yes.

9 MS. PATTI RAMAGE: Would I be correct in  
10 my understanding of your evidence that risk management,  
11 and here I'm not focussing on Manitoba Hydro, but risk  
12 management throughout the business industry, is  
13 developing a new prominence over the last decade or so?  
14 Risk is being managed not only by line management, but  
15 now the risk management is a function in -- into itself,  
16 and that's a relatively new development?

17 DR. ATIF KUBURSI: That's correct.

18 MS. PATTI RAMAGE: And you begin your  
19 discussion of Manitoba Hydro risk governance at page 191  
20 of your report. That's Tab 1 if you'd like to turn to  
21 it. And if I could just read into the record to give our  
22 discussion some context. You say:

23 "Manitoba Hydro has made major progress  
24 in streamlining its risk-management  
25 governance architecture and is

1 continuing to make strides towards best  
2 practice. The middle office is  
3 functional and is entrusted with  
4 increasing risk-management policy  
5 formulation, oversight  
6 responsibilities, identification of  
7 risk, and some risk measurement.  
8 A large set of committees and  
9 procedures have been instituted to  
10 ground governance of risk into that  
11 full spectrum of the organization."

12 Have I read that correctly?

13 DR. ATIF KUBURSI: Yes, you did.

14 MS. PATTI RAMAGE: Now, KPMG had  
15 concluded that:

16 "The governance structure at Manitoba  
17 Hydro was -- is evolving and is  
18 converging towards best practice at  
19 other utilities and is consistent with  
20 the recommendations of the committee of  
21 chief risk officers."

22 Can I take it based on the passage that I  
23 just quoted to you, that you agree with that assessment?

24 DR. ATIF KUBURSI: We agree, but as you  
25 know we made also some recommendations to further move



1 the evolving process into the direction that we think is  
2 the best practice one.

3 MS. PATTI RAMAGE: And when you say that,  
4 would that -- is it your impression that, generally  
5 speaking, yourselves, ICF, Dr. Bhattacharyya, and Risk  
6 Advisory, that -- that you're all in agreement that  
7 Manitoba Hydro's middle office is evolving, that major  
8 progress has been made?

9 DR. ATIF KUBURSI: Yes, and -- and  
10 there's still things to be done.

11 MS. PATTI RAMAGE: And your report  
12 outlines a number of those suggestions for improvement of  
13 the middle office and risk management at Manitoba Hydro.  
14 Parties have focussed on those recommendations and  
15 improvements they're intended to address.

16 But to put those recommendations in  
17 context, would you agree that given the size and  
18 complexity of Manitoba Hydro, combined with the time  
19 frame in which risk management is taking prominence, that  
20 it's entirely expected that Manitoba Hydro's middle-  
21 office function would be evolving and -- and that it is  
22 in fact evolving appropriately?

23 DR. ATIF KUBURSI: It's absolutely  
24 evolving and there are a number of achievements that have  
25 been made, but we wanted to emphasize also the gaps

1 because we wanted to move into a situation to measure it  
2 with three (3) things that you already outlined.

3 1. This is a public concern and the  
4 shareholders are the people of Manitoba. And that there  
5 are certain architectures and incentive regimes governing  
6 this operation that may make it deviate from these  
7 things. Remember, we mentioned the principal agent  
8 problem, the moral hazard, the asymmetry of information,  
9 all these things. We wanted to streamline these  
10 recommendations in a way that the regime, the governing  
11 regime, is moving towards the best practice.

12 MS. PATTI RAMAGE: And -- and that's  
13 exactly what the -- the middle office and those sort of  
14 things are intended to address. Is that not correct?

15 DR. ATIF KUBURSI: Absolutely, but we  
16 wanted some more prominence. We wanted more staff. We  
17 wanted to be at the higher position. We wanted to be  
18 directly in the officer of the senior vice-president,  
19 certain of the things that we considered to be not just  
20 optics, but certainly optics in the sense that if you  
21 keep a certain middle office function at the lowest part  
22 of the organogram of the organization chart, you're  
23 literally signalling or communicating, inadvertently  
24 perhaps, that you are not considering this function to be  
25 at the level of importance that it should be.

1 MS. PATTI RAMAGE: But you're not -- if  
2 we move that in the organization chart, the middle office  
3 reports to the senior vice-president and you're satisfied  
4 with that. It's where it's -- where it's situated on the  
5 organization chart. You're not suggesting a change of  
6 reporting relationship from the -- to the senior vice-  
7 president of finance. Is that correct?

8 DR. ATIF KUBURSI: That's correct. But  
9 it's not just only reporting. We wanted to situate it at  
10 the position where if it asks, or vets, or reviews the,  
11 you know, front-office operations, it does it with some  
12 authority. It's not just a matter of looking over  
13 people's shoulders, but that it has that responsibility  
14 and is vested with the authority to do so.

15 MS. PATTI RAMAGE: Okay. Now at page 37  
16 of your report, and here I'm at Tab 2, and I don't think  
17 there's a need to turn to it, really, but you confirm  
18 that -- or you describe the three (3) main bodies  
19 providing oversight of Manitoba Hydro's activities as  
20 being the Manitoba Hydro-Electric Board, the extra --  
21 Export Power Risk-Management Committee and the Power,  
22 Sales, and Operations Management Committee.

23 And you've confirmed that those three (3)  
24 have executive authority and obligations, correct?

25 DR. ATIF KUBURSI: Yes. We -- we showed

1 that others that are involved, but they don't have the  
2 executive authority.

3 MS. PATTI RAMAGE: And one (1) that you  
4 described as the Corporate Risk Management Committee, or  
5 CRMC, I think in your evidence you say:

6 "It's a forum for guiding processes  
7 where Manitoba Hydro's principal risks  
8 are identified, assigned, assessed,  
9 managed, and communicated with  
10 membership of senior managers of the  
11 Corporation."

12 And here I just want to pick up on a point  
13 of potential confusion. At page 194 of your report,  
14 which is at Tab 2, and again during your discussion --  
15 discussion with Ms. Southall at transcript page 6,330,  
16 which is also at Tab 2, you comment that the CRMC is an  
17 advisory body without any executive powers.

18 You are aware that the CRMC is chaired by  
19 the senior vice-president of finance and administration,  
20 and has two (2) additional members of the executive, that  
21 being the vice-president of corporate planning and  
22 strategic analysis, as well as the general counsel?  
23 You're aware of that?

24 DR. ATIF KUBURSI: Yes, we are.

25 MS. PATTI RAMAGE: And the manager of the

1 corporate risk management department is also a member of  
2 the CRMC, is that correct?

3 DR. ATIF KUBURSI: That's correct.

4 MS. PATTI RAMAGE: And to clarify, the  
5 corporate risk management department might also be known  
6 as the middle office, correct?

7 DR. ATIF KUBURSI: Correct.

8 MS. PATTI RAMAGE: So it's actually the  
9 corporate risk management department that you're  
10 concerned about lacking executive powers --

11 DR. ATIF KUBURSI: Yeah.

12 MS. PATTI RAMAGE: -- as opposed to the  
13 committee. It's just those two (2) words get, I think,  
14 confused.

15 DR. ATIF KUBURSI: Right, and -- and the  
16 emphasis here, I want the CRMC, the middle office to be  
17 with these executive powers, not that it reports to an  
18 executive power, that it has it.

19 MS. PATTI RAMAGE: But this -- the -- the  
20 manager of the middle office is part of the CR -- CMRC,  
21 which does have those three (3) members of the executive  
22 that I have discussed.

23 DR. ATIF KUBURSI: That -- that's  
24 correct.

25 MS. PATTI RAMAGE: Now, if I could deal

1 with some of your specific recommendations. At page 595  
2 -- 5,961 of the transcript, you indicate that you tried  
3 to see if risk management best practices were being  
4 applied by Manitoba Hydro on a piece-by-piece basis, and  
5 you were happy with what Manitoba Hydro was doing, but  
6 you'd be happier if you -- if -- to see it assign a  
7 responsibility matrix.

8 Now, on May 6th, I provided your counsel  
9 with a responsibility matrix. Can you confirm you've  
10 seen that now?

11 DR. ATIF KUBURSI: I've seen it.

12 MS. PATTI RAMAGE: You've also now seen  
13 Manitoba Hydro's long-form risk profiles, which  
14 identifies individual responsibilities, is that correct?

15 DR. ATIF KUBURSI: I've seen it.

16 MS. PATTI RAMAGE: You've now also had  
17 the opportunity to meet with Manitoba Hydro's emergency  
18 response coordinator and been provided to access -- with  
19 access to a number of Manitoba Hydro's risk-preparedness  
20 manuals, is that correct?

21 DR. ATIF KUBURSI: That's correct.

22 MS. PATTI RAMAGE: And were they dusty  
23 and on a shelf?

24 DR. ATIF KUBURSI: Well, I -- I -- they  
25 were dusty, but they were not on a shelf, okay, no, no.

1 MS. PATTI RAMAGE: No. I was just trying  
2 to make a joke because I recall you saying that the ones  
3 from the university were dusty and on a shelf.

4 DR. ATIF KUBURSI: No, no. I -- I got  
5 it, I got it.

6 MS. PATTI RAMAGE: You hadn't seen these  
7 manuals prior to completion of your report, is that  
8 correct?

9 DR. ATIF KUBURSI: I -- I haven't seen  
10 some of these prior to completion of the report, no.

11 MS. PATTI RAMAGE: And -- and I'm hoping  
12 you recall this because I -- I showed you this. You saw  
13 a list of training and simulations that have taken place  
14 at Manitoba Hydro over the years?

15 DR. ATIF KUBURSI: Yes.

16 MS. PATTI RAMAGE: And you weren't aware  
17 of those either at the time you wrote your report,  
18 correct?

19 DR. ATIF KUBURSI: No, we were not.

20 MS. PATTI RAMAGE: A large portion of  
21 your review was devoting -- devoted to reviewing Manitoba  
22 Hydro's models, is that correct?

23 DR. ATIF KUBURSI: That's correct.

24 MS. PATTI RAMAGE: That focus would be  
25 natural, given your own background in optimizing models

1 and the timing of your retainer vis-a-vis the allegations  
2 of the New York consultant, would you agree?

3 DR. ATIF KUBURSI: I would.

4 MS. PATTI RAMAGE: You've made a number  
5 of what I would characterize as positive statements about  
6 Manitoba Hydro's models, and if I could get you to turn  
7 to Tab 4, I'd like to briefly read them into the record  
8 to provide context for our discussion. At page 123 of  
9 the KM report, you say:

10 "First, and by any standard, HERMES is  
11 an impressive system."

12 At page 100 -- or page 36 of your in  
13 direct, you say:

14 "SPLASH is a critical component of the  
15 model family."

16 And two (2) down -- two (2) lines down  
17 from that:

18 "We're happy with the simulation  
19 structure of the system and the  
20 insights this can add to the Utility."

21 And if you turn the page in that tab, I've  
22 got -- I've copied transcript page 5,952, where you told  
23 us:

24 "The models are serving their purposes  
25 and can be relied upon for operational



1                   planning and long-term planning."

2                   And, finally, at page 5,982 in that tab,  
3 you've told us:

4                   "All what we're asking them is,  
5                   basically and fundamentally, to  
6                   experiment, to entertain, to move a  
7                   little bit forward on these things. We  
8                   are quite satisfied with our systems.  
9                   We are quite happy with what we've  
10                  seen, we are quite happy and recognize  
11                  the capacities, the skills, and the  
12                  dedication of the people, but we wanted  
13                  a little bit more."

14                  Have I read those correctly?

15                  DR. ATIF KUBURSI:    You read it correctly,  
16 but it's the little bit more that we have to talk about.

17                  MS. PATTI RAMAGE:    Yeah, but I'm -- but,  
18 given those positive statements, would it be fair to  
19 characterize your commentary, and the recommendations  
20 that follow, as an attempt to help and to offer up issues  
21 for consideration, as opposed to a con -- condemnation of  
22 Manitoba Hydro's models?

23                  DR. ATIF KUBURSI:    I -- I agree.

24                  MR. ROBERT MAYER:    Ms. Ramage, if I --  
25 I'm -- I'm finally caught up. The Chair pointed out

1 where you are. All those comments on page 59, 62, and 59  
2 -- well, 59, 62 are attributed Dr. Magee.

3 MS. PATTI RAMAGE: Yeah.

4 MR. ROBERT MAYER: Are they not?

5 MS. PATTI RAMAGE: I'm assuming -- I'm  
6 assuming that one speaks for both.

7 DR. LONNIE MAGEE: That's right.

8

9 CONTINUED BY MS. PATTI RAMAGE:

10 MS. PATTI RAMAGE: Yeah. And being  
11 helpful is providing ideas to be explored and to make  
12 sure Manitoba Hydro's looked at all the angles.

13 Would that be fair?

14 DR. ATIF KUBURSI: That would be fair.

15 MS. PATTI RAMAGE: You also indicated  
16 you'd observed Manitoba Hydro's modelling community and  
17 saw the relationships and how well they were working.

18 Would I be correct that your focus of that  
19 recommendation and that's -- I've reproduced at Tab 5, or  
20 what I'm referring to, but would that be -- you want to  
21 see structure with respect to that relationship? It's  
22 not a fundamental problem with the relationship; it's --  
23 it's a documentation issue?

24 DR. ATIF KUBURSI: I mean, there are  
25 three (3) things that we wanted to -- to see here:

1                   1. We wanted some documentation, all  
2 right, standard documentation, the one you find sometimes  
3 with commercial software. This -- these systems are in-  
4 house developed, home-grown, and people are very  
5 comfortable with them as long as they're here. But there  
6 is institutional memory and therefore it would be nice to  
7 commit some of this experience and this expertise to a  
8 formal documentation.

9                   2. We wanted to formalize the  
10 communication among the people in the different modelling  
11 applications and see to what extent that this could  
12 develop into a modelling community committee that -- that  
13 they seem to know each other informally and many have  
14 crossed from one (1) model to the other. But this is  
15 something that probably you would capitalize upon by  
16 formalizing that exchange and that development and that -  
17 - the training.

18                   And we -- we called for a number of things  
19 that we are still investigating that we were tasked with  
20 from the Chair as -- in terms of putting these models  
21 into a seamless interface on a common platform, that they  
22 could be used by all, and that this itself creates  
23 economies of scale and scope. And we were talking  
24 primarily on some of the upgrades; they may be costly,  
25 they take time. But you -- you characterized it

1 correctly, we wanted them to explore these things.

2                   If -- if other utilities have used them,  
3 Manitoba Hydro is a leading public utility, and it would  
4 be nice to see it on the forefront of these developments.  
5 We want stochastic programming, non-linear programming,  
6 dynamic programming; these have become buzz words, but  
7 have become also applicable systems and we seem to have,  
8 in Canada, some of the best minds on these things. I  
9 mean, in -- in just our neighbouring Saskatchewan -- and  
10 I know Manitoba Hydro is aware and -- and familiar with  
11 these people -- Dr. Roy Billinton and -- and others who  
12 have done incredible work.

13                   We wanted outside oversight. We want  
14 outside vetting. We want outside confirmation. These  
15 are important things that will give you comfort within  
16 Manitoba Hydro; they may cost you a little bit of money,  
17 but it's money well spent.

18                   MS. PATTI RAMAGE: Okay. Thank you for  
19 that. I probably should have asked these questions  
20 earlier, but you indicated on your direct evidence on May  
21 4th that you met with a number of Intervenors prior to  
22 completion of your report. I think it was around the  
23 time of Manitoba Hydro's workshop. Did any of the  
24 Intervenors provide you with any specific requests for  
25 areas that wanted to -- you wanted to explore or

1 investigate that you specifically addressed in your  
2 report as a result of that?

3 DR. ATIF KUBURSI: We -- we've had a  
4 number of meetings. And certainly we met with TREE/RCM.  
5 We met with MIPUG. There's no question about it, some of  
6 the -- CAC -- and CAC too -- certainly, certain  
7 questions, certain ideas must have influenced us. I  
8 mean, the -- the -- we were -- part -- part of our term  
9 of reference is to be resource people, to seek  
10 relationships with Intervenors, and -- and we try to live  
11 up to this.

12 MS. PATTI RAMAGE: Were you provided with  
13 any data or background information regarding Manitoba  
14 Hydro by any of the Intervenors?

15

16 (BRIEF PAUSE)

17

18 DR. ATIF KUBURSI: Yeah, a number of  
19 Intervenors had asked us to cover certain areas, or  
20 inquired the extent to which we would cover areas of  
21 concern, and these have really been important to us. And  
22 we have also -- we have also reviewed, as you know, quite  
23 a bit of the reports that were prepared for the  
24 Intervenors, in -- in the case of TREE and RCM. We  
25 looked at Dr. Wallach. We looked at the different

1 reports that were prepared for the different Intervenors,  
2 and -- and these have become part of our responses and  
3 our focus.

4 MS. PATTI RAMAGE: Was there any data  
5 that's not on the record of the proceedings that you were  
6 provided by the Intervenors?

7 DR. ATIF KUBURSI: Not that we know of.

8 MS. PATTI RAMAGE: You also indicated you  
9 spent some productive time with Mr. Larry Buhr and Mr.  
10 Roger Cathcart and reviewed data calculations of water  
11 levels and water storage. Were you provided any data  
12 there that -- that isn't on the record?

13 DR. ATIF KUBURSI: We went through ideas  
14 and through numbers. And I recall, at -- at best, we  
15 probably got two (2) pages, or something like this. But  
16 they were generous in terms of going with us through some  
17 of their ideas and some of their concerns, yes.

18

19 (BRIEF PAUSE)

20

21 MS. PATTI RAMAGE: Are you able to share  
22 the data that you were provided?

23 DR. ATIF KUBURSI: I'll -- I'll have to  
24 dig deep into it, but I'm sure we haven't displaced  
25 anything. I think we can -- we can dig for it, yes.

1 MS. PATTI RAMAGE: Okay. Can we have an  
2 undertaking? If there -- if there's any data that you've  
3 been provided by any party that is not included on the  
4 record, if we could get copies, please. Thank you.

5 DR. ATIF KUBURSI: Yes.

6

7 --- UNDERTAKING NO. 158: Doctors Kubursi and Magee to  
8 provide any data that was  
9 provided by any party that is  
10 not included on the record

11

12 CONTINUED BY MS. PATTI RAMAGE:

13 MS. PATTI RAMAGE: Now, one (1) of the  
14 primary recommendations you've made was with respect --  
15 or that seems to have garnered a fair bit of focus, is  
16 Manitoba Hydro's models being placed on a common  
17 platform. As I understand it, your basis for the  
18 recommendation is resource efficiency; it's not a model  
19 accuracy issue.

20 Is that correct?

21 DR. ATIF KUBURSI: No, they're -- they're  
22 basically in terms of efficiency, utility, saving money,  
23 creating a common pool, and trying to see that you have a  
24 common solver, that you would save yourself sometimes  
25 questions raised about using different coefficients in --

1 in the different models.

2 MS. PATTI RAMAGE: Yeah, I'd like to --  
3 if you could turn to Tab 6, and we'll -- we'll follow  
4 through here. And I think we're beginning -- I'd like to  
5 just clarify an exchange you had with the Chairman  
6 beginning at page 6,262. And here the Chairman asked  
7 whether:

8 "If Manitoba Hydro accepted your  
9 recommendation regarding moving to a  
10 common platform, would it provide more  
11 support for the preferred development  
12 plan?"

13 And at the bottom of page 6,262 and the  
14 top of 6,263 you clarified that:

15 "The common platform recommendation was  
16 not an accuracy issue."

17 Do you see that there? It says:

18 "But in terms of accuracy, in dealing  
19 with the kind issue you're talking  
20 about, Mr. Chairman, I feel that the  
21 non-linear system's, the dynamic  
22 programming, the stochastic, would have  
23 a bearing on it."

24 That --

25 DR. ATIF KUBURSI: Yes. It --



1 MS. PATTI RAMAGE: Do you see that  
2 exchange?

3 DR. ATIF KUBURSI: It's because -- yeah,  
4 we -- we mentioned that it does not have any major  
5 bearing on issues of accuracy.

6 MS. PATTI RAMAGE: Right.

7 DR. ATIF KUBURSI: It -- it would, in --  
8 in many respects, be able to deal with some of the  
9 questions and scenarios that people might wish to -- to  
10 explore and consider.

11 MS. PATTI RAMAGE: And if you see,  
12 beginning at line 5, the Chairman probed it a little  
13 further regarding the implementation of your  
14 recommendations, and that was the -- that was non-linear  
15 dynamic stochastic programming, not the common platform;  
16 that we were kind of back and forth between topics, I  
17 believe.

18 And -- but he asked what impact -- what  
19 the impact would be:

20 "On the degree of support, or non-  
21 support, for the development plan."

22 Do you see that, beginning at line 5?

23 DR. ATIF KUBURSI: Yes, I see it.

24 MS. PATTI RAMAGE: And here is where my  
25 confusion begins. Your answer, beginning at line 14, is

1 -- or was:

2 "There's so many variables on these  
3 things, but as far as the models used  
4 in order to choose the preferred  
5 sequence, if you use exactly the same  
6 set of data on both sides, the later  
7 are likely to give you a marginal  
8 improvement over the former."

9 Have I read that correctly?

10 DR. ATIF KUBURSI: Yes, you did.

11 MS. PATTI RAMAGE: Now, I take that as  
12 meaning if we assume the same input data, a model  
13 adopting your recommendations will result in a degree of  
14 improvement, but not a drastic improvement. That's how I  
15 interpreted it, but it appears the Chairman interpreted  
16 it differently, because at line 21 he says:

17 "You're suggesting it's a significant  
18 improvement in their approach."

19 So I guess my question is, can you  
20 clarify, absent differences in the quality of input data,  
21 will it change to non-linear dynamic or stochastic  
22 programming, result in marginal or significant  
23 improvements in model accuracy?

24 DR. ATIF KUBURSI: All right. I mean,  
25 let -- let's consider at least three (3) areas where

1 there may be, you know, some discussion and where I think  
2 there is an improvement. You see, when you look at data  
3 over time and you don't include in this data discount  
4 rates, and you treat a dollar twenty (20) years from now  
5 to have the same value as today, you tend to exaggerate  
6 the future at the expense of -- of the present.

7                   You really need to use the proper discount  
8 rate. And these need to be done within a framework of a  
9 dynamic system that treats time as every period is a  
10 different dollar value, and you need to bring some  
11 discounting. So this is one (1) issue.

12                   The second one is that you cannot always  
13 assume a steady state all over the years, because some of  
14 these systems that treat time as if each piece of time is  
15 similar to another one, they tend to somehow gloss over  
16 the issues of how time and how accumulation starts to  
17 build up. Because, you see, if you have capital and you  
18 invest this year, next year is going to be a bigger  
19 amount capital minus depreciation. Then the initial year  
20 becomes the second year, not the first year, and you  
21 continue building up.

22                   These can be more accurately represented  
23 in a dynamic system than in one that takes different  
24 years, but does not build these accumulation structures.

25                   The -- the third one is the issue of

1 stochastic. You want to be in a position where you would  
2 like to look at probabilistic configuration of the  
3 future. You're talking about something five (5) years  
4 from now, ten (10), fifteen (15), twenty (20) years.  
5 Nobody is in a position to think that they know what this  
6 future is and to assume perfect foresight, or any  
7 foresight. It would make much more sense if we were to  
8 treat these future outcomes as if they're coming from  
9 some uncertainty systems.

10                   And this is exactly the kind of stories  
11 we're talking about when we said, All right, we assume  
12 this probable distribution, we put this probable  
13 distribution here, we put this probable distribution.  
14 We're not saying that they're coming from some sort of  
15 random zonky (phonetic) system that anything could go.  
16 No, I mean, they're a little bit governed by the  
17 historical basis upon which these probable distribution  
18 were put.

19                   So, we're thinking that if you were to  
20 treat time and take discount rates, build in the  
21 accumulation and how the periods relate to one another,  
22 and discard that steady state, but build on the different  
23 accumulation paths, and if you were to put probability to  
24 handle the future as if it's uncertain and not as  
25 something that you know with perfect foresight, that --

1 that definitely would be helpful.

2 MS. PATTI RAMAGE: I hear that it would  
3 be -- it would be helpful and that you'd like Manitoba  
4 Hydro to explore it, but I'm wondering is there any  
5 guarantee of improvement, either marginal or significant,  
6 or is it something we need to explore?

7 DR. ATIF KUBURSI: I mean, if I judge  
8 from my own experience, and I have handled before systems  
9 that were just purely static and deterministic, and when  
10 we used the more sophisticated systems, the future menu  
11 of choices is richer. But if you tell me, would you hang  
12 your representation and livelihood on saying it's going  
13 to be definitely, I would be a little bit hesitant.

14 MS. PATTI RAMAGE: And there hasn't been  
15 any work done to substantiate a difference? It's --

16 DR. ATIF KUBURSI: No. I -- and this is  
17 something, an undertaking, that I'm still working on it,  
18 and I will report very quickly on what are some of the  
19 improvements, and some of the rationale, and some of the  
20 reasons, and some of the utilities that had come from  
21 people who have used dynamic programming in the energy  
22 system versus those that use static ones.

23 MS. PATTI RAMAGE: Earlier in the section  
24 I quoted to you, you referenced maintaining data  
25 consistent between the two (2) models, and I'm interested

1 in exploring sort of the data-end of it.

2                   Would you agree that the predictive  
3 accuracy of a model is a -- is a function of the quality  
4 of the input data?

5                   DR. ATIF KUBURSI:    Of course.

6                   MS. PATTI RAMAGE:    And the predictive  
7 accuracy is also impacted by the calibration of the  
8 model, and the calibration has to be logical.

9                   Is that correct?

10                  DR. ATIF KUBURSI:    Logical, but also  
11 consistent with the -- with the observed, underlying  
12 reality that it purports to represent.

13                  MS. PATTI RAMAGE:    You jumped to my next  
14 question.

15                  So the calibration also would require some  
16 professional judgment, correct?

17                  DR. ATIF KUBURSI:    Absolutely.

18                  MS. PATTI RAMAGE:    So, to experiment with  
19 this, that would involve resources, skills, and knowledge  
20 of system requirements, correct?

21                  DR. ATIF KUBURSI:    Absolutely.

22                  MS. PATTI RAMAGE:    And am I correct in --  
23 in recollecting you -- you have an undertaking in terms  
24 of the cost of that?

25                  Is that right?  You're --

1 DR. ATIF KUBURSI: Yeah, I'm looking into  
2 that, too.

3 MS. PATTI RAMAGE: Okay. But that wasn't  
4 something that was reviewed at the time the report was  
5 written, correct?

6 DR. ATIF KUBURSI: No, but as -- as you  
7 know, I mean, we're familiar with these systems, and  
8 we've had opportunities to work with them and to see the  
9 kind of expertise, experience, resources, skills that  
10 would be required.

11 MS. PATTI RAMAGE: You -- you've also  
12 said -- and here I'm referring to transcript page 6,253.  
13 I'm saying that for the record. I know -- it's at Tab 7,  
14 but you don't need to turn to it.

15 You said that some compromises will be  
16 necessary if Manitoba Hydro were to move towards your  
17 recommendations. Have you identified or quantified any  
18 of those compromises?

19 DR. ATIF KUBURSI: We haven't, but, I  
20 mean, this is part of the undertaking: What would it  
21 take to move from the present status quo into the kind of  
22 preferred state that we had recommended? I mean, we -- I  
23 -- I'm hoping that we would come with some concrete  
24 identification of the type of skills or personality --  
25 personnel that would be required, and what would it cost,

1 how much would it really mean in terms of getting a  
2 different solver than the one you have. These are part  
3 of the things that we're looking into.

4 MS. PATTI RAMAGE: And I think you've  
5 also stated that you wouldn't presume to tell Manitoba  
6 Hydro what priorities they should put, in terms of which  
7 direction they should go when it's making choices.

8 Would it be fair to say that, ultimately,  
9 it's the people responsible for operation of the models  
10 and who rely on them to inform their decisions on a day-  
11 to-day basis. And that -- by that, I mean management?  
12 They're in the best position, probably, to determine  
13 priorities in terms of which direc -- whether they want  
14 to experiment with stochastic -- if they have to make a  
15 choice, which one would bring them the -- the best bang  
16 for their buck?

17 DR. ATIF KUBURSI: Absolutely. I mean,  
18 all what we're trying to do is to explore ourselves on  
19 your behalf, and hopefully come up with some objective  
20 recommendations. But we cannot make decisions for you.  
21 We can provide advice and give you a -- a bit of a  
22 roadmap: What would it cost to go into this? Why have  
23 some utilities used it and what were their experience?

24 MS. PATTI RAMAGE: Would you agree that  
25 the Utility itself has started to go down this path with



1 the development of PRISM? That's a positive development,  
2 from your perspective?

3 DR. ATIF KUBURSI: Yeah, it's a -- it's a  
4 positive development, and it really signifies that you're  
5 moving into the stochastic thing. What we recommended  
6 here is to see to what extent that this PRISM is not a  
7 separate system, but integrated into the work of other --  
8 other systems. I mean, as you know, PRISM uses HERMES  
9 and SPLASH. I'm really thinking of the reverse; I want  
10 HERMES and SPLASH to use PRISM.

11 MR. ROBERT MAYER: Could somebody give me  
12 a definition of the word "stochastic," please?

13 DR. LONNIE MAGEE: It's, I think, a fancy  
14 way of saying "random." So in a -- in a model like this,  
15 it would -- it makes it easier to incorporate the fact  
16 that you might not know what some particular number is in  
17 the calculation. So instead of saying it -- it's going  
18 to be five (5), like, maybe half the time it will be  
19 three (3), half the time it'll be seven (7), or something  
20 fancier than that. Then you -- and then you let the  
21 computer work out what the average result would be, or  
22 the distribution of results.

23 So it just -- it lets -- it lets you off  
24 the hook. You don't have to -- in a way -- in the sense  
25 that you don't have to pin down exact values for every

1 number that feeds into the calculation; you can waffle a  
2 bit. And then you get a waffly (phonetic) output, but  
3 it's -- it reflects the fact that there are things you  
4 don't know.

5 MR. ROBERT MAYER: So the definition is:  
6 Sort of like random that waffles a bit?

7 DR. LONNIE MAGEE: Yeah.

8 MR. ROBERT MAYER: Or permits you to  
9 waffle a bit? No wonder I hadn't figured that out until  
10 now. Thank you, sir.

11 DR. LONNIE MAGEE: Okay.

12

13 CONTINUED BY MS. PATTI RAMAGE:

14 MS. PATTI RAMAGE: You have to like plain  
15 English definitions.

16 One (1) of the -- or, the examples you've  
17 pointed to -- or, you've pointed to two (2) I should say:  
18 BC Hydro and Quebec Hydro, as utilities who use dynamic  
19 programming in their models.

20 Have you seen those models actually in  
21 action like you saw Manitoba Hydro's models?

22 DR. ATIF KUBURSI: No, I haven't.

23 MS. PATTI RAMAGE: Your information is  
24 based on papers published by engineers in those  
25 companies.

1                   Is that correct?

2                   DR. ATIF KUBURSI:    Yes, and -- and  
3 conversation with some of these people who have developed  
4 these systems.  But one (1) of the thing I'm hoping to do  
5 and if -- if things work the way I'm trying is we will  
6 see a demonstration of these.

7                   MS. PATTI RAMAGE:    It would be helpful,  
8 can you tell us which engineers at those organizations?

9                   DR. ATIF KUBURSI:    I can supply the names  
10 of these.

11                  MS. PATTI RAMAGE:    That -- that's by  
12 undertaking or...?

13                  DR. ATIF KUBURSI:    Yeah, yeah.

14

15   --- UNDERTAKING NO. 159:        Doctors Kubursi and Magee to  
16                                        produce names of engineers  
17                                        involved in developing models  
18                                        at BC Hydro and Quebec Hydro

19

20 CONTINUED BY MS. PATTI RAMAGE:

21                  MS. PATTI RAMAGE:    I notice there's one  
22 (1) paper referenced in your report and it's written by  
23 Doug Smith of BC Hydro.  It was presented at a two (2)  
24 day conference that was called "Water Management Decision  
25 Support Software: The Challenge of Knowledgeable and

1 Valued Decisions."

2 Do you recall that?

3 DR. ATIF KUBURSI: Yes, I do.

4 MS. PATTI RAMAGE: And did you see any of  
5 the other papers or presentations from that conference?

6 DR. ATIF KUBURSI: Yeah, I -- I looked at  
7 the program, yes.

8 MS. PATTI RAMAGE: And if I could get you  
9 to turn to page -- or, Tab 9, that is the program. And  
10 on the -- the second and third pages in, you -- you  
11 see the program.

12 You were aware that Manitoba Hydro was  
13 asked and made three (3) presentations at that same  
14 conference?

15 DR. ATIF KUBURSI: Yeah, I see it.

16 MS. PATTI RAMAGE: And would you agree  
17 that, generally speaking, conferences invite leaders in a  
18 given field to make presentations?

19 DR. ATIF KUBURSI: No, that -- that's  
20 stretching it out. Yeah, I mean, quite a bit some of  
21 these things you're either invited or you submit, you  
22 know. But quite -- quite a number of these conferences  
23 people have to be screened and they would not be invited  
24 to speak, or would be -- would accept a proposal without  
25 the organizing committees feeling that these people have

1 something to offer.

2 MS. PATTI RAMAGE: And in your  
3 discussions with Manitoba Hydro, were you made aware that  
4 the Corp -- employees of the Corporation meet with the  
5 World Wide community on hydro-system modelling every two  
6 (2) to three (3) years, and Manitoba Hydro is also an  
7 invited speaker at that event?

8 DR. ATIF KUBURSI: Yes.

9 MS. PATTI RAMAGE: And would this be the  
10 type of information exchange as between industry  
11 professionals that you would encourage?

12 DR. ATIF KUBURSI: I would very much  
13 encourage, yes.

14 MS. PATTI RAMAGE: Would you also agree  
15 that every utility has unique characteristics and  
16 modelling issues; their models must reflect that  
17 uniqueness? It must be appropriate for the problems they  
18 face?

19 DR. ATIF KUBURSI: Absolutely. But this  
20 is exactly, you know, looking at the flipside; there must  
21 be something in common between these that you could learn  
22 from each other.

23 MS. PATTI RAMAGE: Exactly. But -- but  
24 these conferences aren't an attempt to sell each other  
25 your models. They're to -- they're exactly what you say,

1 they're for learning purposes, to exchange ideas.

2 DR. ATIF KUBURSI: The -- they'll  
3 exchange venues, of course. But it would be nice to know  
4 if some utility is using a different system, the reasons,  
5 and the experience that these people have with these.

6 MS. PATTI RAMAGE: So, for example, one  
7 (1) of the comments you made about the Quebec and BC  
8 models is that they are stochastic, which is a strength,  
9 but they're also difficult to manage, present results  
10 that are more difficult to interpret, and don't include  
11 the complexities that HERMES encompasses. That would be  
12 a result of differences in the utilities, correct?

13 DR. ATIF KUBURSI: Yeah, correct, because  
14 you have to make compromises. I mean, you have a limited  
15 capacity to -- to run some -- some of the system,  
16 reasonable time at reasonable costs with reasonable  
17 results. And the issue here is that if you want to go  
18 into more sophistication you might have to sacrifice size  
19 or you might have to give up some solutions of --  
20 including variables that are considered to be important  
21 for you.

22 So we wanted to draw -- the attention here  
23 is that we're not talking in a vacuum and that there are  
24 going to be compromises, there are going to be choices,  
25 but it would be worth looking at it to see what choices

1 one ought to make and -- and one should make and one  
2 would make.

3                   You cannot just say, Well, oh, it's so  
4 hard. Its dynamic programming is so more difficult than  
5 static and, therefore, we -- we stay with static. I  
6 mean, you have to explore. You have to bring these  
7 things to bear, see what are the net advantages, what are  
8 the costs.

9                   But -- and this you cannot do on paper.  
10 You have to be -- basically be involved into looking at  
11 these systems and seeing the utility, we -- whether at  
12 your own level or what other people have made. The fact  
13 that they have chosen it, in some sense, expresses a  
14 revealed preference that these people must have seen some  
15 utility in it. Why have they seen this utility that you  
16 might not wish to see if you can derive this?

17                   MS. PATTI RAMAGE: So it's important to  
18 explore it. It -- it may not be that you choose it, but  
19 it's important to explore it?

20                   DR. ATIF KUBURSI: yeah, I -- I've said,  
21 you know, the choices are yours. I mean, I -- I don't  
22 know what your budget constraint is. I mean, if I don't  
23 know your budget constraint, I mean, I -- as I said,  
24 always I'd like to have a helicopter, but I can't afford  
25 it.

1 MR. ROBERT MAYER: Which one?

2 DR. ATIF KUBURSI: Well, if you -- if you  
3 have one (1) to sell, I -- I would consider.

4

5 CONTINUED BY MS. PATTI RAMAGE:

6 MS. PATTI RAMAGE: My preference is a  
7 Harrier Jump Jet, but that's just me. I'm going to  
8 change -- change directions here a little, and I want to  
9 talk about the long-term contracts and your review of  
10 those contracts.

11 Am I correct in my understanding that you  
12 support Manitoba Hydro's strategy of maintaining a mixed  
13 portfolio as between the opportunity market and firm  
14 long-term contracts? Is that correct?

15 DR. ATIF KUBURSI: Several of the reports  
16 that we considered, have recommended, particularly ICF.  
17 And -- and we felt happy with that argument, that part of  
18 the risk management is to be in a position where you have  
19 many options, many alternatives, and that you don't put  
20 all your eggs in one (1) basket, that you have a  
21 diversified way of looking at things.

22 There is no question about it. If you put  
23 everything in a long-term contract, then you might be  
24 exposed to what we call the seller's regret in the sense  
25 that you fix a price, and then all of the sudden the



1 market would find a much higher price.

2                   At the other hand, you know, if you were  
3 to put everything into the opportunity market, you may  
4 really get to a position where these opportunity prices  
5 have, you know, declined or -- declined or become very,  
6 very low and you get what we call the buyer's really  
7 regret.

8                   So the issue here is to balance. And the  
9 best way to balance is to diversify. And -- and that's -  
10 - that's the argument that we have accepted and we -- we  
11 think is reasonable.

12                   MS. PATTI RAMAGE: And from my reading of  
13 the report, you've accepted a number of the positions of  
14 ICF and KPMG, and I just want to review a few of those.  
15 One (1) of those is that participation in the export  
16 market generates incremental revenue for Manitoba Hydro,  
17 and that incremental revenue has resulted in lower rates  
18 than what they otherwise might be.

19                   Do you agree with that?

20                   DR. ATIF KUBURSI: On this one we have  
21 the number of provisos. You see, the issue here is how  
22 much of the cost have you allocated to exports. You see,  
23 exports represent 31 percent of the total revenue of  
24 Manitoba Hydro, but they only represent the 13 percent of  
25 its costs, if I recall well.

1                   And -- and this, it's automatically raised  
2 a bit of a flag for us. Why is it that exports are  
3 reflected with lower cost than domestic generation and  
4 distribution? This, to some extent, raised a question,  
5 and the question is: What would be the best and most  
6 acceptable way of allocating cost of service between  
7 these two (2).

8                   I -- I recognize that these are what we  
9 call joint costs. And this is the same thing, to say how  
10 much mutton, how much wool. And I remember one (1) time  
11 a colleague of ours was asked, as a professor, how much  
12 time do you devote to research and how much time do you  
13 devote to teaching, and how much more do you contribute  
14 to teaching, to compared to research.

15                   And he said, Well, the only answer I have  
16 is Baa-baa (phonetic). And people would say, What the  
17 heck is, Baa-baa. He says, Well, if you ask a sheep, How  
18 much mutton, how much wool, that's the answer you get.  
19 But what -- but the -- but the story is more serious than  
20 this.

21                   The -- the story is more serious than  
22 this. There must be a way in which we can verify what is  
23 the distribution of joint costs between domestic  
24 production and generation and distribution and how much  
25 would it really be to exports.

1 (BRIEF PAUSE)

2

3 THE CHAIRPERSON: Dr. Kubursi, isn't the  
4 -- the -- the potential answer to that question depending  
5 where you are before you build as opposed to after when  
6 you build?

7 DR. ATIF KUBURSI: It definitely has a  
8 lot to do with the initial state, but it is far deeper  
9 than this. We need to know exactly what are the -- the -  
10 - the reasons and the procedures used in allocating the  
11 joint costs between exports and domestic production.

12 And, you know, I can -- I can write  
13 everything to domestic production and then domestic  
14 production and revenue will become -- net revenue becomes  
15 very low, and then I only put the variable costs to  
16 exports, and then everything I get above variable cost is  
17 all profits. But the story is a little bit more  
18 complicated than this.

19 How are you allocating all these joint  
20 costs between domestic production and exports, so we  
21 really get a good metric of the net revenue generated.  
22 As you know, I mean, NYC was arguing in a very strong way  
23 that what you really have is a situation in which  
24 Manitobans are literally subsidizing Minnesotans.

25 I don't want to go that far, but I would

1 like to really see a proper run documented case where the  
2 cost of service, especially joint costs, are allocated  
3 appropriately and reasonably between dom -- domestic load  
4 and exports.

5 THE CHAIRPERSON: Ms. Ramage, if you  
6 don't mind maybe we'll take a break now. Thank you.

7 MR. BYRON WILLIAMS: And, Mr. Chairman,  
8 if I could, just for efficiency purposes, so I can get  
9 onto MPI matters for the rest of the afternoon, if -- if  
10 I could -- I think the undertaking's going to sound a lot  
11 like I phrased it originally, but the undertaking we  
12 would be suggesting would be using the data from PUB 1-  
13 81, in terms of annual system inflow and Manitoba  
14 hydraulic energy tested using a simple regression, and by  
15 simple regression, I mean ordinary least-square  
16 regression of water flow on generation with zero  
17 intercept and -- as to how that would fit the data.

18 Is that a satisfactory undertaking?

19 DR. ATIF KUBURSI: That's -- that's --  
20 that's -- we'll -- you know, this is the thing that we  
21 understood and that's the way we took it.

22

23 --- UNDERTAKING NO. 160: Doctors Kubursi and Magee to  
24 use the data from PUB 1-81,  
25 in terms of annual system

1                   inflow and Manitoba hydraulic  
2                   energy tested using a simple  
3                   regression, and by simple  
4                   regression, ordinary least-  
5                   square regression of water  
6                   flow on generation with zero  
7                   intercept, and as to how that  
8                   would fit the data

9

10                   MR. BYRON WILLIAMS:    And, Mr. Chairman,  
11                   Mr. Wood had asked me for an example of what we were  
12                   asking him to do, which I provided offline.  I -- I don't  
13                   think it needs to be marked as an exhibit, but I -- I've  
14                   got copies here if anyone wishes to -- to view it, just  
15                   to see what I'm -- I'm -- I'm proposing.

16                   THE CHAIRPERSON:    Mr. Singh, perhaps you  
17                   could help Mr. Williams.  I think it should be  
18                   distributed.

19                   MR. BYRON WILLIAMS:    Okay.  I wouldn't  
20                   say it's -- it's -- I would just for identification  
21                   because I don't think it is -- it's not been confirmed by  
22                   the other witnesses.  It's just an example of what we're  
23                   asking them to do.

24                   THE CHAIRPERSON:    Okay.

25                   MR. GAVIN WOOD:       And -- and can I -- do I

1 understand then, it's one (1) undertaking then rather  
2 than -- it's still the two (2)?

3 MR. BYRON WILLIAMS: There's still the  
4 two (2). And Mr. -- Mr. Wood, are you okay with sharing  
5 this document just as for identification, just -

6 MR. GAVIN WOOD: Whatever the chair  
7 wishes.

8 MR. BYRON WILLIAMS: Okay.

9 THE CHAIRPERSON: Okay. We'll see you  
10 back after the break.

11

12 --- Upon recessing at 2:57 p.m.

13 --- Upon resuming at 3:19 p.m.

14

15 THE CHAIRPERSON: Okay. Welcome back,  
16 everyone. Mr. Williams, I don't think he's here right  
17 now. We'll just introduce his exhibit: Exhibit  
18 CAC/MSOS-28. It's entitled "Water Flows and Manitoba  
19 Hydro Generation 1912 to 2005."

20

21 --- EXHIBIT NO. CAC/MSOS-28:

22 Water flows and Manitoba Hydro  
23 generation 1912-2005

24

25 THE CHAIRPERSON: Whenever you're ready,

1 Ms. Ramage.

2

3 CONTINUED BY MS. PATTI RAMAGE:

4 MS. PATTI RAMAGE: Thank you. If we  
5 could just maybe go back to the long-term contract  
6 discussion, would you agree that, even without additional  
7 investment, Manitoba Hydro will have surplus power for  
8 sale, and that long-term contracts are a means of  
9 maximizing value and disposing of the surplus energy for  
10 value?

11 DR. ATIF KUBURSI: Yes.

12 MS. PATTI RAMAGE: And you would agree  
13 that Manitoba Hydro's current and continuing involvement  
14 in the export market is a natural consequence of the  
15 Corporation's early involvement in the acquisition of  
16 knowledge and expertise it -- it acqui -- it developed  
17 over those years?

18 DR. ATIF KUBURSI: Yes.

19 MS. PATTI RAMAGE: And you don't take  
20 issue with the statement that long-term contracts serve  
21 to preempt excess capacity by competitors?

22 DR. ATIF KUBURSI: I mean, there's no  
23 question about it. The -- the fact that you are in the  
24 market, you, yourself, preempt competitors from being in  
25 that market.

1 MS. PATTI RAMAGE: Thank you. You agree  
2 with the statement that US-dollar denominated export  
3 proceeds act as a good hedge for currency fluctuations?

4 DR. ATIF KUBURSI: This is the extent to  
5 which there is a good match between the obligations to  
6 pay interest and principal on the debt into US  
7 bondholders versus what you earn on -- on your exports.  
8 The -- the problem is that you -- you -- this may not  
9 really be one-to-one.

10 MS. PATTI RAMAGE: You also recognize the  
11 benefit of long-term contracts, that they bring in  
12 providing greater access to firm imports?

13 DR. ATIF KUBURSI: Absolutely. I mean,  
14 with these diversity contracts, and you have transmission  
15 rights, they work both ways.

16 MS. PATTI RAMAGE: And would you agree  
17 with Mr. Rose of ICF's view that -- that a benefit of  
18 building for export is that Manitoba Hydro gets an energy  
19 guarantee for free by virtue of the bidirectional  
20 transmission associated with Manitoba Hydro's export  
21 strategy?

22 DR. ATIF KUBURSI: The extent to which  
23 you -- you're able to -- to get that correspondence  
24 between your export and your counterparties building the  
25 transmission, yes.



1 MS. PATTI RAMAGE: And you had an  
2 opportunity to review the terms of a number of Manitoba  
3 Hydro's existing and proposed export contracts. That's  
4 correct?

5 DR. ATIF KUBURSI: We looked at NSP, we  
6 looked at term sheets of others.

7 MS. PATTI RAMAGE: Now, one of the repor  
8 -- comments in your report that struck me regarding the  
9 assessment of these contracts is that -- and here I'm  
10 quoting:

11 "It would be wrong to see the price in  
12 isolation of these additional values,  
13 that a lower price may have been  
14 necessary to acquire these attributes."

15 And there I'm reading from page 211/212 of  
16 your report. But does this mean that, in assessing the  
17 value of a long-term contract, you do not look to -- look  
18 at price in isolation? Rather you must also consider  
19 other benefits achieved, such as new interconnections,  
20 increased reliability, and improved market access?

21 DR. ATIF KUBURSI: The argument here is  
22 that the exports represent a bundle of things, so price  
23 is only one (1) of -- of these bundles. The fact that  
24 you will be able to get transmission, the fact that you  
25 can use it both ways to satisfy excess demand in the

1 winter, all these things must be taken into account.

2 MS. PATTI RAMAGE: And your assessment of  
3 the curtailment provisions, for example, in the new NSP  
4 contract and the term sheets, is that they're better than  
5 the old contracts and that they constitute a major  
6 achievement for Manitoba Hydro, is that correct?

7 DR. ATIF KUBURSI: You see, there's no  
8 question about it here. Two (2) things: One (1) of the  
9 real problems that were faced during the 2003/2004  
10 drought is that you were, in many respects, obligated to  
11 meet your commitments, and the back -- the -- the bookout  
12 -- backouts were extremely costly.

13 The fact that you have now curtailment  
14 gives you a -- a way, a safety valve, so to speak, all  
15 right? They're still not really substantially large.  
16 They involve a certain amount that I cannot divulge at --  
17 at the particular period of time I cannot divulge, but  
18 they definitely have a real advantage over the old  
19 contracts.

20 MS. PATTI RAMAGE: And -- and I think, as  
21 already been discussed, there's no liquidated damage  
22 clauses in the new contract or term sheets that you saw?

23 DR. ATIF KUBURSI: That's -- that's  
24 correct.

25 MS. PATTI RAMAGE: So there isn't a

1 financial risk associated with the curtailment, is that  
2 correct?

3 DR. ATIF KUBURSI: That's correct.

4 MS. PATTI RAMAGE: In addition, the new  
5 contract and term sheets include another provision, I  
6 think you've described as innovative, in that Manitoba  
7 Hydro has the right to put energy to customers, and that  
8 customers must take.

9 You agree that's a positive development  
10 for Manitoba Hydro?

11 DR. ATIF KUBURSI: Yes. I mean, this  
12 obligation that they must really accept. And -- and it -  
13 - it doesn't work in the reverse, which is also good.

14 MS. PATTI RAMAGE: And we've also  
15 discussed an upset heat rate based import prices. And  
16 would the benefit of that provision -- it places a limit  
17 on what counterparties can charge Manitoba Hydro on  
18 imports.

19 Is that correct?

20 DR. ATIF KUBURSI: This -- this is only  
21 in one (1) of the arrangements.

22 MR. ROBERT MAYER: Could somebody explain  
23 to me what an upset heat rate is? Dr. -- Dr. Kubursi,  
24 you're the one, I guess, who's on the stand. Can you  
25 tell me what an upset heat -- heat rate is?

1 DR. ATIF KUBURSI: Yes. This -- the heat  
2 rate is basically the amount of gas you take in order to  
3 produce one (1) extra kilowatt hour of electricity. And  
4 there is a price at which this would be a -- a ceiling  
5 price, so to speak. And this ceiling price puts a --  
6 sort of a upper limit on how much these prices -- I mean,  
7 the -- the real problem was in the old contracts is that  
8 in the 2003/2004 drought the prices of some of these  
9 imports that we had to pay for and to replace energy that  
10 we were committed to deliver to our counterparties were  
11 in a -- I didn't want to use the word exorbitant, but  
12 they certainly were extremely high, and there is now a  
13 bit of a -- of a ceiling in one (1) of these contracts  
14 that limits this one.

15 MR. ROBERT MAYER: I was also led to  
16 believe though that the danger, or the problem we faced  
17 with the earlier drought was that we were, sort of, stuck  
18 with purchasing from the very people we were supposed to  
19 be supplying to and that that would have changed  
20 significantly, in any event, if you're buying into the  
21 MISO market.

22 DR. ATIF KUBURSI: There is no question  
23 about it, there are really two (2) issues here and you  
24 put your hand on it, Mr. Mayer. One (1) is that there is  
25 this business relationship that you want to maintain and

1 you want to make sure that your reliability comfort level  
2 or reputation is at stake.

3           The other one is the situation where you  
4 want to be also sure that you are able to access whatever  
5 energy you need to meet your obligation at the cheapest  
6 price. So in the -- in the past when MISO wasn't there  
7 you were literally stuck from where you're buying this,  
8 and you tended to buy those you have relationship with  
9 and that -- that hope that they would be as kind as you  
10 are to them did not materialize.

11           Now at least the MISO market will give you  
12 a chance to acquire this extra amount that you are  
13 obligated to deliver, that you are unable to deliver,  
14 from a broader market where the chances of getting a  
15 cheaper replacement is that much higher.

16

17 CONTINUED BY MS. PATTI RAMAGE:

18           MS. PATTI RAMAGE: Going back to the  
19 contracts, another term referred to in your report is the  
20 escalator clause. This is positive because it protects  
21 the contracts real prices in the future.

22           Is that correct?

23           DR. ATIF KUBURSI: Partially, because --  
24 sorry -- partially because you don't -- I can't give you  
25 the exact numbers, but you -- there is a formula where

1 they increase in the implicit price deflator, which is a  
2 measure of inflation, a partial amount of this can be  
3 offset by raising the price by this amount.

4 MS. PATTI RAMAGE: You've also commented  
5 that the price under the new contracts has been carefully  
6 constructed by Manitoba Hydro using weighted long-term  
7 forecasts. Is that correct?

8 DR. ATIF KUBURSI: Yes, because what --  
9 what happens here is that there are really two (2)  
10 methods that -- that should really be used. You always  
11 want to extract from your partner what is the avoided  
12 cost of them getting this extra unit. I mean, if they  
13 can get this extra unit at six (6) cents, you -- you  
14 cannot expect that you would charge them nine (9) cents  
15 and get it.

16 There -- there is a way where you would  
17 like to know what would really cause these people to  
18 acquire this extra amount and see what is the maximum  
19 upset price that you could extract from them given their  
20 avoided cost or long-term marginal cost.

21 I would prefer this really, and -- and I  
22 know that Manitoba Hydro has tried, attempted to do that.  
23 There has been some discussion in the KPMG Report that  
24 they have been able to see the -- a sheet that Manitoba  
25 Hydro shared with them about calculation of long-term

1 contracts. We did not see this.

2                   There is a general declaration that this  
3 is the attempt to do. It would be nice if this is really  
4 something that we could really see and that there is a  
5 definite targeting, that you would like to negotiate a  
6 price with your counterparties subject to other  
7 limitations and -- and what the traffic would bear, but  
8 that you really know what is the replacement value for  
9 them so that you are able to extract from them whatever  
10 consumer surplus you can have, I mean, and the language  
11 becomes, I mean, the maximum price you could really get  
12 for it.

13

14                   (BRIEF PAUSE)

15

16                   MS. PATTI RAMAGE: Your report also  
17 characterized the price under these contracts as  
18 relatively high, and that was compared to MISO prices  
19 past and present. Is that correct?

20                   DR. ATIF KUBURSI: Tha -- that's correct,  
21 and that's something you -- you ought to do. And, you  
22 see, the last thing you really want to be into a position  
23 where you have fixed a price and then the MISO market  
24 prices are higher. If you look historically, these  
25 prices tend to be at the higher end of the MISO market.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(BRIEF PAUSE)

MS. PATTI RAMAGE: Okay. You reviewed with Ms. Southall your recommendation that Manitoba Hydro consider a hydrological model to complement antecedent forecasting. Do you recall that discussion?

DR. ATIF KUBURSI: Yes, I do.

MS. PATTI RAMAGE: And, again, if I understand that correctly, you want to see Manitoba Hydro probe into this and experiment with it. Is that correct?

DR. ATIF KUBURSI: That's correct.

MS. PATTI RAMAGE: And I note in your evidence you reference Manitoba Hydro participating with the University of Manitoba, you -- participating with the University of Manitoba in matters related to hydrological modelling.

And I -- I can't quite put my finger on that reference, but are you aware that Manitoba Hydro has expended significant effort in climate change studies over the past five (5) years as part of a Canadian effort? This includes the cooperation from a group from Quebec called Ouranos and a Que -- and a Quebec university called Ecole de Technologie, as well as the University of Manitoba. Was that something that was



1 covered off with you?

2 DR. ATIF KUBURSI: Yeah, I -- I'm aware  
3 of that, yes, and -- and some of which I just became more  
4 aware of it now than I -- I was before. But the story is  
5 here is -- is -- is quite important. I mean, we look --  
6 I mean, the issue for Manitoba Hydro with these models is  
7 to see what is the next period flow and what would be the  
8 best way to predict this next period flow.

9 And they've run quite a bit of regression  
10 using last year's flow as a possible predictor of next  
11 year's flow. And we said, This is great. I mean, you --  
12 you really need a statistical system to do that. And we  
13 suggested looking at the data that we looked at, that  
14 maybe three (3) months should really be -- three (3)  
15 periods back because, as I know my colleague, Lonnie,  
16 did, was to show that many different auto-regressive  
17 systems and let him describe it were used.

18 And we found that the AR3, like if you  
19 take three (3) black periods, it gave us the best  
20 statistical robust results. And this really let us maybe  
21 -- what you should do in these antecedent forecasts is --  
22 is -- enrich this by getting a longer period of lags as  
23 you predicted.

24 We also suggested, and -- and -- and we  
25 still think it's quite important, you're -- you're

1 dealing with precipitation. I mean the real key variable  
2 here, again you predict precipitation. I remember I have  
3 discussed this with the -- the Vice-Chair, and we were  
4 talking, Look, you know, they only give us fifteen (15)  
5 days weather. I mean, even Environment Canada is not  
6 giving real good indicators.

7 But maybe this is --

8 MR. ROBERT MAYER: Not very accurate  
9 either.

10 DR. ATIF KUBURSI: Yeah, more accurate  
11 than economists. But the -- the point that is crucial  
12 here is the -- is the fact that you're -- you're talking  
13 about hydrology. You're talking about water. I mean, it  
14 would make sense to invest time resources the way, you  
15 know, Manitoba Hydro is doing now, and maybe more  
16 encouraged to experiment.

17 I know a model in Turkey where they're  
18 trying to predict the drought and this, where they really  
19 went and developed a full hydrological model trying to  
20 predict precipitation. So I mean, some countries are  
21 doing it and they're not known for their sophistication.  
22 It would be worth experimenting and exploring in here.

23

24 CONTINUED BY MS. PATTI RAMAGE:

25 MS. PATTI RAMAGE: Could I get you to

1 turn to Tab 14. And if you could go -- I think it's five  
2 (5) pages into that tab. The first five (5) pages is  
3 your discussion with Ms. South -- Southall.

4

5

(BRIEF PAUSE)

6

7 MS. PATTI RAMAGE: And -- and this an --  
8 an overhead. And I'm -- I'm wondering if you were aware  
9 of this study. It's a -- the Canadian Precipitation  
10 Analysis. It's a joint study of Manitoba Hydro,  
11 University of Manitoba, and Environment Canada. And it -  
12 - it's looking at -- at going out fifteen (15) days, and  
13 a) I -- or, first, was this something that you'd seen  
14 while you were at Manitoba Hydro?

15 DR. ATIF KUBURSI: No, it's first time  
16 I've seen it.

17 MS. PATTI RAMAGE: Okay. This is the  
18 type of study you're talking about? This is a fifteen  
19 (15) day, but this is a -- a joint study between  
20 Environment Canada and the University of Manitoba Hydro  
21 looking to -- to go forward. And I should put the caveat  
22 when I'm doing this, there's a number of slides here,  
23 this is what I -- I'm going to -- I found on our research  
24 and development manager's desk, so I grabbed it. I -- I  
25 don't know it's the entire presentation, but it gives you

1 a -- a taste for what Manitoba Hydro's doing. And this -  
2 - and is this what you're looking for?

3 DR. ATIF KUBURSI: Precisely. I mean, I  
4 know it's fifteen (15) days, and I know that Environment  
5 Canada has been very reticent to go beyond fifteen (15)  
6 days. I mean, this is something I had been aware of,  
7 yeah.

8

9 (BRIEF PAUSE)

10

11 MS. PATTI RAMAGE: Okay. Next if I can  
12 get you to turn to Tab 15. And -- oh, are we going to --  
13 do we have extra...? I have one (1) additional page that  
14 Ms. Boyd is going to hand out just to run through. We  
15 wanted to run through the -- discuss some of the  
16 materials from chapter 6.

17 And -- and while I'm at it, I -- I  
18 realized I was -- I rushed into this a little too quick  
19 and the book of documents was not made an exhibit. If we  
20 could perhaps assign it an exhibit number, which I think  
21 is Manitoba Hydro 150.

22 THE CHAIRPERSON: It sounds like a good  
23 round number.

24

25 --- EXHIBIT NO. MH-150: Book of Documents

1 MS. PATTI RAMAGE: And then the  
2 additional handout, Manitoba Hydro 151.

3

4 --- EXHIBIT NO. MH-151: Additional Handout

5

6 THE CHAIRPERSON: The booklet is actually  
7 151.

8 MS. PATTI RAMAGE: It would make the more  
9 -- more sense to mark the book of documents 150 and the  
10 single handout 151.

11 THE CHAIRPERSON: Okay. I accept that.  
12 Do you have that single piece of paper, Mr. Singh? Oh,  
13 okay. Sorry, it was mixed up with my other stuff. Thank  
14 you.

15

16 (BRIEF PAUSE)

17

18 CONTINUED BY MS. PATTI RAMAGE:

19 MS. PATTI RAMAGE: If -- if we set aside  
20 data and correlation issues for a moment, your approach  
21 in chapter 6 is intended to demonstrate a potential use  
22 of the software @RISK and a Monte Carlo simulation model,  
23 is that correct?

24 DR. ATIF KUBURSI: Counsel, can you  
25 repeat, please?

1 MS. PATTI RAMAGE: Oh, I was just going  
2 to say chapter 6 is intended to demonstrate a potential  
3 use of the software @RISK and a Monte Carlo simulation,  
4 correct?

5 DR. ATIF KUBURSI: Correct.

6 MS. PATTI RAMAGE: And I want to look at  
7 some of the data you've used, and there I would have you  
8 -- if you could look at page 227 from your report, which  
9 is in Tab 15, the first page.

10 DR. ATIF KUBURSI: Yes, I have it.

11 MS. PATTI RAMAGE: And if I look under  
12 the column "Exports," and go to the -- under 2007, do you  
13 see the figure of 12,845 gigawatt hours?

14 DR. ATIF KUBURSI: Yes, I do.

15 MS. PATTI RAMAGE: Now -- and that's  
16 under exports. For the purpose of your model, when  
17 you're looking at exports, that 12,845 gigawatt hours in  
18 -- is intended to represent Manitoba Hydro's export  
19 activities, correct?

20 DR. ATIF KUBURSI: Total, yes.

21 MS. PATTI RAMAGE: Now, you're aware  
22 Manitoba Hydro has an open access transmission tariff  
23 which allows other parties to access its transmission  
24 lines?

25 DR. ATIF KUBURSI: Now I'm aware of it,

1 yes.

2 MS. PATTI RAMAGE: And by virtue of  
3 Manitoba Hydro's open access transmission tariff, third-  
4 party power can travel through Manitoba. It doesn't  
5 necessarily originate in Manitoba, nor does it serve  
6 Manitoba load. Is that your understanding?

7 DR. ATIF KUBURSI: It's my understanding.

8 MS. PATTI RAMAGE: And you would agree  
9 that if Stats Canada calculated their Manitoba Hydro  
10 export number using metered exports, measuring all flows  
11 travelling through Manitoba, not just Manitoba Hydro's  
12 flows, you'd agree that the 12,845 gigawatt hours would  
13 not be the data that you intended to use for the purpose  
14 of your model, is that correct?

15 DR. ATIF KUBURSI: Maybe not. I mean,  
16 let's -- let's talk a little bit about here. I mean,  
17 there may be questions. You see, I had to -- I will  
18 check with -- with Statistics Canada because this is  
19 definitely total exports from Manitoba, and maybe they're  
20 metered as if they're the total exports of Manitoba. But  
21 they need not be the total exports of Manitoba Hydro.  
22 That's the presumption.

23 I'm not so sure about this. I want to --  
24 I want to really explore this a little bit further. Why  
25 would they consider this to be the export of Manitoba,

1 when they must have -- considered it to be the export of  
2 another utility, you know, like Ontario, going through or  
3 somebody else? I want to check on these things, but on  
4 the face of it, I agree with you, that this number here,  
5 if it's metered for total Manitoba, it may or may not  
6 include exports from Manitoba Hydro.

7 MS. PATTI RAMAGE: If I could get you to  
8 turn the page in Tab 15, Manitoba Hydro has provided  
9 evidence that its total exports were 10,543 gigawatt  
10 hours. Do you see that number? It is --

11 DR. ATIF KUBURSI: Okay. I'm sorry,  
12 Counsel. I'm just going through it.

13 MS. PATTI RAMAGE: It's the --

14 DR. ATIF KUBURSI: Yeah --

15 MS. PATTI RAMAGE: -- four (4) lines down  
16 --

17 DR. ATIF KUBURSI: -- I -- I see it.  
18 Yeah, I see it.

19 MS. PATTI RAMAGE: -- the last column.

20 DR. ATIF KUBURSI: Then five four three  
21 (543), yes.

22 MS. PATTI RAMAGE: Now, if you were to  
23 accept this number, at least for the purpose of our  
24 discussion, would you agree that represents a 22 percent  
25 variance for the number utilized in your model? That's



1 the twelve thousand (12,000) number we just discussed?

2 DR. ATIF KUBURSI: All right, yes. I'd  
3 like to really see how -- how this number came about, I  
4 mean, because Stats Can are a careful bunch of people. I  
5 mean, they're not in the business of generating numbers  
6 without testing their accuracy. I would like to really  
7 see how on earth would they report a -- a number -- okay.  
8 Now, remember, I want to ask you: Is it only -- has this  
9 been adjusted to the calendar year? I presume it has.  
10 Is it -- is it calendar year --

11 MS. PATTI RAMAGE: Yeah, that's --

12 DR. ATIF KUBURSI: -- versus fiscal?

13 MS. PATTI RAMAGE: That's what the  
14 rebuttal evidence says, yes.

15 DR. ATIF KUBURSI: Yeah. Okay. So what  
16 I would really like to do is to maybe check on this with  
17 -- with Stat Can to see how would they explain a  
18 difference of this sort, now that you have come to a  
19 common definition in terms of the period because most of  
20 the IFF that we were looking at was on a fiscal year  
21 basis, and the data from Stat Can was on a calendar. But  
22 now I understand that this is the calendar-year  
23 adjustment.

24 MS. PATTI RAMAGE: And when you do that,  
25 if I could maybe direct your attention -- and I won't put

1 the -- the document on the record, but you'll be  
2 reviewing, to look at that, the Electric Power  
3 Generation, Transmission, and Distribution Stats Canada  
4 report of 2007 that you report -- that you reference in  
5 your report. And if I could maybe ask you to confirm  
6 that on page 14 of that report it refers to the supply  
7 and disposition of electric energy -- electric utilities  
8 and industry 2007.

9                   And I -- I'm just putting my emphasis on  
10 the plural of utilities and industry 2007 by province.  
11 And that -- that might help us get to the bottom of this  
12 issue. If -- if you want to look at that page.

13                   DR. ATIF KUBURSI: I see the title, this  
14 is Table 8.2 -- 8-2.

15                   MS. PATTI RAMAGE: Table 3 is what I'm  
16 looking at.

17                   DR. ATIF KUBURSI: Table 3.

18                   MS. PATTI RAMAGE: You -- oh, I'm sorry.  
19 You don't -- you don't have that right now. I'm saying,  
20 when you go back --

21                   DR. ATIF KUBURSI: Oh.

22                   MS. PATTI RAMAGE: -- you said you were  
23 gonna go back and look. I'm just --

24                   DR. ATIF KUBURSI: You're giving me the -

25 -

1 MS. PATTI RAMAGE: -- I'm giving you a  
2 little direction.

3 DR. ATIF KUBURSI: All right. Sorry.

4 MS. PATTI RAMAGE: Dr. --

5 MR. GAVIN WOOD: That's an undertaking  
6 then?

7

8 CONTINUED BY MS. PATTI RAMAGE:

9 MS. PATTI RAMAGE: Dr. Kubursi, can we  
10 get an undertaking that you'll -- you'll look at that  
11 table and come back to us with your comments?

12 DR. ATIF KUBURSI: I will.

13

14 --- UNDERTAKING NO. 161: Doctors Kubursi and Magee to  
15 examine Table 3 and comment  
16 on its contents

17

18 CONTINUED BY MS. PATTI RAMAGE:

19 MS. PATTI RAMAGE: Similarly, I'd like  
20 you to look, if -- if -- let's go back to -- to your  
21 table -- your page 227 of your report, that's the first  
22 page in Tab 15.

23 And there do you see, under 2007, load of  
24 22,235 gigawatt hours.

25 Do you see that figure?

1 DR. ATIF KUBURSI: Yes, I see.

2 MS. PATTI RAMAGE: And would you confirm  
3 that when you use that figure that's intended to include  
4 Manitoba Hydro generation only? For the purpose of your  
5 model you're not -- you want Manitoba Hydro generation --  
6 or Manitoba Hydro load, I'm sorry.

7 DR. ATIF KUBURSI: Yeah. I -- I was  
8 confused about load versus generation. Yes, this is  
9 Manitoba load.

10 MS. PATTI RAMAGE: And if you were to  
11 understand that when Stats Canada reports on Manitoba  
12 load it includes all Manitoba load at customer meters,  
13 including both Manitoba Hydro customers and self-  
14 generation by industry, wind -- wind generation and  
15 diesel generation not available to grid customers. Would  
16 you agree that that -- the number produced by -- by  
17 including all of those factors would not be the number  
18 you would intend to use in your model?

19 DR. ATIF KUBURSI: Can you explain why --  
20 why would this be the case?

21 MS. PATTI RAMAGE: Well, if -- if a  
22 number include -- if you were looking for a Manitoba  
23 Hydro number and the number that you have includes  
24 Manitoba Hydro generation plus industry's generation that  
25 are self-generating for themselves --

1 DR. ATIF KUBURSI: Okay, yeah.

2 MS. PATTI RAMAGE: -- plus wind  
3 generation, plus diesel generation at sites that are not  
4 available to Manitobans on the grid.

5 DR. ATIF KUBURSI: No. Okay. I --

6 MS. PATTI RAMAGE: That number wouldn't  
7 be the number you're looking to -- to put into your  
8 model.

9 DR. ATIF KUBURSI: No, I mean, I -- you  
10 know, the only difference here is the -- the one (1) that  
11 you pointed out, if there is any coal gen and they're  
12 supplying these things. The other ones, we're taking  
13 care of that.

14 MS. PATTI RAMAGE: And would I be correct  
15 -- the next line down on page 227, "Unallocated Energy."  
16 Are you referring to transmission losses when you call  
17 that unallocated energy.

18 DR. ATIF KUBURSI: The definition that I  
19 saw from Stat Can refers to this as if it's losses.

20 MS. PATTI RAMAGE: And again, when --  
21 when you're calculating Manitoba generation you would  
22 want the generation at -- at the generators, not after --  
23 at metered load there would be losses, correct? So  
24 you're looking the -- for the at-generation number.

25 DR. ATIF KUBURSI: I presume so, yes.

1 This is at -- at source.

2 MS. PATTI RAMAGE: And so you would add  
3 the losses to the -- the metered load, correct, in order  
4 to get the at-source number?

5 DR. ATIF KUBURSI: Yes, because you see  
6 this is the delivered losses, yeah.

7 MS. PATTI RAMAGE: It appears to me, Dr.  
8 Kubursi -- and maybe you could help me, that you have net  
9 load, and you've actually subtracted the generation  
10 losses instead of adding them.

11 Can you confirm that? The 22,235 gigawatt  
12 hours, the difference between that and nineteen thousand  
13 nine hundred and nine (19,909) is the --

14 DR. ATIF KUBURSI: Yeah.

15 MS. PATTI RAMAGE: -- value attributed  
16 for losses.

17 DR. ATIF KUBURSI: I -- I would like to  
18 check on this because, you see, I've remembered I had  
19 problems with this with Stat Can, trying to explain what  
20 do they mean by the unallocated energy. I had presumed  
21 myself that it is losses, but it could be something that  
22 they could not explain in terms of the load.

23 I don't know. Maybe they were talking  
24 about this is the amount that is required by the station  
25 to generate, and this included by load rather than

1 subtracted. Stat Can deducts this. And that -- that's  
2 why I presume it is a loss.

3 MS. PATTI RAMAGE: Another -- an issue  
4 Mr. Hacault raised this morning was with respect to the  
5 correlation between generation and water rentals. And,  
6 at that time, you reviewed the distribution at page 257  
7 of your report. And I don't have it included here, but I  
8 was wondering if you could turn to that.

9

10 (BRIEF PAUSE)

11

12 DR. ATIF KUBURSI: We have it.

13 MS. PATTI RAMAGE: Something that struck  
14 me about this distribution is that the minimum is -- and  
15 that's the left tail, is actually a negative number. And  
16 I don't think there's any dispute that -- that there's no  
17 circumstance in which the province pays Manitoba Hydro  
18 water rentals. And I should have started by -- Figure  
19 6.38 is a distribution cost of royalties, and tha --  
20 that's with respect to water rentals.

21 But can you confirm the -- why -- or can  
22 you explain why that would be a negative number?

23 DR. ATIF KUBURSI: Yeah, you -- you know,  
24 this -- this is the -- the -- you know, part of the  
25 Wiebull distribution. But, you see, what we do is we

1 truncate the distribution to only accept the positive  
2 numbers.

3 MS. PATTI RAMAGE: If I can get you to  
4 look -- because I think I may have figured it out. If I  
5 can get you to look back to two hun -- page 227 of your  
6 report, which is the Tab --

7 DR. ATIF KUBURSI: Yeah, I have -- I have  
8 it.

9 MS. PATTI RAMAGE: -- 15.

10 DR. ATIF KUBURSI: Yes, I have it.

11 MS. PATTI RAMAGE: And I have to admit,  
12 this is something that struck me this morning when we  
13 were going through this. If I could get you to look at  
14 royalty expenses for 2007.

15 DR. ATIF KUBURSI: Yeah.

16

17 (BRIEF PAUSE)

18

19 MS. PATTI RAMAGE: Yeah, that's Table  
20 6.1. It's in the book of documents, the first page.

21 DR. ATIF KUBURSI: Yes.

22 MS. PATTI RAMAGE: And if I could get you  
23 to look down at -- down the 2007 column acro -- and  
24 royalty expenses. The number of thirteen million seven  
25 hundred and sixty-seven thousand (13,767,000) appears.



1 Do you see that there?

2 DR. ATIF KUBURSI: Ye -- yes, I see.

3 MS. PATTI RAMAGE: And if I could get you  
4 to look at Manitoba Hydro Exhibit number 151, which is  
5 Table 8.2 of the Stats Canada data.

6 DR. ATIF KUBURSI: Yeah, I -- I could see  
7 there is a missing number. There's a transcription  
8 error. It's not the one in the data that we use because  
9 you can see from the distribution it includes it, it's  
10 just in the typo. There is a seven (7) missing. You  
11 see, it's -- it's one two (12) -- sorry, it's a two (2)  
12 missing. It should be one two three seven six seven  
13 (123,767). The way we have it is thirteen (13). It's a  
14 transcription, but it's not outside the distribution,  
15 which means we have used the right number in  
16 distribution, it's just in the -- in the table, yeah.

17 MS. PATTI RAMAGE: I want to ask you  
18 about that because that's -- that number of 13 million is  
19 exactly what I thought made the distribution go to the  
20 left because it is outside of what I would call the  
21 normal water rental amounts that Manitoba Hydro would  
22 pay.

23 And would it not be true that in -- in  
24 order to get the -- the distribution to fit that 13  
25 million, that is exactly what would have caused that

1 left-hand -- le -- that left-side skew?

2

3 DR. ATIF KUBURSI: I -- I'm sure, you  
4 know, it -- if it was used, a thirteen (13), it was  
5 skewed more to the left but not to the negative numbers.

6 MS. PATTI RAMAGE: Wouldn't it -- the 13  
7 million as -- as a much lower number, and then carrying  
8 on, because that 13 million would be in the actual -- the  
9 -- the actual realm of experience in terms of the  
10 distribution, so wouldn't the left be carrying it further  
11 out that it -- it would take the negative number?

12 And maybe -- perhaps if I could just get  
13 an undertaking from you to review that and see --

14 DR. ATIF KUBURSI: Yeah.

15 MS. PATTI RAMAGE: -- what numbers were  
16 used.

17 DR. ATIF KUBURSI: Yeah, I -- I want to  
18 make sure, at this moment, looking at distribution  
19 myself, I'm not so sure that this has done that skewing.  
20 But what there is here is definitely a transcription  
21 error. I want to make sure that we did not use it in the  
22 generation of the distribution. Because, as you can see,  
23 all the numbers are the same numbers, only this number is  
24 missing it too.

25 MS. PATTI RAMAGE: If I look at the -- at

1 the minimum indicated on Figure 6.38, it indica --  
2 indicates a number of negative two hundred and eighty-  
3 seven million nine hundred and ninety-four thousand  
4 (287,994,000). I think that -- or, no, it's two hundred  
5 and eighty-seven thousand nine hundred and ninety-four  
6 (287,994).

7 Where would that number come from?

8 DR. ATIF KUBURSI: Yeah, I mean, this is  
9 definitely a -- you see, the Weibull has a very long left  
10 tail, all right, but we definitely don't use this. We  
11 truncate it at the -- at the positive levels.

12 MS. PATTI RAMAGE: A negative number  
13 though would mean the province at that point pays  
14 Manitoba Hydro water rentals?

15 DR. ATIF KUBURSI: No, no, I mean, don't  
16 worry about it. I mean, we don't use these things.

17 MR. ROBERT MAYER: I think they're trying  
18 to collect some money back.

19 DR. ATIF KUBURSI: No. No, but what --  
20 what I would do as an undertaking, Counsel, is that we  
21 check to see that this number is not just -- I hope it's  
22 only a transcription error, but we'll make sure whether  
23 when we fitted the distribution this number was part of  
24 it or not.

25

1 CONTINUED BY MS. PATTI RAMAGE:

2 MS. PATTI RAMAGE: It would be included  
3 in the mean or the average there though, wouldn't it?

4 DR. ATIF KUBURSI: If -- if we used -- if  
5 we used the wrong number, yes, it would be. Yeah, if we  
6 use -- if we used it, it would be definitely in the  
7 average.

8 MS. PATTI RAMAGE: Mr. --

9 DR. ATIF KUBURSI: But the average is  
10 seventy-six (76). And I can tell you, just looking  
11 quickly on the things, sixty-eight (68), forty-seven  
12 (47), seven (7) -- yeah, I mean... Yeah, yeah, so we'll  
13 -- we'll check this, yeah.

14 MS. PATTI RAMAGE: Mr. Surminski tells me  
15 he's confirmed that the mean is seventy-six (76).

16 DR. ATIF KUBURSI: Is the mean in -- with  
17 thirteen (13)?

18 MS. PATTI RAMAGE: Using -- using that  
19 low number.

20 DR. ATIF KUBURSI: Using that low number.  
21 Then -- then we made a mistake. We'll -- we'll go and  
22 check it and review it.

23 MS. PATTI RAMAGE: Okay, thank you. And  
24 then if I can get an undertaking, I'm not sure if we did,  
25 for you to come back and confirm what the -- what the

1 correct number should be.

2 DR. ATIF KUBURSI: Yes.

3 MR. ROBERT MAYER: I trust you don't mean  
4 physically come back.

5 DR. ATIF KUBURSI: Yeah, that would be  
6 good too.

7 MS. PATTI RAMAGE: No, we're not looking  
8 for Dr. Kubursi to physically come back. But if he could  
9 give us that correction and the impact on the analysis  
10 that would have.

11 DR. ATIF KUBURSI: I will.

12

13 --- UNDERTAKING NO. 162: Doctors Kubursi and Magee to  
14 check Figure 6.38 to  
15 determine where the negative  
16 number comes from

17

18 CONTINUED BY MS. PATTI RAMAGE:

19 MS. PATTI RAMAGE: And if I could have  
20 you turn to your Table 6.2 in the Kubursi/Magee report.

21 DR. ATIF KUBURSI: I have it.

22

23 (BRIEF PAUSE)

24

25 MS. PATTI RAMAGE: Could you advise what

1 the source of the import cost of a hundred and twenty  
2 dollars (\$120) per megawatt hour that you use for the  
3 sensitivity of the low flow combined with high import  
4 prices?

5 DR. ATIF KUBURSI: Yeah, this was our  
6 estimate of the heat rate adjustment, that it would be  
7 about a hundred twenty dollars (\$120) per megawatt.

8 MS. PATTI RAMAGE: Would that apply to  
9 all import energy?

10 DR. ATIF KUBURSI: We -- we used it in  
11 this case to be the upset price on all import energy.

12

13 (BRIEF PAUSE)

14

15 MS. PATTI RAMAGE: Dr. Kubursi, I -- I  
16 don't think I've heard a change in your evidence, but can  
17 you confirm that you're of the view the actual cost of a  
18 drought would be seriously understated as a result of the  
19 -- of SPLASH using perfect foresight or the impact of  
20 perfect foresight on SPLASH?

21 DR. ATIF KUBURSI: Yes, I mean, it -- it  
22 would understate the cost of the drought, yes.

23 MS. PATTI RAMAGE: When you said  
24 "seriously understated," are you talking 10 percent, 50  
25 percent, a hundred percent?

1 DR. ATIF KUBURSI: Well, I mean, it  
2 depends about the amount of water that you need between  
3 one (1) period and the other and what would be the -- the  
4 cost of this water, the cost being the opportunity of  
5 having generated electricity and you sold it at that.

6 MS. PATTI RAMAGE: On page 62 to 64 of  
7 its rebuttal evidence Manitoba Hydro expor --  
8 approximated the magnitude by which a drought may be  
9 understated by SPLASH. Have you read the rebuttal  
10 evidence related to this issue? That's at Tab 16.

11 DR. ATIF KUBURSI: What line, madam?

12 MS. PATTI RAMAGE: It's actually several  
13 pages. Maybe we'll walk through it.

14 DR. ATIF KUBURSI: Okay.

15 MS. PATTI RAMAGE: Would you agree that,  
16 in actual operations during drought, Manitoba Hydro will  
17 utilize non-firm import energy if it's available rather  
18 than emptying the reservoirs?

19 DR. ATIF KUBURSI: Yes.

20 MS. PATTI RAMAGE: And given that actual  
21 operations would utilize more import energy than is  
22 assumed in planning, would you agree that one (1) reason  
23 Manitoba Hydro might understate the cost of a five (5)  
24 year drought is that perfect site draws reservoir storage  
25 to minimum levels without incurring import costs, because

1 SPLASH knows the flows will recover the next year?

2 DR. ATIF KUBURSI: Correct.

3 MS. PATTI RAMAGE: Manitoba Hydro's  
4 evidence indicates that preserving storage through the  
5 purchase of non-firm import energy may cost in the order  
6 of \$100 million for a five (5) year drought. Do you have  
7 any reason to dispute that number?

8 DR. ATIF KUBURSI: I'd like to know  
9 exactly at what period, at what price. Okay.

10 MS. PATTI RAMAGE: If we assume 2,000  
11 gigawatt hours of non-firm energy is purchased at a price  
12 of fifty dollars (\$50) a megawatt hour --

13 DR. ATIF KUBURSI: Yeah.

14 MS. PATTI RAMAGE: -- to -- and that  
15 maintains one (1) extra foot of storage on Lake Winnipeg,  
16 that's where that figure comes from. Does that seem  
17 reasonable?

18 DR. ATIF KUBURSI: Well, reasonable if  
19 you assume average conditions. If you assume that you're  
20 basically importing at the highest price during a  
21 drought, then it would really be a larger number.  
22 Instead of fifty (50), it would be one twenty (120) times  
23 the five (5) -- you know, or twelve (12) times the 5,000  
24 gigawatt hours.

25



1 (BRIEF PAUSE)

2

3 MS. PATTI RAMAGE: If we could just --  
4 we're going to work with my -- my numbers, and we'll, at  
5 the end, come back to your -- your issue of -- of whether  
6 the price is doubled, if -- if you can go with me on  
7 that.

8 If Manitoba Hydro were able to import non-  
9 firm energy during that five (5) year drought for a cost  
10 of an additional 100 million, as we've discussed, is it  
11 more likely that this water or energy would be carried  
12 forward in storage into the period after the drought, and  
13 that most of the 100 million can be recouped in the  
14 subsequent time period, or would you expect that that  
15 would be spilled?

16 DR. ATIF KUBURSI: What one ought to do  
17 here is to build exactly the set of assumptions that you  
18 would talk about. I mean, I could build a set of  
19 assumptions where I would say that this water really ends  
20 up, in a period after the drought, with -- that is  
21 completely spilled because there is excess water. I  
22 mean, I can build it.

23 I mean, you don't want to build the strong  
24 case to be the one that -- that best, you know, serves  
25 your interests. I mean, I -- I -- in a risk analysis, I

1 would really take it exactly the opposite way. I would  
2 build the situation to be the worst case condition, where  
3 I really, you know, took this water, stored it, went into  
4 the period, and then all of a sudden it spilled.

5 MS. PATTI RAMAGE: But -- but most of the  
6 time -- and if we -- we could look at historic water  
7 flows, we wouldn't be moving from drought to spilling.  
8 So we can expect that most of the time, that would not  
9 occur.

10 DR. ATIF KUBURSI: Yeah.

11 MS. PATTI RAMAGE: I see Dr. Magee  
12 nodding. I'm going to get him on the mic eventually.

13 DR. ATIF KUBURSI: Okay. He could nod as  
14 much as he wants, but -- but the -- the point -- the  
15 point that we raise here is -- is really crucial is:  
16 What assumptions do you make about the water conditions  
17 that would follow a drought? And we could go and look at  
18 the actual situation and see.

19 You tend to always go and say that it's a  
20 mean reverting system. Let's go to the mean reverting  
21 system and see what it is.

22 MS. PATTI RAMAGE: You wouldn't expect a  
23 spill in the mean, correct?

24 DR. ATIF KUBURSI: No, but that's --  
25 that's what I'm saying, you know, because you -- you

1 build it in as a mean reverting, but it could easy -- if  
2 you look at the drought and see the period that went  
3 after it, I would like to see that -- is it a mean  
4 reverting one, or is it really a -- a different  
5 situation.

6 MS. PATTI RAMAGE: If we assume a mean  
7 reverting one that would be a case of undertaking an  
8 expent -- an expenditure earlier and then recouping it  
9 later, correct?

10 DR. ATIF KUBURSI: It -- it could easily  
11 be that case, yeah.

12 MS. PATTI RAMAGE: And when Manitoba  
13 Hydro estimates its cost of a drought, it -- it -- you  
14 would agree that it considers its natural gas, its coal-  
15 fired and firm import energy as dependable energy,  
16 correct?

17 DR. ATIF KUBURSI: Correct.

18 MS. PATTI RAMAGE: And if lower-priced  
19 non-firm import energy is available, Manitoba Hydro  
20 would, in -- in actual operations, substitute that lower-  
21 cost energy instead of running its out-of-the-money  
22 combustion turbines that were assumed in planning,  
23 correct?

24 DR. ATIF KUBURSI: If it's available.

25 MS. PATTI RAMAGE: And that substitution

1 would reduce Manitoba Hydro's actual cost of drought  
2 compared to the SPLASH estimate, correct?

3 DR. ATIF KUBURSI: Correct.

4 MS. PATTI RAMAGE: And -- and here,  
5 Manitoba Hydro has estimated, and you'll see in its  
6 rebuttal evidence, that the cost of the five (5) year  
7 drought -- that this factor could reduce the cost of a  
8 five (5) year drought by \$90 million due to not having to  
9 run combustrine -- combustion turbines.

10 Do you have any reason to dispute that  
11 estimate?

12 DR. ATIF KUBURSI: No, I won't.

13 MS. PATTI RAMAGE: And if I could just  
14 walk that through, the 90 million is derived from  
15 importing, for example, three thousand (3,000) gigawatt  
16 hours at a saving of thirty dollars (\$30). And -- and  
17 when I say the thirty dollars (\$30), the higher priced  
18 eighty dollar (\$80) megawatt hour power versus the fifty  
19 (50).

20 DR. ATIF KUBURSI: I -- I mean, I -- I  
21 hope you'd agree with me that it all depends on how you  
22 are arranging the -- the system to reflect the level of  
23 cost.

24 I -- okay. Suppose I say, Okay, I -- I  
25 want to build a situation in which the drought happens

1 and I don't have any chance of importing cheap energy and  
2 I have to fire my thermal energy. I need to know what  
3 are the worst case scenario that we should be prepared  
4 for. If -- if I build everything on a rosy average  
5 situation I might get surprised. And the -- the issue  
6 here is to avoid any shocks or surprises.

7 MS. PATTI RAMAGE: You'd agree that the  
8 heat rate of Manitoba Hydro's combustion turbines are 50  
9 percent higher than the market heat rate?

10 DR. ATIF KUBURSI: I would say so, yeah.

11 MS. PATTI RAMAGE: So that would put our  
12 cost at fifty (50) -- the cost that SPLASH estimates at  
13 50 percent higher than -- than the market typically?

14 DR. ATIF KUBURSI: If the market is  
15 available at that year-old price and if you have the  
16 capacity to import it and the transmission is available,  
17 I mean, too many ifs.

18 MS. PATTI RAMAGE: Comments have been  
19 made regarding the '03/'04 drought. Can you tell us what  
20 specifically you did review in terms of Manitoba Hydro's  
21 operations during the '03/'04 drought?

22 DR. ATIF KUBURSI: We -- we looked  
23 exactly at a number of variables. We looked at the level  
24 of load. We looked at the generation, generation that  
25 came from hydro, from the thermal. We also look at

1 imports, and we looked at committed exports that you had  
2 to meet. We looked at these numbers to the extent that  
3 they reflected performance.

4 MS. PATTI RAMAGE: And what was the  
5 source of that information, can you tell us?

6 DR. ATIF KUBURSI: I mean, we looked at  
7 it really in two (2) ways, but the one we concentrated on  
8 is the one that came from Statistics Canada in 2003/2004.  
9 But we had also a chance to look at IFF and you -- and  
10 your estimates, you know, the Manitoba Hydro estimates.

11 MS. PATTI RAMAGE: If I could take you  
12 back to our -- our book of documents, I think it's Tab  
13 15, and the second page in that, which is Manitoba  
14 Hydro's rebuttal evidence.

15 DR. ATIF KUBURSI: Yes, I see.

16 MS. PATTI RAMAGE: If we could look under  
17 the 2003 year --

18 DR. ATIF KUBURSI: Yes.

19 MS. PATTI RAMAGE: -- next to Generation,  
20 which is midway through the page --

21 DR. ATIF KUBURSI: Yeah, I see it.

22 MS. PATTI RAMAGE: -- you'll see Manitoba  
23 Hydro's generation is twenty-one thousand, two hundred  
24 and twenty-five (21,225). That's Manitoba Hydro's --

25 DR. ATIF KUBURSI: Yeah --

1 MS. PATTI RAMAGE: -- provided calendar  
2 year --

3 DR. ATIF KUBURSI: Yeah --

4 MS. PATTI RAMAGE: -- for generation.  
5 Do you see that number?

6 DR. ATIF KUBURSI: Yes. Yes.

7 MS. PATTI RAMAGE: And you see that Stats  
8 Canada has used twenty-seven thousand, three hundred and  
9 sixty-two (27,362)?

10 DR. ATIF KUBURSI: Yes.

11 MS. PATTI RAMAGE: And that's a  
12 difference of six thousand, one hundred and thirty-seven  
13 (6,137)?

14 DR. ATIF KUBURSI: Yes.

15 MS. PATTI RAMAGE: And we would be  
16 dealing with the same generation issues we've discussed  
17 in terms of the accuracy of those numbers?

18 DR. ATIF KUBURSI: I mean, there is no  
19 question about it, an issue here to see how these numbers  
20 have really come out from Stat Can compared to the  
21 numbers that you've created.

22 If you give a chance and this is the  
23 undertaking, we're going to look and check and vet with  
24 Statistics Canada what was the basis that would have  
25 really given rise to a six thousand (6,000) difference.

1 No question the six thousand (6,000) is large.

2

3

(BRIEF PAUSE)

4

5

MS. PATTI RAMAGE: In reviewing the  
6 '03/'04 drought, did you review any of the ma -- the  
7 master and purchase sales agreements that were in place  
8 during that time?

9

DR. ATIF KUBURSI: We looked at it but...

10

MS. PATTI RAMAGE: When you say you  
11 looked at it, which ones did you look at of the -- the  
12 master sale and purchase agreements for the '03/'04  
13 drought?

14

DR. ATIF KUBURSI: I mean, we -- we  
15 looked at quite a bit of documentation. At the moment,  
16 the only thing I remember is we looked at the master.

17

MS. PATTI RAMAGE: Did you look at the  
18 actual electricity transaction confirmations?

19

DR. ATIF KUBURSI: No.

20

MS. PATTI RAMAGE: Or the natural gas  
21 transaction confirmations?

22

DR. ATIF KUBURSI: No. I mean, the --  
23 the only thing we looked at is the different amount of  
24 gas, the contracts that were brought in and, you know,  
25 what was stored in the US and stored here and what were



1 the different costs. But we looked at all these numbers  
2 as they came. And remember, I mean, we -- we wrote this  
3 in November, this -- what, a period back.

4 MS. PATTI RAMAGE: Did you -- you didn't  
5 see the storage in -- injection and withdrawal schedules  
6 for 2003/'04, did you?

7 DR. ATIF KUBURSI: We -- we looked at the  
8 withdrawals and injection. No, we looked at these  
9 things, yeah.

10 MS. PATTI RAMAGE: Dr. Kubursi, I'm  
11 wondering if you could tell us where you got that  
12 information from. It's not information from Manitoba  
13 Hydro, so I'm concerned where this is coming from.

14 DR. ATIF KUBURSI: No. I mean -- no, no.  
15 I mean, remember, the story was, is that, you know, right  
16 at the beginning you bought quite a bit of gas, and some  
17 of this gas was stored in Saskatchewan or some -- or  
18 Ontario, actually, right, and then some of which were  
19 kept into the US. I guess we didn't make up this  
20 information.

21 I mean, it has come from Manitoba Hydro,  
22 and maybe one (1) of the discussions, but there's no  
23 question about it. We knew about the amount of gas that  
24 you bought and some of which that you had to really sell  
25 on the market. There was a bit of a difference.

1 MS. PATTI RAMAGE: Was the source of your  
2 information the Risk Advisory Report? Does that...

3 DR. ATIF KUBURSI: I -- I have to check  
4 on this one. But I -- I recall very well that we knew  
5 exactly when you bought the gas, where you stored it, how  
6 you much you bought for it, when you put a put for it,  
7 and then what -- what the amount of money you realized.

8 Where exactly I got this, at the moment  
9 I'm not so sure, but I can -- we can verify it. I have  
10 notes that we can go back to.

11 MS. PATTI RAMAGE: Okay. Maybe if I  
12 could get an undertaking from you, sir, to provide us  
13 with the source of data. And I'm going to gi -- if I  
14 could give a list of a few things that Risk Advisory  
15 reviewed in its report in order to come to its  
16 conclusions on the '03/'04 drought. And maybe if you  
17 could tell me --

18 DR. ATIF KUBURSI: Maybe -- maybe --

19 MS. PATTI RAMAGE: -- in the undertaking  
20 whether you've seen it. And if you have, if you could  
21 tell us the actual documentation.

22 DR. ATIF KUBURSI: Right.

23 MS. PATTI RAMAGE: And for the court  
24 reporter, I'll -- I'll ask for the undertaking with  
25 respect to which master purchase and sale agreements, the



1 the corporate import/export  
2 policies and procedures, and  
3 any export strategy  
4 documentation

5  
6 MS. PATTI RAMAGE: Thank you, Dr.  
7 Kubursi, Dr. Magee. The best I got out of Dr. Magee was  
8 a nod, but I tried. But with --

9 MR. GAVIN WOOD: I was going tease that  
10 Mr. Cormie was nodding as well at times in some of these  
11 answers, but...

12 MS. PATTI RAMAGE: Mr. Chairman, with --  
13 subject to the answers to any of the undertakings and the  
14 outstanding pre-asks that are coming, that concludes any  
15 questions we would have. I -- I suspect, based on what  
16 we've heard, that if we do have any followup it would  
17 have to be written in any event.

18 THE CHAIRPERSON: Thank you, Ms. Ramage.

19 MR. ROBERT MAYER: I'm not so sure how --  
20 I'm not all that sure of that anymore. We appear to be  
21 developing time that we haven't filled in yet.

22 THE CHAIRPERSON: I'm sure we'll find a  
23 way. So I want to thank you, Dr. Kubursi and Dr. Magee,  
24 as well as Mr. Wood. I should -- I shouldn't -- I'm  
25 being remiss.

1                   Mr. Wood, do you have any re-direct of the  
2 witnesses?

3                   MR. GAVIN WOOD:    No, I don't, sir.

4                   THE CHAIRPERSON:   Okay.  And in your  
5 taking on and exercising the task and responsibilities of  
6 an independent expert, independent of all parties and  
7 interests, you have acted promptly, civilly, and  
8 professionally.  You've responded to Intervenors, and  
9 also engaged in discussions, as we take it, from -- with  
10 Manitoba Hydro, Board advisors, and the NYC.

11                   The issues before Manitoba Hydro, as we  
12 understand it, before the -- either customers and with --  
13 before Manitoba overall are important.  They're very  
14 material and they're quite complex, with implications not  
15 only for the near years out, but into the somewhat  
16 distant future.

17                   Thank you for your review, your evidence,  
18 and your awareness, and also your capacity and obvious  
19 listening skills.  You said many times through the  
20 Hearing that you sought to be helpful, and you have lived  
21 up to your objective.  The Board's understanding of  
22 issues have been assisted by your contributions.

23                   We look forward to your final  
24 undertakings, which, as Ms. Ramage alluded to, presumably  
25 be written submissions.  And I wish you a good trip back

1 to Ontario.

2 So, we stand adjourned, and we'll starting  
3 back again tomorrow morning at 9:30 with RCM/TREE's  
4 engaged witness, Mr. Colton. So with that, we stand  
5 adjourned. Thank you.

6 DR. ATIF KUBURSI: Thank you.

7

8 (PANEL STANDS DOWN)

9

10 --- Upon adjourning at 4:16 p.m.

11

12 Certified Correct

13

14

15

16

---

17 Cheryl Lavigne, Ms.

18

19

20

21

22

23

24

25