



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO
GENERAL RATE APPLICATION
2012/13 AND 2013/14

Before Board Panel:

Regis Gosselin - Board Chairman
Raymond Lafond - Board Member
Larry Soldier - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
December 17, 2012
Pages 1242 to 1512

| | APPEARANCES | |
|----|-----------------------|-------------------|
| 1 | | |
| 2 | Bob Peters |)Board Counsel |
| 3 | | |
| 4 | Patti Ramage |)Manitoba Hydro |
| 5 | Odette Fernandes |) |
| 6 | | |
| 7 | Byron Williams |)CAC (Manitoba) |
| 8 | | |
| 9 | William Gange |)GAC |
| 10 | Peter Miller |) |
| 11 | | |
| 12 | Antoine Hacault |)MIPUG |
| 13 | | |
| 14 | Michael Anderson (np) |)MKO |
| 15 | | |
| 16 | Denise Pambrun (np) |)City of Winnipeg |
| 17 | | |
| 18 | | |
| 19 | | |
| 20 | | |
| 21 | | |
| 22 | | |
| 23 | | |
| 24 | | |
| 25 | | |

| | TABLE OF CONTENTS | |
|----|--|----------|
| | | Page No. |
| 1 | | |
| 2 | | |
| 3 | List of Exhibits | 1245 |
| 4 | List of Undertakings | 1246 |
| 5 | | |
| 6 | MANITOBA HYDRO PANEL 2 - REVENUE REQUIREMENT, RESUMED: | |
| 7 | VINCE WARDEN, Resumed | |
| 8 | DARREN RAINKIE, Resumed | |
| 9 | DAVID CORMIE, Resumed | |
| 10 | | |
| 11 | Continued Cross-examination by Mr. Bob Peters | 1250 |
| 12 | | |
| 13 | Certificate of Transcript | 1512 |
| 14 | | |
| 15 | | |
| 16 | | |
| 17 | | |
| 18 | | |
| 19 | | |
| 20 | | |
| 21 | | |
| 22 | | |
| 23 | | |
| 24 | | |
| 25 | | |

1 LIST OF EXHIBITS

| 2 Exhibit No. | Description | Page No. |
|--------------------|-------------------------------|----------|
| 3 MH-18 (ADDITION) | Responses to PUB Pre-ask | |
| 4 | 2 and 3 | 1248 |
| 5 MH-22 | Responses to MIPUG Pre-asks 1 | |
| 6 | through 6 | 1249 |
| 7 | | |
| 8 | | |
| 9 | | |
| 10 | | |
| 11 | | |
| 12 | | |
| 13 | | |
| 14 | | |
| 15 | | |
| 16 | | |
| 17 | | |
| 18 | | |
| 19 | | |
| 20 | | |
| 21 | | |
| 22 | | |
| 23 | | |
| 24 | | |
| 25 | | |

| | | | |
|----|-----|---------------------------------------|----------|
| 1 | | LIST OF UNDERTAKINGS | |
| 2 | No. | Description | Page No. |
| 3 | 23 | Manitoba Hydro to update PUB/Manitoba | |
| 4 | | Hydro Second Round Question 14A to | |
| 5 | | include the IFF12 information and, | |
| 6 | | subject to the Corporation's | |
| 7 | | determination, advise as to whether | |
| 8 | | there will also be a new high-low | |
| 9 | | range provided at this time | 1282 |
| 10 | 24 | Manitoba Hydro to quantify the impact | |
| 11 | | of the expected Jenpeg outage on the | |
| 12 | | hydraulic flows for the current test | |
| 13 | | year; additionally, Manitoba Hydro to | |
| 14 | | advise the Board as to whether the | |
| 15 | | hydraulic output forecast for the | |
| 16 | | current test year and the next test | |
| 17 | | year are going to be impacted; as | |
| 18 | | well, Manitoba Hydro to include the | |
| 19 | | exports that it has achieved up to | |
| 20 | | December 1, 2012 | 1308 |
| 21 | 25 | Manitoba Hydro to advise the Board | |
| 22 | | of what management provisions had | |
| 23 | | been included in IFF11 | 1313 |
| 24 | | | |
| 25 | | | |

| | | | |
|----|-----|---------------------------------------|----------|
| 1 | | LIST OF UNDERTAKINGS (Con't) | |
| 2 | No. | Description | Page No. |
| 3 | 26 | Manitoba Hydro to advise the Board on | |
| 4 | | the approximate capital costs of a | |
| 5 | | 250 megawatt combined-cycle | |
| 6 | | combustion turbine combined to the | |
| 7 | | capital costs of a 250 megawatt | |
| 8 | | simple-cycle combustion turbine, as | |
| 9 | | well as advise the Board as to how | |
| 10 | | scalable those prices are, in terms | |
| 11 | | of up-sizing the turbine in terms | |
| 12 | | of relative costs | 1335 |
| 13 | 27 | Manitoba Hydro to provide a link to | |
| 14 | | the BC Hydro report and copies of the | |
| 15 | | Manitoba Hydro initiative taken in | |
| 16 | | response to what happened in the BC | |
| 17 | | Hydro review | 1389 |
| 18 | 28 | Manitoba Hydro to file the operating | |
| 19 | | costs reductions with regard to the | |
| 20 | | new office building | 1396 |
| 21 | 29 | Manitoba Hydro to provide the Board | |
| 22 | | the information request which | |
| 23 | | addresses the list of forecasters | |
| 24 | | used for estimated future rates | 1436 |
| 25 | | | |

1 --- Upon commencing at 9:00 a.m.

2

3 THE CHAIRPERSON: I believe we're ready
4 to start today's proceedings. Good morning, everyone.
5 I hope everyone had a good weekend. I wonder if we
6 have any matters to attend to before we commence the --
7 the -- continue the cross-examination?

8 MS. ODETTE FERNANDES: Yes, we do.

9 Thank you, Mr. Chairman. Odette Fernandes, for the
10 record. Manitoba Hydro, this weekend, emailed a few
11 documents to Board counsel and Intervenors. The first
12 two (2) documents were responses to PUB Pre-ask 2 and
13 3, which I spoke with Mr. Peters, and I think the best
14 way to handle that would be to include them in Tabs 2
15 and 3 of Manitoba Hydro Exhibit 18 instead of giving
16 them a different exhibit number. So if we just put
17 Tabs 2 and 3, those documents, into those tabs.

18

19 --- EXHIBIT NO. MH-18 (ADDITION):

20 Responses to PUB Pre-ask 2
21 and 3

22

23 MS. ODETTE FERNANDES: And then
24 Manitoba Hydro also filed responses to MIPUG Pre-asks 1
25 through 6. And the first Pre-ask is quite a large

1 document. It's about three hundred (300) pages. So we
2 did email that around to everyone. But we suggest that
3 that be Manitoba Hydro Exhibit number 22. And if
4 parties would like paper copies of those, we can have
5 those made as well.

6

7 --- EXHIBIT NO. MH-22: Responses to MIPUG Pre-asks
8 1 through 6

9

10 MR. BOB PETERS: Yes. Thank you, Mr.
11 Chairman. You'll recall, I believe it may have been
12 Friday or Thursday, that Manitoba Hydro provided a
13 binder that was marked as Manitoba Hydro Exhibit 18.
14 It predominantly contained information relating to
15 Pointe du Bois. But at the front end of that file
16 there are a number of tabs, and Manitoba Hydro has been
17 using those tabs in which to insert questions that have
18 been asked on behalf of the Board after the information
19 request process has concluded.

20 So Ms. Fernandes's suggestion is -- is a
21 good one, that we insert the pre-ask questions that she
22 filed this weekend into the appropriate tab in Manitoba
23 Hydro Exhibit 18. And then the pre-ask questions of
24 MIPUG, which related to depreciation matters, should be
25 taken then as Manitoba Hydro Exhibit 22. Thank you.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: If I could, Mr.
4 Chairman, I'd like to continue with a couple of points
5 that Mr. Cormie can assist the Board with.

6

7 MANITOBA HYDRO PANEL 2 - REVENUE REQUIREMENT, RESUMED:

8 VINCE WARDEN, Resumed

9 DARREN RAINKIE, Resumed

10 DAVID CORMIE, Resumed

11

12 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

13 MR. BOB PETERS: And, Mr. Cormie, when
14 we concluded our questioning on Friday, the Board was
15 reviewing the export prices obtained on sale aspects.
16 And we're looking at page 91 of Board counsel's Exhibit
17 14 found at Tab 9 of the book of documents.

18 And we were looking at the top half of
19 the chart dealing with sales, and the bottom half
20 related to purchases. Do you recall that, sir?

21 MR. DAVID CORMIE: Yes.

22 MR. BOB PETERS: And when the Board
23 looks at opportunity sales, those would include the
24 day-ahead sales, correct?

25 MR. DAVID CORMIE: Yes.

1 MR. BOB PETERS: And then opportunity
2 purchases, Manitoba Hydro also purchases day-ahead and
3 real-time energy as well?

4 MR. DAVID CORMIE: Yes.

5 MR. BOB PETERS: When the Board looks
6 at -- let's just pick 2008/'09 for historical
7 information, the real-time day-ahead sales are
8 averaging approximately four point one (4.1) cents a
9 kilowatt hour. Do you accept that?

10 MR. DAVID CORMIE: Subject to check,
11 yes.

12 MR. BOB PETERS: And at the bottom part
13 of the chart the Board will see that when Manitoba
14 Hydro purchases, they're purchasing in the day-ahead
15 and the real-time market for -- again, subject to check
16 -- an average of five (5) cents a kilowatt hour.

17 MR. DAVID CORMIE: Yes.

18 MR. BOB PETERS: And we can look at the
19 same data for 2011 and '12 at the far right-hand side
20 of the chart. Manitoba Hydro is selling at about two
21 point one (2.1) cents on the opportunity sa -- market
22 and they're buying for approximately two point zero
23 (2.0) cents a kilowatt hour.

24 MR. DAVID CORMIE: Yes.

25 MR. BOB PETERS: Mr. Cormie, would it

1 be correct to say that -- does Manitoba Hydro make
2 those purchase and sales in an effort to gain revenues?

3

4 MR. DAVID CORMIE: The transactions are
5 to gain revenues, but also to reduce the costs of
6 operating the power system, Mr. Peters. For example,
7 if it's less expensive for us at the time of peak to
8 purchase power than it is to run our combustion
9 turbine, we'll enter into a power purchase agreement
10 over the -- over the peak period.

11 So, although we may be energy long and
12 we're -- we're -- we're selling energy, there may be
13 hours when -- where we -- we don't have a surplus and
14 it's necessary to -- to buy energy to serve a sale. So
15 it's not -- the -- the purchases may not be made to --
16 to increase revenues, but to reduce the cost of serving
17 our sale obligations.

18 MR. BOB PETERS: These opportunity
19 sales, Mr. Cormie, are made once Manitoba Hydro's
20 domestic customers and your firm export customers are
21 already looked after?

22 MR. DAVID CORMIE: The sales would be,
23 yes.

24 MR. BOB PETERS: All right. And the
25 purchases -- you're indicating that in some

1 circumstances you may have to purchase or you may
2 choose to purchase even though you have hydraulic
3 energy available.

4 MR. DAVID CORMIE: I don't -- I -- I
5 wouldn't go that far, Mr. Peters, saying when we have
6 hydraulic energy available we may -- we may have
7 exhausted the hydraulic capability of the power system
8 at the time of peak. And, as we indicated the other
9 day when it was 4,400 megawatts of load on -- I think
10 it was last Tuesday, rather than starting our
11 combustion turbines that might cost ten (10) cents a --
12 a kilowatt hour to run, we'll go to the market and --
13 and buy during the peak hours to -- to serve our -- our
14 obligations. And so, at the time of peak, all the
15 hydraulic units may be already operating and the least
16 expensive way to serve load may be through a power
17 purchase.

18 In addition to that, we do have
19 emergencies, and -- and emergency power needs to be
20 purchased at times. And you'll notice in those
21 volumes, for example in 2008 and '09, sale volumes
22 were, you know, 5,000 gigawatt hours -- forty-nine
23 seventy-eight (4,978) it shows on your table -- and the
24 purchase volumes are two hundred and seventy-six (276).
25 So they're a fraction, and that tells me that these are

1 -- these are transactions that either were done during
2 emergencies or during periods when we're capacity short
3 in the hydro system and we're purchasing to minimize
4 costs.

5 MR. BOB PETERS: Could you explain to
6 the Board what you mean by "emergencies"?

7 MR. DAVID CORMIE: Fires at generating
8 stations, problems on the DC system, pole outages,
9 valve group outages. During emergencies we purchase
10 power in order to continue to serve our load
11 obligations.

12 MR. BOB PETERS: From the volumes that
13 you've identified for the Board, Mr. Cormie, does that
14 suggest that it wasn't arbitrage opportunities that was
15 motivating those transactions?

16

17 (BRIEF PAUSE)

18

19 MR. DAVID CORMIE: Well, I -- I can't
20 say that there weren't arbitrage transactions in here,
21 but remember, Mr. Peters, the price of electricity
22 isn't a constant two point four (2.4) cents a kilowatt
23 hour year around. That is an average price, so there
24 are periods when prices are higher than that. They
25 could be five (5) cents a kilowatt hour and we could be

1 buying at two (2) cents. And so there could be an
2 arbitrage transaction in there -- buy at two (2) and
3 sell at five (5), and it would show up -- they -- it
4 would all get averaged out.

5 So the average may not reflect a -- a
6 positive -- or a favourable number, but that's because
7 it's -- it's an average of many transactions for
8 different purposes and at different times of year.

9 MR. BOB PETERS: All right. To ensure
10 we have your point then, Mr. Cormie, at the top half of
11 the chart if we look to see what the average export
12 sales prices were in '08/'09, we see that there was
13 contracts at six point one (6.1) and the opportunity at
14 four point one (4.1), correct?

15 MR. DAVID CORMIE: Yes, subject to
16 check.

17 MR. BOB PETERS: And then the -- the
18 bottom part of the chart at the very last line
19 indicates average purchase prices would have been about
20 five point one (5.1) cents by contrasting that to the -
21 - to the sales prices?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: And likewise if we go
24 over to '11 and '12 -- 2011/'12, the sales were on
25 average four (4) cents for contracts and two (2) -- two

1 point one (2.1) cents for opportunity. And that
2 contrasts with the purchase price of five point five
3 (5.5) cents, correct?

4

5

(BRIEF PAUSE)

6

7 MR. DAVID CORMIE: Yes, but now you're
8 mixing in -- the five point five (5.5) includes the
9 dependable purchases, Mr. Peters, that don't reflect
10 spot market prices, they reflect the all-in resource
11 cost.

12 MR. BOB PETERS: Much like the contract
13 sales prices would have on the top part of the chart?

14 MR. DAVID CORMIE: Yes, in the contract
15 sales price there would be the dependable sales as well
16 as the short-term contract sales prices. The -- the
17 dependable sales are not expected to -- we -- we don't
18 enter into those in order to compete with the real-time
19 sales, Mr. Peters, but we do -- we do enter into short-
20 term contract sales with the expectation that in the
21 vast majority of cases they will -- those prices will
22 be better than what we would get in day-ahead or real-
23 time.

24 We have the choice of selling forward at
25 a fixed price or we have the choice of just leaving the

1 energy, and if it's surplus on the day then we sell it
2 and we enter into the short-term contract prices with
3 the expectation that this is a much better price than
4 we could by just leaving the energy for real-time.

5 MR. BOB PETERS: Mr. Cormie, would it
6 be a fair conclusion that the selling of purchased
7 power is not a profitable aspect of the export
8 business?

9

10 (BRIEF PAUSE)

11

12 MR. DAVID CORMIE: Could you define
13 what you mean by "purchased power", Mr. Peters?

14 MR. BOB PETERS: Well, I was -- if
15 we're comparing the averages, and I appreciate we are
16 looking at average information here, Mr. Cormie --

17 MR. DAVID CORMIE: M-hm.

18 MR. BOB PETERS: -- but when the -- the
19 average purchase price is almost the same as the
20 average sale price, then on average there isn't a large
21 amount of revenues that are being generated as a result
22 of those transactions?

23

24 (BRIEF PAUSE)

25

1 MR. DAVID CORMIE: The -- the purchase
2 price for the dependable purchases is -- is -- in -- in
3 your numbers here shows that they are more expensive
4 than the value of the energy. And it's not a
5 profitable transaction, no.

6 MR. BOB PETERS: So --

7 MR. DAVID CORMIE: But it was not --
8 not intended to be.

9 MR. BOB PETERS: -- so Manitoba Hydro's
10 motivation for doing that is -- is something other than
11 profit at that point?

12 MR. DAVID CORMIE: Our motivation is we
13 have that resource on the system, it's generating
14 electricity and -- and it's adding to the surplus on
15 the system. And as -- I think as we had a discussion
16 Friday afternoon, Mr. Peters, and I was going off and
17 telling you about whether it's fair to put any
18 particular resource at the margin and then judge its
19 liability based on whether the -- it -- the cost of --
20 of that energy was -- could be measured against the
21 opportunity export market.

22 And -- and this is another example where
23 we're saying dependable purchases are going to the
24 opportunity market. And I would say, well, is it
25 dependable or is it another resource that -- surplus

1 that's coming off the existing hydro system because we
2 have high water, or is it coming off the last generator
3 that was just built so that this -- you know, we can
4 always argue whether -- for any particular resource,
5 whether it's at the margin or not.

6 And I think that's an unfair discussion.
7 I think we should be averaging all the costs -- all the
8 costs in saying, This is the supply, and each resource
9 will pick up a fair share of dependable opportunity and
10 of opportunity revenue.

11 MR. BOB PETERS: So to get Manitoba
12 Hydro's marginal cost, you would do that? You would
13 average the cost of all generators and all supply
14 sources?

15 MR. DAVID CORMIE: In proportion to the
16 amount of dependable energy they have in there. In --
17 yes, I would -- I would weight it.

18 MR. BOB PETERS: Is that what Manitoba
19 Hydro does?

20 MR. DAVID CORMIE: We don't do it that
21 way, Mr. Peters. I -- I -- we only do it because you
22 ask us to do it, to do that calculation. It's not
23 something that we do. We don't go to a generating
24 station and -- and when we speak to the staff, they're
25 going to say, well, how much was -- was -- what was the

1 value of this generating station, and then relate that
2 back to the export market. Because if you -- if you
3 evaluated the value of every generating station at the
4 margin, nobody's left, then, meeting the firm
5 requirements of the power system.

6 MR. BOB PETERS: Then, Mr. Cormie, how
7 does Manitoba Hydro decide whether or not it will make
8 the -- make an export sale out of the opportunity rev -
9 - opportunity energy that it has available?

10 MR. DAVID CORMIE: We look at the total
11 system surplus that's available and we -- regardless of
12 where it's coming from. And then we take that surplus
13 and we take it to market and try and maximize its
14 value. But we don't assign the surplus on any
15 particular day to a specific unit or a generating
16 station.

17 MR. BOB PETERS: You don't put a value
18 on that surplus?

19 MR. DAVID CORMIE: Oh, the surplus is
20 valued at the market. But the question is: Do you
21 assign it back to a particular supply source in -- in
22 the system.

23 MR. BOB PETERS: And to determine
24 whether Manitoba Hydro is covering its costs, what
25 calculation do you do to determine that?

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: Well, you still look
4 at the value of the surplus, but I'm -- only -- my only
5 -- my only caveat is that you just can't assign that
6 cost back to a specific supply source. The system as a
7 whole is producing the surplus and not of a specific
8 generator.

9 MR. BOB PETERS: And the question that
10 I am trying to get to, Mr. Cormie, is: What's the
11 value of that surplus to Manitoba Hydro, and how is it
12 calculated?

13 MR. DAVID CORMIE: Well, then -- then
14 it's done at -- at the margin, based on market prices
15 for the value of the surplus energy.

16 MR. BOB PETERS: And if Manitoba Hydro
17 knows what the market price is, it has to make a
18 determination whether it's going to sell into that
19 market, correct?

20 MR. DAVID CORMIE: Yes.

21 MR. BOB PETERS: And at that time, to
22 determine whether it wants to sell into that market, it
23 has to understand what it -- its -- the value of its
24 product is before it goes into that market.

25 MR. DAVID CORMIE: Yes. But I could

1 suggest that 2011/'12 might have been one (1) of the
2 lowest lows on record, and we would not have had a
3 surplus, and Manitoba Hydro could be out in the market
4 purchasing energy. And then we would -- might have
5 been able to say, Hm, that -- the price for that
6 purchase power might have been very attractive, and
7 this would be a non-issue.

8 So the water supply goes up and down
9 with the weather, and the -- and to judge whether
10 having a particular resource in the system is a good
11 thing or not shouldn't be done based on spot market
12 prices and spot market costs, because they're highly
13 volatile. When Manitoba Hydro makes a resource
14 decision, it does it assuming all possible flow
15 conditions and looking at the average condition. And
16 we enter into transactions on -- on that basis.

17 THE CHAIRPERSON: I just want to
18 understand the dynamics here, because you -- you know
19 what the marginal costs are. And are you suggesting
20 that you never sell below your marginal costs into the
21 export market?

22 MR. DAVID CORMIE: We never sell below
23 our short-run marginal costs. So if we are to enter
24 into a transaction, we know precisely what are the
25 costs of generating that incremental, or marginal,

1 megawatt hour is, and we know what the revenue is. And
2 -- and we wouldn't enter intrans -- into a transaction
3 if we didn't have an expectation of profit. And -- and
4 I'm speaking about the day-ahead -- the real-time
5 market.

6 THE CHAIRPERSON: Now the constituents
7 of that short-term marginal cost would be -- could you
8 just describe that very briefly for me?

9 MR. DAVID CORMIE: For a hydro unit
10 there -- to the -- the water rental costs, the
11 incremental operating and maintenance cost of the unit
12 adjusted to -- for losses to the border, and that
13 becomes the -- the incremental cost of the -- of the
14 hydro. And to that we add a profit and we will not
15 trade -- we will not sell that unless we're able to
16 achieve a price greater than that.

17 MR. RAYMOND LAFOND: Theoretically, if
18 there's -- are huge water flows and you're spilling,
19 your cost is zero, right?

20 MR. DAVID CORMIE: The -- there is
21 water rental cost if we generate.

22 MR. RAYMOND LAFOND: Fair enough.

23 MR. DAVID CORMIE: And you could argue
24 that it's -- it -- it's a tax to the province, and it's
25 going from one pocket to the other but -- but the

1 Utility has a utility cost of the water rentals.

2 THE CHAIRPERSON: So I'm a supplier in
3 US and I know what your costs are, I -- I would
4 probably know pretty quickly what Manitoba Hydro's
5 costs are based on your bid performance. So all I have
6 to do is come in a little bit lower and I would capture
7 what's available there, right?

8 MR. DAVID CORMIE: Our offer prices are
9 confidential so no -- no market participant knows what
10 the other prices are. But I -- I don't believe that
11 there's a market participant out there who could not
12 guess what Manitoba Hydro's production costs because
13 our hydro is like all hydro. It's -- it has a very,
14 very low cost.

15 But it's not the low-cost suppliers that
16 is setting the market clearing price; it's the high-
17 cost suppliers. It's the gas turbines and the coal
18 units, the -- the oil-fire generators is -- is --
19 that's creating the -- the market clearing price.

20 And so Manitoba Hydro is well down. And
21 whether we were to charge five dollars (\$5) or six
22 dollars (\$6) or seven dollars (\$7) a megawatt hour as
23 our -- as our offer price probably has no effect on the
24 market clearing price, except that we're -- as long as
25 we're participating we lower the -- the price curve

1 because we know have our 1,000 or 2,000 megawatts in at
2 a -- at a price that in all likelihood is well below
3 the -- the market clearing price.

4 THE CHAIRPERSON: I guess the notable
5 exception being the -- the real-time pricing when
6 you're competing against wind, I guess.

7 MR. DAVID CORMIE: Yes, and on -- on
8 those days when -- when we're forecasting that wind
9 will be setting that price, and it very well could be a
10 negative price, we won't par -- we won't participate in
11 the day-ahead. Why would we pay to sell our energy?
12 We would leave our water in the reservoir storage and
13 use it the next day.

14

15 (BRIEF PAUSE)

16

17 CONTINUED BY MR. BOB PETERS:

18 MR. BOB PETERS: Mr. Cormie, would it
19 be a correct summary of our discussion for the last few
20 minutes that Manitoba Hydro's sales from purchased
21 power in some circumstances will be profitable, and in
22 other circumstances may be unprofitable, but on balance
23 they're either break-even or profitable? Would that be
24 your experience?

25

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: The -- the reason
4 I'm taking a bit of time, Mr. Peters, is I'm still
5 dealing with the dependable purchase category of
6 purchases. If -- if you -- if you were to set those
7 aside as being the total resource cost in -- in the
8 vast majority of transactions when we purchase power
9 for resale it does -- it does take place at a profit,
10 by design.

11 And every day the power traders make
12 thousands of transactions, all following that same
13 process of calculating the cost, adjusting for margin,
14 offering that in, and only if that transaction is --
15 clears the market and comes in at or below the market
16 clearing price. Because we have a defined profit
17 margin, it will be at a profit.

18 THE CHAIRPERSON: Mr. Cormie, you had
19 mentioned on Friday that the figures that we see on
20 contract prices does not include demand charges.

21 Could you give us an idea of the -- of
22 the size of those demand charges? Are they significant
23 or...

24 MR. DAVID CORMIE: It -- it's -- it was
25 only with respect to how the National Energy reports

1 energy prices. Just in the -- when you go to the
2 National Energy Board website and you -- and you look
3 at the revenues associated with the exports, the NEB
4 doesn't consider the demand charge to be part of the --
5 a revenue associated with energy. They recognize
6 that's a capacity cost, and -- and -- and they don't
7 roll that in to the -- to the -- into their price
8 calculation.

9 But for all the reporting that Manitoba
10 Hydro has done in -- in this proceeding and in -- in --
11 in all places, Manitoba Hydro rolls the demand charge
12 into -- for the long-term contracts.

13 THE CHAIRPERSON: So when we're looking
14 at page 91, when we're seeing contract revenues --
15 seeing contract prices of, for example, the '11/'12 of
16 four (4) cents, that encompasses the -- the demand
17 charges that are available under the contract?

18 MR. DAVID CORMIE: These -- these --
19 these are numbers that Mr. Peters has put together.

20 THE CHAIRPERSON: Oh, I see, okay.

21 MR. DAVID CORMIE: These aren't
22 Manitoba Hydro's numbers. So that's why I was saying,
23 "Subject to check." I don't -- I'm not sure where Mr.
24 Peters would get his numbers if they didn't include the
25 demand charge. If they came from Manitoba Hydro data,

1 they would include the demand charges where -- where
2 applicable.

3 MR. RAYMOND LAFOND: The water rental
4 rates, they're based on volume of -- of flows, whether
5 you use it or whether or not you spill or use it?

6 MR. DAVID CORMIE: The water rental
7 rate is based on an arcane formula based on horsepower
8 years. But you can work that through to come up with a
9 cost per megawatt hour of electricity produced at the
10 generating station. So it's not a -- it's not a charge
11 applied to the water; it's a charge that's applied to
12 the -- how much electricity each generating station
13 produces, subject to annual minimum amounts.

14 MR. RAYMOND LAFOND: How much is this
15 per megawatt hour or kilowatt hour?

16 MR. DAVID CORMIE: The current water
17 rental rate, I think, is three dollars and forty-three
18 cents (\$3.43) a -- a megawatt hour, approximately.

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: One-third (1/3) of one
22 (1) penny per kilowatt hour?

23 MR. DAVID CORMIE: Yes.

24

25 (BRIEF PAUSE)

1 MR. BOB PETERS: Mr. Cormie --

2 MR. DAVID CORMIE: Mr. Peters, I just
3 wanted to correct, it's three dollars and thirty-four
4 cents (\$3.34) rather than three dollars and forty-three
5 cents (\$3.43), so just for the record.

6 MR. BOB PETERS: So I was very close.
7 A third of a penny per kilowatt hour.

8 Mr. Cormie, the one (1) caveat that you
9 -- you gave me about -- on the table on page 91 was the
10 dependable purchases. I think we established last week
11 that those are heavily weighted towards the wind
12 purchases Manitoba Hydro makes?

13 MR. DAVID CORMIE: Yes.

14 MR. BOB PETERS: And they -- it does
15 not include any purchased energy out of the Wuskwatim
16 Limited -- Wuskwatim Power Limited partnership?

17 MR. DAVID CORMIE: No.

18 MR. BOB PETERS: And Manitoba Hydro has
19 purchase contracts with the wind farms as to the -- to
20 the pricing of the energy it purchases?

21 MR. DAVID CORMIE: That's correct.

22 MR. BOB PETERS: Mr. Cormie, if we
23 could turn to the forecasting of export prices. On
24 page 103 of the book of documents, the last page at Tab
25 10, Manitoba Hydro has indicated to the Board that --

1 and I think Mr. Warden might have said it this Hearing
2 -- that Manitoba Hydro does not forecast export prices.

3

4 Is that correct?

5 MR. DAVID CORMIE: That -- that -- that
6 was what I had said, Mr. Peters, not Mr. Warden.

7 MR. BOB PETERS: I apologize.

8 MR. DAVID CORMIE: Manitoba Hydro uses
9 expert consultants to provide us with our long-range
10 electricity price forecast. And we hire several of
11 these consulting companies, usually annually, and --
12 and they provide Manitoba Hydro with -- with their
13 advice. And Manitoba Hydro takes those forecasts and -
14 - and determine -- averages them and determines a -- a
15 forecast price that it uses in its -- in its work.

16 In the -- in the short run, in the -- in
17 the first year Manitoba Hydro does put its -- some of
18 its own analysis into that price forecast for the
19 purposes of -- of preparing the IFF.

20 MR. BOB PETERS: How many -- how many
21 forecasts does Manitoba Hydro subscribe to on an annual
22 basis, Mr. Cormie or Mr. Miles?

23 MR. TERRY MILES: That can vary year to
24 year.

25 MR. BOB PETERS: Why does it vary?

1 MR. TERRY MILES: The number of
2 forecasters that -- that we use can depend on just past
3 performance. Or if we are interested in getting
4 additional perspectives than they've had in the past,
5 they might vary. I think we've indicated in the order
6 of five (5) or so is -- is typical.

7 MR. BOB PETERS: Five (5) out of how
8 many possible?

9 MR. TERRY MILES: I don't know how many
10 are possible. I'm assuming that there's many companies
11 that produce forecasts for electricity prices.

12 MR. BOB PETERS: And so Manitoba Hydro
13 tracks the performance of these companies now to
14 determine whether or not they should be invited back to
15 the table for a forecast?

16 MR. TERRY MILES: I don't know if
17 tracking performance is the appropriate way. I think
18 we have spent a lot of time talking to the consultants,
19 understanding how they prepare their projections, the
20 kind of information they use, their understanding of
21 markets or their explanation of those types of things
22 to us. And based on those discussions and, you know,
23 what's happened from -- from year to year, we will
24 decide to include more or less or -- or vary
25 consultants.

1 We tend to get, I'll say, comfort will
2 certain consultants. But there is a benefit in
3 maintaining some consistency from year to year with
4 consultants instead of varying significantly from year
5 to year, so you can get an idea of how the consultants
6 do perform or -- or what type of information they
7 provide us.

8 MR. BOB PETERS: And as I understood,
9 Mr. Cormie, a straight averaging is done based on the
10 number of forecasts that Manitoba Hydro purchases in a
11 given year?

12 MR. TERRY MILES: Currently, we use
13 equal weightings, but it can depend on, again, our
14 discussions with the consultants and the information
15 that the consultants provide to us and whether or not
16 we -- we feel that one consultant should be weighted
17 differently than another. But right now it's equal
18 weighting for the consultants.

19 MR. BOB PETERS: And that's the equal
20 weighting of five (5) consultants now, Mr. Miles, for
21 the materials that are before the Board in this GRA?

22 MR. TERRY MILES: That's correct.

23 MR. BOB PETERS: And Manitoba Hydro
24 uses its judgment, as I understood, Mr. Cormie, in at
25 least the early years of the forecast?

1 MR. DAVID CORMIE: Yes, Mr. Peters,
2 because the price forecast comes out once a year. And
3 between the time that the forecast is available and the
4 time that the IFF may be used, there can be a lag. And
5 we need to accommodate the differences that occur
6 between what's happening in the market and what the
7 consultant was assuming at the time he made the
8 forecast and in order to bridge the -- the changes that
9 occur in the -- in the short term.

10 So if there's been a -- a -- you know,
11 if the -- if the consultant in November was doing his
12 analysis and then we're preparing the IFF in the -- in
13 the following spring, in the six (6) month period it
14 may not align with the market in the -- in the first --
15 first year anymore. So we have to make that adjustment
16 to have the transition.

17 MR. BOB PETERS: So Manitoba Hydro's
18 adjustment is only for the year 1 of the forecast, or
19 does it slip into year 2?

20 MR. DAVID CORMIE: It can slip into
21 year 2, yeah.

22 MR. BOB PETERS: And these forecasts,
23 Mr. Miles, Mr. Cormie, are -- are kept confidential by
24 Manitoba Hydro?

25 MR. TERRY MILES: They are, yes.

1 MR. BOB PETERS: That's at the request
2 of the consultant?

3 MR. TERRY MILES: There's information
4 that we use in the forecasts under which we have
5 agreements with consultants that we are not to share
6 that information. So there are levels of
7 confidentiality associated there.

8 Manitoba Hydro has indicated in -- in
9 the evidence as also -- keeps these forecasts
10 confidential because they are commercially sensitive
11 and they do provide information related to our economic
12 position or our economic analysis internally, yes.

13 MR. BOB PETERS: Mr. Miles, does
14 Manitoba Hydro see large variations as between the
15 forecasters?

16 MR. TERRY MILES: There can be, yes.

17 MR. BOB PETERS: In those
18 circumstances, again, Manitoba Hydro simply takes the
19 average as opposed to truncating them?

20 MR. TERRY MILES: I think we -- we use
21 a number of consultants and we rely on different
22 consultants, because as we go out in the future,
23 various consultants have their own perspectives on
24 what's happening out in the time with respect to the
25 economy, with respect to low growth, with respect to

1 build out, with respect to what tech -- technologies
2 might be developed. And we don't pass judgement on
3 their perspectives. I think we think it's valuable to
4 get the different perspectives as we all have different
5 perspectives going forward. So we use that range in
6 order -- in order to do that.

7 So going forward, we -- we -- to deal
8 with that, we use a consensus approach. So it's using
9 the average of the consultants' forecasts, yes.

10 MR. BOB PETERS: Mr. Miles, are the
11 names of the consultants used by Manitoba Hydro to be
12 kept confidential?

13

14 (BRIEF PAUSE)

15

16 MR. DAVID CORMIE: Mr. Peters, if we --
17 we're -- we're in the utility business. Many
18 utilities, like Manitoba Hydro, use these same
19 consultants. And if Manitoba Hydro were to make it
20 public which consultants, then it would be easy for a
21 counterparty to then say, Oh, we know what Manitoba
22 Hydro is using. We -- we hire them, too. We can
23 calculate Manitoba Hydro's long-term price forecast
24 based on that information. So we do keep that list of
25 consultant names confidential.

1 MR. BOB PETERS: Thank you. On page
2 103 of the book of documents, Mr. Chairman and Board
3 members, is a -- is a graph. And, Mr. Chairman and
4 Board members, page 103 of the book of documents makes
5 it difficult to see the shaded area. And to that end,
6 I provided a copy this morning in an envelope to each
7 of the Board members. If they've obtained it, it
8 contained a shaded copy of page 103. And I thought
9 that it -- it might just demonstrate a little bit more
10 readily the point.

11 And, Mr. Cormie, through your counsel, I
12 have tried to provide one (1) of those to you this
13 morning. Have you -- have you got that, sir?

14 MR. DAVID CORMIE: Yes, I do. And I
15 can barely see the shade, but it's there.

16 MR. BOB PETERS: Even on the one I
17 handed you this morning?

18 MR. DAVID CORMIE: Yeah. It's -- my --
19 my special glasses on, I can see it.

20 MR. BOB PETERS: All right. Well,
21 thank you for that, sir.

22 What -- that shaded area that is on the
23 -- on the one that's filed in the original filing as
24 well as the one I've attempted to print in colour, it
25 contains Manitoba Hydro's forecast of average unit

1 export rev -- prices. That was -- that was made public
2 by Manitoba Hydro in approximately 2005 at the Clean
3 Environment Commission hearing, is that right?

4 MR. DAVID CORMIE: Yes.

5 MR. BOB PETERS: And at that hearing,
6 Manitoba Hydro established a high forecast, a low
7 forecast, and shaded the area in-between?

8 MR. DAVID CORMIE: Yes.

9 MR. BOB PETERS: Was the high line on
10 the shaded area considered the best-case scenario?

11

12 (BRIEF PAUSE)

13

14 MR. DAVID CORMIE: The -- the range
15 that was shown was the range that the consultants
16 provided us. The best-case scenario would be even
17 higher, Mr. Peters. But that's -- the range that we
18 show isn't -- is -- is the range that the consultants
19 indicated to us. And we -- we do our analysis,
20 checking the sensitivity on the high and the low.
21 Could -- could it be higher than that? I'm sure we
22 could have found other consultants who would have said
23 it was higher than that.

24 MR. BOB PETERS: Did you find any --
25 or, could you find any consultants that say it'd be

1 lower than that?

2 MR. DAVID CORMIE: Well, I -- I think
3 that's absolutely right. We believe that getting five
4 (5) is -- gives us enough of a range that we can
5 calculate sensitivities, and also to get a reasonable
6 middle-of-the-road forecast.

7 MR. BOB PETERS: The objective is to
8 get a middle-of-the-road forecast, Mr. Cormie?

9 MR. DAVID CORMIE: Well, we -- yeah, we
10 want to know the -- the prices that it's -- it's most
11 likely to be at. Knowing that no forecast is -- is
12 perfect, Mr. Peters, and every day the world changes;
13 and if we actually knew what was going to happen
14 tomorrow, we wouldn't be working here.

15 MR. BOB PETERS: Mr. Cormie, would it
16 be correct to say that on the shaded area on page 103
17 of Board counsel's Exhibit 14, Manitoba Hydro's
18 expected average unit export price would have been
19 somewhere between the high and the low provided by the
20 consultants?

21 MR. DAVID CORMIE: Yes.

22 MR. BOB PETERS: And was that expected
23 value also provided by the -- by the consultants, or
24 was it Manitoba Hydro's judgment that provided that?

25 MR. DAVID CORMIE: We would have

1 calculated the -- the forecast that actually went into
2 the IFF.

3 MR. BOB PETERS: For the purposes of
4 this hearing, are you able to provide the Board with a
5 similar range based on Mr. Miles's last information
6 from consultants?

7

8 (BRIEF PAUSE)

9

10 MR. DAVID CORMIE: Mr. Peters, we will
11 be providing that at the NFAAT.

12 MR. BOB PETERS: Would it be correct,
13 Mr. Cormie, that the export forecast prices at the high
14 end included a carbon tax in the export market?

15 MR. TERRY MILES: I believe that would
16 be the case, yes, that there would be some inclusion of
17 a carbon premium at that time, yes.

18 MR. BOB PETERS: And currently there is
19 no carbon tax in 2012 and '13 envisioned, is there, Mr.
20 Miles?

21 MR. TERRY MILES: I believe that's
22 correct, yes.

23 MR. BOB PETERS: There's noting
24 imminent under US legislation to which Manitoba Hydro's
25 been made aware?

1 MR. TERRY MILES: That's correct.

2 MR. BOB PETERS: And what is Manitoba
3 Hydro's understanding of a carbon tax in the Province
4 of Manitoba?

5

6 (BRIEF PAUSE)

7

8 MR. TERRY MILES: There is currently a
9 tax on coal in the Province of Manitoba.

10 MR. BOB PETERS: When the Board looks
11 at page 103 of the book of documents and sees the
12 forecasts of Manitoba Hydro's IFF09, IFF10-2, and
13 IFF11-2 overlaid on that forecast, would it be correct
14 that Manitoba Hydro's forecasts tend to the higher
15 range of the average forecasts provided?

16

17 (BRIEF PAUSE)

18

19 MR. TERRY MILES: I think the -- just
20 based on the chart, that's what it would appear. I
21 think as the years go by and we go from year to year,
22 the forecasts vary based on the conditions at the -- at
23 the time that's there. But looking at the chart and
24 based on the information from Wuskwatim, comparing it
25 back to that, that could be drawn from this. Yeah.

1 MR. BOB PETERS: And -- go ahead, Mr.
2 Cormie.

3 MR. DAVID CORMIE: Mr. Peters, the --
4 the shaded area was the range that existed at the time
5 of the 2002 hearing. Since that time, Manitoba Hydro's
6 gone through this exercise several times, and there's
7 been -- each time, there's a range. And the range
8 moved up, and now it's -- it -- and -- and -- and it --
9 and prices in the last few years indicated -- would
10 have been around those dotted lines.

11 So the range went up and now it's -- and
12 now the -- the price forecast is coming back down. So
13 you -- it's not that the -- you can't think of the
14 range as being a stagnant number. It changes over time
15 as the -- ss the forecast.

16 So when you look at the price forecast
17 that we have now, you're comparing them to a range that
18 was established seven (7) or eight (8) years ago. But
19 there's a range a -- around each of tho -- those lines,
20 so the -- the red line has a range, the blue line and
21 the green line have a range. And that range is -- is
22 moving. So it's not a constant as you're indicating.

23 So it's -- it -- it's -- the -- the
24 forecast that we've had that you've shown here for the
25 last three IFFs are -- are bumping along the top of the

1 range that existed at Wuskwatim. But that may not be
2 the case associated with the range associated with the
3 red line, for example.

4 MR. BOB PETERS: Where would the -- the
5 dotted line be if -- if IFF12 was plotted on here, Mr.
6 Cormie?

7 MR. TERRY MILES: It would be to the
8 right of the -- the red line, I believe, that's there.

9 MR. BOB PETERS: And, on average, how
10 many cents lower or are you able to -- would it be
11 easier just to -- to sketch it on here and file it as
12 an undertaking.

13 MR. TERRY MILES: That would probably
14 be easier to do, yes.

15 MR. BOB PETERS: All right, then. As
16 an undertaking, we'd ask Manitoba Hydro to update
17 PUB/Manitoba Hydro Second Round Question 14A to include
18 the IFF12 information and, subject to the Corporation's
19 determination, advise as to whether there will also be
20 a -- a new high-low range provided at this time.

21 MR. TERRY MILES: Okay.

22

23 --- UNDERTAKING NO. 23: Manitoba Hydro to update
24 PUB/Manitoba Hydro Second
25 Round Question 14A to

1 include the IFF12
2 information and, subject to
3 the Corporation's
4 determination, advise as to
5 whether there will also be
6 a new high-low range
7 provided at this time
8

9 MR. RAYMOND LAFOND: For clarification
10 purposes, I think you just mentioned that -- did I hear
11 correctly that this range was established in 2002?

12 MR. TERRY MILES: At the time of the
13 Wuskwatim hearings, correct.

14 MR. DAVID CORMIE: But there is a
15 range, Mr. Lafond, each year associated with each
16 forecast. And in Manitoba Hydro -- in doing its power
17 resource planning, tests the development sequence under
18 both the low -- the -- the lowest possible prices and
19 the highest possible, as well as the average.

20 MR. RAYMOND LAFOND: But the shaded
21 area indicated there is a shaded area as established in
22 2002?

23 MR. TERRY MILES: That's correct, yes.
24 So, and in -- and in the IFF, when we produce numbers,
25 there is a range of price forecast, low and high. And

1 it's not the same -- exact same type of range as this,
2 but that's the variability that we see in terms of
3 range of numbers in our forecast.

4 THE CHAIRPERSON: I have to confess
5 this is a very discouraging graph. But trending
6 related to the test years, really, it's that orange
7 line that we have to be concerned about.

8 And I guess the behaviour of that line
9 for the test years is what? What's happening with the
10 annual export revenue figures is really what we need to
11 be concerned about here with respect to the test years
12 and probably the next year after that, as well.

13 Could somebody point me to the numbers
14 that would reflect what's happening with '12/'13 and
15 '13/'14?

16 MR. DAVID CORMIE: Mr. Gosselin, we
17 will -- we will put those numbers on this chart as
18 well.

19 THE CHAIRPERSON: I realize that, you
20 know, this is really clear. You're looking back in the
21 rearview mirror at forecasts that relate to a different
22 world before gas became so prevalent in the -- in the
23 electricity-generation picture.

24 So it just, I guess, demonstrates, in my
25 opinion, that Mark Twain didn't quite have it right.

1 He should have said, Lies, damn lies, statistics and
2 forecasts, is probably the last one because -- well,
3 enough said.

4 MR. TERRY MILES: Yes, Mr. Chairman, I
5 would -- Manitoba Hydro's Exhibit number 17, which is
6 an update of a -- of Attachment 5, which shows the
7 averaging of revenues does have -- if you look at the
8 test years '12/'13, '13/'14, I believe, we see that the
9 -- for total export sales -- which is what these
10 numbers are based on, I believe -- show in '12/'13 a
11 price of thirty-one dollars and thirty-six cents
12 (\$31.36). In '12/'13/'14, I see thirty-two dollars and
13 sixty-one cents (\$32.61). So that was the updated
14 information that we will use to update this chart with.

15 THE CHAIRPERSON: Could you -- could
16 you repeat that again, please.

17 MR. TERRY MILES: Certainly. In
18 '12/'13, thirty-one dollars and thirty-six cents
19 (\$31.36); and in '12/'13/'14, it's thirty-two dollars
20 and sixty-one cents (\$32.61).

21 THE CHAIRPERSON: And do you have an
22 idea what the -- any -- something to forecast the next
23 year?

24 MR. TERRY MILES: '14/'15 has forty-one
25 dollars and thirty-six cents (\$41.36). The following

1 year, 2015/'16, has forty-eight dollars and fourteen
2 cents (\$48.14) -- forty-eight dollars and fourteen
3 cents (\$48.14).

4 THE CHAIRPERSON: Now, the -- the --
5 the -- the -- the '15/'16 and the '14/'15 numbers, are
6 those from a forecasting service, or are those your own
7 numbers?

8 MR. TERRY MILES: Well, that's the
9 averaging of revenue that is calculated, and the --
10 part of the basis for that will be the consensus
11 electricity price forecast that fits into the -- the
12 modelling, and what comes out are the revenues. So
13 these are our revenue projections, and the averaging of
14 revenues are based on those projections. So the
15 Manitoba Hydro forecast does end up in there, yes.

16

17 CONTINUED BY MR. BOB PETERS:

18 MR. BOB PETERS: And, Mr. Miles, just
19 to clear -- make sure the record is clear, you were
20 looking at Manitoba Hydro Exhibit 17 that the
21 Corporation filed last, week which contained the
22 average revenue assumptions for IFF12?

23 MR. TERRY MILES: That's correct.

24 MR. BOB PETERS: And you were reading
25 to the Board off the total export sales line for the

1 various calendar -- or, fiscal years that you've
2 quoted?

3 MR. TERRY MILES: That's correct.

4

5 (BRIEF PAUSE)

6

7 MR. BOB PETERS: To perhaps make Mr.
8 Rainkie's point yet again, these are output numbers,
9 the average based on what's in the IFF. It wasn't used
10 as an input number?

11 MR. TERRY MILES: That's correct. I
12 was just corrected by the back row, just to make that
13 point clear. But thank you, Mr. Peters.

14 MR. BOB PETERS: Yes. Ms. Flynn would
15 -- would be happy if you did. Thank you.

16 Speaking of IFFs, IFF09 was the IFF used
17 for the basis of the last GRA. Have I got that right?

18 MR. VINCE WARDEN: Yes, Mr. Peters.

19 MR. BOB PETERS: And then IFF10-1 was
20 prepared to reflect the increase in the capital costs
21 back then of Keeyask and Conawapa?

22

23 (BRIEF PAUSE)

24

25 MR. VINCE WARDEN: I don't believe the

1 estimates for Keeyask and Conawapa changed between
2 IFF09 and IFF10, subject to check, Mr. Peters. But I
3 believe that to be the case.

4 MR. BOB PETERS: Do you recall that
5 IFF10-2 was prepared to update the IFF for the increase
6 in costs -- the capital costs of Bipole 3?

7 MR. VINCE WARDEN: Yes.

8 MR. BOB PETERS: And then IFF11 was
9 prepared in February of 2012 to reflect reduced
10 extraprovincial revenues due to lower export prices?

11 MR. VINCE WARDEN: That is correct.
12 Actually, IFF11-2 that was prepared in February/April
13 time frame reflected the increase in -- in cost for
14 Bipole 3.

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: I'm still on ele --
19 IFF11, Mr. Warden. But I was looking at, as a
20 reference, if it -- if it needs to be checked -- I
21 don't know if it does -- on the Manitoba Hydro
22 application for April 1 of 2012 interim rates, in
23 Appendix 2 in that filing, there was an indication that
24 IFF11 was prepared because of the reduced
25 extraprovincial revenues due to lower export prices.

1 You'd accept that, subject to check, Mr. Warden?

2

3

(BRIEF PAUSE)

4

5

MR. VINCE WARDEN: Mr. Peters, there
6 were -- there were a number of things happening at that
7 particular time. IFF11 would have been our normal
8 update to IFF10, as we do every year. We update the
9 forecast with the -- with the year embedded in the --
10 the labelling.

11

So IF -- there -- there was a timing
12 difference with respect to the presentation of IFF11
13 because of a number of different things that were going
14 on at that time, including IFRS implications and, as
15 you indicated, some change in the forecast for export
16 sales.

17

So the timing was somewhat different
18 than our normal process. And -- and we don't typically
19 take an IFF to -- to our board in -- in the spring of
20 the year, but that was the case of IFF11-2. And that
21 was for purposes of updating the Bipole.

22

23

(BRIEF PAUSE)

24

25

THE CHAIRPERSON: Can I go back to --

1 to the figures that we've discussed for '12/'13 and
2 '13/'14, in terms of average annual unit export
3 revenue? So the -- I'm looking, for example, at
4 Exhibit 17, page 1 of 2, and the -- the average unit
5 for '12/'13 and '14.

6 So given where we are in the current
7 year, is that number close to -- is the actual number
8 for -- for current results close to thirty-one thirty-
9 six (31.36)?

10

11 (BRIEF PAUSE)

12

13 MR. VINCE WARDEN: Yes, Mr. Chairman,
14 the average would be close to what is indicated there.

15 THE CHAIRPERSON: And the thirty-two
16 sixty-one (32.61) number for '13/'14, that is not --
17 that is your own internal number, generated from your
18 approximation of -- your -- your sense of what -- where
19 the market's going to be in the next test year?

20 MR. VINCE WARDEN: Yes. As indicated
21 by Mr. Cormie, we would use the consensus forecast for
22 the long-term prices and make some adjustments for
23 current conditions, yes.

24 THE CHAIRPERSON: Because there's --
25 you know, obviously, a huge difference between '13/'14

1 and '14/'15. So that just reflects the weighting
2 that's given to external forecasts there?

3 MR. VINCE WARDEN: And the impact of
4 long-term firm -- firm contracts at -- at that -- at
5 that stage.

6 THE CHAIRPERSON: Okay.

7

8 (BRIEF PAUSE)

9

10 MR. VINCE WARDEN: Mr. Peters, I may
11 have to correct the record with respect to the -- what
12 was reflected in each of those updates. It might be --
13 might be well for us to just summarize that.

14 It was just pointed out to me that
15 actually ten (10) outlook -- what we referred to as
16 "Outlook 10-2," which was prepared in May of 2011, did
17 include the -- was updated to reflect the revised
18 capital cost estimate for Bipole 3. That went to the
19 Manitoba Hydro Board in June of 2011.

20

21 (BRIEF PAUSE)

22

23 MR. VINCE WARDEN: I'm not sure whether
24 that helps or hinders the discussion, but...

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: No, it -- it's fine,
3 it corrects the record. But I -- I now want to, at the
4 risk of complicating it worse, go back to your last
5 answer to the Chairman, where the Chairman was looking
6 at Manitoba Hydro Exhibit 17 and looked at the test
7 year average total export sales prices and then also
8 asked you about your fiscal 2014/'15 forecast, which is
9 showing up as four point one (4.1) cents a kilowatt
10 hour on average.

11 Have you found that, sir?

12 MR. VINCE WARDEN: Yes, I have.

13 MR. BOB PETERS: And in terms of the
14 jump between the previous year and the '14/'15 fiscal
15 year, you had indicated that it would reflect pricing
16 in respect of long-term contracts as one of the factors
17 that may cause it to jump.

18 Is the NSP contract -- it's still in
19 effect then, and the new one comes in the following
20 test year, if I recall. Do I have that right?

21 MR. VINCE WARDEN: Yes, that is
22 correct.

23 MR. BOB PETERS: So the -- the new
24 pricing arrangement with NSP, whatever it is, will be
25 reflected in the 2015/'16 fiscal year?

1 MR. VINCE WARDEN: Yes.

2

3 (BRIEF PAUSE)

4

5 MR. VINCE WARDEN: Yes, Mr. Peters, you
6 are correct that the NSP contract, the extension, would
7 affect the '15/'16 fiscal year. In '14/'15 though, we
8 are driven -- the price is driven primarily by the
9 consensus forecast. We -- we would not have adjusted
10 that price in that fiscal year.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: Mr. Warden, can we
15 agree that IFF11 was the basis of the April 1, 2012,
16 interim rate increase request to this Board?

17 MR. DARREN RAINKIE: Mr. Peters, yes,
18 that's what we had at the time of filing of that -- of
19 that application.

20 MR. BOB PETERS: And, Mr. Rainkie, that
21 was prepared in February of 2012?

22 MR. DARREN RAINKIE: Yes, the forecast
23 was final -- 11-1 was finalized in February of 2012.

24 MR. BOB PETERS: No, you're ahea -- oh,
25 11-1, yes, IFF11 --

1 MR. DARREN RAINKIE: Yeah, I -- sorry,
2 I -- I'll stick with your nomenclature. IFF11 was
3 finished in -- finalized, I think, and went before our
4 Board in February of 2012.

5 MR. BOB PETERS: And that was the
6 underpinning document to the rate increase request
7 where Manitoba Hydro was seeking a 3 1/2 percent rate
8 increase across all -- all classes, Mr. Rainkie?

9 MR. DARREN RAINKIE: Yes, that was the
10 basis of that interim application, Mr. Peters.

11 MR. BOB PETERS: And to which the Board
12 responded with a -- a 2.0 percent rate increase on an
13 interim basis?

14 MR. DARREN RAINKIE: That's my memory,
15 Mr. Peters.

16 MR. BOB PETERS: And that's your
17 memory, Mr. Rainkie, because it's included in one of
18 the list of items that Manitoba Hydro was asking this
19 Board to finalize in this application, correct?

20 MR. DARREN RAINKIE: That's correct.

21 MR. DAVID CORMIE: Mr. Peters, I just
22 wanted to point out that when you get out to 2014,
23 we're using now average hydraulic generation. If you
24 look in Exhibit 17, you'll notice that hydraulic
25 generation is shown for '14/'15 as 30,838 gigawatt

1 hours, compared to thirty-two thousand, nine hundred
2 and four (32,904). Do you see the supply line that
3 says, "Manitoba Hydro Hydraulic Generation"? It's
4 about the seventh line down.

5 So the eff -- the effect -- one of the
6 effects of having reduced hydraulic generation is that
7 the average price goes up because the increment -- what
8 we're seeing now is -- is -- is an averaging down of
9 prices because additional generation ends up being sold
10 in the off peak, which depresses the market.

11 It depresses the average price, and so
12 when you -- when you go forward and you're now starting
13 to compare -- year-to-year, you're comparing average
14 year to average year. And the -- the -- the first two
15 (2) years are -- are depressed because of the effect of
16 having that extra 2000 gigawatt hours going to market
17 at off-peak prices. And that is one of the factors
18 that leads to that step in the prices shown on that
19 table.

20 MR. BOB PETERS: All right. I have
21 some more questions that I think will -- will assist
22 the Board in understanding that relationship, Mr.
23 Cormie, but I'll summarize my understanding of your
24 answer to the Board is that when you get further out in
25 the forecast, Manitoba Hydro has made an assumption

1 that the hydraulic generation by the Utility will be
2 based on average flows at that point in time and not on
3 what's actually foreseen by the Utility.

4 MR. DAVID CORMIE: Yeah, and we had
5 that discussion last week about the median and the
6 average and the -- and the -- as a -- and then, that
7 show -- that's the -- that's the transition we have
8 here because of the changing water supply assumptions
9 for the first three (3), four (4) years of the
10 forecast.

11 MR. BOB PETERS: And --

12 MR. DAVID CORMIE: It affects the
13 average price calculation.

14 MR. BOB PETERS: -- right. And it's
15 simply a mathematical calculation that you've now
16 reduced the -- the volume of hydraulic generation
17 that's in the forecast to average, and then use that
18 number to get Mr. Rainkie's average at the bottom of
19 the page.

20 MR. DAVID CORMIE: Yeah, and so the
21 extra 2000 gigawatt hours shows up at off-peak export
22 rates which drives down the average unit price for
23 export sales in the first couple of years. Or, if you
24 take it out, the price goes up because of -- of you're
25 going to a standard calculation thereafter.

1 MR. BOB PETERS: And as we sit here,
2 you're not sure what the water flow is going to be for
3 that year.

4 MR. DAVID CORMIE: No, I -- I don't

5 know yet. MR. BOB PETERS: All right. IFF11 was
6 premised on a median flow for the fiscal year 2013.
7 Have I that right, Mr. Miles or Mr. Rainkie?

8 MR. DARREN RAINKIE: That's correct,
9 Mr. Peters.

10 MR. BOB PETERS: At approximately a
11 month or so after IFF11 was prepared in February of
12 2012, a new IFF is published in April of '12, Mr.
13 Rainkie, and it's called "IFF11-2." Is that
14 nomenclature correct?

15 MR. DARREN RAINKIE: That's correct,
16 Mr. Peters.

17 MR. BOB PETERS: And IFF11-2 was the
18 basis of the June 2012 GRA filing that brings us here
19 today, correct?

20 MR. DARREN RAINKIE: That's also
21 correct, Mr. Peters.

22 MR. BOB PETERS: And IFF11-2, Mr.
23 Rainkie, assumed lower water conditions than in IFF11,
24 or IFF11-1 as we've called it this morning.

25 MR. DARREN RAINKIE: Yes, we shifted

1 from median flows to expected flows at that -- at that
2 point, Mr. Peters.

3 MR. BOB PETERS: IFF11-2 has
4 approximately 3000 gigawatt hours lower hydraulic
5 generation forecast in it than IFF11, Mr. Rainkie and
6 Mr. Miles?

7 MR. TERRY MILES: That's correct.

8 MR. BOB PETERS: And to Mr. Cormie's
9 point, the 3000 gigawatt hours of annual energy, if
10 it's priced at three and a half (3 1/2) cents a
11 kilowatt hour on the export market, it would be
12 expected to raise another \$105 million of revenue.

13 MR. TERRY MILES: Given your numbers
14 and calculation, yes.

15 MR. BOB PETERS: Well, and -- and let's
16 be careful. I picked the number three and a half (3
17 1/2) cents a kilowatt hour, but I think Mr. Cormie has
18 told us that on the opportunity market, that 3000
19 gigawatt hours would be closer to three (3) cents than
20 three and a half (3 1/2) cents, in terms of pricing.

21 MR. TERRY MILES: That's correct.

22 MR. BOB PETERS: And if that's the case
23 then there'd be nine (9) -- \$90 million of less revenue
24 in IFF11-2 because of the hydraulic generation numbers?

25

1 (BRIEF PAUSE)

2

3 MR. TERRY MILES: I'd suggest based on
4 the math, yes.

5 MR. BOB PETERS: Well, then let's look
6 at the actual water flows for 2012/'13, Mr. Miles. I
7 think at the book of documents, page 108, might be a
8 way to start.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: On page 108, Mr.
13 Miles, we have the Corporation's second quarter report
14 for the six (6) months that ended on September 30th of
15 2012, sir, or next track from that report?

16 MR. TERRY MILES: I'll take your word
17 for that.

18 MR. DARREN RAINKIE: Mr. Peters, I --
19 this -- this looks familiar. It's -- this is what
20 would be on our website.

21 MR. BOB PETERS: It's got your
22 fingerprints on it, Mr. Rainkie?

23 MR. DARREN RAINKIE: Somewhere in
24 there, yes, Mr. Peters.

25 MR. BOB PETERS: All right. And, Mr.

1 Miles, I'm with you, we'll take it at that, and
2 appreciate from Mr. Rainkie his answer.

3 If we look to the bottom of the page the
4 total system supply statistics show that there's 16,846
5 gigawatt hours have been generated by Manitoba Hydro
6 after six (6) months?

7 MR. DAVID CORMIE: That's correct.

8 MR. BOB PETERS: And this morning, Mr.
9 Cormie, you brought to the Board's attention Manitoba
10 Hydro Exhibit 17, and you and the Chairman were
11 discussing that document specifically. But if we look
12 to that document would it be correct to conclude on the
13 same line item you brought the Board's attention to
14 that for 2012/'13 Manitoba Hydro is expecting 32,904
15 gigawatt hours of hydraulic generation?

16 MR. DAVID CORMIE: That's correct.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: So the additional
21 revenues that would come from that approximate 3,000
22 gigawatt hours of energy will come as a result of
23 better water flows than had been included in IFF11?

24 MR. DAVID CORMIE: That's correct, yes.

25 Yes, 11-2.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: So, Mr. Rainkie and
4 Mr. Warden, if Manitoba Hydro had known its water flows
5 when it prepared IFF11 which underpinned the interim
6 order from this Board, that IFF would have had at least
7 \$90 million of additional revenues as a result of
8 additional hydraulic flows, would it not?

9

10 (BRIEF PAUSE)

11

12 MR. DAVID CORMIE: Mr. Peters, you're -
13 - you're referring back to the ninety (90) -- to your
14 calculation of \$90 million. Manitoba Hydro did adjust
15 revenues and costs by having two (2) management
16 adjustments in IFF11-2.

17 It wasn't \$90 million. It was \$60
18 million that we adjusted it. And it wasn't done by
19 going back and re -- and -- and re-estimating hydraulic
20 generation. It was done as -- as two (2) line items.
21 And so we did recognize that the -- that conditions
22 were quickly changing and we adjusted IFF2 (sic) on
23 that basis. But it wasn't 90 million.

24

25 (BRIEF PAUSE)

1 MR. BOB PETERS: A couple of thoughts,
2 Mr. Cormie and Mr. Rainkie and Mr. Warden. The
3 management adjustment of 60 million, was that just on
4 two (2) line items on IFF11-2?

5 MR. DAVID CORMIE: Yes, that's right.

6 MR. BOB PETERS: And which two (2) line
7 items?

8 MR. DAVID CORMIE: It would have been
9 export revenue and power purchase costs.

10 MR. BOB PETERS: Export revenue went up
11 30 million and power purchase went down 30 million?

12

13 (BRIEF PAUSE)

14

15 MR. VINCE WARDEN: Export revenues
16 would have gone up 20 million, power purchases would
17 have gone down 10 million in two (2) successive years.

18

19 (BRIEF PAUSE)

20

21 MR. DAVID CORMIE: Mr. Peters, we want
22 to correct that. It wasn't sixty (60). It was a \$50
23 million adjustment. It was an addition of 10 million
24 to revenues in the first year and 20 million in the
25 second year, 2013/'14. And costs were reduced by 10

1 million in both years. Then some of that is a net
2 increase of \$50 million in our bottom line.

3 MR. BOB PETERS: And the adjustments
4 you've told us, Mr. Cormie, were for the two (2) test
5 years that are before the Board in this hearing?

6 MR. DAVID CORMIE: That was for eleven
7 (11) -- for '12/'13 and '13/'14.

8 MR. BOB PETERS: Yes, the two (2) test
9 years. Now, you'd agree with me, Mr. Cormie, that those
10 adjustments don't add up to the three thousand (3,000)
11 extra gigawatt hours of energy that you had available,
12 though, do they?

13 MR. DAVID CORMIE: The 3,000 gigawatt
14 hours is only apparent once we got in to preparing
15 IFF12, Mr. Peters, so it was well into the -- into the
16 year when we -- when it -- it's now much clearer that
17 we'll be at thirty-two nine (32.9). And remember, the
18 thirty-two nine (32.9) is still an estimate for the
19 year. It's not a done deal. That number can still
20 vary plus or minus 5 percent. So we won't know that
21 number until we actually get to the end of March.

22 MR. BOB PETERS: Mr. Cormie, I
23 appreciate that response, but the time lapse between
24 IFF11 and IFF11-2 was -- one (1) was done in February,
25 one (1) was done in April of 2012, if I recall the

1 dates.

2 MR. DAVID CORMIE: Yes.

3 MR. BOB PETERS: So there might have
4 been a month or six (6) weeks between the two (2) IFFs?

5 MR. DAVID CORMIE: Correct.

6 MR. BOB PETERS: And the Corporation
7 determined in that interval that there could be as much
8 as three thousand (3,000) additional gigawatt hours of
9 energy?

10

11 (BRIEF PAUSE)

12

13 MR. DAVID CORMIE: Exhibit 17 refers to
14 IFF12, Mr. Peters, which was prepared in the -- which
15 was prepared in the -- in -- in the late summer of
16 2012. So --

17 MR. BOB PETERS: My apologies, sir.
18 Yes, I was -- I was... Just to be clear for the Board,
19 I was back on Tab 8 in the book of documents at page
20 72. The average statistics for the IFF11-2 are
21 provided. And in...

22

23 (BRIEF PAUSE)

24

25 MR. BOB PETERS: And this information,

1 Mr. Cormie, was that for the first test year of your --
2 your fiscal 2013 there'd be 29,300 gigawatt hours of
3 hydraulic energy, correct?

4 MR. DAVID CORMIE: That's correct.

5 MR. BOB PETERS: And then your point is
6 that when it came time to IFF12 those statistics
7 changed, and that's where an approximate additional
8 3,000 gigawatt hours of hydraulic generation became --
9 became evident?

10 MR. DAVID CORMIE: That's correct. And
11 we only updated the generation forecast for the -- for
12 the IFF12 forecast. We -- in 11-2 we just added the
13 incremental revenue and incremental cost reductions
14 that -- it -- it seems like we were moving in the
15 direction of having higher, and we wanted to reflect
16 that in the IFF

17 MR. BOB PETERS: And that's -- yes, and
18 that's the management adjustments in IFF11-2 were --
19 were to reflect that.

20 MR. DAVID CORMIE: That's correct.

21 MR. BOB PETERS: Would you agree that
22 the management adjustments only partially reflected the
23 increased water that is now forecast to be available to
24 the Corporation in the first test year?

25 MR. DAVID CORMIE: Yes. And I --

1 during my direct evidence I went over that chart that
2 showed inflows to the hydro system for the year and
3 last year. And you saw that there were three (3)
4 significant rainfall events during the summer and we --
5 we only see those coming in advance by maybe a week at
6 the most.

7 And so, you know, we weren't aware when
8 we made the initial management adjustment that there
9 was more -- that we ultimately could become -- move --
10 moving into a higher flow year. The initial estimates
11 we were -- we were going to be dry. Then we thought,
12 well, we're probably just going to be near average.
13 And ultimately we became above average. And IFF12
14 shows that ultimately we're going to have about 3,000
15 gigawatt hours above what we would normally expect.

16 MR. BOB PETERS: And that 3,000
17 gigawatt hours, Mr. Cormie, could translate into, you'd
18 expect, \$90 million?

19

20 (BRIEF PAUSE)

21

22 MR. DAVID CORMIE: Yeah, we have other
23 -- we have other issues now with our hydraulic
24 generation at Jenpeg biting into that amount, Mr.
25 Peters, so we may not actually get to the thirty-two

1 nine (32.9). Is that the number?

2 We -- we -- you know, we assumed in the
3 fall that our generating fleet would remain intact, and
4 we've now had a subsequent event.

5

6 (BRIEF PAUSE)

7

8 MR. DAVID CORMIE: As of -- I believe
9 as of December the 1st we were on target with the IFF
10 and -- but the IFF assumed the Jenpeg would operate
11 through the winter. We don't have Jenpeg available as
12 planned and so unless we have some other favourable
13 change on the water supply I would expect that we will
14 be below thirty-two nine hundred (32,900) as our
15 hydraulic generation.

16 MR. BOB PETERS: Can you quantify for
17 the Board, Mr. Cormie, the Jenpeg outage impact?

18 MR. DAVID CORMIE: We will -- we will
19 calculate that for you, Mr. Peters.

20 MR. BOB PETERS: So as an undertaking,
21 Manitoba Hydro will quantify the impact of the expected
22 Jenpeg outage on the hydraulic flows for the current
23 test year?

24 MR. DAVID CORMIE: That's correct.

25

1 --- UNDERTAKING NO. 24: Manitoba Hydro to quantify
2 the impact of the expected
3 Jenpeg outage on the
4 hydraulic flows for the
5 current test year;
6 additionally, Manitoba
7 Hydro to advise the Board
8 as to whether the hydraulic
9 output forecast for the
10 current test year and the
11 next test year are going to
12 be impacted; as well,
13 Manitoba Hydro to include
14 the exports that it has
15 achieved up to December 1,
16 2012

17
18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: And can you remind the
20 Board as to what the annual output is from Jenpeg?

21 MR. DAVID CORMIE: I think I indicated
22 it was 900,000 megawatt hours, sir. Just -- just under
23 -- just under a billion kilowatt hours.

24

25 (BRIEF PAUSE)

1 THE CHAIRPERSON: The answer to the
2 question related to Jenpeg again, now will -- will the
3 impact of Jenpeg be reflected in the net income figure,
4 the figures that we using for the test years,
5 particularly this year and next?

6 MR. DAVID CORMIE: We had assumed that
7 Jenpeg would operate normally in the IFF, and so
8 neither the hydraulic generation statistics or the IFF
9 results reflect the cost of the fire.

10 THE CHAIRPERSON: So, in other words,
11 we are looking at lower net income figures for the two
12 (2) test years than what we have seen to date.

13 MR. DAVID CORMIE: Well, Jenpeg is --
14 is going to be one of the factors that would put
15 downward pressure on the results. But in -- as I
16 indicated to Mr. Peters, the water supply is still
17 uncertain.

18 A warm winter could result in more
19 favourable flow conditions, and that could be offset by
20 increases of -- of generation at other stations. So,
21 you know, we're -- it's -- it's very difficult to
22 precisely calculate what the end result will be.
23 Thirty-two nine (32.9), it will be around that, but I -
24 - I -- I can't guarantee that -- that the only change
25 will be the Jenpeg fire.

1

2 CONTINUED BY MR. BOB PETERS:

3 MR. BOB PETERS: I take, Mr. Cormie,
4 included in your undertaking that we've already put on
5 the record, you will -- you will advise the Board as to
6 whether the hydraulic output forecast for the current
7 test year and, I guess, the next test year are -- are
8 going to be impacted.

9 MR. DAVID CORMIE: We'll -- we'll do
10 both. We'll -- we'll calculate the net effect on the
11 IFF12 as a result of the fire. We may not be able to
12 estimate the cost of the damages, but from a -- from a
13 generation and an import/export market activity
14 perspective, we can calculate that.

15 MR. BOB PETERS: What you meant in that
16 answer, Mr. Cormie, is you may not, at this time, know
17 the capital cost to repair the physical damage, but you
18 can do the revenue and hydraulic flow calculations
19 based on what the Corporation is now projecting for
20 Jenpeg?

21 MR. DAVID CORMIE: That's correct.

22 MR. RAYMOND LAFOND: Excuse me. When
23 we refer to capital cost, these will not be
24 capitalized; these would be directly to the expense
25 category?

1 MR. VINCE WARDEN: Yes, I expect that
2 will be the case, Mr. Lafond.

3 MR. RAYMOND LAFOND: Though you tell us
4 at this time you cannot estimate it, are we talking of
5 range of 1 to 10 million or 10 to 50 million?

6 MR. VINCE WARDEN: The initial estimate
7 was 10 million, of which 5 million would be recoverable
8 through insurance.

9 MR. RAYMOND LAFOND: Thank you.

10

11 CONTINUED BY MR. BOB PETERS:

12 MR. BOB PETERS: Mr. Cormie, I hope I'm
13 not pushing too hard on this or too far, but would that
14 undertaking also be able -- would you also be able to
15 include the exports that Manitoba Hydro has achieved to
16 date, in terms of hydraulic generation? Make it to
17 December 1st.

18 MR. DAVID CORMIE: We will re -- we
19 will reflect the actuals up to the 1st of December, Mr.
20 Peters.

21 MR. BOB PETERS: Thank you for that.
22 And Mr. Warden, maybe last question to you in this
23 area.

24 Had IFF11 -- had IFF11 that underpinned
25 the April 1st, 2012, interim rate request by Manitoba

1 Hydro shown an additional \$90 million of net income,
2 would Hydro have asked for an April 1st, 2012, interim
3 rate increase?

4

5 (BRIEF PAUSE)

6

7 MR. VINCE WARDEN: The answer would be
8 yes, Mr. Peters. We would have still applied, based on
9 our forecast at that time.

10 MR. BOB PETERS: Even with \$90 million
11 of additional net -- net income?

12 MR. VINCE WARDEN: Well, I -- I don't -
13 -

14 MR. BOB PETERS: And that's my number,
15 I appreciate.

16 MR. VINCE WARDEN: -- yes, I don't
17 think the incremental revenue or -- or bottom-line net
18 income would have been \$90 million. As Mr. Cormie had
19 explained, we were -- there was already some provision
20 for current water conditions in that -- in that
21 forecast.

22 MR. BOB PETERS: But not in IFF11;
23 there was no provision for -- that -- that provision
24 came in IFF11-2?

25 MR. VINCE WARDEN: There -- there was a

1 similar provision in IFF11, Mr. Peters.

2 MR. BOB PETERS: Can you specifically
3 advise the Board as to what provisions were in IFF11?

4

5 (BRIEF PAUSE)

6

7 MR. VINCE WARDEN: We can do that.
8 Perhaps I'll do that by way of an undertaking. They're
9 -- I just want to make sure we have our years aligned
10 appropriately to -- to answer that question accurately.

11 MR. BOB PETERS: All right. That will
12 be appreciated, Mr. Warden, if you could undertake to
13 advise the Board of what management provisions had been
14 included in IFF11.

15 MR. VINCE WARDEN: Yes, we'll do that.

16 MR. BOB PETERS: Thank you, sir.

17

18 --- UNDERTAKING NO. 25: Manitoba Hydro to advise
19 the Board of what
20 management provisions had
21 been included in IFF11

22

23 CONTINUED BY MR. BOB PETERS:

24 MR. BOB PETERS: Mr. Cormie, Manitoba
25 Hydro's been exporting into the MISO market since April

1 1st of 2005?

2 MR. DAVID CORMIE: Correct.

3 MR. BOB PETERS: And before that, did
4 Manitoba Hydro export into the predecessor of the --
5 the MISO market?

6 MR. DAVID CORMIE: In 2005 MISO
7 established a centrally operated market. Prior to that
8 I believe it was -- MISO established itself as the
9 independent transmission system operator in 2002. And
10 -- but in 2005 they began the central dispatch of all
11 the generators. So prior to 2005 it was a bilateral
12 market, and participants could take transmission
13 service under the tariff.

14 MR. BOB PETERS: And what you're
15 telling the Board is that prior to the onset of the
16 MISO market central trading opportunities, any sales
17 Manitoba Hydro made had to be bilateral arrangements?

18 MR. DAVID CORMIE: In the US, yes.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: Mr. Cormie, on page
23 111 of PUB Exhibit 14 is a -- is a map. I'm not sure
24 how visible yours is, sir, but it attempts to depict
25 for the Board the MISO market. And it would be -- the

1 MISO market would be defined by the areas that are
2 shaded in green, sir.

3 Would you agree with that?

4 MR. DAVID CORMIE: I'm assuming what --
5 that's what the diagram indicates. I don't see a date
6 on the chart, so I'm trusting this is accurate, yes.

7 MR. BOB PETERS: And on that point, the
8 Province of Manitoba is not shown in green?

9 MR. DAVID CORMIE: That's correct.

10 MR. BOB PETERS: And is that because
11 Manitoba is not a -- a full member of MISO?

12 MR. DAVID CORMIE: Yes, our
13 relationship with MISO is defined under a coordination
14 agreement, and the coordination has to do with
15 transmission tariffs. And all the entities who are --
16 are in -- in the area shown in green have a -- have a -
17 - have -- are relying on MISO to serve their load and
18 are relying on MISO to dispatch the generation, telling
19 which generators should be operated in the manner that
20 the cost of serving all the load in the MISO footprint
21 is met at least cost.

22 Manitoba Hydro chooses to dispatch and -
23 - its own generation and take responsibility for
24 serving its customers in the most effective and
25 efficient way possible. We don't transfer that

1 responsibility to MISO. However, we do coordinate
2 tariffs, and Manitoba Hydro is a market participant in
3 MISO so -- which means that we can buy and sell in a --
4 in the market as a -- as a market participant.

5 MR. BOB PETERS: Thank you, Mr. Cormie,
6 for that explanation. Does that suggest that if
7 Manitoba Hydro deemed it advisable, Manitoba Hydro
8 could ask the MISO market to also dispatch Manitoba
9 Hydro's generation and serve Manitoba Hydro's load in
10 the way that MISO determined was at least cost.

11 MR. DAVID CORMIE: There are
12 sovereignty issues, Mr. Peters, that prevent Manitoba
13 Hydro from turning the control of its generation --
14 these responsibilities are outlined in our legislation.
15 And for those sovereignty reasons, we are not allowed
16 to do that, what you've suggested.

17 MR. BOB PETERS: And so your
18 relationship with MISO is that of an associate member.
19 Would that be the right description?

20 MR. DAVID CORMIE: Our relationship is
21 defined under contract.

22 MR. BOB PETERS: And that's the
23 coordination agreement?

24 MR. DAVID CORMIE: Yes.

25 MR. BOB PETERS: And that coordination

1 agreement, sir, extends till -- till when?

2 MR. DAVID CORMIE: There's no end date
3 to that, Mr. Peters.

4

5 (BRIEF PAUSE)

6

7 THE CHAIRPERSON: I have just a
8 question in relation to Hydro-Quebec. Is their
9 relationship -- is the nature of the relationship that
10 they have with their buyers in US similar to Manitoba
11 Hydro's?

12 MR. DAVID CORMIE: I believe that
13 Quebec is -- is -- is an independent -- like Manitoba
14 Hydro, is independent from the market. However, they
15 do have a US power marketing subsidiary that operates
16 in -- in the Northeast. Manitoba Hydro doesn't have a
17 subsidiary that transact on its behalf. Our
18 transactions take place at the border, whereas Quebec
19 Hydro sells to their subsidiary and then the subsidiary
20 acts within the -- within the United States.

21

22 CONTINUED BY MR. BOB PETERS:

23 MR. BOB PETERS: Mr. Cormie, from the
24 information found on page 112 of PUB Exhibit 14, would
25 it be correct for the Board to conclude that the MISO

1 market has grown by approximately 35 terawatt hours
2 between 1988 and 2011?

3

4 (BRIEF PAUSE)

5

6 MR. DAVID CORMIE: At which page are
7 you referring to, Mr. Peters?

8 MR. BOB PETERS: I'm on page 112, which
9 is PUB/Manitoba Hydro's Second Round Question 12A. And
10 I -- I just summed up the growth by the various line
11 items that are by year.

12 MR. DAVID CORMIE: You've summed the
13 sources of electricity and -- and you're comparing the
14 total -- the change in the total over time?

15 MR. BOB PETERS: Yes, sir.

16

17 (BRIEF PAUSE)

18

19 MR. DAVID CORMIE: Mr. Peters, you may
20 have calculated correctly, but I -- I can't say that
21 that reflects growth. Utilities -- the footprint size
22 is changing because of different companies becoming
23 members of MISO and then withdrawing. If you look back
24 at your chart, the green chart on the previous page,
25 you see there's quite a few holes in the chart, and

1 border entities are -- are coming and going.

2 And the footprint is -- is constantly
3 being adjusted, so it's hard for me to say yes to your
4 answer. I think it's -- all I can say is it's changing
5 over time, and the tendency is it -- for it to grow.
6 And I think that chart on the previous page where the
7 blue area shows the next big change that we can expect
8 is the Entergy states join the MISO footprint.

9 MR. BOB PETERS: Okay. I'll -- I'll
10 try to remember to come back to that Entergy issue.
11 But when we look at page 112, Mr. Cormie, would the
12 Board be correct in -- when it looks at the -- let's
13 pick natural gas, for example, increasing from 22
14 terawatt hours in 2008 up to 32 terawatt hours in 2011
15 that there be a grown or -- I'm not sure you agreed
16 with the word "growth", but there would be a increase
17 in about 10 terawatt hours of natural gas generation?

18 MR. DAVID CORMIE: Yes, I agree with
19 that.

20 MR. BOB PETERS: And that's -- and that
21 -- and that -- you've seen that in other -- in other
22 reports, or in other understandings? That's not just a
23 matter of the Company's retooling. It's...

24 MR. DAVID CORMIE: No, I think that's a
25 general trend. As the price of natural gas has -- has

1 come down gas is more -- a more economical supply
2 source more often. And you can see the increase in
3 this table of statistics. And that -- that's mainly a
4 price -- a price effect.

5 MR. BOB PETERS: And the Board will
6 also see that when they look at the wind column where
7 it's gone from about 4 terawatt in 2008 up to 29
8 terawatts in 2011?

9 MR. DAVID CORMIE: Yes, that's a much
10 greater change in a percentage basis than we saw in
11 gas.

12 MR. BOB PETERS: And that's just an
13 indication of the renewable resources to which many of
14 the members of MISO are -- are adding to their
15 generation capabilities?

16 MR. DAVID CORMIE: Yes, in response to
17 the renewable portfolio standards that have been
18 established and the subsidies that are available for
19 wind generation in the US there has been a tremendous
20 growth in wind.

21 MR. BOB PETERS: In terms of export --
22 I'm sorry, in terms of imports into the MISO region,
23 Mr. Cormie, from 2008 up to 2011 it appears that there
24 has been -- imports have increased by about 13 terawatt
25 hours, or -- or perhaps 50 percent?

1 MR. DAVID CORMIE: I see that, yes, Mr.
2 Peters.

3 MR. BOB PETERS: That's consistent with
4 -- is that consistent with your understanding of the
5 imports into the MISO market, Mr. Cormie?

6 MR. DAVID CORMIE: I -- I can't speak
7 to the -- the reason why that's happened, Mr. Peters,
8 except that there are more companies than Manitoba
9 Hydro who are selling into the market. Companies like
10 the -- the hydro utilities in -- like in Ontario, and
11 other companies would be exporting into -- into MISO.

12 If my memory serves me correctly there
13 has been quite a bit of additional activity lately from
14 PJM selling into MISO. As the cost of gas has come
15 down that market has become long and MISO is an
16 attractive destination for surpluses from that market.
17 So I take -- I explain that as just other economic
18 power supplies being available to MISO relative to
19 their own fleet.

20 MR. BOB PETERS: And the PJM, that's --
21 that's a supplier that's east of MISO?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: And it's selling at --
24 it's selling into the MISO market?

25 MR. DAVID CORMIE: Yeah, it's a cent --

1 centrally dispatched market in the States east of --
2 east of the MISO market.

3 MR. BOB PETERS: When we look on page
4 112, Mr. Cormie, from Manitoba Hydro's involvement with
5 MISO, Manitoba Hydro's physical exports have -- have
6 remained essentially -- essentially flat over the three
7 (3) or four (4) years?

8 MR. DAVID CORMIE: Yes, and that just
9 reflects the continued favourable hydraulic generation
10 conditions we've experienced.

11 MR. BOB PETERS: And it may also
12 reflect Manitoba Hydro being transmission constrained
13 in the years where there's even further available
14 water?

15 MR. DAVID CORMIE: Definitely, I -- I
16 remember back to the summer of 2011 in August. And we
17 had con -- quite a bit of congestion on our interface
18 that resulted in spillage on our system because we
19 could not get all the energy that we had to market.

20 MR. BOB PETERS: Is that a relatively
21 rare occurrence, sir?

22 MR. DAVID CORMIE: Well, we've had nine
23 (9) years in a row, Mr. Peters, where we've had high
24 water. And so in those high-water years, the off-peak
25 market is the place where Manitoba Hydro has to sell

1 that energy.

2 And -- and we -- we -- we will load the
3 tie-lines up to their maximum before we will spill.
4 And if we cannot use firm transmission service and
5 we're using non-firm transmission service, that puts
6 Manitoba Hydro at risk. And -- and we spill because we
7 are using non-firm, and non-firm gets curtailed when it
8 causes congestion in the United States.

9 And for that reason, we've been
10 acquiring as much firm transmission in the United
11 States as possible so that we don't -- when we do have
12 high-water years like this, that we can load the
13 transmission line up to its -- its transfer capability
14 without having to worry about creating congestion in
15 the United States.

16 Transmission capacity for the existing
17 system is -- under high-water conditions is insuff --
18 insufficient. We would like to have more and --
19 because it's very expensive if we have to open the
20 spillways and lose tens of millions of dollars of
21 electricity that could otherwise have been sold.

22 MR. BOB PETERS: Can you briefly
23 explain, then, your transmission rights on peak to the
24 Board, as to how can you -- how do you quantify that?

25 MR. DAVID CORMIE: Well, the rights on

1 peak are the same as the rights off peak, except that
2 during the on-peak hours those rights are being used to
3 deliver power that's been sold under contract.

4 For example, if the contract is for the
5 five (5) by sixteen (16) hours, sixteen (16) hours a
6 day we're delivering energy to our customer as
7 contracted. Then at nighttime, for tho -- for the
8 balance of the eight (8) hours, we're not necessarily
9 entitled to use that same transmission service, which
10 is firm, to sell Manitoba Hydro's surplus energy.

11 And if the contract -- if the -- if the
12 counterparty on the US side doesn't allow Manitoba
13 Hydro to use its tran -- a firm transmission service,
14 Manitoba Hydro then has to use non-firm transmission
15 service. And that's when we're exposed to the risk of
16 curtailments.

17 MR. BOB PETERS: How many megawatts of
18 transmission are you talking, Mr. Cormie?

19

20 (BRIEF PAUSE)

21

22 MR. DAVID CORMIE: I believe that, in
23 ballpark numbers, there's about 1,300 megawatts of
24 network service that is subject to non-use if the -- if
25 the US counterparty deems that we cannot use it because

1 it would be an abuse of network service. That -- that
2 puts 1,300 megawatts of our exports in the off peak at
3 risk.

4 MR. BOB PETERS: Out of a total of how
5 many?

6 MR. DAVID CORMIE: 1,900 megawatts. We
7 own -- we control about six (6) -- just over 600
8 hundred megawatts of -- of -- of transmission rights on
9 US, so --

10 MR. BOB PETERS: I'm not --

11 MR. DAVID CORMIE: -- those 600
12 megawatts are available to us to use on peak and off
13 peak.

14 MR. BOB PETERS: I'm not sure the
15 record's clear, Mr. Cormie, as to -- if we're talking
16 1,900 megawatts of -- of transmission, why a US
17 counterparty would suggest Manitoba Hydro cannot use
18 it.

19 MR. DAVID CORMIE: The transmission
20 service is paid for by the -- it's rate based. It's
21 paid for by the customers. It's -- it's -- intended to
22 provide service to the load.

23 Manitoba Hydro would like to be able to
24 use that same transmission service for merchant trans -
25 - or, for -- for -- for trading activities, to sell

1 spot mark -- into the spot market. And so the benefits
2 from that transaction doesn't necessarily go to load.
3 And so those benefits would go to the sha -- maybe --
4 maybe they would go to the shareholder of the Utility
5 rather than going to the load.

6 So the transmission is being paid for by
7 the customers, but the Utility is -- is purchasing
8 energy from Manitoba Hydro at night. And it -- and
9 it's prohibited from using network service, which is
10 intended for load, for its -- for its trading
11 activities. And so com -- some companies deem that as
12 inappropriate use of network transmission service.
13 Really, it's point-to-point service, and it should be
14 paid for. And -- and the FERC is very conscious of
15 transmission abuse. And so Manitoba Hydro is not
16 entitled to use that unless it's -- it's justified and
17 appropriate.

18 So the customers -- the US costumers
19 allow the firm transmission, the network service, to be
20 used to serve the contract, because that's the resource
21 that the customers have bought and paid for. But
22 they're not allowed to use that network service at
23 night. So we then have to go to the non-firm market
24 and -- and purchase non-firm transmission. And that's
25 subject to cur -- to curtailment.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: Mr. Cormie, Manitoba
4 Hydro, though, pays open-access transmission tariffs in
5 the United States of approximately \$30 million a year?

6 MR. DAVID CORMIE: Yes, Mr. Peters.
7 That is for the firm point-to-point. But if we only
8 have 600 megawatts of point-to-point and we need two
9 thousand (2,000), that means we're short thirteen
10 hundred (1,300). We need to then use non-firm
11 transmission service. And if our transactions are
12 creating congestion in the MISO footprint, those
13 transactions will be curtailed and we won't be allowed
14 to export. So it's -- it's of paramount importance
15 that we hold firm transmission rights twenty-four (24)
16 hours a day to be able to deal with the surpluses that
17 we have.

18 MR. BOB PETERS: Mr. Chairman, in light
19 of the time, perhaps a morning recess would be
20 appropriate at this time.

21 THE CHAIRPERSON: Let's take ten (10)
22 minutes.

23

24 --- Upon recessing at 10:51 a.m.

25 --- Upon resuming at 11:06 a.m.

1 THE CHAIRPERSON: Board member Lafond
2 has a few questions.

3 MR. RAYMOND LAFOND: Just one (1)
4 question, actually. On page 112 of Tab 11 of the book
5 of documents, on the table at the bottom, we indicate
6 with an asterisk, "Year to July 2012."

7 Is this the calendar year or the fiscal
8 year as used by Manitoba Hydro?

9 MR. TERRY MILES: I believe this is
10 calendar.

11 MR. RAYMOND LAFOND: Thank you.

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: Mr. Cormie, from
15 Manitoba Hydro's research, natural gas generation is
16 growing in the MISO market and is forecast to grow by
17 about 5,000 megawatts of capacity between 2007 and
18 2017. Does that...

19 MR. DAVID CORMIE: I'm not familiar
20 with the five thousand (5,000) amount, Mr. Peters, but
21 I would agree -- agree with you that it is -- it is
22 growing, yes.

23 MR. BOB PETERS: And I'm not needing
24 any specific number, but way back on page 97 of the
25 book of documents is some data from Manitoba Hydro's

1 information responses, in terms of forecasted MISO new
2 natural gas as a resource.

3 MR. DAVID CORMIE: Yes.

4 MR. BOB PETERS: And that's where I
5 came up with the five thousand (5,000). It's actually
6 5,318 megawatts of forecast and actual capacity, from
7 '07 to '17.

8 MR. DAVID CORMIE: Yes.

9 MR. BOB PETERS: You'd accept that as -
10 - as correct?

11 MR. DAVID CORMIE: I do.

12 MR. BOB PETERS: And that's reflecting
13 what you told the Board before the morning recess of
14 additional resources being put in as a result of
15 natural gas prices?

16 MR. DAVID CORMIE: Well, it -- and that
17 is one factor. Probably the other factor is that
18 environmental restrictions and -- are -- are causing
19 utilities and -- and aging coal generating stations are
20 -- are causing utilities to choose to shut those
21 facilities down when -- because when they look at the
22 long-term risks to coal and the -- and the risk of
23 having to make further investments in old coal
24 technology, they're choosing natural gas, new natural
25 gas generation, as the alternative.

1 MR. BOB PETERS: And the natural gas
2 alternative, Mr. Cormie, is mostly through the
3 combined-cycle combustion turbines?

4

5 (BRIEF PAUSE)

6

7 MR. DAVID CORMIE: I think it's both,
8 Mr. Peters. I don't have the split.

9 MR. BOB PETERS: For the purposes of
10 approximation, Mr. Cormie, is the combined-cycle
11 combustion turbine about twice as efficient as a
12 single-cycle combustion turbine?

13 MR. DAVID CORMIE: Not twice. I
14 understand that the combined-cycle combustion turbine
15 has a heat rate around seven thousand (7,000), whereas
16 the simple cycle would be at ten thousand (10,000), so
17 a third (1/3) more efficient.

18 MR. BOB PETERS: Maybe you can explain
19 to the Board the -- the calculation of the relationship
20 between the gas price to the electricity generated from
21 -- from each of single cycle and a combined cycle?

22 MR. DAVID CORMIE: Yes, and it's --
23 it's actually quite simple. For -- you know, for
24 example, our combustion turbines at Brandon have a heat
25 rate of -- just the -- the number of thirteen (13). So

1 you take thirteen (13) as the heat rate on the unit,
2 multiply it by the price of gas; if the price of gas
3 was five dollars (\$5), then thirteen (13) times five
4 (5) is sixty-five dollars (\$65) a megawatt hour for the
5 energy.

6 And if we had combustion turbines that
7 had a heat rate of seven (7) instead of thirteen (13),
8 then it would be five (5) times seven (7), or thirty-
9 five dollars (\$35). So you're talking about the cost
10 of fuel to produce a megawatt hour of thirty-five (35)
11 versus sixty-five dollars (\$65).

12 MR. BOB PETERS: And how is the heat
13 rate determined on these turbines?

14 MR. DAVID CORMIE: Well, the -- the
15 heat rate is determined through the design of the
16 turbine. But in a combined-cycle combustion turbine,
17 the heat is used twice. So they use -- there's
18 actually two (2) turbines, so the -- the gas is burnt.
19 It generates power in one (1) -- in one (1) -- through
20 one (1) turbine, and then the waste heat from that
21 turbine is then recycled. It -- it -- there's more gas
22 added, and it's recycled again. So there's a -- you --
23 you have more -- there's more equipment there to
24 capture the energy that's available from burning the
25 gas.

1 So they are significantly more
2 efficient, but they are significantly more expensive.
3 So although you save a little bit on the cost of fuel
4 you spend a lot more on interest and depreciation and
5 facilities to have a combined-cycle turbine installed.

6 MR. BOB PETERS: Manitoba Hydro's two
7 (2) gas turbines in Brandon are the -- the single
8 cycle?

9 MR. DAVID CORMIE: Simple cycle, yes.

10 MR. BOB PETERS: I'm sorry, simple
11 cycle is the correct nomenclature. At the time
12 Manitoba Hydro procured those, was the decision made to
13 obtain the simple cycle as opposed to the combined
14 cycle for economic reasons?

15 MR. DAVID CORMIE: Yes, the role of
16 combustion turbines at Brandon is a backup role. They
17 -- they are used rarely. And it's only when a
18 generating unit runs long enough that the efficiency
19 savings justify the expenditure of the additional
20 capital necessary to -- for a combined cycle.

21 So we -- we determined the -- that we
22 wanted a backup unit, one (1) that would run rarely,
23 only in emergencies. And therefore, the benefits of
24 having the efficiencies didn't justify the additional
25 carrying costs of having -- having a more complex

1 machine and expensive machine there.

2 MR. BOB PETERS: Is the heat rating for
3 the Brandon simple-cycle combustion turbines a matter
4 you can put on the public record?

5 MR. DAVID CORMIE: It -- yes, it is.
6 It's about twelve (12). But it -- it varies, depending
7 on what the loading is, and it can be as high as a
8 hundred (100). So the multiplier is a hundred (100) at
9 very low loadings. So if we're running at -- at -- at
10 4 megawatts out of the hundred and sixty (160), we're
11 using a huge amount of gas on a relative basis. So
12 very inefficient at low loadings and about twelve (12),
13 twelve and a half (12 1/2), at -- at most-efficient
14 loading.

15 And then on top of that, you have the
16 cost of starting and stopping the units. And you have
17 the cost of buying transmission service to bring the
18 gas to the generating station. And there's a -- a few
19 other costs that get included when you determine what
20 the margin or the incremental costs of producing power
21 there is.

22 MR. BOB PETERS: When you talk about
23 the costs of startup, is that just labour cost?

24 MR. DAVID CORMIE: No, every hour that
25 you run -- every time that you start it, there's a --

1 an equivalent cost calculated, and that means there's
2 more maintenance required. So if you run it, you're
3 then committing yourself to doing -- getting a tune-up
4 sooner.

5 So, it -- it's about ten thousand
6 dollars (\$10,000) to start the combustion turbines, and
7 that's a fixed cost. Every time you choose to start
8 it, you're committing to spending ten thousand dollars
9 (\$10,000), plus whatever the fuel costs are.

10 So that's why rarely do our combustion
11 turbines get dispatched into the MISO market, because
12 when we price it, we assume that they're going to start
13 it and an hour later they're going to stop it. And we
14 have to recover that ten thousand dollars (\$10,000)
15 over that hour of sales. So rarely do they become a --
16 a unit that's economic.

17 MR. BOB PETERS: You mentioned capital
18 costs to the Board, Mr. Cormie. And what is the
19 approximate capital cost of a -- a, say, 250 megawatt
20 single -- simple cycle compared to a 250 megawatt
21 combined-cycle gas turbine?

22 MR. DAVID CORMIE: Can we get that
23 number for you, Mr. Peters? I don't have the number at
24 hand.

25 MR. BOB PETERS: Certainly. Manitoba

1 Hydro will undertake to advise the Board on the
2 approximate capital costs of a 250 megawatt combined-
3 cycle combustion turbine combined to the capital costs
4 of a 250 megawatt simple-cycle combustion turbine.

5 That's acceptable, Mr. Cormie?

6 MR. DAVID CORMIE: Yes.

7 MR. BOB PETERS: Thank you.

8

9 --- UNDERTAKING NO. 26: Manitoba Hydro to advise
10 the Board on the
11 approximate capital costs
12 of a 250 megawatt combined-
13 cycle combustion turbine
14 combined to the capital
15 costs of a 250 megawatt
16 simple-cycle combustion
17 turbine, as well as advise
18 the Board as to how
19 scalable those prices are,
20 in terms of up-sizing the
21 turbine in terms of
22 relative costs

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: Mr. Cormie, a follow-

1 up on that undertaking. If -- if -- see if you can
2 accept this as part of that same undertaking, is to
3 advise the Board as to how scalable those prices are,
4 in terms of up-sizing the turbine in terms of relative
5 costs.

6 MR. DAVID CORMIE: Yes, we'll do that,
7 Mr. Peters.

8 MR. BOB PETERS: Thank you, Mr. Cormie.
9 I'll just give you a minute.

10

11 (BRIEF PAUSE)

12

13 THE CHAIRPERSON: I have a question in
14 relation to the use of the Brandon unit. So, for
15 example, when we were -- when you gave as an example
16 the cold night that we had where you were generating
17 forty-four hundred (4,400) units of power, the -- those
18 Brandon plants were in use at that time, were they?

19 MR. DAVID CORMIE: I don't believe
20 Brandon was on at the time, because we could avoid
21 spending the ten thousand dollars (\$10,000) to start
22 the unit by buying electricity in the -- in the United
23 States rather than running them.

24 They would be run though if there was a
25 -- an electrical problem in the area. We would spend

1 the money necessary to keep reliable supply to Brandon.

2 But if it was just for energy, we would go to the

3 market to buy the energy to avoid those startup costs.

4

5 CONTINUED BY MR. BOB PETERS:

6 MR. BOB PETERS: Mr. Cormie, do you

7 need a minute -- a minute further?

8 MR. DAVID CORMIE: No, go ahead.

9 MR. BOB PETERS: Mr. Cormie, I wanted

10 you to explain to the Board back in Tab 8, page 72 of

11 the book of documents where we have the average price

12 calculations for IFF11-2, that if the Board turns to

13 page 72 of PUB Exhibit 14, and one (1) line below the

14 Manitoba hydraulic generation, Manitoba Hydro also

15 provides some thermal generation volumes, correct?

16 MR. DAVID CORMIE: Yes.

17 MR. BOB PETERS: But when the Board

18 goes to the bottom of the page, the second line from

19 the very bottom of Tab 8, page 72, it appears that the

20 thermal generation costs in -- let's pick 2011/'12

21 actual, were a hundred and twenty-one dollars (\$121) a

22 megawatt hour?

23 MR. DAVID CORMIE: Yes.

24 MR. BOB PETERS: Or twelve (12) cents a

25 kilowatt hour?

1 MR. DAVID CORMIE: Yes.

2 MR. BOB PETERS: That appears to be
3 considerably higher than at other times. Is there an
4 explanation for that?

5

6 (BRIEF PAUSE)

7

8 MR. DAVID CORMIE: So that -- that
9 reflects that the thermal generation is -- is very low.
10 And you can see since that table began in 2007, thermal
11 generation was up 457 gigawatt hours in -- now for --
12 the actual in 2011/'12, down to 77 gigawatt hours.

13 Over that period of time the average
14 cost of the thermal has gone from thirty-three dollars
15 (\$33) up to a hundred and twenty-one dollars (\$121).
16 And we're just -- and where do the -- where's the costs
17 here? We're amortizing the cost of \$15 million in 2007
18 and '08. And by the time we get to '11/'12, we're --
19 it's down to 9 million.

20 So we're spending approximately \$6
21 million less in order to meet the thermal requirements.
22 And that's resulting in unit prices going up to the
23 hundred and twenty-one dollar (\$121) amount.

24

25 (BRIEF PAUSE)

1 MR. BOB PETERS: Does that reflect the
2 startup for the low generating capacity needed, low
3 load factor, or low load on the -- on the unit?

4 MR. DAVID CORMIE: The startup costs, I
5 don't believe, show up in this calculation, because
6 they end up being a deferred maintenance cost. So
7 they'll show up in -- in the -- in another area of the
8 -- of the accounts here. And I'm not sure where those
9 startup costs are actually shown.

10 MR. BOB PETERS: So this is simply the
11 fuel costs divided by the output?

12 MR. DAVID CORMIE: Yes.

13 MR. BOB PETERS: Doesn't that strike
14 you as -- as high?

15 MR. DAVID CORMIE: Oh, absolutely.
16 That's why we don't run them very often.

17 MR. BOB PETERS: But it's not as high
18 as it is in the other years, even going forward, it's
19 forecast?

20 MR. DAVID CORMIE: Well, as -- as we go
21 forward, what -- what Mr. Miles does in his estimate,
22 he does -- when -- when he's running the -- when he's
23 operating the coal he's running at a base load, so
24 there's lots of -- there's lots of megawatt hours to
25 amortize the fixed costs over and the efficiencies are

1 -- are quite good.

2 But when you're operating very
3 infrequently for training, and you're starting and
4 stopping, efficiencies aren't very high, and it results
5 in a very high unit price for the electricity.

6 But remember, we're not dispatching
7 these units for economics; we're starting and stopping
8 them to meet reliability or training requirements. And
9 in the actual amounts of -- amounts -- the actual cost,
10 in dollar terms, are going down. So instead of
11 spending 15 million in the -- in the first year of that
12 table, we're down to 9 million.

13 So on a unit basis it's got a -- it's
14 become expensive, but we're actually meeting our
15 requirements at less overall cost to -- to the Company.

16 MR. BOB PETERS: Mr. Cormie, would it
17 be correct for the Board to understand that, from what
18 they see here and you've explained, that natural gas
19 will be a competitive fuel source for electricity and a
20 competitive source as against Manitoba Hydro's water
21 source?

22 MR. DAVID CORMIE: Could you ask that
23 again, Mr. Peters?

24 MR. BOB PETERS: Yes. Gas-generated
25 electricity will be a competitor for Manitoba Hydro on

1 the export market for many years to come?

2

3

(BRIEF PAUSE)

4

5 MR. DAVID CORMIE: I think, Mr. Peters,
6 it's fair to say that natural gas will be the preferred
7 source of new supply in the United States. And it will
8 set, in most cases, the marginal cost or the -- the
9 market prices. And that -- and that will be the price
10 that will establish the value that Manitoba Hydro has
11 for prime -- primarily it's on-peak generation. Off-
12 peak generation will be valued at -- generally at -- at
13 -- either at wind or at -- at coal, depending on how
14 much coal remains in the future.

15 And -- and it's all dependent on -- on
16 what the price of natural gas does out into the future.
17 We know it's very low right now. What is the price of
18 natural gas going to be in ten (10), fifteen (15),
19 twenty (20) years? It's un -- we just don't know what
20 that is going to be. We have the estimates of five (5)
21 forecasters, and we're using the average of those
22 estimates to determine the value.

23 MR. BOB PETERS: What Manitoba Hydro
24 does know is that in MISO gas competition is increasing
25 because of the additional resources being brought on?

1 MR. DAVID CORMIE: There's more gas
2 being built because they really don't have a lot of
3 alternatives, Mr. Peter.

4 MR. BOB PETERS: Would it also be fair
5 to conclude, Mr. Cormie, that Manitoba Hydro's
6 opportunity prices will have to be lower than gas-
7 generated electricity?

8

9 (BRIEF PAUSE)

10

11 MR. DAVID CORMIE: No, that's -- that's
12 not clear to me. There is a huge risk in the future
13 that there will be carbon regulation, and gas will --
14 the cost of the actual gas will -- could only be --
15 might only be a minor part of the cost of producing
16 electricity from natural gas.

17 And for that reason our long-term export
18 customers continue to see Manitoba Hydro as an
19 attractive alternative to building natural gas
20 generating stations. And when they price in the risk
21 of natural gas and the -- and the risk of carbon
22 pricing in the future they find that Manitoba Hydro's
23 prices are attractive.

24 But when we actually get to producing
25 surplus electricity off our system, as we do now, we're

1 exposed to the cost of -- of competing sources,
2 whatever they are at that time. But there's no guaran
3 -- there's no certainty that natural gas is going to
4 stay low like it is today.

5 Our experts who provide us long-term
6 advice -- direction they say there will be real cost
7 increase. And -- and it's a matter of time.

8 MR. BOB PETERS: Can you provide the
9 correlation to the Board, Mr. Cormie, of what a carbon
10 tax of say thirty dollars (\$30) a tonne on natural --
11 on natural-gas-generated electricity, what that would
12 do to the -- the cost of generation?

13

14 (BRIEF PAUSE)

15

16 MR. DAVID CORMIE: It's about twenty
17 dollars (\$20) a megawatt hour for a thirty dollar (\$30)
18 a tonne carbon adder.

19 MR. BOB PETERS: That's for gas? Well,
20 I suppose it'll be for -- for any source.

21 MR. DAVID CORMIE: That's for a
22 combined-cycle combustion turbine.

23 MR. BOB PETERS: And what if it was one
24 of the coal plants, Mr. Cormie?

25 MR. DAVID CORMIE: I'm sorry, Mr.

1 Peters, that was on average. For a coal plant there's
2 1 tonne of carbon for every tonne of -- of coal, so
3 it's a 1:1 ratio.

4 MR. BOB PETERS: But in terms of
5 driving up the megawatt -- the -- the price per
6 kilowatt hour?

7 MR. DAVID CORMIE: Well, a thirty
8 dollar (\$30) a tonne would result in a thirty dollar
9 (\$30) megawatt hour.

10 MR. BOB PETERS: All right. Sorry, I -
11 - I got your point, three (3) --

12 MR. DAVID CORMIE: Right.

13 MR. BOB PETERS: -- three (3) cents a
14 kilowatt hour --

15 MR. DAVID CORMIE: Yeah.

16 MR. BOB PETERS: -- increase on that,
17 yeah.

18 MR. DAVID CORMIE: So in the -- in the
19 -- in the long run, the cost of producing electricity
20 from combustion turbines is the cost of the gas and the
21 cost of the transport and the cost of the carbon and --
22 and all the fixed costs associated with the facility.

23 And th -- those are unknown what they're
24 -- what they're going to be twenty (20) years from now.

25

1 MR. BOB PETERS: All right, the -- the
2 carbon cost of thirty dollars (\$30) -- a -- a tax of
3 thirty dollars (\$30) a tonne, what does that do for the
4 -- for the natural-gas-generated electricity? I didn't
5 -- I think you gave me an average price.

6 MR. DAVID CORMIE: Well, it's about a
7 multiplier of point six (.6) to point seven (.7), Mr.
8 Peters, so -- on average. So thirty dollars (\$30)
9 times point seven (.7) is around a twenty dollar (\$20)
10 megawatt hour adder for the cost of carbon.

11 MR. BOB PETERS: On a gas plant?

12 MR. DAVID CORMIE: For an average gas
13 plant, yeah.

14 MR. BOB PETERS: Oh, okay. Thank you,
15 sir. Perhaps, Mr. Cormie, we can review page 118 and
16 119 with the Board in the book of documents.

17 You've -- you've already indicated to
18 the Board that in terms of the MISO market prices,
19 Manitoba Hydro has to either bid into the day-ahead
20 market or sell real-time when a certain fuel is setting
21 the price.

22 Would that be correct?

23 MR. DAVID CORMIE: That's correct. We
24 always bidding -- we're always offering our energy into
25 the market at our -- at our cost, and -- and we're

1 competing with all the other generators to see who is
2 in merit at that time.

3 MR. BOB PETERS: All right. And on
4 page 119 of the book of documents, to determine who is
5 in merit, that means whose -- whose energy is being
6 directed to the market that the market will buy. And
7 it will -- it will either be from -- from coal or
8 natural gas or some other source that would be the --
9 at the margin on those days.

10 MR. DAVID CORMIE: Yes.

11 MR. BOB PETERS: Can the Board conclude
12 from the chart on page 119 that coal predominantly sets
13 the price most of the time, coal being the -- the
14 burgundy colour on the bottom bar chart.

15 MR. DAVID CORMIE: Yes, that's what
16 that chart indicates for the years 2010 and 2011.

17 MR. BOB PETERS: And if the -- if we go
18 to the top part of the chart to connect the dots, so to
19 speak, Mr. Cormie, it appears that the coal price that
20 is setting the price is around the two (2) cents a
21 kilowatt hour, twenty dollars (\$20) per megawatt hour?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: And that would be
24 predominantly the off peak, would it, sir?

25

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: I'm not sure that's
4 clear from this chart, Mr. Peters.

5 MR. BOB PETERS: Would that be Manitoba
6 Hydro's understanding or expectation?

7 MR. DAVID CORMIE: Yes.

8 MR. BOB PETERS: And Mr. Cormie, the
9 Board will note in the bottom right-hand corner, I
10 guess in the latter months of 2011, that wind is coming
11 onto the scene to start to set the -- set the market
12 price.

13 MR. DAVID CORMIE: Yes.

14 MR. BOB PETERS: And that -- that,
15 again, is likely to be off peak, would it, sir?

16

17 (BRIEF PAUSE)

18

19 MR. DAVID CORMIE: I'm not sure this
20 report says that, but I -- that wouldn't surprise me,
21 Mr. Peters.

22 MR. BOB PETERS: And does that include
23 wind coming in at negative prices, sir?

24 MR. DAVID CORMIE: Oh, yes.

25 MR. BOB PETERS: Your answer suggests

1 that's a -- that's common?

2 MR. DAVID CORMIE: Yes. Wind -- wind
3 generally blows stronger at nighttime. There's not a
4 lot of electrical demand at night. And so the wind
5 regions are -- are long electricity. They have no
6 load, and they're trying to export it into -- into
7 areas that could -- could use it. That overloads the
8 transmission system, causes congestion, drives the
9 price of electricity down, sending to the -- sending a
10 price signal to the other generators in the region, We
11 have an oversupply. And if you actually want to
12 generate, you're going to pay to generate. So negative
13 pricing is a signal that there's an oversupply.

14 And Manitoba Hydro takes advantage of
15 those situations by stopping its exports and getting
16 paid to buy power. And so this is something we're
17 quite familiar with that's a way of using the storage
18 in our hydro system to make more money for Manitoba
19 customers.

20 MR. BOB PETERS: Mr. Cormie, you've
21 indicated that -- on a couple of occasions that gas
22 also sets the market price. Would that be -- would you
23 go so far as to say about a -- a third (1/3) of the
24 time, predominantly in the peak times?

25

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: Again, I -- I don't
4 know where you're getting the third (1/3) number from,
5 Mr. Peters, but I -- that -- that doesn't surprise me,
6 and I'll agree to proceed on that basis.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: Mr. Cormie, at the
11 last general rate application from Manitoba Hydro, ICF
12 provided a forecast of its natural gas prices to the
13 Board?

14 MR. DAVID CORMIE: Yes, I remember
15 that.

16 MR. BOB PETERS: And I believe it's on
17 page 128 of the book of documents.

18 MR. DAVID CORMIE: Yes, I see that.

19 MR. BOB PETERS: And at that point in
20 time, what ICF did is it -- it provided its forecast in
21 the middle column on page 128 at Tab 11, and then it
22 also provided an update in the right-hand column,
23 correct?

24 MR. DAVID CORMIE: No. The -- the two
25 (2) columns are the same. One (1) is nominal dollars,

1 which are in dollars of the years shown, and one (1) is
2 in -- in constant dollars to 2010 dollars. So what
3 that forecast shows, 2011, of four dollars (\$4) per
4 MMBTU, showing real escalation up to six dollars and
5 ninety cents (\$6.90) by the time you get out to 2035.

6 In nominal dollars, which are the
7 numbers that Manitoba Hydro uses in its forecast, it's
8 going from four dollars (\$4) in 2011 to twelve point
9 nine (12.9). So that's the difference between nominal
10 and constant dollars.

11 So in 2035, you could take that -- make
12 it thirteen dollars (\$13), and you can multiply it by
13 your heat rate of, let's say, seven (7). So that
14 becomes seven (7) times thirteen (31) is ninety-one
15 dollars (\$91) a megawatt hour in nominal 2035 dollars.

16 MR. BOB PETERS: Thank you, Mr. Cormie.
17 On the next page, on page 129, ICF also provided a
18 forecast to the Board, but related to the Centra side
19 of Hydro's business. And you're aware of that, sir?

20 MR. DAVID CORMIE: I see the -- the
21 attachment, yes.

22 MR. BOB PETERS: And have you -- and
23 this is an updated forecast from what was provided
24 previously?

25 MR. DAVID CORMIE: Yes. But again,

1 this is in real 2010 or 2011 dollars, Mr. Peters. This
2 is not in nominal dollars.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: Is this the latest
7 information that Manitoba Hydro has been able to put on
8 the public record in respect of its forecasts of
9 natural gas prices, sir?

10 MR. DAVID CORMIE: I -- I believe this
11 is the latest, yes.

12 MR. BOB PETERS: And likewise, in terms
13 of the carbon forecasting -- carbon consequences, on
14 page 130 of the book of documents there's a forecast
15 also provided by ICF International.

16 And this was -- this was also provided,
17 I believe, at the last general rate application, sir?

18 MR. DAVID CORMIE: Yes, I agree.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: The ICF forecast maybe
23 just exemplifies the point I think you've made to the
24 Board, Mr. Cormie, that what forecast used to be for --
25 for a carbon emission penalty was thought to perhaps be

1 coming into existence as early as 2015, but now that's
2 been pushed off, perhaps as late as 2018.

3 Would that be correct?

4 MR. DAVID CORMIE: Yes, that's ICF's
5 view. There are others who think it might be earlier,
6 others who think it's later. But I think the general
7 consensus is that it's -- it will be -- it will be
8 later now; not if, just when.

9 MR. BOB PETERS: And how much later?

10 MR. DAVID CORMIE: I'm -- I don't know
11 the answer to that, Mr. Peters.

12 MR. BOB PETERS: And in addition to the
13 forecast indicating that a carbon tax regime will come
14 later, it's also forecast, at least by ICF, that the
15 tax will not be as high as -- as previously perhaps
16 thought?

17 MR. DAVID CORMIE: Yes. In ICF's view,
18 yes.

19 MR. BOB PETERS: Does Manitoba Hydro
20 get more than one (1) forecast of CO2 emissions
21 pricing?

22 MR. DAVID CORMIE: Yes. Each of our
23 consultants has a view of how regulatory and political
24 developments will unfold over time and they embed those
25 views into their forecasts, and ICF having -- having

1 one (1) of five (5) views.

2 MR. BOB PETERS: Are you at liberty,
3 Mr. Cormie, to indicate if Manitoba Hydro shares the
4 views put forward publicly by ICF?

5

6 (BRIEF PAUSE)

7

8 MR. DAVID CORMIE: You know, Mr.
9 Peters, we -- we -- we're -- we're not advocating any
10 of the results -- any of the opinions of our
11 consultants. We give them equal weight and -- and let
12 the outcome fall where it may. We -- we're not having
13 a bias. We think that by going to these independent
14 consultants, they have -- they have no -- you know,
15 we're -- they're being paid for their advice, and
16 Manitoba Hydro takes it. They have no -- there's no
17 stakes in the game for them.

18 MR. BOB PETERS: I -- I appreciate the
19 answer. Would it be -- would -- would you be able to
20 indicate whether ICF is middle of the pack, or are they
21 at the at the high end, the low end, or some other
22 general description, without providing specifics?

23 MR. DAVID CORMIE: I'm not aware of
24 where ICF lands and I'm -- no, I -- I don't know where
25 they -- where they are within the -- the set of

1 forecasts that we have.

2 THE CHAIRPERSON: To what extent would
3 I -- would a spike in gas prices influence your
4 financial results over the next couple of years? You
5 know, for example, we had a spike -- you know, it was a
6 cold winter and there was a spike in gas prices.

7 Would that have a measurable impact on
8 your financial results over those -- during that
9 period?

10 MR. DAVID CORMIE: Price -- price
11 spikes have an effect on -- on how much hedging our
12 customers do in the forward markets, which tends to
13 drive up -- drive up prices. And since the natural gas
14 price came off, we haven't nearly seen the amount of
15 forward contracting, because they want to -- they want
16 to lock in fixed price power. And to the extent that
17 there -- volatility reappears, they see that as
18 creating instability for their own customers, and
19 they'll want to hedge that away.

20 And so during the periods of very high
21 natural gas prices six (6), seven (7) years ago -- and
22 I think we looked at some of those contract prices
23 relative to where spot prices actually landed -- we
24 were averaging, let's say, seventy dollars (\$70) a
25 megawatt hour for where the product actually sold for

1 thirty (30) -- in the thirty dollar (\$30) range. So
2 that can form a significant source of additional income
3 for Manitoba Hydro, I think, in those years of service,
4 you know, in the order of \$100 million.

5 So volatility from -- from the electric
6 side of the company is -- is a good thing. From our
7 natural gas customers' perspective, volatility is
8 obviously not desirable. But I would think that -- it
9 would also reinforce the -- the message that -- that
10 our customers are sending us is that they are concerned
11 about where future natural gas prices are going to be
12 and the volatility associated with that.

13 And if -- if we had short-term
14 volatility, there would be much new -- renewed interest
15 in Manitoba Hydro's product, which is a long-term
16 stable-priced product. And I think volatility or
17 higher prices would have a significant impact on -- on
18 Manitoba Hydro's export revenues.

19 THE CHAIRPERSON: I was more trying to
20 -- more trying to understand the short-term impacts.
21 You know, in -- in other words, I think I understand
22 you to say that the -- the buyers of natural gas in the
23 US that use for -- that use it for electricity
24 generation would be hedging their purchases, right.

25

1 And so even though there might be a
2 nearby spike, they -- it wouldn't impact the prices
3 that they would be able to -- at which they offer
4 electricity prices -- electricity on the market, right?

5 MR. DAVID CORMIE: Well, those -- those
6 fuel cost spikes flow right through to the market
7 clearing price. Like Manitoba Hydro, the owner of a
8 natural gas turbine offers in his power in the day-
9 ahead market based on what his gas costs are on that
10 day. And -- and so to the extent that there's
11 volatility, it will result in immediate changes to the
12 electricity price.

13 MR. RAYMOND LAFOND: I -- I can
14 understand that consumers are very worried about
15 increases in prices, having seen what happened five (5)
16 to eight (8) years ago. On the other hand, for
17 Manitoba Hydro and forecasters who have a better
18 understanding of the current situation, the technology
19 that's changed totally in the last five (5), six (6)
20 years, et cetera, I heard a bit earlier that
21 forecasters and, I think, yourselves do expect some
22 real price increases over and above inflation in the
23 next years.

24 Why would that be, with this new
25 technology that is evolving very, very quickly and the

1 new sources they're finding, and to the extent where we
2 keep reading that the US expects to be self-sufficient,
3 in terms of energy, in the next twenty (20) years or
4 so?

5

6 (BRIEF PAUSE)

7

8 MR. DAVID CORMIE: Because of aging
9 infrastructure, Mr. Lafond, the -- more electricity
10 will be generation from natural gas, increasing the
11 demand for natural gas, which drives up the -- the
12 price of natural gas. And -- and there are renewable
13 portfolio standards that's resulting in higher
14 electricity costs from natural gas.

15 MR. RAYMOND LAFOND: So that would be
16 the aging infrastructure having to do with energy being
17 produced by coal?

18 MR. DAVID CORMIE: Yes.

19 MR. RAYMOND LAFOND: Thank you.

20 MR. DAVID CORMIE: And as we mentioned
21 the other day, the nuclear generating stations, will --
22 will they be re-licensed, and that whole issue.

23 MR. RAYMOND LAFOND: Well, that's a
24 different subject, nuclear energy. But again, not to
25 get into this too deeply at this time, that seems to be

1 evolving very quickly, again reading that in the US
2 they're now looking at producing some mobile nuclear
3 energy plants, like small nuclear energy plants which
4 they can move to different cities or different towns.

5 MR. DAVID CORMIE: Yes. I'm not aware
6 of those, but I -- I just think that over the last
7 couple of years after the incident in Japan, I don't
8 think there was a forecaster who ever anticipated the
9 results around the world for the nuclear industry that
10 that earthquake caused. And just -- we're in a very
11 volatile world. And nuclear energy is one of -- it
12 appears to be one of the casualties of -- of -- of --
13 of that.

14

15 CONTINUED BY MR. BOB PETERS:

16 MR. BOB PETERS: Mr. Rainkie, in my
17 eight (8) minutes left before lunch, I want to finish
18 the last tab in the book of documents with you, sir,
19 and get you ready for OM&A this afternoon.

20 But one of the line items, sir, on your
21 IFF -- Manitoba Hydro's IFF -- found at Tab 3, page 21
22 of Board counsel's book of document is -- is a line
23 item called "Other Revenues."

24 You're familiar with that, sir?

25 MR. DARREN RAINKIE: Yes, I am.

1 MR. BOB PETERS: And what we've shown
2 here on page 131 of the book of documents is that the
3 other revenues appears to be, in my words, a bit of a
4 catchall for -- for revenues that aren't of a
5 sufficient nature but still need to be recorded
6 somewhere on your -- on your forecast.

7 MR. DARREN RAINKIE: Yeah, the -- these
8 are revenues that aren't our general consumers
9 revenues. That's why they're termed "other revenues" -
10 - so they have to have -- fit somewhere into the
11 financial statements, Mr. Peters, and so they're termed
12 "other revenue."

13 MR. BOB PETERS: And -- and just maybe
14 to that point -- Mr. Warden raised it earlier and I --
15 I don't know that I have an answer for it yet for the
16 Board, but where would Manitoba Hydro record late
17 payment fees?

18 MR. DARREN RAINKIE: Mr. Peters, in the
19 presentation that we have in this material, late
20 payment free -- fees are grouped with general consumers
21 revenue. I think that's what Mr. Warden indicated,
22 subject to check, a few days ago; but that's where they
23 are. So they're not in this other revenue.

24 MR. BOB PETERS: And late payment fees,
25 Mr. Rainkie, what -- what's an order of magnitude for

1 an average year?

2 MR. DARREN RAINKIE: Mr. Peters, I
3 think, in the order of 4 to \$5 million, just looking at
4 our last two (2) years' actual.

5 MR. BOB PETERS: Thank you, Mr.
6 Rainkie. When the Board looks at the line items on
7 other revenue and sees operating expense recoveries,
8 that's a new addition to Manitoba Hydro's reporting
9 presentation, Mr. Rainkie?

10 MR. DARREN RAINKIE: Yes, Mr. Peters.
11 That's a reclassification. So tho -- those revenues
12 used to be netted against operating, maintenance, and -
13 - and administrative costs. Now we've moved them up to
14 the other revenue line, but it doesn't affect our
15 bottom line. It's simply a reclassification.

16 MR. BOB PETERS: So the revenues are
17 going to show up in other revenues and the expenses
18 will show up in the OM&A lines?

19 MR. DARREN RAINKIE: So, the -- the
20 effect, Mr. Peters, just to be clear, of moving \$8
21 million or so, these costs used to be netted against
22 operating costs. So they would -- so moving this up to
23 other revenue is going to increase other revenue by 8
24 million. It's also going to increase operating costs
25 by 8 million, for a net effect on our bottom line of

1 zero. It's simply a reclassification, as we call it,
2 in the accounting biz.

3 MR. BOB PETERS: These operating
4 expense recoveries occur when Manitoba Hydro provides
5 services to third parties?

6 MR. DARREN RAINKIE: That's correct,
7 and I think you're on to the next page, Mr. Peters.
8 We've kind of listed some of the sources of those, but
9 it's also some miscellaneous third-party fees like
10 electrical wiring, inspection fees and other
11 miscellaneous fees, Mr. Peters, makes up that amount.
12 So it's things that we do for -- for third parties to
13 the Corporation, if you like.

14 MR. BOB PETERS: And this would be
15 Manitoba Hydro using its assets to provide services to
16 third parties?

17 MR. DARREN RAINKIE: I think using its
18 people to provide services to third parties for a fee.

19 MR. BOB PETERS: And this would then be
20 prim -- primarily then a recovery of the labour costs?

21 MR. DARREN RAINKIE: I think that's --
22 that's fair. Probably primarily labour, Mr. Peters.

23 MR. BOB PETERS: The joint-use line
24 item, Mr. Rainkie, is a reflection of the -- the
25 sharing of poles with telecommunications companies?

1 MR. DARREN RAINKIE: Yes. It's the net
2 of all charges back and forth between the various
3 utilities for using each other's assets, as you say,
4 Mr. Peters.

5 MR. BOB PETERS: All right. And that's
6 -- that was my point is that this reflects others
7 attaching to Manitoba Hydro's poles. It also reflects
8 Manitoba Hydro attaching to other utilities or service
9 providers' poles at a -- at a fee.

10 MR. DARREN RAINKIE: It's the net, Mr.
11 Peters. Yeah, you're right.

12 MR. BOB PETERS: And there's a --
13 there's -- an agreement is amongst the parties as to
14 what those fees are, sir?

15 MR. DARREN RAINKIE: Yes, that's my
16 understanding, Mr. Peters.

17 MR. BOB PETERS: Can you explain
18 briefly to the Board the Island Falls Energy Transfer
19 Agreement? And what's the nature of that, sir?

20 MR. DAVID CORMIE: Mr. Peters, that's
21 an agreement we have with SaskPower, who has -- who
22 owns a generating station on the Churchill River in
23 Northern Saskatchewan, which isn't connected to
24 Southern Saskatchewan directly. So we have an
25 agreement where surplus energy in Northern Saskatchewan

1 is shipped through Manitoba and injected back into
2 Southern Saskatchewan over our transmission facilities.
3 And this agreement shows the rents paid by SaskPower
4 for the use of our transmission system.

5 MR. BOB PETERS: Is the hot-water tank
6 rental business a legacy business that's on the
7 decline?

8 MR. DARREN RAINKIE: Yes, Mr. Peters.
9 I think that's generally reducing, as we see in the
10 numbers.

11 MR. BOB PETERS: That's not a -- I'm
12 not even aware, Mr. Rainkie. Is that still an offering
13 that the Utility makes, or is that outsourced to HVAC
14 companies?

15 MR. DARREN RAINKIE: There's no -- no
16 new rentals, Mr. Peters.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: There's also an
21 indication of -- of an increase in the other line that
22 relates to a settlement of an outstanding commitment to
23 Ontario Power Generation. Can you briefly describe
24 that to the Board?

25

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: The -- we have an
4 agreement with Ontario Power Generation with regard to
5 the Lake St. Joseph diversion. And I wasn't aware that
6 that was being classified here. But, in effect, we pay
7 Ontario for a portion of the -- to compensate them for
8 the cost of operating the diversion in northwest
9 Ontario. And it's done through a -- where we sell them
10 about 88,000 megawatt hours a year. And it's -- it's
11 sold at a dollar forty (\$1.40) a megawatt hour, Mr.
12 Peters.

13 And it doesn't -- it's not really an --
14 an export revenue arrangement. It's -- it's an
15 arrangement where we're paying them a fee to operate a
16 diversion for us for our benefit. And that fee varies
17 annually depending on how much water is actually
18 diverted. So I believe that's where this -- this --
19 this shows up.

20 MR. BOB PETERS: And you pay in this --
21 in the form of --

22 MR. DAVID CORMIE: No, they pay us.

23 MR. BOB PETERS: Sorry.

24 MR. DAVID CORMIE: They pay us a dollar
25 forty (\$1.40) for the electricity that we deliver.

1 MR. BOB PETERS: All right. Thank you.

2 MR. DAVID CORMIE: It's their
3 compensation -- it's a compensation we pay them -- or
4 they get the electricity, but they pay a dollar forty
5 (\$1.40) to cover our incremental operating costs of --
6 of producing that electricity. But then they get the
7 value of the electricity in the mar -- at the market
8 price.

9 MR. BOB PETERS: Maybe this is too much
10 in the vernacular, but they get cheap electricity as --
11 as an offset to the arrangement?

12 MR. DAVID CORMIE: Yep.

13 MR. BOB PETERS: All right. Mr.
14 Chairman, in light --

15 MR. DAVID CORMIE: Yeah. Yes, that's
16 correct.

17 MR. BOB PETERS: What was the volume
18 involved?

19 MR. DAVID CORMIE: Eight -- eighty-
20 eight (88) -- on an average year it's around 88
21 gigawatt hours.

22 MR. BOB PETERS: All right. Thank you.
23 Mr. Chairman, in light of the hour this might be an
24 appropriate time for the Board to take a lunch recess.

25 THE CHAIRPERSON: I have a question, a

1 few questions before we adjourn the -- I'm wondering
2 about the consulting work you do, for example, the
3 Newfoundland -- the work you do for the Newfoundland
4 government.

5 I know you have a consulting operation.
6 Now, staff -- regular line staff working in support of
7 the consulting operation, they bill out their hours to
8 the consulting operation?

9 MR. DARREN RAINKIE: That's right.
10 Those costs will be billed to Manitoba Hydro
11 International.

12 THE CHAIRPERSON: So the -- so you
13 would just be reducing your -- the cost line in the
14 rates -- in the rate application we're seeing here,
15 right?

16 MR. DARREN RAINKIE: All the figures
17 that are produced in the Rate Application are net of
18 any subsidiary amounts, so there's no -- no amounts for
19 -- for subsidiaries in here. So all -- all
20 transactions have been eliminated through the -- in the
21 Application material.

22 MR. RAYMOND LAFOND: Yes, that brings a
23 question, that ha -- that has all been eliminated.
24 However, it does impact on rates to consumers, whether
25 you generate much revenues from it or losses.

1 MR. DAVID CORMIE: Well, it's -- the
2 net bottom line for those subsidiaries is between 4 or
3 \$5 million. So in the -- in the grand scheme of things
4 I don't -- it -- first of all it's eliminated from the
5 information so that we're not, you know, looking at
6 setting rates -- we're not including those numbers in
7 the rate setting.

8 Secondly, it's a very small part of our
9 -- while it's very important to the people that work on
10 it, it's a very small part of our net revenue. So a --
11 an increase or decrease in their net income of a
12 million or two (2) dollars would not affect the rate
13 increases that we would request from this Board.

14 THE CHAIRPERSON: I think that's all
15 the questions from the panel. I would suggest we -- we
16 adjourn now and -- recess now and back in this room at
17 one o'clock. Thanks very much.

18

19 --- Upon recessing at 12:01 p.m.

20 --- Upon resuming at 1:03 p.m.

21

22 THE CHAIRPERSON: I believe we're ready
23 to resume proceedings.

24 MS. PATTI RAMAGE: Before we resume,
25 Mr. Warden wanted to speak to one of the undertakings.

1 MR. VINCE WARDEN: Yes, Mr. Peters,
2 it's -- it's a fairly minor one but one we discussed
3 this morning was -- I just wanted to confirm that the
4 same management adjustment was applied in IFF11 as was
5 in IFF11-2. And, yes, I have confirmed that, the same
6 \$50 million that we discussed this morning was applied
7 to both of those forecasts.

8

9 CONTINUED BY MR. BOB PETERS:

10 MR. BOB PETERS: For the same test
11 years?

12 MR. VINCE WARDEN: For the same test
13 years. For the -- both test years, yes.

14 MR. BOB PETERS: Yeah. Okay. Thank
15 you, Mr. Warden.

16 MR. VINCE WARDEN: I might just also
17 take this opportunity while I'm on the microphone to
18 maybe respond to a question that the Chairman had with
19 respect to our -- any updates or results that we have
20 since the quarterly was released. And I can say,
21 without divulging the numbers at this point in time,
22 but I can say we're almost bang on the forecast for the
23 -- up to the end of November. So we're tracking the
24 forecast that we have currently.

25 THE CHAIRPERSON: Thank you.

1 MR. VINCE WARDEN: On a bottom-line
2 basis. I should just clarify that. There are some --
3 there are some offsets that do occur nat -- naturally.
4 But on a bottom-line basis we're pretty much identical
5 to the forecast.

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: What I'm understanding
9 you to be saying, Mr. Warden, is the net income line is
10 tracking even though there's some pluses and minuses on
11 the -- on the items above the net income line.

12 MR. VINCE WARDEN: Yes. That's right,
13 Mr. Peters.

14 MR. BOB PETERS: Okay. I have your
15 point. And I should also indicate by way of
16 housekeeping, Mr. Chairman, that over the lunch hour,
17 Manitoba Hydro provided a copy -- paper copies of
18 Exhibit Manitoba Hydro 22, which was -- is the small
19 binder with information related to the MIPUG pre-ask
20 questions that related to depreciation. And that's
21 been circulated in paper form at this point in time.
22 It's already been marked, so it need not be further.

23 And included in that binder -- which if
24 Mr. Hacault hasn't got his yet he'll be getting one.
25 Included in that binder were paper copies of the infor

1 -- of the pre-ask questions that the Public Utilities
2 Board posed also related to depreciation matters, which
3 were responded to over the weekend by email. And --
4 but we've got paper copies now, and the parties are
5 being provided with them.

6 I'd like to begin this afternoon, Mr.
7 Warden and Mr. Rainkie, as well as Mr. Cormie, if -- if
8 you're along for the ride, to -- to talk about
9 operating, maintenance, and administration matters.

10 And as a starting point, Mr. Warden,
11 OM&A is the largest expense item listed on Manitoba
12 Hydro's IFF?

13 MR. VINCE WARDEN: Yes, Mr. Peters,
14 very -- actually it -- the -- very closely followed by
15 finance expense.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: Perhaps Mr. Warden --
20 oh, I'm sorry, did you have something further to
21 provide to the Board?

22

23 (BRIEF PAUSE)

24

25 MR. RAYMOND LAFOND: Mr. Warden, you

1 said closely followed by what expense?

2 MR. VINCE WARDEN: By finance expense.

3

4 CONTINUED BY MR. BOB PETERS:

5 MR. BOB PETERS: And I -- I think we're
6 pausing at your point, Mr. Warden, only to note on the
7 IFFs that in the latest IFF, Manitoba Hydro '12, by
8 approximately 2018, finance expense becomes perhaps the
9 largest expense item of the Corporation.

10 MR. VINCE WARDEN: That's right.

11 MR. BOB PETERS: All right. So I think
12 I have your point. But, Mr. Warden, would you agree
13 that OM&A is also the expense over which Manitoba
14 Hydro's management has the most direct control?

15 MR. VINCE WARDEN: Yes.

16 MR. BOB PETERS: And would it also be
17 correct to your understanding, Mr. Warden, that
18 Manitoba Hydro's OM&A cost containment is an issue
19 that's been before this Board for, oh, eight (8) to ten
20 (10) years?

21 MR. VINCE WARDEN: Yes, we speak of it
22 frequently.

23 MR. BOB PETERS: And I just, for the
24 benefit of the panel, maybe we can -- with your
25 assistance and Mr. Rainkie's, we can try to be brief on

1 this. But back in 2004, when the Board issued Order
2 101/04, which is found -- I'm going to page 135 of the
3 book of documents -- there was information provided to
4 the Board back in those days, Mr. Warden, respecting
5 Manitoba Hydro's OM&A costs per customer, as well as
6 that of BC Hydro.

7 I'm not sure if you have a specific
8 recollection of that, but it is noted in the Board
9 order?

10 MR. VINCE WARDEN: Yes.

11 MR. BOB PETERS: And do you recall at -
12 - at that time the OM&A per customer metric perhaps
13 showed BC Hydro in a more favourable position?

14 MR. VINCE WARDEN: Well, I -- I
15 believe, Mr. Peters, BC Hydro and Manitoba Hydro were
16 very closely -- very close at the time. Do you have
17 the reference on that?

18 MR. BOB PETERS: I was looking on page
19 135 in the middle of the page. And it's underlined in
20 the copy I inserted in the book of documents.

21

22 (BRIEF PAUSE)

23

24 MR. VINCE WARDEN: Yes, Mr. Peters, I
25 think there's probably a better reference elsewhere

1 that shows the actual tracking of Manitoba Hydro versus
2 -- versus other utilities, including BC Hydro.

3 MR. BOB PETERS: And if it's in the
4 book of documents, we'll hopefully come to it quickly.

5 MR. VINCE WARDEN: Okay.

6 MR. BOB PETERS: But if it's a
7 different document you're certainly welcome to provide
8 it to the Board. And this isn't meant to be a closed-
9 book exam.

10 MR. VINCE WARDEN: Yeah, sure.

11 MR. BOB PETERS: If there's more
12 information, please -- please provide it, sir.

13 MR. VINCE WARDEN: Sure. Thank you.

14 MR. BOB PETERS: The upshot of back in
15 2004, in terms of the Board's orders, was that a -- a
16 more detailed review of Manitoba Hydro's OM -- OM&A was
17 -- was going to be reviewed at subsequent hearings?

18 MR. VINCE WARDEN: Yes.

19 MR. DARREN RAINKIE: Mr. Peters, just
20 to jump in here on the BC Hydro situation, this is a --
21 a Board order going back to 2004. My recollection is
22 that rebuttal evidence that we filed at the 2008
23 hearing was that when you indexed it, that BC Hydro's
24 cost per customer was -- was going up at a much higher
25 rate than what Manitoba Hydro's was.

1 I can't -- I don't have the -- the
2 absolute numbers, but we just have to remember this was
3 in 2004, this quote. And I think the evidence that we
4 produced in the 2008 material in the GRA said something
5 different. So, you know, times change depending on
6 decisions and -- and cost pressures, et cetera. And I
7 just have that in my mind, that it was a fairly
8 favourable comparison to Manitoba Hydro back in 2008.

9 MR. BOB PETERS: Thank you, Mr.
10 Rainkie. If that's something you want to research
11 further and provide to the Board, please do. My point
12 of raising it is that, as a starting point in any
13 event, the Board had an interest in a more detailed
14 review of Hydro's OM&A going back to perhaps 2004.

15 MR. VINCE WARDEN: Agreed.

16 MR. BOB PETERS: And then the Board's
17 next review in Order 116/08, perhaps on page 137 of the
18 book of documents, the Board still had concerns about
19 cost control exercised by Manitoba Hydro in meeting the
20 financial targets.

21 MR. VINCE WARDEN: Yes, that concern
22 was expressed in the order.

23 MR. BOB PETERS: And also expressed in
24 the order on page 138 of the book of documents, second-
25 last paragraph, last sentence, was to the effect that

1 an adequate peer review could assist Hydro in perhaps
2 finding some efficiencies and making sure that its
3 practices were best practices that would benefit its
4 consumers?

5

6 (BRIEF PAUSE)

7

8 MR. VINCE WARDEN: Yes, Mr. Peters. I
9 -- I see that, not necessarily accepting the Board's
10 view on this; but I certainly accept their position.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: And if we flip ahead
15 to the Order 90/08, specifically on pages 142 and 143
16 of the book of documents, by the time that order was
17 issued, there had been no in-depth benchmarking
18 undertaken at that point in time, Mr. Warden?

19 MR. VINCE WARDEN: That's right.

20 MR. BOB PETERS: And at that point the
21 Board indicates that they weren't prepared to -- to
22 provide any directives relative to OM&A. But
23 certainly, the -- the independent benchmarking was --
24 was a concern for the Board?

25 MR. VINCE WARDEN: Yes, Mr. Peters.

1 The -- the Board was of the view that benchmarking
2 would be of some assistance. And Manitoba Hydro does
3 do periodic benchmarking with its peers on specific
4 areas. And what we do find, though, other utilities
5 are very reluctant to share information in a public
6 forum with respect to the results of those reviews. So
7 the benchmarking has severe limitations.

8 First of all, benchmarking is very
9 costly to perform. And to be able to compare between
10 utilities, there has to be a great deal of effort in
11 going -- goes into looking at such things as
12 organizational structure; Geography, for example, is --
13 affects -- certainly affects the comparisons between
14 utilities.

15 So we -- Manitoba Hydro has consistently
16 expressed the view that benchmarking may have a place
17 and is -- in fact, we did agree that we would look at
18 it more closely after IFRS implementation. But we've -
19 - we've all -- always said that we're -- we're
20 concerned about the cost of conducting a bench --
21 benchmarking exercise that would be meaningful.

22 MR. BOB PETERS: You mention in your
23 answer, Mr. Warden, that Manitoba Hydro has conducted
24 benchmarking on some specific issues related to OM&A?

25 MR. VINCE WARDEN: Yes. For example,

1 if we want -- we've looked fairly recently at our IT
2 costs and wanted to make sure that we were comparing
3 favourably at a high level compared to other utilities
4 in Canada. And we satisfied ourselves that, in fact,
5 within the very broad definitions that were assigned
6 for purposes of that study, we were, in fact, compared
7 quite favourably to other utilities.

8 But even with this study, there's
9 reluctance -- in fact, flat -- outright -- outright
10 refusal -- by the other utilities to share this study
11 in -- in a public forum for the reasons that they could
12 be very -- very well be identified, and they don't want
13 to com -- that comparison to be something that could
14 cause them issues with their regulators.

15 So -- so there's -- there's all kinds of
16 problems with benchmarking that -- that we've -- have
17 led us to believe that -- and -- and it -- as a matter
18 of fact, Mr. Scott referred to this in his opening
19 remarks, and something that I 100 percent endorse, and
20 that is that internal benchmarking is -- is the best
21 way to go - that is, compare yourself to yourself over
22 time.

23 MR. RAYMOND LAFOND: Can I interject
24 here? I -- I hear you, in terms of utilities being
25 reluctant to provide the information. But in a lot of

1 other sectors -- I'll use one, for example, healthcare
2 -- every major hospital across Canada knows what a cost
3 per weighted case is in each one (1) of these
4 hospitals. And it is -- I have to tell you this is
5 also very complex but it happens, and it is done, and
6 that information is shared with an interna -- with a
7 national institute.

8 So I'm wondering, why the reluctance in
9 -- with utilities while it's not with major hospitals
10 or, I would say, any -- or, just about any other --
11 other sector?

12 MR. VINCE WARDEN: Well, in the health
13 -- healthcare sector, and I -- and I don't know
14 anything about that, but there -- there may very well
15 be functions that are uniform between locations no
16 matter where they are and -- and it can be measurable.

17 But I know in the utility business, you
18 know, we talked a lot about water conditions and how
19 much that can affect our operations. So if we're
20 looking at a cost per customer, we have to factor out -
21 - out water conditions; we have to -- we have to look
22 at whether or not we're purchasing power in any given
23 year. The density of the customer population that we
24 serve versus another -- another utility can have a very
25 significant impact on -- on those costs.

1 So we've never really been able to come
2 up with meaningful -- meaningful comparisons between
3 utilities. We -- actually we -- going back a number of
4 years, we participated with the Canadian Electrical
5 Association in a performance evaluation exercise that
6 we maintained for over a decade. And eventually we all
7 abandoned the exercise because we just were not getting
8 any value out of that -- that comparison.

9 One of the -- you know, as -- as a
10 result of the last round of negotiations with our
11 bargaining unit, we have agreed -- and this is -- this
12 is a part of our -- our contract with IBEW, is that we
13 will be doing a benchmarking exercise with other
14 utilities in Canada as to wage rates for specific
15 classifications within IBEW.

16 And we agreed on that going on a year
17 now, and we're still -- we're still not agreed with --
18 with the bargaining unit on the terms of reference for
19 -- for this study. That's just how difficult it is to
20 get agreement on how -- how a benchmarking study can be
21 conducted. And beyond that, getting other utilities to
22 participate in that is -- is going to be very
23 difficult.

24 And unless -- unless you have a
25 representation across Canada on such a -- such an

1 exercise, you know, the results can be very -- very
2 misleading because there's no doubt that Western utili
3 -- utilities pay their workers much higher than they do
4 in -- in Manitoba and -- and Eastern Canada.

5 MR. RAYMOND LAFOND: And I did not want
6 to change the line of thought in terms of O&M, but in
7 terms -- would that reasoning apply to cap -- major
8 capital costs where -- where -- generation power plant,
9 for instance, based on circumstances? For instance,
10 you -- I mean, you could tell whether it would be about
11 the same price or what the benchmark would be, in terms
12 of construction costs?

13 MR. VINCE WARDEN: Well, you can get
14 kind of a rule of thumb comparison between a hydraulic
15 generating station installed in BC versus -- versus
16 Manitoba, in terms of cost per megawatt. But even
17 there, you know, the conditions can -- can greatly
18 influence that cost.

19 MR. RAYMOND LAFOND: I understand that
20 but it seems to me you need that kind of rationale or
21 basis in order to evaluate your contracts and your
22 estimated fees by your engineers, et cetera.

23 MR. VINCE WARDEN: And -- and we do.
24 We definitely do, do that, making provisions for local
25 circumstances.

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Is Manitoba Hydro
3 amenable to sharing its information with other
4 utilities on benchmarking issues, Mr. Warden?

5 MR. VINCE WARDEN: Well, we -- we
6 certainly share among -- amongst each other so we know
7 where -- where our peers stack up and we know where we
8 are. And if there's indications where there -- there
9 may be areas we can improve on, then that will be our
10 focus to try and imp -- implement those -- those
11 improvements. So, yes, we share amongst ourselves.

12 MR. BOB PETERS: And you share on a
13 confidential basis only?

14 MR. VINCE WARDEN: That's right.

15 MR. BOB PETERS: And so Manitoba Hydro
16 is no more willing to put its information public than -
17 - than any of the others?

18 MR. VINCE WARDEN: Well, there'd be no
19 point in -- in putting our information public without -
20 - without others to compare it to, because you wouldn't
21 be able to -- you know, unless you were just comparing
22 internally. So if you compared our -- our internal
23 statistics over time, that would be where the value
24 would be.

25 MR. BOB PETERS: Can that information

1 be disclosed by, instead of naming the other utilities,
2 just assigning a letter or a number to them?

3 MR. VINCE WARDEN: No, the utilities
4 would not agree to that.

5 MR. BOB PETERS: One of the points you
6 made was internal benchmarking. You compare yourself
7 to yourself. What does that exercise?

8 MR. VINCE WARDEN: Well, I think it --
9 it -- what it does is show the year -- if you're
10 satisfied with a starting point or at least you re --
11 know what the starting point is, then you'll be able to
12 -- to determine what the -- whether the year-to-year
13 increases or decreases are reasonable relative to an
14 internal benchmark.

15 And I -- and even with the comparisons
16 we've done with other utilities in the past, the cost
17 per customer with BC Hydro, SaskPower, Hydro-Quebec, I
18 believe was in that comparison, we've always maintained
19 it's the slope of the line -- it's the slope of the
20 line that's important.

21 So if you look an increase year over
22 year for Manitoba Hydro for a period of 'X' number of
23 years, look at the slope of the line versus the slope
24 of the line for the other utilities and -- and look at
25 how we're trending versus ourselves ver -- versus other

1 utilities, in terms of a trend line.

2 But the absolute dollar -- dollar
3 comparisons are really quite meaningless because of the
4 factors I mentioned earlier.

5 MR. DARREN RAINKIE: Mr. Peters, I
6 would also add that divergence that we've seen in
7 financial reporting, some utilities go into US GAAP,
8 modified IFRS. IFRS has also been another difficult
9 issue, because it's even hard to -- to understand
10 others' financial results and what accounting policies
11 they've applied, because people are using different
12 frame -- accounting framework. So it's something that
13 was originally touted as improving comparability
14 amongst the utilities has actually led to the -- the
15 opposite result.

16 MR. BOB PETERS: So now you need a
17 forensic accountant to help sort out what the
18 comparisons are, Mr. -- Mr. Rainkie?

19 MR. DARREN RAINKIE: Well, I think it
20 goes to what Mr. Warden talked about a bit earlier, is
21 that to get any meaningful results you would have to go
22 to a huge amount of rigour and understand their --
23 their practices to a -- to the very detailed level.
24 It's very difficult and -- and very costly to do that -
25 - that exercise, Mr. Peters.

1 MR. RAYMOND LAFOND: Can I -- I can
2 understand the -- the -- I guess, a reluctance by some
3 utilities to share the information and especially so
4 publicly, if I think of organizations like Fortis,
5 TransAlta, Anterra, whatever. But when it comes to
6 essentially monopolies like Manitoba Hydro and Quebec
7 Hydro, I have difficulty in understanding the
8 reluctance.

9 And I'll -- I'll give you an analogy. I
10 was CEO of an organization, a credit union. And the --
11 because the credit unions don't compete in one province
12 versus the other province, I could go, for instance, to
13 Quebec and get -- sit down for two (2) days and get
14 absolutely everything, all the information I wanted, to
15 start looking at what it would be to -- to be in such a
16 such a situation and why they could do this there and I
17 could not do it, et cetera.

18 MR. VINCE WARDEN: And I think if we
19 went to BC Hydro or Hydro Quebec and sat down with
20 them, they'd be willing to share information, as they
21 do. And we do get together with our peers occasionally
22 -- or, often, I should say. It's just when it comes to
23 sharing that information in a public forum, that's
24 where the difficulty arises.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: In Board Order 99/11,
3 found on page 145 of the book of documents, the Board
4 noted that Manitoba Hydro uses a productivity factor
5 between a 1/2 and 1 percent.

6 Can you explain that, Mr. Rainkie or Mr.
7 Warden?

8 MR. DARREN RAINKIE: Yes, Mr. Peters.
9 In our budgeting we recognize that costs, such as
10 labour and benefit costs, are -- are going up beyond
11 the -- the rate of inflation. But we build right into
12 our budgets a productivity factor so that the business
13 units are constantly looking for ways to deliver on
14 that productivity factor. And we expect them to find
15 innovative ways in the business to be able to meet
16 their budgets.

17 So while Mr. Thomson talked about, you
18 know, removing, you know, costs out of -- of -- based
19 on major initiatives out of the budgets, we tend to do
20 it every year by removing a certain productivity factor
21 and not allowing for any increases other than a 2
22 percent inflation.

23 MR. RAYMOND LAFOND: I -- I want to
24 continue on this line of thought. When the Canadian
25 dollar went up from sixty-three (63), sixty-five (65),

1 and sixty-seven (67) cents to par, or even a bit over
2 par, most companies had to -- and -- and who --
3 especially companies that were doing a substantial
4 portion of their volume in exports, had to radically
5 restructure, by different equipment, do all kinds of
6 things.

7 I wonder what Hydro does in that
8 respect, because increasing rates is -- is one way.
9 But how do you really adjust your costs to -- to be
10 able to compete in the export markets like other
11 private companies have had to do?

12 MR. VINCE WARDEN: The fact of the
13 matter is we have to keep the lights on. And that's
14 our -- our primary obligation to the consumers of
15 Manitoba. While there are some things we can do, like
16 restrict travel for example, that we talked about
17 earlier, in the overall scheme of things our -- our
18 major operating and administrative costs represent 77
19 percent of our total -- total costs.

20 And that's the people that are out there
21 working every day. When we get days like this, where
22 the -- get some icing on the lines, they're -- they're
23 out there rolling ice to make sure that the lights stay
24 on. And they quite often have to work around the clock
25 to do so.

1 So our costs -- even though we say we
2 have con -- control, some -- some control over our
3 operating and administrative expense, a lot of those
4 costs are fixed -- fixed in -- in order to do the
5 fundamental things that we do every day.

6 MR. RAYMOND LAFOND: I understand this.
7 On the other hand, some other corporations, as an
8 example, would get -- I mean Toyota Corporation -- to
9 come in and redo all their processes to see how they
10 could re-engineer -- not just cutting travel and that,
11 but really re-engineer -- the way you do things in
12 order to be more efficient.

13 Is this considered at some times?

14 MR. VINCE WARDEN: Well, we did tag --
15 tag on to the review the comprehensive review that was
16 done at BC Hydro. So when BC Hydro conducted their
17 review, we, of course, obtained a copy of their report
18 and went through that in great detail and looked at
19 things that they were doing where we could improve our
20 -- our operation. We presented a report to our audit
21 committee and our Board as to certain things that we
22 should investigate doing.

23 And we found out, in pursuing a lot of
24 those initiatives that BC Hydro has undertaken, that we
25 were, for the most part, already there. So there were

1 not a lot of efficiencies that we -- based on that
2 report, able to drive out of our system.

3 Now, have we done the same thing that
4 they did with our operation? No, we -- no, we have
5 not. But we're -- based on that review, we are
6 confident that we are do -- operating in an efficient
7 way.

8

9 CONTINUED BY MR. PETERS:

10 MR. BOB PETERS: That report that you
11 mentioned, Mr. Warden, is available on the internet?

12 MR. VINCE WARDEN: Yes. Yes, it is.

13 MR. BOB PETERS: Could Manitoba Hydro
14 undertake to provide the Board with the link to the BC
15 Hydro review that was done by -- done by some deputy
16 ministers, or former deputy ministers? Is that the one
17 you're referring to?

18 MR. VINCE WARDEN: Yes, it is. And as
19 a matter of fact we might even take it a step further
20 in that and provide a copy of the report that we --
21 Manitoba Hydro prepared as a result of that report, and
22 with an indication of the initiatives that we
23 undertook.

24 MR. BOB PETERS: And that's
25 appreciated. So in addition to the BC Hydro report, at

1 least a link to it at least, you'll provide copies of
2 the Manitoba Hydro initiative taken in response to what
3 happened in the BC Hydro review?

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: Thank you, Mr. Warden.

6

7 --- UNDERTAKING NO. 27: Manitoba Hydro to provide a
8 link to the BC Hydro report
9 and copies of the Manitoba
10 Hydro initiative taken in
11 response to what happened
12 in the BC Hydro review

13

14 THE CHAIRPERSON: That isn't -- I've
15 read that report. At least I've read the summary of
16 the report, and it's not quite the same thing, I think,
17 as what Monsieur Lafond was talking about. And I'll
18 cite a local example. St. Boniface Hospital has a lean
19 processing -- lean manufacturing process in place,
20 where basically they are taking steps to re-
21 manufacture, if you wish, the -- the service delivery
22 in the hospital with -- with a fair amount of success.
23 And Raymond can testify to that, because he was closely
24 involved with working with St. Boniface Hospital.

25

But in any case, the -- the point -- the

1 point here is that -- I -- I guess the question is:
2 Have you ever contemplated sort of addressing the re-
3 engineering of your processes as a means of -- as a
4 means of effecting significant change to -- to the way
5 in which you deliver services. And it's -- if properly
6 done, it has the impact of improving service delivery
7 but also reducing costs and making life easier for
8 employees who are doing the work.

9 So I guess the question is more
10 generally: Have you ever thought of that? Have you
11 ever considered that as part of your internal strategic
12 plans?

13 MR. VINCE WARDEN: We have definitely
14 thought of that. And, as a matter of fact, I think Mr.
15 Thomson also referred to that in his opening remarks
16 and that if we are going to make any drastic changes in
17 our cost structure, it will affect service.

18 So, for example, we currently have
19 seventy (70) district offices located throughout the
20 Province of Manitoba, and they're costly. They're
21 costly to maintain. But they're such an integral part
22 of every community that they're in. Any time we -- we
23 even hint at closing a district office, we get
24 tremendous backlash not only from the local municipal
25 government, but also from the residents in those

1 communities.

2 So are there more efficient ways to
3 deliver costs throughout the province? I -- I -- yes,
4 absolutely, there are. But it would have a dramatic
5 impact on the services that we provide to our
6 customers.

7 MR. DARREN RAINKIE: Just one (1) other
8 thought. I wouldn't want to leave the impression that
9 we're not constantly looking for improvements in our
10 processes, because it's just the opposite.

11 I mean, the way that the business units
12 are able to deliver on our targets net of a
13 productivity factor is by looking at more efficient
14 ways of operating. And throughout the material, we
15 provided examples like the mobile workforce management
16 project. And there was one question that asked, Could
17 you list all of our IT, you know, expenditures over the
18 last three (3) to five (5) years I think it was. And
19 it went on for pages.

20 So -- so, you know, there -- we -- it's
21 not that we're doing nothing. I think Mr. Thomson
22 talked about taking it to another level and looking at,
23 you know, our core business and -- and what cut -- what
24 stakeholders, as he said, wanted, but recognizing, as
25 Mr. Warden said, that if he started to cut those then

1 the stakeholders might not appreciate that, so.

2 But we shouldn't leave the impression
3 that -- that we're not constantly, at Manitoba Hydro,
4 looking at better ways of doing things, because we are.
5 And I think the record shows that.

6 MR. RAYMOND LAFOND: But I -- I think
7 in -- in my line of questioning, and certainly in the
8 Chair's question, because he did say -- indicate that
9 it's not an issue of reducing the service to the
10 customers. Very often, by re-engineering, you even
11 increase the service the customer, a better service at
12 less cost. And sometimes that involves capital
13 equipment like, you know, electronic digital metres or
14 things like that. But it is possible, when you really
15 start looking at it and, therefore, reduce over the
16 long term.

17 Now, for instance, I'm sure you had some
18 benchmarks within. And I'll give you an example.
19 Recently, someone tells me that in Winnipeg to buy --
20 to build an office tower of, let's say, forty (40)
21 stories or fifty (50) stories, whatever the number, it
22 would cost at least 15 percent more than in Toronto,
23 including the purchase of the land. So why is this?
24 Because there are no -- there's not a series of major
25 contractors to do these projects, and we don't have

1 five (5) of these towers going on all the time and when
2 one is over, there's a crew available for the next one.

3 And I'm wondering if you have these
4 types of benchmarks, for instance, for your capital
5 project, for -- they're major. And I doubt that any
6 one (1) contractor can assume it all. And -- and I
7 don't know if you're in the type of market to be able
8 to attract them.

9 But would you know, for instance,
10 internally, Well, in our case, it costs 20 percent more
11 to do such because of their circumstances, or not?

12 MR. VINCE WARDEN: We have a very
13 competitive bid processes on -- on contracts or lit --
14 let, for -- for example, for trenching -- trenching to
15 -- for underground cable installations. We found
16 ourselves in this situation a number of years ago where
17 -- where we didn't feel it was competitive enough, so
18 we broke our contracts down into a number of small
19 parcels such that it encouraged more small contractors
20 to get into the business. So now, today, there's a
21 very active, competitive market out there for our
22 trenching contracts. And I think when we recognize
23 such things, we take action to make sure that we are
24 keeping that market as competitive as -- as possible.

25 I'm glad you raised the office tower,

1 though, because I think Manitoba Hydro's new head
2 office is probably the -- the perfect example of
3 innovation across North America. We are -- that office
4 tower was built with a premium -- with a premium of
5 about 15 percent to make it as energy efficient as it
6 is. But we anticipated reducing our -- our costs of
7 operations, our -- our energy costs, by about 65
8 percent. In fact, we're tracking better than that.

9 So I think it is a model that others
10 aspire to in -- in terms of office towers for the
11 future. But that's just one (1) example. I think
12 there's other -- other things where people come to
13 Manitoba Hydro to -- to look at best practices, and we
14 do consider ourselves to be in that -- in that league
15 of best -- best practices.

16 MR. RAYMOND LAFOND: But very
17 specifically, in terms of the example of trenching, you
18 looked another -- at another method of proceeding. I -
19 - I guess the reason for this is because you had some -
20 - you could talk to, for instance, BC Hydro or Quebec
21 Hydro and -- and know that trenching generally is such-
22 and-such a price, and our prices are coming in way to
23 high, so we have to find another ways of doing it.

24 There's -- like in other words, what --
25 what created that instance where all of a sudden you

1 talked -- you -- you thought it was too expensive?

2 MR. BYRON WILLIAMS: Well, in that
3 particular instance we knew what could -- what our own
4 costs are. So we're not -- for the most part we do
5 contract out our trenching, but we do some of it
6 ourselves. So we compare it to our own costs, and
7 we're recognizing that we could do it at a price less
8 expensive than contracts. So that's what instigated
9 the review that we undertook to encourage -- encourage
10 more competition in that marketplace.

11

12 (BRIEF PAUSE)

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Mr. Warden, in your
16 last answer to Board member Lafond, you indicated that
17 the operating costs of your new tower were 65 percent
18 lower than what they were on your Taylor Avenue
19 property?

20 MR. VINCE WARDEN: The energy cost
21 compare -- compared to a new office tower being built
22 today. So compared to a -- to a standard, the --
23 Manitoba Hydro's costs of energy are 65 percent lower
24 than the standard. They'd be probably many times more
25 than that compared to 820 Taylor; 820 Taylor,

1 unfortunately, is at the other extreme.

2 MR. BOB PETERS: Maybe you could --
3 would you agree to undertake to file the -- the energy
4 or the operating costs reductions that you referred the
5 Board member to?

6 MR. VINCE WARDEN: Yes. Yes, I can do
7 that.

8
9 --- UNDERTAKING NO. 28: Manitoba Hydro to file the
10 operating costs reductions
11 with regard to the new
12 office building

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Thank you, sir. Back
16 with the Board's previous orders, and I'm up to page
17 147 in the book of documents, just below halfway in the
18 -- on the page.

19 Here's an indication that Manitoba Hydro
20 has asked the Board to defer the benchmarking studies
21 until after IFRS is -- is implemented, correct?

22 MR. VINCE WARDEN: Yes.

23 MR. BOB PETERS: And because IFRS has
24 been adjourned or postponed at least three (3) times,
25 this study and the terms of reference for this study

1 have likewise been -- been pushed back a few times?

2 MR. VINCE WARDEN: That's right, Mr.
3 Peters. But as you can probably conclude from previous
4 remarks, we're not optimistic what we're going to --
5 what we're going to achieve out of the benchmarking
6 study.

7 MR. BOB PETERS: And that's probably
8 where I was going to head in light of Mr. Rainkie's
9 answer, as well, that -- I take from your answer, yes,
10 you can do it because you've got to try to get it
11 apples to apples, in my words. But it's going to take
12 some time and some money to do that.

13 MR. VINCE WARDEN: Significant --
14 significant investment of time, resources, money, yes.

15 MR. BOB PETERS: And what's the dollar
16 value? Have you put a dollar value on that, or have
17 you given -- given your thought to that?

18 MR. VINCE WARDEN: Not at this time,
19 no.

20 MR. BOB PETERS: Okay.

21

22 (BRIEF PAUSE)

23

24 MR. BOB PETERS: Moving ahead to Order
25 5/12, and moving up to page 151 of the book of

1 documents. Near the bottom of the page on 151, PUB
2 Exhibit 14, the Board comments that it was convin -- it
3 is convinced that the:

4 "Both the province and the ratepayers
5 will benefit from the development of
6 an appropriate metrics to assess the
7 reasonableness of the level of
8 current and future OM&M (sic)
9 expenditures in advance and
10 particularly because of the proposed
11 major capital expansion projects."

12 Does Manitoba Hydro share that view?

13 MR. VINCE WARDEN: Yes, Mr. Peters.

14 And I -- I don't want to give the impression that we
15 don't believe in measurements and metrics. We -- we
16 absolutely do. We have to have the -- the metrics in
17 order to make sure that we're putting our resources
18 where they most importantly belong.

19 And one of the priorities of our new
20 president is to go through a strategic planning
21 exercise to make sure that we are focussing on the
22 right things. So I think that probably comes first, to
23 make sure we go through a -- a planning exercise to
24 identify those issues of highest priority to the
25 Corporation and then measure it to make sure we're

1 getting there. So set up some appropriate measures to
2 make sure we track towards achievement of those goals.
3 But that exercise that Mr. Thomson referred to has to
4 come first, in my view.

5 MR. BOB PETERS: Has Manitoba Hydro
6 determined the timeline it's going to need for that
7 strategic internal review, Mr. Warden?

8 MR. VINCE WARDEN: Well, it is a
9 priority, I know, a priority of Mr. Thomson. And he is
10 initiating that pretty much as we speak. So, yes, it
11 is -- it will be conducted over the next several
12 months.

13 MR. BOB PETERS: And what metrics are
14 going to be measured or tested in that review?

15 MR. VINCE WARDEN: Well, I think the
16 metrics will come out of that review. So determine
17 what the priorities are, set up the appropriate
18 measures to make sure we're tracking towards the
19 achievement of those priorities.

20 MR. BOB PETERS: Is that something that
21 you expect you'll be able to file with the Board when
22 complete?

23 MR. VINCE WARDEN: Oh, absolutely.
24 Yes, I do.

25 MR. BOB PETERS: Not only the Manitoba

1 Hydro Board, but this Board?

2 MR. VINCE WARDEN: Yes.

3 MR. BOB PETERS: Is the internal review
4 and strategic planning going to be done through the
5 services of an independent consultant?

6 MR. VINCE WARDEN: I'm not totally sure
7 of that, whether Mr. Thomson plans on engaging external
8 assistance with this or not. He hasn't really confided
9 that yet.

10 MR. BOB PETERS: Mr. Warden, in light
11 of the comments from yourself and Mr. Rainkie in the
12 last few minutes to the Board, you explain all of those
13 steps that Manitoba Hydro is taking and their concerns.
14 And yet the Board will see on page 156 of the book of
15 documents that even in light of that mind-set, your now
16 former president, Mr. Brennan, issued a memo on March
17 19th of 2009, where he raised concerns about OM&A
18 expense increasing at approximately -- or over the 8
19 percent level -- over 8 percent of the corporate level.

20

21 Do you recall that?

22 MR. VINCE WARDEN: Yes, I -- I do, Mr.
23 Peters. And Mr. Brennan, though, did go on to say that
24 he was aware of the increasing cost pressures in the
25 second paragraph. And I -- I won't read it, but I --

1 he -- he listed all of the things that Manitoba Hydro
2 was encountering, in terms of the increasing cost
3 pressures. And those -- those are real.

4 And what his main message here was he
5 expects the business units to be on budget. So that's
6 not to say those budgets won't be higher, but he -- he
7 wanted to make sure that the senior management was
8 aware that they had to meet budgets.

9 MR. BOB PETERS: Has the current
10 president issues similar memos related to OM&A expense?

11 MR. VINCE WARDEN: No, but that doesn't
12 mean that the message hasn't been delivered. We
13 certainly talk about this a lot at our executive
14 meetings and -- and elsewhere. We're -- every level of
15 management is trying to wring as much cost savings as
16 possible out of the operation.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: Mr. Brennan's memo was
21 two (2) weeks before the fiscal year end?

22 MR. VINCE WARDEN: Yes, March 19th, I
23 see that.

24 MR. BOB PETERS: And so the eleven (11)
25 month numbers presumably showed OM&A increases of over

1 8 percent. Is that what one concludes?

2 MR. VINCE WARDEN: Yes, but again, it
3 wasn't -- his focus was not intended to be so much at -
4 - on the year-over-year increase, but more so to -- to
5 be vigilant in -- in terms of meeting budgets.

6 MR. BOB PETERS: Two (2) weeks left to
7 meet the budget; is there much that can be done in that
8 time period?

9 MR. VINCE WARDEN: Well, I -- I think
10 he was not only referring to the -- the current fiscal
11 year, but the upcoming fiscal year. And -- and as a
12 matter of fact, in the third paragraph he -- he does
13 reference that.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: If we take the next
18 document, on page 157, it's a -- it's six (6) weeks
19 later the president sends out a further reminder memo,
20 if I may, for fiscal 2010?

21 MR. VINCE WARDEN: Yes.

22 MR. BOB PETERS: And in this case the
23 president goes a bit further and enacts travel
24 restrictions as well as promotion expense restrictions?

25 MR. VINCE WARDEN: That's right.

1 MR. BOB PETERS: But when the Board
2 looks at the 2010 budget for OM&A, it was set at
3 approximately 3 1/2 percent higher than the actual
4 results for 2009, Mr. Warden.

5 Do you recall that being the case?

6 MR. VINCE WARDEN: Yes.

7 MR. BOB PETERS: And so if we turn to
8 page 158, the president is saying for 2009 the
9 preliminary indication is a 7.2 percent increase in
10 OM&A, correct?

11 MR. VINCE WARDEN: Yes. Sorry, just to
12 be clear, that's at the business unit level and that
13 doesn't necessarily translate into the net OM&A after
14 allocations to capital.

15 MR. BOB PETERS: Right. We'll -- we'll
16 come to that, Mr. Warden. And then in addition to that
17 increase, the budget for the next year was actually set
18 3 1/2 percent higher than what 2009 came in at on a
19 business unit level?

20 MR. VINCE WARDEN: Yes. And I think
21 there's a brief explanation as to why that -- why that
22 occurred.

23 MR. BOB PETERS: You're referring to
24 the explanation on page 159, sir?

25 MR. VINCE WARDEN: Yes, I am.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: And can we see from
4 this information -- well, in addition to this
5 information, that even though the fiscal 2010 budget
6 was 3 1/2 percent higher than 2009 actuals, the results
7 for 2010 I think came in as much as 5.7 percent higher
8 than the 2009 actuals.

9 Is that your recollection?

10 MR. VINCE WARDEN: I think if we refer
11 to page 19 in Exhibit 15, the actuals for 2009/'10 came
12 in at 4.28 percent over '08/'09.

13 MR. BOB PETERS: Which page?

14 MR. VINCE WARDEN: Oh, I'm sorry, page
15 -- page 19 of that document.

16 And even in that year, I think I
17 indicated earlier, that that increase was at least in
18 part due to the -- the strike that we had in the -- in
19 the fall, the strike with our bargaining unit -- major
20 bargaining unit in the fall of 2009, which increased
21 costs by some \$6 million.

22

23 (BRIEF PAUSE)

24

25 MR. DARREN RAINKIE: Mr. -- Mr. Peters,

1 just to add to that, we filed that information as part
2 of PUB MH-159D. And -- and you'll recall that there
3 were also costs related to the KPMG risk management
4 review, as well. I think those two (2) points are
5 probably the -- the biggest reason for that increase;
6 the two (2) points being the strike and the KPMG
7 review.

8 MR. BOB PETERS: Thank you, Mr.
9 Rainkie. By August of 2010, which is Manitoba Hydro's
10 fiscal 2011 year, Manitoba Hydro's president issues a
11 third memo on OM&A, dated August 13th, Mr. Warden?

12 MR. VINCE WARDEN: Yes.

13 MR. BOB PETERS: And it's found at page
14 162 of the book of documents.

15 MR. VINCE WARDEN: Yes, I see that.

16 MR. BOB PETERS: And in this memo,
17 additional cost constraint measures were -- were
18 implemented or imposed?

19 MR. VINCE WARDEN: Yes.

20 MR. BOB PETERS: And that is the
21 restriction on non-essential travel, which -- do I
22 understand correctly remains to this day?

23 MR. VINCE WARDEN: Yes, it does.

24 MR. BOB PETERS: And there was a freeze
25 on filling vacant staff positions. Does that exist to

1 this day?

2 MR. VINCE WARDEN: Yeah. You know, I
3 probably wouldn't describe it as a freeze. It's a
4 restriction on the filling of vacant staff position,
5 because there are a number of vacancies that simply
6 cannot be left unfilled.

7 MR. BOB PETERS: Likewise, a reduction
8 in overtime costs was targeted by the former president?

9 MR. VINCE WARDEN: Yes.

10 MR. BOB PETERS: And a potential freeze
11 on executive and management salaries is also mentioned.
12 Did that happen?

13 MR. VINCE WARDEN: Well, management and
14 executive salaries were subject to the same two (2)
15 years of zero percent increases, or zero percent no
16 increases, that all of the bargaining unit employees
17 were subject to.

18 THE CHAIRPERSON: I'm sorry, zero
19 percent for two (2) years? Which two (2) years and
20 which staff?

21 MR. VINCE WARDEN: Yes, it was all
22 staff. Zero percent -- just -- if you just give me one
23 (1) minute I'll confirm the -- the time-frame. Just
24 one (1) second.

25

1 (BRIEF PAUSE)

2

3 MR. VINCE WARDEN: So increases that
4 normally would have been awarded January the 1st, 2010,
5 were zero for that year, and a further zero is part of
6 the recent negotiations that were just concluded with
7 IBEW. So that zero will be for 2013, the current
8 fiscal -- or the -- or the -- effective January the
9 1st, 2013, the -- there'll be a zero for that year,
10 which we'll apply to all bargaining units and
11 management and executive staff.

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: And what of the
15 intervening years, Mr. Warden; January 1st, 2011?

16 MR. VINCE WARDEN: January the 1st,
17 2011, there was a 2.5 percent general increase.
18 January the 1st, 2012, was a 2.5 percent general
19 increase. And no increases until January the 1st,
20 2014.

21 MR. BOB PETERS: Of how much on that
22 date?

23 MR. VINCE WARDEN: According to what
24 has been negotiated with IBEW, our largest bargaining
25 unit, January the 1st, 2014, is 2.75 percent; and a

1 further 2.75 percent effective January the 1st, 2015.

2 MR. BOB PETERS: Would it be correct to
3 assume that those same percentages were afforded to
4 management and executives, as well?

5 MR. VINCE WARDEN: Well, with respect
6 to the last agreement that I just referenced with IBEW
7 we are just currently embarking on negotiations with
8 the other bargaining units, that being CUPE, Canadian
9 Union of Public Employees; our gas workers, Canadian --
10 CEP; and -- and the association of staff and
11 supervisory employees.

12 So those -- those three (3) bargaining
13 units have not concluded negotiations yet.

14

15 (BRIEF PAUSE)

16

17 MR. RAYMOND LAFOND: Mr. Peters, before
18 we move to the next tab, on page 164, "Capital
19 Rationalization," third line, we say:

20 "Will require debt financing regular
21 or base capital."

22 What is your definition of "base
23 capital"?

24 MR. VINCE WARDEN: So we identify all
25 of our major new generation and construction, and we

1 have approximately fifteen (15) projects that fall into
2 that category, including such projects as Wuskwatim,
3 Keeyask, Conawapa, Bipole 3, the Pointe du Bois. So
4 those are -- those are -- are what we call major new
5 generation and transmission. All other capital is
6 referred to as base capital.

7 MR. RAYMOND LAFOND: Give me some
8 examples of the major ones.

9 MR. VINCE WARDEN: Of the base capital?

10 MR. RAYMOND LAFOND: Yes.

11 MR. VINCE WARDEN: Well, we would have
12 station upgrades, upgrades to distribution stations, or
13 -- or some of our generating stations, as well. If
14 they're just upgrades, or not just -- I should -- I
15 shouldn't say just, some of them are quite major, but
16 upgrades to existing generation, transmission,
17 distribution lines, customer service. A big portion of
18 the base capital is new service extensions to
19 customers.

20 MR. RAYMOND LAFOND: So, for instance,
21 Pointe du Bois is base capital because it is not
22 additional?

23 MR. VINCE WARDEN: No. Pointe --
24 Pointe du Bois was identified as a major new generation
25 and -- and construction. Just mainly because of the

1 magnitude of the -- of the expenditure.

2 An expenditures of that size would
3 distort our base capital. We try to -- try to keep our
4 base capital in the order of \$500 million per year, and
5 all other major new generation. So Pointe du Bois was
6 put in with major new generation and transmission for
7 that reason.

8 MR. RAYMOND LAFOND: So there's no
9 precise definition? It's -- like for instance, the new
10 office building would have been a new generation?

11 MR. VINCE WARDEN: Actually it was,
12 yes. We -- we made an exception for the new off --
13 even though it's not new generation and transmission,
14 we did include that as a separate line item within that
15 category. So, as again, because of the magnitude of
16 the expenditure not -- so as to not distort our base
17 capital.

18 MR. RAYMOND LAFOND: So, essentially,
19 the -- whether or not you put it into one (1) category
20 or the other is really the size of the expense.

21 MR. VINCE WARDEN: Essentially. Some
22 judgment involved in that, as well, because there are
23 some fairly major capital expenditures in base capital,
24 as well.

25 MR. RAYMOND LAFOND: Who makes that

1 decision?

2 MR. VINCE WARDEN: The executive
3 committee ultimately would make that decision.

4 MR. RAYMOND LAFOND: Thank you.

5

6 (BRIEF PAUSE)

7

8 MR. VINCE WARDEN: Mr. Lafond, I might
9 just -- for your further information, if you'd like to
10 refer to that specifically, the listing of major new
11 generation and transmission and what's included in base
12 capital, if you refer to Manitoba Hydro's IFF12, there
13 is a tab in there for the capital expenditure forecast
14 at page 29.

15 MR. RAYMOND LAFOND: I have it.

16 MR. VINCE WARDEN: So that first page
17 lists all of the major new generation and transmission,
18 and then the subsequent four (4), five (5), six (6),
19 seven (7) pages lists all of the -- what would be
20 classified as base capital.

21

22 CONTINUED BY MR. BOB PETERS:

23 MR. BOB PETERS: Mr. Warden, while I'm
24 on that point, would it -- would a distinction also be
25 that major capital projects are designed to provide

1 additional resources over and above what Manitoba Hydro
2 already has in terms of generation?

3 MR. VINCE WARDEN: Well, with the
4 exception we just noted; the new head office was an
5 exception, the Pointe du Bois is an exception.

6 MR. BOB PETERS: But the general -- the
7 general principle is that if -- if the resource brings
8 in new hydraulic generation, or, I suppose, thermal
9 generation, it becomes a major capital project.
10 Whereas, if it's repair, maintenance, or upgrades on
11 existing that doesn't enhance the energy capabilities,
12 then it -- it has to -- it's generally slotted into
13 base capital?

14 MR. VINCE WARDEN: Generally speaking,
15 that's true. We use base capital and sustaining
16 capital as somewhat interchangeable terms, so yes, that
17 -- that would be consistent with what -- what you just
18 said.

19 MR. BOB PETERS: Mr. Warden, perhaps,
20 following on some of the discussion you've had with the
21 panel, was it contemplated by Manitoba Hydro that if
22 Manitoba Hydro achieved a capital structure of 25
23 percent equity and then didn't have any major capital
24 plans, it could envision rate increases being tied to
25 inflation, or approximately inflation?

1 MR. VINCE WARDEN: Well, I think our
2 rate increases have been -- if you look at it over the
3 past twenty (20) years for sure -- they're
4 approximately equal to rate of inflation over that
5 period of time. So our -- our goal is always to have
6 rate increases or rate change that are closely aligned
7 with the rates of inflation.

8 But with respect to the achievement of
9 our long sought after debt-equity target, yes, that was
10 the thought: If we -- if we reach that target, we, in
11 effect, have covered for the majority of -- covered the
12 majority of our risks. There would be no need for rate
13 increases beyond that -- beyond that point other than
14 to maintain the -- the debt-equity level. Not ignoring
15 the other targets, though. We have to keep in mind
16 that we also have targets for interest coverage and
17 capital coverage, as well.

18 MR. BOB PETERS: And do you agree that
19 inflation really on -- only impacts on the OM&A expense
20 line item on the IFF, as opposed to the other expense
21 items?

22 MR. VINCE WARDEN: No, not really.
23 Inflation has a direct impact on the state of the -- or
24 is a reflection of the state of the economy, which has
25 a direct linkage to interest rates that we -- that we

1 pay as well. So -- so no, it's -- it's not only OM&A
2 that is affected by inflation.

3 MR. BOB PETERS: But your finance
4 expense doesn't fluctuate annually by the rate of
5 inflation, does it?

6 MR. VINCE WARDEN: No, it doesn't. But
7 over the long-term there's a linkage between the --
8 between the two (2).

9 MR. BOB PETERS: Over the long-term,
10 the new rates at which you negotiate your debt will
11 have some inflation factor built into them?

12 MR. VINCE WARDEN: Yes. And the short-
13 term debt is more so affected by -- by inflationary
14 factors; things that are going on in the marketplace
15 that affect our -- our short-term debt. And we try to
16 maintain our -- our floating-rate debt at approximately
17 20 percent of our total debt, so it's going to be
18 affected by short-term events, and -- and inflation
19 being one of those.

20 MR. BOB PETERS: And, Mr. Warden, you
21 told the Board that if you go back twenty (20) years
22 and look at inflation compared to the rate increases
23 you've recovered, you might be closely aligned to
24 inflation; is what I took from one (1) of your answers
25 just a few minutes ago?

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: What that brings into
3 play is that, I suppose, in the 1990s you've mentioned
4 that there were periods of time when no rate increases
5 were sought by the Corporation?

6 MR. VINCE WARDEN: That's right.

7 MR. BOB PETERS: And that as mandated
8 by the province?

9 MR. VINCE WARDEN: No, no. That was a
10 decision of the Board of -- of Manitoba Hydro. There
11 was a period, if you go back even further in history,
12 there was a -- a rate freeze mandated by the -- by the
13 province. But that's going way back into -- into the
14 '70s.

15 MR. BOB PETERS: So somebody told you
16 about it? But, Mr. -- Mr. Warden, my serious point of
17 getting there is, the fact that Manitoba Hydro had no
18 rate increases in some years back in the '90s isn't
19 relevant to today's situation, is it, because once you
20 get to 75:25 you've met your target?

21 MR. VINCE WARDEN: Not necessarily
22 relevant to -- to today's situation. But I think I was
23 just responding to your question as to whether or not
24 it was a long-term goal of rates to be -- rate
25 increases to be aligned with inflation.

1 MR. BOB PETERS: How fast, or how
2 slowly, Manitoba Hydro got to their -- their debt-
3 equity target, the fact is Manitoba Hydro is there?

4 MR. VINCE WARDEN: Yes.

5 MR. BOB PETERS: And maybe help me
6 mathematically with this, but the base rates are
7 exactly where they would have ended up, even if there
8 were rate increases in the 1990s, if the 75:25 debt-
9 equity target was the target?

10 MR. VINCE WARDEN: Well, yeah, I -- I
11 can agree with that. If we -- if we had rate increases
12 that were exactly equal with the rate of inflation over
13 that twenty (20) year period, base rates that we see
14 today would be approximately equal to where they are,
15 yes.

16 MR. BOB PETERS: What we do know from
17 earlier discussion in this hearing, is that in some of
18 the years leading up to Manitoba Hydro achieving its
19 debt-equity target, the rate increases were
20 considerably higher than inflation.

21 MR. VINCE WARDEN: Yes, there were a
22 couple of years in which there were 5 percent rate
23 increases.

24 MR. BOB PETERS: And we know that since
25 2008, when Manitoba Hydro did achieve its debt-equity

1 target of 75:25, rate increases have exceeded
2 inflation?

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: And we also know from
5 your IFF12 that was marked as Manitoba Hydro Exhibit 9
6 in these proceedings, that for the next eighteen (18)
7 years after these two (2) test years, and I guess even
8 including these two (2) test years, so the next twenty
9 (20) years, the rate increases are forecast to be at
10 least twice inflation?

11 MR. VINCE WARDEN: Well, you did say
12 forecast. And -- and we have to keep that in mind,
13 that it is just a forecast at this point in time and it
14 will be updated annually as conditions change, as we
15 know they will. It's only an indication,
16 directionally, at this -- at this stage. We're only
17 asking -- as you know, only asking for the 3.5 percent
18 effective April the 1st, 2013.

19 MR. BOB PETERS: No, I have your point,
20 Mr. Warden. But then forecast forward, Manitoba Hydro
21 has downgraded its inflation forecast from 2 percent;
22 it brings it down to more like one point seven (1.7) or
23 one point nine (1.9) in most years?

24 MR. VINCE WARDEN: Yes.

25 MR. BOB PETERS: And so the rate

1 increase is 3.95 percent?

2 MR. VINCE WARDEN: Yes.

3 MR. BOB PETERS: As opposed to 4
4 percent? Is that just an optics, or is that a
5 mathematical calculation?

6 MR. VINCE WARDEN: No, no, it is a
7 mathematical calculation. That is their equal annual
8 rate increase required to get back to our 75:25 target
9 by the end of the forecast period, by the end of that
10 twenty (20) year period.

11 MR. BOB PETERS: I just can't recall
12 there being rate increases to the second decimal, but
13 I'm sure there have been, but I've just forgotten them
14 as I sit here. But --

15 MR. VINCE WARDEN: Yes, yes, there have
16 been, actually.

17 MR. BOB PETERS: Jumping ahead, but
18 perhaps it's germane to the Board at this point in
19 time, and, Mr. Rainkie, you will discuss with the
20 Board, perhaps even later this afternoon, Manitoba
21 Hydro is proposing to -- to write off against retained
22 earnings rate regulated assets that are at least \$225
23 million in value?

24 MR. DARREN RAINKIE: Mr. Peters, just
25 to be clear, we're not proposing if something doesn't

1 change in the standards, or an interim standard
2 permitting rate regulated accounting isn't issued; we
3 will have to. It's not an election by Manitoba Hydro.

4 MR. BOB PETERS: Okay. We'll discuss
5 that further, Mr. Rainkie, but I've got your attention.
6 The -- the point you're telling the Board is two
7 hundred and twenty-five dollars (\$225) of rate
8 regulated assets are included in the new IFF12 as being
9 written off in -- not in the test years anymore, but
10 the year following the test years?

11 MR. DARREN RAINKIE: If it were only
12 two hundred and twenty-five dollars (\$225). I think
13 you have to put a million --

14 MR. BOB PETERS: Is that what I said?

15 MR. DARREN RAINKIE: -- a million
16 behind that, Mr. Peters. Perhaps, some other
17 observations on -- on your line of questioning because
18 I'm not quite sure what your theory is on a go-forward
19 basis, but when we -- when we think about the goal of
20 having rate increases and inflation we have to remember
21 about two (2) other things. One (1) is the significant
22 decline in export revenues, and that export revenues is
23 -- that we put in all the material. Mr. Thomson talked
24 about that as the driver for the rate increases in the
25 test years. Number 2, we also have, you know, aging

1 infrastructure and we're spending, as Mr. Warden said,
2 upwards of half a billion dollars a year on base
3 capital. So if you take that out twenty (20) years
4 that's \$10 billion of capital.

5 So you're replacing some of your old
6 imbedded costs at the new costs for the -- even on base
7 capital. So, you know, those are factors in our cost
8 structure as well that you have to -- it -- it's just
9 not the spending on major generation and transmission
10 that -- that's, you know, changing our cost structure.
11 There's also base business issues that are without
12 major new generation and transmission that is putting
13 cost pressures on our bottom line.

14 MR. BOB PETERS: Thank you, Mr.
15 Rainkie. Back to my point, and if I misspoke I
16 apologize, but the -- the \$225 million of rate
17 regulated assets that will be written off to -- against
18 Manitoba Hydro's retained earnings, that in and of
19 itself causes pressure on the rate increases, correct?

20 MR. DARREN RAINKIE: I don't think in
21 and of itself it does, Mr. Peters, because we tend to
22 draw a straight line through our rate increases.
23 Certainly it reduces our retained earnings in the short
24 period of the -- the early period of the IFF

25 But it's only a timing difference. We

1 would have to expense those costs over some period of
2 time. So we are writing them off at one (1) point in
3 time under the IFRS scenario, but I think if you get
4 out about ten (10) years in the forecast the debt to
5 equity ratio is about the same whether or not we write
6 off the rate-regulated assets.

7 So it's simply a timing difference. If
8 Manitoba Hydro was to ask for a rate increase to
9 compensate for that write-off, I think it's in the
10 material something like 61 percent, which we of course
11 would never do. So let's not leave the impression that
12 we would ever ask for that rate increase. We will use
13 our cost of service rate-setting to smooth -- you know,
14 smooth it over time, and -- and in time it will
15 reverse. It's simply a timing difference.

16 MR. VINCE WARDEN: I might just -- just
17 to further that, Mr. Peters. I think Manitoba Hydro is
18 very fortunate that we have -- our -- our rate
19 regulated assets are -- are very small compared to
20 other utilities.

21 So we talked earlier about BC hydro.
22 Their rate regulated assets are 2.4 billion, so they
23 have a huge problem there that -- that Manitoba Hydro
24 doesn't have.

25 So the -- the write-off that we will, if

1 we in fact do go to IFRS and rate-regulated accounting
2 is not eventually determined to be permissible, it's --
3 it's very manageable. The amount we're going to write
4 off to retained earnings is very manageable, and we
5 will recover that over a period of time.

6 I think one (1) other point I -- I'd
7 like to make with respect to our future rate increase
8 projection is that, as I mentioned earlier, 3.95
9 percent is just a mathematical calculation as to get --
10 what it takes to get back to 75:25 by the end of the
11 forecast period. But we have to remember that Conawapa
12 is coming into service -- not coming into service until
13 the very end of that forecast, out at -- in 2025/'26.
14 At that point Conawapa starts to generate significant
15 revenue.

16 So if we were to extend our forecast
17 further, beyond twenty (20) years, which we do for
18 internal purposes in scenar -- other -- looking at
19 other scenarios, we would see a very large increase in
20 revenues in the years subsequent to the twenty (20)
21 year forecast period.

22 So I think as we proceed down this path,
23 management will be make -- will be looking at our
24 forecast, making sure they're still on track. And if
25 that expectation of revenues at -- ten (10) years from

1 now, if we look at our twenty (20) year forecast and
2 we're going to see these -- these large revenues coming
3 in from Conawapa, I would expect that those rate
4 increase requests to this Board would be moderated
5 significantly.

6 So I wouldn't put too much emphasis on
7 the 3.95 percent for that twenty (20) year period --
8 or, eighteen (18) year period.

9 MR. RAYMOND LAFOND: Can I come in
10 here? I hear you in terms of, for instance, Conawapa;
11 but Wuskwatim has just come and has -- that does not
12 reduce rates whatsoever. Like why is the analogy not
13 similar?

14 MR. VINCE WARDEN: I think the analogy
15 isn't similar because Conawapa -- or, Wuskwatim was
16 brought in at a time when there was huge escalation in
17 commodity prices around the world. And as a matter of
18 fact, there's a -- an article that we filed at this
19 last -- or, the last proceeding. I think it was
20 called, "Sticker Shock," or some such thing, that
21 referred to just that phenomenon.

22 So it wasn't just Manitoba Hydro that
23 was experiencing those huge increases in costs that we
24 saw with Wuskwatim. We have taken a little bit
25 different approach with both our fore -- forecasts for

1 both Keeyask and Conawapa in that we've provided a risk
2 -- a management risk amount in those forecasts such
3 that we've made some provision for any kind of cost
4 increases.

5 So I think we've -- whereas with
6 Wuskwatim, we didn't provide for that risk factor, we -
7 - we have with these other projects such that we won't
8 see a similar circumstance with those projects going
9 forward. There's no guarantees, of course. We don't
10 know what's going to happen with prices in the future.
11 But I think we're better prepared in our forecasts now
12 to deal with that than we were with Wuskwatim.

13 MR. RAYMOND LAFOND: I -- I -- you
14 know, this is probably a case for the NFAATs. I'm not
15 going to go further on Conawapa, just -- it was just a
16 matter of finding out why Wuskwatim was not the same
17 thing.

18 Now, really, when -- when sitting here,
19 and I look what has happened over the nine (9) -- the
20 last nine (9) years and we've had great water flows, so
21 that increases volume, so that helps the bottom line,
22 because that's unexpected revenues, essentially.

23 Inflation rate has been relatively low
24 over the last five (5) and more years. Depreciation,
25 unless you go to new projects, does not increase on a

1 year-to-year basis. And finance expenses, I mean,
2 interest rates have really declined substantially in
3 the last five (5) to ten (10) years. So whenever
4 you're renewing debt it's at a lower rate than you had
5 it prior.

6 So it seems to me, when I look at the
7 increases in rates for the last few years, it is
8 substantially above inflation in spite of these good
9 factors: lower interest rates, great water flows and
10 therefore more exports. Depreciation is a fixed
11 expense. It does not go up by -- by inflation.

12 And so that -- that really is difficult
13 to -- when looking at the global picture, why this is
14 happening.

15 MR. VINCE WARDEN: But -- but --

16 MR. RAYMOND LAFOND: I will add except
17 -- except for the fact of new construction projects
18 coming in and having to build some equity for these new
19 construction projects.

20 MR. VINCE WARDEN: Well, Mr. Lafond,
21 the major, major factor that you didn't reference is
22 export prices. So the bottom has fallen out of our
23 export price market. And, you know, I indicated
24 earlier, over the past four (4) years our export --
25 amount of our exports sales, despite the fact we've had

1 excellent water flow conditions over tho -- that period
2 of time, our exports -- the total value of our exports
3 has gone down by 42 percent over that same period of
4 time. That's the major reason.

5 MR. RAYMOND LAFOND: That's true.

6 MR. DARREN RAINKIE: Mr. Lafond, I
7 would also add that we had suffered a drought in
8 2003/'04, so some of the rate increases right after
9 that period of time were -- were to recover the effects
10 of that drought. And then as Mr. Warden mentioned,
11 after that, net export revenues have been decreasing
12 fairly significantly in the last couple of years. So
13 those are probably the two (2) largest factors.

14 MR. RAYMOND LAFOND: Well, I -- I will
15 ask this question now, and maybe we'll deal with it
16 later. And if that's the case, please let me know and
17 we'll deal with it then.

18 Generally speaking, when any business
19 looks at a new project, it has to raise the equity, the
20 25 or -- or 40 percent required, before the project
21 states -- starts. So in our case we need the rates not
22 to build -- not to maintain the equity -- the equity at
23 25 percent over these huge projects, but rather just to
24 take care of the current operations due to decreased
25 export prices.

1 Am I right in assuming that?

2 MR. VINCE WARDEN: Yes, you are right.
3 The amount of capital we need for these major projects
4 will, for all intents and purposes, be debt financed.
5 So we'll be financing that through debt.

6 MR. RAYMOND LAFOND: We have to admit,
7 as Manitobans who are not only consumers but investors,
8 that really increases the risk of -- of the utility,
9 because generally speaking, from a business
10 perspective, you make sure you have some equity ahead
11 of time to take care of some unforeseens.

12 MR. VINCE WARDEN: And -- and, you
13 know, we are in the fortunate position that we do have
14 equity. We do have \$2.5 billion of equity. We do have
15 our financial ratio at 75:25. So embarking on these
16 projects, we're in a pretty good place. There -- not
17 to say that there isn't risk going forward. There --
18 there certainly is, and that's going to be the subject
19 of the NFAAT hearings for sure. But if you look at our
20 forecast and you look at the recovery over that twenty
21 (20) year period through revenues that are generated
22 from those projects, it looks pretty good. Now,
23 there's lots of risks around that, but that's probably
24 discussion for another day.

25 MR. RAYMOND LAFOND: But it does go

1 down to 10 percent? The equity ratio, it does come
2 down to twenty (20) -- to 10 percent, and that's
3 assuming no increases in interest rates, if I read this
4 correctly.

5 MR. VINCE WARDEN: It does. The equity
6 ratio does go down to 10 percent. Then you have to ask
7 yourself: Do you have a sufficient -- sufficient level
8 of equity in absolute dollar terms to meet the risks of
9 the Corporation over that period of time? So if we
10 have a major drought, a five (5) year drought costing
11 1.6 billion, can we withstand that without going into
12 negative retained earnings, which, of course, would be
13 disastrous? But, yes, we -- we -- the answer to that
14 is yes, we do have sufficient retained earnings. And
15 if you look at -- even though the ratio goes down to 10
16 percent, our retained earnings continue to increase
17 modestly over that period of time.

18 MR. RAYMOND LAFOND: But we could not
19 afford several factors happening at the same time; for
20 instance, substantially increased interest rates and a
21 drought, followed shortly after by a second drought?

22 MR. VINCE WARDEN: Well, that's right.
23 If we had back-to-back droughts, it -- it would be --
24 you know, there -- there -- we can only provide for so
25 much, though, you know? There are risks going forward.

1 We provide for those risks as best we can. If there is
2 an event, an unprecedented event, then we would have to
3 deal with that at the time.

4 I -- I just want to make sure we're
5 clear, though, that even though I did say that the
6 majority of those major projects will be debt financed,
7 there is a portion that is financed from internally
8 generated funds. So to the extent that we generate
9 more funds internally than we need to fund base
10 capital, any excess would be -- would be invested in
11 those -- that major new generation transmission.

12 MR. RAYMOND LAFOND: If I understood
13 the presentations by Mr. Cormie and others, essentially
14 we have built in average water flows, taking into
15 consideration droughts over the long-term. Over the
16 short-term could be a problem; but over the long-term,
17 they're built in the forecast.

18 Am I correct in assuming that?

19 MR. VINCE WARDEN: Yes.

20 MR. RAYMOND LAFOND: Now, that's the
21 case for the generation of electricity. But in terms
22 of financing costs or interest rates, we are projecting
23 over the future at the current rates and not at average
24 rates, for instance, over the last thirty (30) years or
25 fifty (50) years?

1 MR. VINCE WARDEN: The rates going
2 forward are -- are based on our best projection of what
3 those rates will be when -- when the funds are required
4 to be borrowed, yes.

5 MR. RAYMOND LAFOND: Which is at --
6 which are at increased rates to what they are today?

7 MR. VINCE WARDEN: Yes. We're at an
8 all-time low, in terms of our borrowing costs, and they
9 are projected to increase modestly --- not -- not
10 dramatically, but modestly -- over -- over the next ten
11 (10) -- ten (10) years.

12 MR. RAYMOND LAFOND: I sit on another -
13 - another board whereby at the end of the year -- we
14 have fifteen (15) year fixed interest rates. And at
15 the end of the year, we have, for the auditors, to
16 reflect the fair-value adjustment to retained earnings,
17 therefore being a substantial reduction of -- to --
18 retained earnings, simply because borrowing at 5.5
19 percent, for instance, when today you could borrow the
20 same amount of dollars for the same maturity date at 4
21 percent, requires a major discounted value adjustment
22 to retained earnings. And I checked the financial
23 statements, and it does not seem as is -- as if my --
24 Manitoba Hydro is required to do this, or -- and if it
25 will be under IFRS, I did not see this as one of the

1 adjustments, not to the income statement, but to
2 retained earnings.

3 MR. VINCE WARDEN: Yes, we actually
4 reflect that amount in a note to the financial
5 statements.

6 MR. RAYMOND LAFOND: Could you tell me
7 where that is?

8 MR. VINCE WARDEN: Yes. Mr. Rainkie is
9 just looking it up as we speak here, I think.

10 MR. RAYMOND LAFOND: It is in a note
11 and not as an adjustment to the retained earnings.

12 MR. VINCE WARDEN: It is; it is in a
13 note.

14

15 (BRIEF PAUSE)

16

17 MR. RAYMOND LAFOND: And your auditors
18 agreed to that?

19 MR. VINCE WARDEN: Oh, yes, that's in
20 accordance with Canadian GAAP.

21

22 (BRIEF PAUSE)

23

24 MR. DARREN RAINKIE: Mr. Lafond, if you
25 look at note 16, page 74 of our last annual report,

1 there's a chart on financial instruments, and it has,
2 "Carrying Value" and "Fair Value." And if you go down
3 under "Other Financial Liabilities," you'll see, "Long-
4 term Debt, Including Current Portion."

5 So the carrying value is \$9.4 billion,
6 and the fair value is 11.7 billion. I think that's
7 what you're referring to as the disclosure of the
8 difference between carrying value and fair value at
9 today's interest rates?

10 MR. RAYMOND LAFOND: Yes.

11 MR. DARREN RAINKIE: And just a
12 previous question, you were interested in our interest
13 rates that we put into our IFF12 and where they are in
14 the future relative to where they are today.

15 Sorry to quick -- I keep switching
16 documents but -- oh --

17 MR. RAYMOND LAFOND: Maybe we can
18 finish on this --

19 MR. DARREN RAINKIE: Sure

20 MR. RAYMOND LAFOND: -- note 16 first.

21 MR. DARREN RAINKIE: Sure.

22 MR. RAYMOND LAFOND: So if you had to
23 adjust your retained earnings based on that you would
24 have to adjust your -- I mean, your retained earnings
25 would essentially disappear.

1

2

(BRIEF PAUSE)

3

4

MR. DARREN RAINKIE: I'm not sure why
5 we would adjust retained earnings. We're -- we're
6 carrying these -- these debt costs at amortized costs.
7 This is just, I think, providing an idea of what the --
8 the debt would be issued in today's terms. So I don't
9 -- I don't think we would ever adjust retained earnings
10 for that differential. It's really just a notional
11 calculation for information for users.

12

MR. RAYMOND LAFOND: I understand that,
13 but some other corporations are obliged to adjust it to
14 retained earnings and not just put in a note.

15

MR. VINCE WARDEN: Mr. Lafond, I think
16 only on the -- on the investment side. We're talking
17 on the debt side here. There -- there'd be no
18 adjustment to retained --

19

MR. RAYMOND LAFOND: I -- I wasn't
20 referring to the debt side.

21

MR. VINCE WARDEN: I -- I -- this is a
22 leg -- we have legal obligations to repay the debt in
23 the principal amount as stated. So I -- it would not
24 make sense to adjust that to -- to current value on the
25 -- on -- to retained earnings. It's -- I -- I -- maybe

1 I'm missing your point, but it's --

2 MR. RAYMOND LAFOND: No, I -- I
3 understand your reasoning very well. But I know for a
4 fact that some other corporations -- maybe it's only
5 the private for-profit sector -- they do have to make
6 the adjustment to their retained earnings by that
7 notional value difference as if they were -- they would
8 sell that debt at market rate and replace it with lower
9 rates -- a debt with lower rates.

10 But that's fine; I have an understanding
11 now of the issue and -- and of the impact it would be
12 otherwise.

13 MR. DARREN RAINKIE: And, Mr. Lafond,
14 that will -- even under -- if we move -- well, when we
15 move to IFRS, we'll still hold our debt at amortized
16 cost. It won't be at fair value. So that's -- for
17 publically -- you know, public companies. We don't
18 make that adjustment to our retained earnings.

19 MR. RAYMOND LAFOND: Thank you. Now we
20 can go to the other matter.

21 MR. DARREN RAINKIE: Okay, number 2.
22 Sorry to keep switching documents on you, but if you'll
23 now pull out your IFF12 document, and if you go to page
24 3 of that document, there's a Section 2.3, which
25 discloses our economic assumptions built into the

1 forecast. I'll just let you grab that, and...

2 MR. RAYMOND LAFOND: I do have it.

3 MR. DARREN RAINKIE: Okay. So if you -
4 - if you go to the middle of that table, you can see
5 our short-term debt rate assumptions over various years
6 and then our long-term debt rate assumption. And as
7 the little footnote says at the bottom of that table,
8 you have to add 1 percent as well for the provincial
9 debt guarantee fee so -- to get our total borrowing
10 costs.

11 So -- so that gives you an idea what the
12 current forecasted rates are and where we see them
13 going in the future.

14 MR. RAYMOND LAFOND: Thank you. And I
15 was going to ask you another question later on, on
16 this, as to where you do take these estimates, the --
17 these estimates of future rates?

18 MR. DARREN RAINKIE: They're based on
19 consensus forecasts of forecasters out in the
20 marketplace.

21 MR. RAYMOND LAFOND: Could you give me
22 examples of who you're using?

23 MR. DARREN RAINKIE: You know, I think
24 that there's probably an IR that lists this in gory
25 detail. But it would be, you know, the -- the

1 chartered banks, et cetera.

2 MR. VINCE WARDEN: Yeah, the -- the
3 major financial institutions that -- that do this
4 forecasting. So similar to what we have on the export
5 price forecasting, we -- we have a -- a stable of
6 forecasters that we use for interest rate forecasting
7 as well. So it takes -- takes the Manitoba Hydro, any
8 bias that we might have, out of the forecast.

9 MR. RAYMOND LAFOND: Because this is
10 public information, could we have a copy of this just
11 to get an indication of where they are at, you know,
12 the different forecasters?

13 MR. DARREN RAINKIE: Why don't we
14 undertake to point that out to you, because I'm almost
15 a hundred percent sure it's on the record somewhere?

16 MR. RAYMOND LAFOND: Thank you very
17 much.

18 MR. DARREN RAINKIE: Sure.

19 MR. BOB PETERS: We'll ask Manitoba
20 Hydro to provide us with the information request to
21 which Mr. Rainkie is referring to respond to the Board
22 member's request. Thank you.

23

24 --- UNDERTAKING NO. 29: Manitoba Hydro to provide
25 the Board the information

1 request which addresses the
2 list of forecasters used
3 for estimated future rates
4

5 THE CHAIRPERSON: I -- I want to follow
6 up on the -- the statement, I think, to the effect that
7 even if the major new capital -- new generation
8 projects were not to proceed, that the Manitoba Hydro
9 would probably be before this Board, asking for
10 significant increases going forward.

11 Now, there's a -- you know, there's a
12 perception out there that the kinds of increases that
13 are being requested stem largely from the new projects
14 that are being proposed, the new generation projects
15 that are being proposed.

16 And I guess if we accept what Manitoba
17 Hydro is saying, it -- it suggests to me that -- that
18 one of the messages that needs to get out to
19 ratepayers, or to the -- to people who -- who buy
20 energy from Manitoba Hydro, is that get read -- get
21 ready for increases going forward irrespective of
22 whether or not those generation projects -- the new
23 generation projects are going to be undertaken.

24 Did I -- did I get -- did I get that
25 right?

1 MR. VINCE WARDEN: Yes, you did. We --
2 we've talked about the aging infrastructure issue.
3 We've talked a lot about that. So our costs are -- are
4 going to go up for that reason. But, probably more
5 importantly, do nothing is not an option. Like, we
6 need new supply for the Manitoba load in 2021/'22 time
7 frame.

8 We -- we -- if we don't build new
9 generation, new hydraulic generation, then we have to
10 put something in place. That something in place -- and
11 again, we're getting into the NFAAT -- that alternative
12 would be more expensive than what we're proposing over
13 the long term.

14 So, yes, rate increa -- there will be
15 rate increases in the future. We're hopeful -- we're
16 expecting, as a matter of fact, that those rate
17 increases will be moderated as we go forward.

18 MR. RAYMOND LAFOND: I just want to be
19 clear on that, in the sense that we would need that to
20 sustain -- to -- to, of course, supply the Manitoba
21 consumers, but also to sustain the firm contract --
22 contracts we have for exports?

23 Or are we saying that by that time, in
24 twenty (20) years from now, essentially we would only
25 be using -- selling surplus at some times of the year

1 because essentially we would need most of the
2 production, or a very large portion?

3 MR. VINCE WARDEN: Well, I think my
4 point was we -- we do need new supply, new generation
5 of some source in 2021/'22 time frame. So we'll have
6 to put capital facilities in place to serve that.

7 So if, for example, it was a gas
8 combustion turbine instead of hydraulic generation, we
9 would -- we would still have surplus hydraulic to sell
10 on the export market when water conditions were above
11 dependable flows. So there al -- there will always be
12 that surplus generation there for sale on the export
13 market. But we have to be able to have supply
14 facilities in place for when water flows are -- are
15 lower than -- or, at dependable or lower levels, which
16 we know inevitably will happen.

17 MR. DAVID CORMIE: Mr. Lafond, we
18 talked about the three (3) major export contracts that
19 have been signed recently, the first one being the sale
20 agreement that goes from 2015 to 2025. That is coming
21 from existing resources. Manitoba Hydro does not have
22 to build any resources to serve that sale.

23 The sales to Wisconsin and to Minnesota
24 Power have a condition precedent that we're only
25 obligated if we build new resources. So if we choose

1 not to build new hydraulic resources, the Minnesota
2 Power sale dies, the Wisconsin Public Service sale
3 dies, and the 125 megawatt sale to NSP don't go
4 through, and we slowly get out of the business of
5 selling long-term power, because we just don't have the
6 -- the resources.

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: In an effort to assist
10 the Board, Mr. Rainkie, in closing up that undertaking,
11 this could be the very first -- I won't say it will be
12 the last -- my answering a Hydro undertaking, but PUB
13 First Round 28 is a document that I've asked Ms. Ramage
14 to put before you to respond to Board member Lafond's
15 questions. In specific, this document does list some
16 of the counterparties.

17 Is this the document to which you were
18 referring, Mr. Rainkie?

19 MR. DARREN RAINKIE: It's at least one
20 (1) of them, Mr. Peters.

21 MR. BOB PETERS: And could you just
22 provide Board member with an indication as to who the
23 counterparties are that are -- that are -- whose names
24 are used in the -- in the forecasting?

25 MR. DARREN RAINKIE: Sure. So we have

1 the major chartered banks, BMO Nesbitt Burns, CIBC,
2 National Bank, Royal Bank, Scotiabank, TD Bank, IHS
3 Global Insight, and Conference Board, I think, are the
4 ones that are referenced here mister -- Mr. Peters.

5 MR. RAYMOND LAFOND: Where are you
6 looking at, please?

7 MR. DARREN RAINKIE: I'm looking at the
8 response to the First Round Information Request of the
9 PUB number 28C.

10 MR. RAYMOND LAFOND: Thank you.

11

12 (BRIEF PAUSE)

13

14 MR. VINCE WARDEN: That's also -- Mr.
15 Lafond, referred to in Manitoba Hydro's economic
16 outlook document, which is located at Appendix 4.1 of
17 the filing.

18

19 CONTINUED BY MR. BOB PETERS:

20 MR. BOB PETERS: Mr. Rainkie, if I
21 might, I want to go back to close off this area of
22 questioning relative to those memos and directions from
23 Manitoba Hydro's former president, by just looking at
24 page 173 of Board counsel's book of documents.

25 And this is Manitoba Hydro's response to

1 Information Request PUB/Manitoba Hydro First Round 64J.
2 And for the assistance of the Board, Mr. Rainkie, you
3 can confirm that the -- that the columns of -- the four
4 (4) columns on the right-hand side, or the page are the
5 furthest to the right, those represent information that
6 was provided to the Board at the last general rate
7 application, with respect to OM&A expenses?

8 MR. DARREN RAINKIE: Yes, Mr. Peters.
9 I believe that the numbers there for 2010/'11, '11/'12
10 were based on IFF10-2, which was filed at the end of
11 the last proceeding.

12 MR. BOB PETERS: And in the four (4)
13 columns on the left-hand side of the page, those
14 represent the actual results that occurred for fiscal
15 years '10, '11, and '12 of the Corporation?

16 MR. DARREN RAINKIE: That's correct.

17 MR. BOB PETERS: And so, for example,
18 the wages -- let's pick the first line: wages and
19 salaries. At the last GRA, Manitoba Hydro's forecast
20 of compounded annual growth, as found in the furthest
21 right-hand column, was approximately 2 percent. That's
22 what was anticipated back at the GRA, Mr. Rainkie?

23 MR. DAVID CORMIE: That's correct.

24 MR. BOB PETERS: And the Board will see
25 that it actually came in closer to 5.2 percent

1 increase.

2 MR. DAVID CORMIE: That's right, Mr.
3 Peters.

4 MR. BOB PETERS: All right. And a
5 number of other items can be checked, as well. Travel,
6 for example, that the GRA was going to increase
7 expected on a 2 percent compounded annual growth basis,
8 and it actually came in at negative one point eight
9 (1.8), correct?

10 MR. DAVID CORMIE: That's correct.

11 MR. BOB PETERS: And that would be due
12 to the directive of the president?

13 MR. DARREN RAINKIE: Yes, ongoing costs
14 constraints on the line item, Mr. Peters.

15 MR. BOB PETERS: And I'm not sure the
16 customer and public relations, as well as the sponsored
17 memberships, were going to decrease, was the
18 expectation based on a three (3) year compounded annual
19 growth, and the -- the decrease wasn't as -- as
20 expected.

21 Do you recall anything that -- any
22 circumstances that resulted in that?

23

24

(BRIEF PAUSE)

25

1 MR. DARREN RAINKIE: Mr. Peters, I'd
2 have to check on that. I could probably do that
3 quickly at the break, if it's important to you.

4 MR. BOB PETERS: Well, I just wanted --
5 this was one (1) of the items, Mr. Rainkie, that the
6 president identified in his memo; that is, the
7 sponsored memberships?

8 MR. DARREN RAINKIE: Yes, I believe it
9 is, Mr. Peters.

10 MR. BOB PETERS: All right. When we
11 look at total costs, Mr. Rainkie, these total costs
12 include OM&A expenses that will subsequently be
13 capitalized by Manitoba Hydro, correct?

14 MR. DARREN RAINKIE: That's correct.

15 MR. BOB PETERS: And we're looking here
16 at them -- your presentation here as considered by your
17 cost element?

18 MR. DARREN RAINKIE: That's right.

19 MR. BOB PETERS: And at the last GRA,
20 the compounded annual growth was forecast at two-point-
21 two (2.2), and it's come in about four-point-three
22 (4.3)?

23 MR. DARREN RAINKIE: That's right.
24 Both for items that will ultimately be expensed and
25 items that will ultimately be capitalized --

1 MR. BOB PETERS: That's -- that's the
2 whole basket of O&M expenses?

3 MR. DARREN RAINKIE: It's the whole
4 basket of internal costs, I suppose. As an accountant,
5 I would only think of operating costs as being the very
6 bottom line, but this presentation includes items that
7 are -- that will be capitalized at the top part of the
8 sheet, as you've noted, and then we pull the -- the
9 capitalized amounts out at the bottom to get to a net
10 operating figure, Mr. Peters.

11 MR. BOB PETERS: But whether they're
12 capitalized or not capitalized, Mr. Rainkie, the
13 intention of the Corporation is to manage and control
14 them just the same, regardless of which -- which
15 category they end up in?

16 MR. DARREN RAINKIE: That's right.
17 They're -- they're total resource costs one (1) way or
18 another, despite the accounting treatment.

19 MR. BOB PETERS: And we can see the --
20 the magnitude of the -- the capitalization -- Mr.
21 Rainkie, just since we mentioned it, there's a line
22 item down the left-side called, "capital order
23 activities," and \$243 million in '10/'11, for example,
24 actual?

25 MR. DARREN RAINKIE: That's correct.

1 MR. BOB PETERS: And you'd have to add
2 that, Mr. Rainkie, to the capitalized overheads, in
3 terms of getting what amounts would be allocated on the
4 electric side as capital expense items?

5 MR. DAVID CORMIE: You understand the
6 schedule very well, Mr. Peters.

7 MR. BOB PETERS: All right. And the
8 last point then is that the -- what you call operating
9 OM&A expenses, is the number that falls to the bottom
10 line there, the three hundred and ninety-six million
11 nine hundred and sixty four thousand dollars
12 (\$396,964,000) of OM&A attributed just to the electric
13 operations that would show up in the operating
14 statement?

15 MR. DARREN RAINKIE: Yes, roughly 397
16 million, Mr. Peters.

17 MR. BOB PETERS: Thank you. And, Mr.
18 Chairman, in light of the hour this might be an after -
19 - time for the afternoon break, subject to the Board's
20 wishes.

21 THE CHAIRPERSON: Okay. Let -- let's
22 recess and return at three o'clock.

23

24 --- Upon recessing at 2:46 p.m.

25 --- Upon resuming at 3:02 p.m.

1 MR. BOB PETERS: Thank you, Mr.
2 Chairman.

3

4 CONTINUED BY MR. BOB PETERS:

5 MR. BOB PETERS: If I could continue,
6 Mr. Rainkie and Mr. Warden, one (1) document that I
7 thought at the break might be appropriate to just bring
8 to the Board's attention, in page 170 of Board
9 counsel's book of documents which is PUB Exhibit 14 in
10 these proceedings, here is a cost element view with
11 some historical actual information, as well as the
12 forecast information provided based on IFF11-2.

13 Is that correct, Mr. Rainkie?

14 MR. DARREN RAINKIE: That's correct,
15 Mr. Peters.

16 MR. BOB PETERS: And on the straight
17 math, the -- the increase from the 2010 fiscal year
18 through to the test year '14 is \$126 million more of
19 OM&A, but that's, as we'll come to, has been revised
20 because the Corporation has some specific plans
21 relative to how to deal with the IFRS postponement?

22 MR. DARREN RAINKIE: Yes, a significant
23 chunk of the costs from 2013/'14 will now move to
24 2014/'15 by virtue of the deferral of IFRS, Mr. Peters.

25 MR. BOB PETERS: And the -- the point

1 that I just wanted to bring to the Board's attention is
2 that Manitoba Hydro has broken out of the OM&A expenses
3 amounts that are attributed to accounting changes.
4 You'll see a line item almost at the bottom of the page
5 dealing with accounting changes to the OM&A expenses,
6 as well as a line item for Wuskwatim.

7 MR. DARREN RAINKIE: Yeah, I -- I think
8 that goes back to the question that Mr. Lafond asked at
9 the first day, is that he was saying, Well, how do I
10 make sense of this schedule?

11 And -- and this is our attempt to
12 normalize it, because the accounting changes and the
13 in-service at Wuskwatim is simply changing the -- the
14 costs as presented at the bottom line. We're trying
15 to, if you like, normalize out our base spending so
16 that the Board can evaluate how good we've been at
17 controlling costs.

18 MR. BOB PETERS: When you say
19 "normalize" what you're attempting to explain to the
20 Board, Mr. Rainkie, is that the accounting changes that
21 have been in -- that -- that influence OM&A are -- are
22 timing issues?

23 MR. DARREN RAINKIE: There are
24 certainly timing issues in the recognition of costs,
25 but they're also making the -- the final numbers. If

1 you just looked at the numbers and didn't understand
2 what was going on, you'd come to the conclusion that
3 costs are, you know, increasing at a rapid rate. Like,
4 the underlying costs; the decisions that we're making
5 every day to staffing, those types of things.

6 So what it's trying to do is kind of
7 normalize it. Get it -- get back to our base
8 expenditures before some of these accounting changes
9 occurred, so that the Board has a way of evaluating how
10 costs have increased during that period of time, Mr.
11 Peters.

12 MR. BOB PETERS: Instead of seeing OM&A
13 attributed to electric operations going from 377
14 million up to 531 million, you're saying the normalized
15 view would see that same amount going from 366 million
16 up to 382 million?

17 MR. DARREN RAINKIE: That's correct,
18 Mr. Peters.

19 MR. BOB PETERS: All right. I think we
20 have your point. I want to turn --

21 MR. VINCE WARDEN: Mr. Peters, I might
22 just point out though, this was based on, I believe,
23 IFF11-2, which has since been updated. So the most
24 current comparison would be in -- in the reference to
25 Manitoba Hydro -- Hydro Exhibit 15, page 19, is -- is

1 the most current fore -- forecast of our OM&A for
2 electric operations.

3 MR. BOB PETERS: Thank you. Thank you,
4 Mr. Warden. Why don't we take a minute to look at that
5 since you raised it. To Mr. Rainkie: You have that as
6 well?

7 MR. DARREN RAINKIE: I do.

8 MR. BOB PETERS: And the only
9 difference, I think, from what you and I were talking
10 about is IFF12 reduces the accounting changes and also
11 the IFRS impacts and pushes them over to a subsequent
12 general rate application, as opposed to this one?

13 MR. VINCE WARDEN: Well, no. The
14 exhibit that we -- we're referring to on page 19
15 updates for actual costs incurred for fiscal year --
16 fiscal '11/'12, compared to page 170 of the book of
17 documents, which is a forecast for that year. So it's
18 -- it's updated to reflect our -- our current actuals
19 and the best estimate for the test years.

20 MR. BOB PETERS: And your forecast of
21 363 million for the 2012 fiscal year came in at 368
22 million?

23 MR. VINCE WARDEN: That's the
24 comparable number to this schedule, yes.

25 MR. RAYMOND LAFOND: Mr. Peters, I need

1 to understand that. We're referring to the Wuskwatim
2 expense in the -- on page 170 of the book of documents.
3 We're seeing one (1) year of full service for Wuskwatim
4 was one million, seven hundred and fifty-four thousand
5 (1,754,000) as opposed to five million, five hundred
6 and eighty-nine thousand (5,589,000) on page 19 of
7 Exhibit 15?

8 That looks like a very big difference.

9

10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: Can you explain that
12 to the Board, Mr. Warden?

13 MR. VINCE WARDEN: Mr. Lafond, I'm
14 looking at the '12/'13 forecast on page 170. The
15 number for Wuskwatim under the '12/'13 heading is seven
16 million, eight eighty-one (7,881,000).

17 MR. RAYMOND LAFOND: I'm sorry, I don't
18 have that. On -- this is page 170?

19 MR. VINCE WARDEN: Yes, page 170 of --
20 of the book of documents.

21 MR. RAYMOND LAFOND: Okay. What -- oh,
22 yes, a million seven fifty-four (1,754,000) is that
23 what you're referring to?

24 MR. VINCE WARDEN: No. No, I'm looking
25 at the column previous to that, '12/'13, which is the

1 same year as you were referring to on page 19.

2 MR. RAYMOND LAFOND: Yes. Yes.

3 MR. VINCE WARDEN: So the comparable
4 numbers are seven million, eight eighty-one (7,881,000)
5 versus five million, five eighty-nine (5,589,000).

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: Mr. Warden, does that
9 reflect the staging of -- of the coming into service of
10 Wuskwatim?

11 MR. VINCE WARDEN: Yes, the schedule
12 that was prepared that's in -- on page 170 of the book
13 of documents assumed a in-service schedule that was
14 updated on page 1 -- at page 19 of the exhibit.

15 MR. BOB PETERS: And the suggestion
16 then is that the annual OM&A costs attributed to
17 Wuskwatim are about \$11 million a year?

18 MR. VINCE WARDEN: When fully in
19 service, yes.

20 MR. BOB PETERS: Which is what's
21 depicted --

22 MR. VINCE WARDEN: In '13/'14 column.

23 MR. BOB PETERS: Thank you.

24 MR. RAYMOND LAFOND: Can you explain to
25 me what the million, seven hundred and fifty-four

1 thousand (1,754,000) is just a few numbers over that
2 nine, million six thirty-five (9,635,000) on page 170,
3 second to the last column towards the very -- at the
4 bottom?

5 MR. DARREN RAINKIE: That -- that
6 figure was the -- the differential to move us from --
7 from a partial service year during 2012/'13 up to a --
8 a full year for 2013/'14, because it's -- the caption
9 there is, "Wuskwatim GS for Full Year in Service." So
10 it was a -- a differential.

11 MR. RAYMOND LAFOND: A differential
12 from what?

13 MR. DARREN RAINKIE: From the --

14 MR. RAYMOND LAFOND: It was zero the
15 previous year.

16 MR. DARREN RAINKIE: It's a -- if you
17 look a couple lines down, it's the differential between
18 the seven point eight-eight-one (7.881) and nine six-
19 three-five (9.635). So we assumed that in -- on page
20 170 that was based on IFF11-2, that Wuskwatim would
21 come into service during a par -- a part of 2012/'13.
22 And that one seven-five-four (1.754) was just to simply
23 annualize that to twelve (12) months.

24 MR. RAYMOND LAFOND: Thank you.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Mr. Rainkie, Mr.
3 Warden, over to page 178 of the book of documents,
4 under Tab 16 of Exhibit PUB 14, if you turn to staffing
5 levels, on page 178 is the response from Manitoba Hydro
6 to PUB Question First Round 38D. And you provide the
7 Board with a history of OM&A costs before
8 capitalization related to labour and benefits.

9 Do you see that information?

10 MR. DARREN RAINKIE: I have it, Mr.
11 Peters.

12 MR. BOB PETERS: Thank you. And the
13 wages and benefits portion of the OM&A expenses is
14 taken as a -- as a percentage. And the Board will see
15 that labour and benefits have increased from 74 percent
16 of the OM&A percent up to 77 percent of the OM&A costs
17 into the first test year.

18 MR. DARREN RAINKIE: A percentage of
19 the total cost before capitalization, Mr. Peters. I
20 think you have to add that on, because that's -- it's
21 the total gross cost that we talk -- talked about
22 before, the total resource costs before capitalization.

23 MR. BOB PETERS: I consider that the
24 gross cost, but maybe I'm not thinking of that
25 correctly. But that is the -- what you're telling the

1 Board, Mr. Rainkie, is that 77 percent of the
2 Corporation's entire OM&A expenditures relate to wages
3 and benefits?

4 MR. DARREN RAINKIE: That's right. I
5 think Mr. Warden had that in his presentation the first
6 day, a nice pie -- pie chart that showed that.

7 MR. RAYMOND LAFOND: But that would
8 exclude the seventeen hundred (1,700) employees as of
9 March 31st effective to construction are being
10 capitalized, and more so during the summer, correct?

11 MR. DARREN RAINKIE: That would be
12 before you capitalized. And I think if we flip the
13 page, it's about twenty-seven hundred employees (2,700)
14 employees that we really are capitalized in.

15 We talked about that the first day that
16 the -- that the construction employees and the annual
17 report is really a fixed number at a point in time. If
18 you look on page 179, that's probably a better
19 calculation of -- of how much -- how many of our
20 employees in total are capitalized. And for '11/'12,
21 it was two six-seven-eight (2.678).

22 MR. RAYMOND LAFOND: Thank you.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: Mr. Rainkie, while

1 you've got the Board's attention to page 179 of the
2 book of documents, it shows that the percent of labour
3 and wages that is capitalized is a total of 41 percent,
4 correct?

5 MR. DARREN RAINKIE: Yes. Of total
6 labour and benefits, 41 percent we've calculated has
7 been capitalized in those years.

8 MR. BOB PETERS: Which means four (4)
9 out of every ten (10) employees' costs are capitalized?

10 MR. DARREN RAINKIE: I -- I guess
11 roughly, Mr. Peters, yeah.

12 MR. BOB PETERS: You don't see it that
13 way?

14 MR. DARREN RAINKIE: You know, I'll
15 accept that to move forward. If -- if I disagree with
16 your thinking in the next question, I'll let you know.

17 MR. BOB PETERS: All right. Thank you,
18 sir.

19 MR. DARREN RAINKIE: I guess, Mr.
20 Peters, my only hesitation is that that is both
21 straight time and overtime. So if we looked at the
22 last line in that schedule, it's straight time and
23 overtime. So I don't know if that percentage bears
24 out. But let's move on, I think, and -- and we'll see
25 if it makes a difference.

1 MR. RAYMOND LAFOND: I would assume
2 that the average cost per employee on construction is
3 possibly substantially different than -- from the other
4 employees not effected to construction directly.

5 MR. DARREN RAINKIE: Yes. Somewhere
6 here we filed in the material the average per division.
7 And yeah, it does vary depending on the -- on the
8 skills of the employee, of course.

9

10 CONTINUED BY MR. BOB PETERS:

11 MR. BOB PETERS: Mr. Rainkie, Mr.
12 Warden, on page 176 of the book of documents, it raises
13 the issue of overtime that you just spoke of, Mr.
14 Rainkie. And overtime appears to be increasing. Is it
15 increasing as a -- as a percentage, or is it just
16 keeping pace with the salaries and wages that are paid?

17

18 (BRIEF PAUSE)

19

20 MR. DARREN RAINKIE: Just wondering,
21 Mr. Peters, if your -- if your cost element schedule
22 will tell us that without me resorting the hand
23 calculator?

24 MR. BOB PETERS: Let me -- let me
25 rephrase the question, Mr. Rainkie. Is -- is overtime

1 predictable?

2

3

(BRIEF PAUSE)

4

5

MR. DARREN RAINKIE: It -- it can be.

6

But, of course, we can have major events, like storms,

7

that can require a substantial amount of overtime, and

8

those aren't always predictable.

9

MR. BOB PETERS: So leaving aside the

10

weather element, this overtime is expensed for what

11

other reasons that aren't weather-related?

12

MR. DARREN RAINKIE: Well, we also will

13

have overtime to maintain the in-service dates of

14

capital projects, Mr. Peters, that's embedded in these

15

-- in these figures. So there's many reasons why we

16

might incur overtime, some related to operational

17

reasons, some are related to emer -- emergencies, and

18

some related to capital projects.

19

MR. BOB PETERS: So to protect an in-

20

service date of a major capital project, Manitoba Hydro

21

may require the construction team to -- to work

22

overtime?

23

MR. DARREN RAINKIE: I guess to protect

24

in-service dates of any project, either major or

25

otherwise, they may require that, Mr. Peters.

1 MR. BOB PETERS: What's the rate paid
2 on overtime? Is it...

3 MR. VINCE WARDEN: It's double time for
4 overtime. In addition to protecting in-service dates
5 though, it's also for efficiency reasons. It could
6 very well be that a crew will be on a job and rather
7 than demobilize that crew and send them back to their
8 headquarters, they'll stay and -- and finish the job
9 and incur overtime costs as a result, which is more
10 efficient than remobilizing the next day.

11

12 (BRIEF PAUSE)

13

14 MR. RAYMOND LAFOND: All overtime is
15 double time, and none is time and a half?

16 MR. VINCE WARDEN: That's right.

17

18 (BRIEF PAUSE)

19

20 MR. VINCE WARDEN: Not counting
21 management.

22 MR. DAVID CORMIE: Division by zero.

23 MR. DARREN RAINKIE: Mr. Peters, to
24 answer your last question, if you look at the book of
25 documents, page 173, it indicated that wages and

1 salaries were -- for the 2009/'10 to the 2011/'12
2 period were increasing by 5.2 percent, and overtime was
3 increasing at 4.5 percent. So that gives you some
4 rough indication of your previous question.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: Thank you -- thank
8 you, Mr. Rainkie, appreciate that. I wanted to turn to
9 page 170 -- make it 180, sorry, one-eight-zero (180),
10 of the book of documents. And this page comes from the
11 last general rate application that was filed with the
12 Board.

13 And would it be correct in understanding
14 this information that at the last GRA for both '10/'11
15 and '11/'12 Hydro was forecasting about 32 percent of
16 all labour and benefits being capitalized?

17 MR. DARREN RAINKIE: That's right, Mr.
18 Peters. This was a much more simplistic calculation
19 than what has been provided in this proceeding. I can
20 go through that if you want, but I don't want to
21 forestall your next question because I'm sure you're
22 taking me there.

23 MR. BOB PETERS: Well, on a previous
24 page, Mr. Rainkie, page 179, you've already shown the
25 Board that in the current filing for the -- for the

1 capitalization of wage and benefits, the number is
2 closer to 40 percent, 41 percent.

3 MR. DARREN RAINKIE: That's right. And
4 -- and in performing this calculation this time we took
5 a bit of a more refined approach, Mr. Peters. And the
6 -- the eight (8) or 10 percent differential you see
7 there is not a change in our cost structure, but rather
8 it's a change in the approach to estimate the statistic
9 for the Board.

10 We actually went to a much lower level
11 of detail, in terms of analyzing our costs, to provide
12 this IR this time. So it's simply a methodology change
13 in the calculation.

14

15 (BRIEF PAUSE)

16

17 MR. RAYMOND LAFOND: Just for curiosity
18 while these gentlemen are looking at their information,
19 overtime -- not overtime -- capitalized labour and
20 benefits, equ -- full-time equivalents of two thousand,
21 six hundred and seventy-eight (2,678) actual for
22 2011/2012. And when we earlier in the hearings talked
23 about March 31st being about seventeen hundred (1,700)
24 employees being capitalized at that specific date of
25 March 31st, assuming construction season lasts about

1 four (4) months, that would mean that in actual fact
2 during the summer there would be literally four
3 thousand (4,000) plus employees on construction being
4 capitalized?

5 Does that make any sense?

6 MR. VINCE WARDEN: Well, the -- the
7 construction period at Manitoba Hydro is really year
8 round. It's just a question of when that peaks. So it
9 does peak during the summer months, but -- but
10 employees are involved in construction --

11 MR. RAYMOND LAFOND: But at that peak
12 time, the number of employees being capitalized would
13 be how many? I want a -- I'm only looking for an
14 approximate number. Like are we talking about thirty-
15 five hundred (3,500) to four thousand (4,000)?

16

17 (BRIEF PAUSE)

18

19 MR. RAYMOND LAFOND: The reason for my
20 question is, on the financial statements as of the end
21 of March, we have one thousand, six ninety-three
22 (1,693) -- let's say seventeen hundred (1,700)
23 employees at that specific date. So the full-time
24 equivalent would be more like twenty-seven hundred
25 (2,700) throughout the year as an average.

1 I'm just looking for what the
2 approximate peak would be during the summer.

3 MR. VINCE WARDEN: Twenty-five hundred
4 (2,500) capitalized during the summer.

5 MR. RAYMOND LAFOND: Well, I don't
6 understand that, because one point seven (1.7) as of
7 March 31st, or -- or seventeen hundred (1,700) as of
8 March 31st? But twenty-six hundred and seventy-eight
9 (2,678) equivalent full time? That would mean that it
10 has to be substantially higher than twenty-six seventy-
11 eight (2,678) during the summer months at its peak
12 time.

13 MR. DARREN RAINKIE: There are a couple
14 of differences in the methodology between those two (2)
15 calculations. And I -- I think I would rely on the one
16 that's in page 179 of the PUB book of -- the counsel
17 book of documents.

18 First of all, the calculation of the --
19 of the twenty-six seventy-eight (2,678) includes
20 overtime, whereas the calculation in the annual report
21 doesn't. And one of the refinements we made to this
22 calculation this time is we looked at not only the
23 staff costs to calculate the statistic -- not only the
24 staff costs that would be capitalized through capital
25 order activities -- so time-carding -- but also a

1 portion of other employees get capitalized through our
2 overhead rate application.

3 So this twenty-six seventy-eight (2,678)
4 is calculated on a much different basis than the rather
5 simplistic calculation that we put into the annual
6 report. So I'm not sure we can get any proportionality
7 out of, you know, these two (2) numbers.

8 MR. RAYMOND LAFOND: So what I am
9 hearing is that some employees considered overhead,
10 some of their salaries are being attributed to
11 construction and, therefore, capitalized?

12 MR. DARREN RAINKIE: That's right. And
13 this figure includes those employees as well, as well
14 as overtime, whereas, the -- the calculation in the
15 annual report doesn't include either one of those
16 components.

17 MR. RAYMOND LAFOND: I guess that's a
18 policy of Manitoba Hydro I have always -- I mean, I've
19 been an auditor and I've seen many different companies.
20 And I've never seen the capitalization of overhead into
21 any construction project, whether it be a major office
22 building or -- or major -- new venture.

23 So is that -- is that more or less the
24 norm amongst utilities?

25 MR. DARREN RAINKIE: Full-cost

1 accounting has been a -- a norm in the utility industry
2 because our business is -- we're constantly building.
3 It -- it's -- we're not -- not just an operating
4 company, we're, in large part, a capital company.

5 Now, as we indicated throughout the
6 material, we have been less a -- we have been expensing
7 more and more costs as we've gone along because the
8 interest -- industry has moved, you know, into a more
9 conservative, for lack of a better term, approach to
10 this. And -- but it is a common utility practice that
11 you would -- you would see across the industry.

12 MR. RAYMOND LAFOND: So effectively, a
13 portion of the salaries of the people sitting in front
14 of me would be capitalized?

15 MR. DARREN RAINKIE: That's correct, as
16 our overhead practices are right now.

17 MR. RAYMOND LAFOND: Thank you.

18 MR. DARREN RAINKIE: That of course
19 would -- once we move to IFRS, that is one of the
20 changes that we would make, is that unless you direct
21 timecard to a -- a capital project, support people
22 would not be capitalized.

23 MR. RAYMOND LAFOND: So that will
24 change once you adopt IFRS?

25 MR. DARREN RAINKIE: That's correct.

1 MR. VINCE WARDEN: Mr. Lafond, I'm --
2 I'm not sure that we totally answered your question, in
3 terms of reconciling the number of employees in the
4 annual report and the peak number of employees that we
5 have during the year -- or, the average number of
6 employees that we have during the year.

7 Would you like us to reconcile that more
8 definitively than what we have just now?

9 MR. RAYMOND LAFOND: Well, unless my
10 conclusion is improper, yes. But otherwise, I'm simply
11 now assuming that there were seventeen hundred (1,700)
12 employees, or thereabouts, as -- as of the end of
13 March, but these numbers include equivalent employees
14 in overtime and also include capitalized employees in
15 overhead, while there would be no employees being
16 capitalized in overhead under the -- page 87 of the --
17 of the financial statements?

18

19 (BRIEF PAUSE)

20

21 MR. DARREN RAINKIE: That is correct,
22 Mr. Lafond.

23 MR. RAYMOND LAFOND: That is
24 sufficient. Thank you.

25 MR. DARREN RAINKIE: Okay.

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Before we move past
3 page 173, Mr. Rainkie, you were quick enough to point
4 the Board to the relationship between wages and
5 salaries and overtime on the first two (2) lines for
6 the compounded annual growth calculations.

7 When one compares that to what was
8 appearing before the Board at the last GRA, there
9 appears to be a significant change in those positions.
10 Are you able to provide an explanation for that while
11 you sit here?

12

13 (BRIEF PAUSE)

14

15 MR. DARREN RAINKIE: Mr. Peters, I
16 think one (1) factor in that is that the wage
17 settlements that we talked about earlier on weren't
18 finalized at that -- that point in time, so I don't
19 think they were factored into that -- to that forecast
20 fully.

21 MR. BOB PETERS: All right. And then
22 in terms of the overtime expenses you were forecasting
23 a -- a minus one point one (1.1) compounded annual
24 growth and it came in as a positive four point five
25 (4.5) compounded annual growth on account of overtime?

1 MR. DARREN RAINKIE: Mr. Pet -- Peters,
2 I was just searching for our original section 5.5 of
3 our application where I think we explained that that
4 was largely due to construction activities. And can I
5 just check that for one (1) second, because we did
6 provide an explanation to that at the start of this
7 process?

8 MR. BOB PETERS: Okay. Please, yes.

9

10 (BRIEF PAUSE)

11

12 MR. DARREN RAINKIE: So, Mr. Peters,
13 I'll ju -- I'll give you a reference here, because we
14 provided a fairly lengthy variance explanation. But if
15 you looked at Appendix 5.6 to the Application, on page
16 8 of 13, we talk about the overtime increases resulting
17 from the protection of key in-service dates for capital
18 projects; also, an increase in the number and frequency
19 of major storms, as we talked about. So, yeah, those
20 are primarily the factors that resulted in those
21 numbers increasing.

22 MR. BOB PETERS: Are those both
23 capitalized, or just the construction capitalized, Mr.
24 Rainkie?

25

1 (BRIEF PAUSE)

2

3 MR. DARREN RAINKIE: The storm part of
4 that wouldn't be capitalized, Mr. Peters. I don't
5 think there would be any betterment in the assets.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: We were talking before
10 the afternoon recess about some metrics of comparison.
11 Mr. Warden, you also said, Well, we should benchmark
12 ourselves against ourselves in some ways. But when we
13 look to page 175 of the book of documents, Manitoba
14 Hydro has provided us with some -- some benchmarks
15 related to the equivalent full-time positions.

16 And as I understand it, Mr. Warden, for
17 all the reasons you did previously mention, those same
18 metrics, as against comparable utilities, are hard to
19 come by?

20 MR. VINCE WARDEN: Not only hard to
21 come by but very difficult to compare. You -- you have
22 to start off, Well, okay, what's the definition of an
23 EFT? And that's going to be different in different
24 utilities. So EF -- once you conclude on that, then
25 you would have to look at the source of supply, whether

1 it's -- or -- or, I'm sorry, the geography that those
2 EFTs are serving. That is -- so -- whereas in a very
3 dense population, the number of EFTs to supply 1,000
4 gigawatt hours electricity could be very few, but in a
5 dispersed geography like in Manitoba, the -- the number
6 of EFTs would naturally increase. So the comparability
7 between jurisdictions is extremely difficult.

8 MR. BOB PETERS: Was this information
9 off the annual report? Is that where the source of the
10 data came from?

11

12 (BRIEF PAUSE)

13

14 MR. DARREN RAINKIE: I think most of it
15 would come from the annual report, Mr. Peters. I'm
16 just hesitating, because the average salary and
17 benefits per straight-time EFT, I think we might have
18 calculated that through our system. I think most of
19 the other data comes right from our annual report.

20

21 (BRIEF PAUSE)

22

23 MR. DARREN RAINKIE: I think the -- Mr.
24 Peters, the next page in this IR would have provided
25 the -- the data that we used, unfortunately. You're

1 being green.

2

3

(BRIEF PAUSE)

4

5

MR. BOB PETERS: On page 181 contains
6 the information request, in essence, asked to compare
7 Manitoba Hydro with some peers in other provinces.

8

Would you agree, in -- in terms of the
9 type of utility you have, BC Hydro and Quebec Hydro
10 would be the most comparable utilities to Manitoba
11 Hydro?

12

MR. VINCE WARDEN: Yes. We typically
13 compare ourselves to those two (2) utilities.

14

MR. BOB PETERS: Because hy --
15 primarily hydraulic --

16

MR. VINCE WARDEN: That's right.

17

MR. BOB PETERS: -- of a large nature?

18

MR. VINCE WARDEN: That's right.

19

MR. BOB PETERS: And on page 181, we
20 don't need to go through the entire explanation, but
21 the -- the short answer is that Manitoba Hydro doesn't
22 think you can use BC Hydro as a -- as a proxy anymore
23 or a peer group member just because of the way they do
24 their financial accounting?

25

MR. VINCE WARDEN: Yes.

1 MR. BOB PETERS: However, you do
2 provide on the balance of the IR put in the book of
3 documents the comparisons to Saskatchewan and Hydro-
4 Quebec?

5 MR. VINCE WARDEN: Yes.

6 MR. BOB PETERS: And in terms of
7 Saskatchewan, Saskatchewan has already adopted IFRS,
8 starting back in 2011, Mr. Rainkie. Is that right?

9 MR. DARREN RAINKIE: That's correct.

10 MR. BOB PETERS: So to some extent, the
11 very comparison you said you couldn't make needs to be
12 cautioned when one (1) looks at this chart?

13 MR. DARREN RAINKIE: That's right. I
14 think there was another IR after this where we made
15 some notional corrections for overhead practices and --
16 and, to be fair, to the comparison.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: Mr. Rainkie, I'd like
21 to turn with you to talk about IFRS and its impacts and
22 implications, but to start the record on this, the
23 Canadian Accounting Standards Board decreed that
24 publically accountable enterprises such as Manitoba
25 Hydro are to prepare their audited accounts in

1 accordance with international financial reporting
2 standards?

3 MR. DARREN RAINKIE: That would be the
4 Public Sector Accounting Board, Mr. Peters. That's the
5 body that directs the reporting for the government
6 sector.

7 MR. BOB PETERS: I mentioned the
8 Canadian Accounting Standards Board, so I -- it's a
9 different Board?

10 MR. DARREN RAINKIE: Yes. What happens
11 here is that the public sector accountings centre's
12 Board says that publically accountable enterprises, or
13 -- or government business enterprises like Manitoba
14 Hydro and that are sustained by their own revenues,
15 should use publically accounted -- accountable
16 accounting standards.

17 So the Public Sector Accounting Board
18 standards refers us over to the Canadian Standards
19 Board which sets the accounting standards for
20 publically -- public companies, so --

21 MR. BOB PETERS: And IFR --

22 MR. DARREN RAINKIE: -- they both have
23 a part in it, Mr. Peters, I guess.

24 MR. BOB PETERS: Okay. Well, that's
25 fine. I Appreciate that.

1 IFRS is to replace and become Canadian
2 General Accepted Accounting Principles?

3 MR. DARREN RAINKIE: It'll no longer be
4 called that, of course, but that would be the
5 accounting principles that are generally accepted in
6 can -- in Canada as the other countries in the world
7 that adopt IFRS.

8 MR. BOB PETERS: It'll just be known as
9 Canadian GAAP, G-A-A-P?

10 MR. DARREN RAINKIE: I don't think
11 it'll be called Canadian GAAP anymore. I think it'll
12 just be called IFRS. In fact, I know it'll be called
13 IFRS, Mr. Peters.

14 MR. BOB PETERS: And that's to provide
15 the assurance that, on an international basis, people
16 are complying with the stain -- the same reporting
17 standards.

18 MR. DARREN RAINKIE: Yes, it's recog --
19 recognizing that in today's world capital flows all
20 over the world and that it's desirable -- desirable to
21 have, you know, comparable accounting practices in
22 various countries.

23 MR. BOB PETERS: Am I correct, Mr.
24 Rainkie, that at the current time, Manitoba Hydro has
25 invoked US GAAP to continue its rate regulating

1 accounting?

2 MR. DARREN RAINKIE: That's right, Mr.
3 Peters. That's commonly as -- what's been done for
4 those companies that haven't moved to -- fully to IFRS
5 or US GAAP. They've invoked US GAAP to -- to continue
6 rate regulated accounting.

7 MR. BOB PETERS: Has Manitoba Hydro
8 been using rate related accounting since its inception?
9 Don't look to Mr. Warden for the answer to that. Was
10 that your expectation, that that's been the way it's
11 been since the beginning?

12 MR. DARREN RAINKIE: You know, Mr.
13 Peters, I -- I don't -- I don't know. I'm not sure
14 when that practice originated. It's been around as
15 long as I've been around, but I haven't been around as
16 long as Mr. Warden.

17 MR. BOB PETERS: He started the week
18 before you, didn't he.

19 MR. VINCE WARDEN: Yeah. He takes
20 every opportunity he can get.

21 MR. BOB PETERS: You --

22 MR. VINCE WARDEN: But, no, if you go
23 back in history though we didn't refer to it as "rate-
24 regulated accounting", and we didn't set it up as a
25 separate item on the balance sheet.

1 So although we -- we followed certain
2 regulatory accounting principles, which our auditors
3 would not have signed off on our financial statements
4 without the implicit endorsement, even though the
5 endorsement wasn't explicit by the -- by the regulator,
6 that impli -- because the regulator did approve our
7 rates and approved in effect our -- our financial
8 statements as a part of that, again not explicitly,
9 that's what lead the -- or allowed the external auditor
10 to sign off on those -- on those financial statements.

11 MR. BOB PETERS: But Manitoba Hydro has
12 been using rate regulated accounting, or whatever the
13 terminology would be, since time immemorial.

14 MR. VINCE WARDEN: Yes.

15 MR. BOB PETERS: And we've -- we've
16 alluded to it a few times, but IFRS was to be
17 implemented for years commencing on and after January 1
18 of 2011 in its initial decree.

19 Have I got that right?

20 MR. DARREN RAINKIE: That's right. It
21 would have been applied for the 2011/'12 fiscal year.

22 MR. BOB PETERS: It'd be Manitoba
23 Hydro's fiscal '12 year?

24 MR. DARREN RAINKIE: That's correct.

25 MR. BOB PETERS: And -- but rate-

1 regulated accounting, as I understand it, was an issue
2 because it was not allowed under IFRS, But all
3 utilities, at least in North America, that are
4 regulated were using rate regulated accounting?

5 MR. DARREN RAINKIE: I can't speak for
6 all of them, but I think that's a very common practice
7 in North America. And it's not a very common practice
8 outside of North America, Mr. Peters.

9 MR. BOB PETERS: All right. And rate-
10 regulated accounting is allowed under Canadian GAAP and
11 under US GAAP?

12 MR. DARREN RAINKIE: Yes, it's an
13 acceptable practice under both Canadian and US GAAP.

14 MR. BOB PETERS: And, in my words,
15 because of the outcry by regulated utilities and
16 regulators, the Accounting Standards Board, both
17 Canadian and international, have agreed to study the
18 matter further?

19 MR. DARREN RAINKIE: Yes, if you
20 recall, at one (1) time there was actually an exposure
21 draft allowing rate-regulated accounting back in the
22 summer of 2009. And then by the fall of 2010, they
23 decided they had better things to do. And recently in
24 the last number of months, fortunately, it's back on
25 the agenda.

1 MR. BOB PETERS: Okay. I'm going to
2 try to slow you down, Mr. Rainkie, but the exposure dra
3 -- draft that you mentioned to the Board was the, in my
4 words again, the Accounting Standards Board's way of
5 studying an issue?

6 MR. DARREN RAINKIE: Yes, it's part of
7 their public process, is to issue a draft standard and
8 then seek comments from interested parties.

9 MR. BOB PETERS: And when they issued
10 that exposure draft, did Manitoba Hydro provide
11 comments?

12 MR. DARREN RAINKIE: Yes, we provided
13 comments, both individually and as part of the Canadian
14 Electrical Association.

15 MR. BOB PETERS: It all led up to a
16 deferral -- I'll call it "Deferral number 1" -- in
17 approximately September of 2010?

18 MR. DARREN RAINKIE: That's right. The
19 Canadian Accounting Standards Board reacting to the --
20 I guess the indecision of the international board,
21 decided that they would defer IFRS for one (1) more
22 year at that point.

23 MR. BOB PETERS: And so it was -- it
24 was deferred from Manitoba Hydro's fiscal 2012 year, to
25 Manitoba Hydro's fiscal 2013 year?

1 MR. DARREN RAINKIE: That's correct,
2 Mr. Peters.

3 MR. BOB PETERS: But do I have it
4 correct that regulated utilities, and perhaps even
5 regulators, continued their opposition, and in -- and
6 in March of 2012, IFRS was again delayed and this time
7 to Manitoba Hydro's fiscal 2014 year?

8 MR. DARREN RAINKIE: That's right.
9 Once again, the Canadian Accounting Standards Board
10 took stock of the situation and felt that a -- a
11 further deferral was -- as a reasonable thing to do.
12 Really didn't want to have the situation where
13 regulated utilities would write all of these assets off
14 their books, only to find that there was a standard a
15 year or two (2) later that required them to put it back
16 -- put these things back on their books. So it was
17 recognizing that situation, Mr. Peters.

18 MR. BOB PETERS: And that was -- that's
19 Deferral number 2, then, of what we talked about?
20 Another one (1) year deferral?

21 MR. DARREN RAINKIE: Deferral number 2,
22 Mr. Peters, yes.

23 MR. BOB PETERS: All right. Was there
24 not also the concern, Mr. Rainkie, that there could be
25 significant asset write-downs and impairments?

1 MR. DARREN RAINKIE: I'm not sure about
2 the impairment parts, but -- but -- or impairment part,
3 but I think there was concern that billions of dollars
4 of freight regulated assets would be written off at
5 that point. And, like I said, there was still
6 uncertainty about how this was -- this issue was going
7 to finally be -- be resolved. And I think the Canadian
8 Board wanted to -- some time to see -- take some time
9 to see what was going to happen.

10 MR. BOB PETERS: And that's
11 particularly true for utilities that make large capital
12 investments that last many decades, and those utilities
13 that recover those costs gradually over time?

14 MR. DARREN RAINKIE: There's all sorts
15 of rate-regulated accounts, Mr. Peters. There's -- you
16 know, on the gas side of the business there's commodity
17 deferrals and -- and there's Power Smart deferrals, as
18 we have. There's just a huge number of different
19 reasons why you might use rate-regulated accounting in
20 -- in our industry.

21 MR. BOB PETERS: So at that point in
22 time Hydro prepared the GRA, the 2012/'13 and the
23 2013/'14 GRA, that brings us here today, with Manitoba
24 Hydro expecting that it had to adopt IFRS for fiscal
25 2013/'14, which is Manitoba Hydro's second test year

1 before this Board?

2 MR. DARREN RAINKIE: That's right. If
3 you recall one (1) of the changes between IFF11 and
4 IFF11-2 we talked about was moving IFRS to 2013/'14,
5 the second deferral, as you referred to it.

6 MR. BOB PETERS: But then Deferral
7 number 3 comes along, and that was in September of
8 2012. The Accounting Standards Board granted this
9 third deferral of IFRS implementation for entities with
10 qualifying rate-regulated activities?

11 MR. DARREN RAINKIE: Yes. I think we
12 were just in the final strokes of our first Information
13 Request process when that came out on September 19th,
14 is my memory.

15 MR. BOB PETERS: And the deferral is,
16 again, one (1) additional year at this point in time?

17 MR. DARREN RAINKIE: That's right. To
18 our 2014/'15 fiscal year.

19 MR. BOB PETERS: And it's for further
20 study?

21 MR. DARREN RAINKIE: Yes. I think
22 there are meetings that were happening on December
23 17th. I don't -- I haven't heard the final
24 determination from those meetings, but they're ongoing
25 as we speak, Mr. -- Mr. Peters.

1 MR. BOB PETERS: And, well, maybe you
2 can enlighten the Board as to what Hydro's
3 understanding is of these meetings where this issue is
4 being discussed.

5 MR. DARREN RAINKIE: They're -- I think
6 as we alluded to in our rebuttal evidence in my direct,
7 the International Board is trying to determine the path
8 forward right now. I think their staff is recommending
9 that an interim standard be issued that would allow
10 countries such as Canada to maintain their current
11 practices while a final standard is being developed,
12 which probably wouldn't be in place until about 2016.

13 Others favour not doing anything on an
14 interim basis and just waiting until the final standard
15 is -- is issued. So there's still some dissension, I
16 think, on the International Board whether or not there
17 should be some interim standards for select countries
18 like Canada.

19 MR. BOB PETERS: The interim standard
20 would permit Canada to continue with rate-regulated
21 accounting?

22 MR. DARREN RAINKIE: Yes. It would be
23 a grandfathering, is how they've described it, until
24 the final standard is developed, if it is ever
25 developed.

1 MR. BOB PETERS: But the
2 grandfathering, in terms of Manitoba Hydro, wouldn't
3 change when the new standard came in. It would be the
4 -- the present view is that if it was grandfathered it
5 would be forever grandfathered.

6 Is that your understanding?

7 MR. DARREN RAINKIE: No, Mr Peters. It
8 would be grandfa -- our current practices would be
9 maintained until the International Accounting Standards
10 Board decided whether or not they were going to issue a
11 standard. As we saw back in 2009/'10, even if you
12 issue an exposure draft, the whole thing can fall apart
13 if they get negative comments from the rest of the
14 world.

15 So you can't, at this point, suppose
16 what the International Board is going to do.
17 Ultimately, I think and I hope that -- that they will,
18 you know, listen to reason and give us an interim
19 standard while they're sorting out the longer term.

20 MR. BOB PETERS: The interim standard
21 is being recommended by the staff of the Accounting
22 Standards Board?

23 MR. DARREN RAINKIE: Yes. That -- they
24 never make a clear recommendation. They favour certain
25 things, but I think if you read between the lines,

1 that's what the staff of the International Board is
2 recommending. But the -- I caution that the Board
3 doesn't always follow what their staff is recommending,
4 much like the relationship that Mr. Warden and I have.

5 MR. VINCE WARDEN: No idea what that
6 means.

7 MR. BOB PETERS: Well spoken, Mr.
8 Rainkie. Let us -- let us close on that discussion by
9 indicating that at this point it's very unsettled as to
10 how IFRS will impact entities such as Manitoba Hydro
11 which are rate regulated?

12 MR. DARREN RAINKIE: It's unsettle --
13 unsettled for that rate-regulated accounting portion of
14 the discussion, Mr. Peters. Of course there are other
15 issues like how you account for benefits and -- that
16 aren't up in the air, but it's particularly that rate-
17 regulated accounting piece that we're still debating.

18 MR. BOB PETERS: Is Manitoba Hydro
19 making any representations to these meetings that are
20 ongoing, Mr. Rainkie?

21 MR. DARREN RAINKIE: We -- we continue
22 our participation in the CEA, and they are continuing
23 to lobby behind the scenes. Mr. Peters, at this point,
24 there hasn't been any solicitation for further comments
25 and letters. And, I assume, once -- if they do issue a

1 -- a interim standard, that that same solicitation will
2 occur and we will provide some correspondence on that.

3 MR. BOB PETERS: Does Manitoba Hydro's
4 auditors take a position or advance a presentation
5 related to this matter?

6 MR. DARREN RAINKIE: No, their -- their
7 job is to audit the standards as they exist. Although,
8 the big four (4) firms did comment on the original
9 exposure draft; and there were mixed comments all over
10 the place on the original exposure draft, Mr. Peters.
11 Yeah, I'll maybe just leave that at that.

12 MR. BOB PETERS: Do I -- and I don't
13 want to read anything further into your president's
14 comments when he was here, but is the current
15 expectation of Manitoba Hydro that the International
16 Accounting Standards Board may yield to the request
17 from North America to continue rate-regulated
18 accounting?

19 MR. VINCE WARDEN: Mr. Peters, maybe
20 I'll just pick -- pick up that one. Our financial
21 forecast reflects our -- our expectation, or at -- at
22 the time we put our financial forecast together that
23 was our expectation of what the future -- how the
24 future would unfold.

25 I do have to reiterate though, it's --

1 either way it's not real significant for Manitoba
2 Hydro. It does take that one (1) time hit on retained
3 earnings, but our retained earnings are sufficient to
4 withstand that, and it's not going to be a rate impact
5 to Manitoba Hydro -- or to Manitoba -- Manitoba Hydro's
6 consumers.

7 MR. BOB PETERS: Let's discuss with the
8 Board, if we could, other options related to IFRS.

9 MR. RAYMOND LAFOND: Mr. Peters --

10 MR. BOB PETERS: Yes?

11 MR. RAYMOND LAFOND: -- before we move
12 to that, I just have one (1) question on Exhibit 15,
13 page 45, the reason there's really no impact in the
14 future except for this one (1) time hit in 2014/'15 --
15 2014, the net salvage removal from depreciation, which
16 really offsets all the other -- most of the other major
17 negative impact to the net income. Now, is that
18 somewhat related, or totally unrelated, to the
19 depreciation study we will be looking at? And to be
20 very precise, that number would simply not be there in
21 spite of whatever we'll be looking at in terms of
22 depreciation methods?

23 MR. DARREN RAINKIE: First of all, the
24 -- that whole topic will be -- is part of our
25 depreciation study. And I'm not sure I'm clear on your

1 second question. Sorry, Mr. Lafond.

2 MR. RAYMOND LAFOND: Oh, essentially,
3 if we did not move to IFRS, this \$63 million figure for
4 2014/2015, on page 45 of Exhibit 15, would not be there
5 and -- and -- if we did not adapt IFI -- IFRS, and it
6 would not have an impact over the depreciation study,
7 or would it?

8 MR. DARREN RAINKIE: In answer to the
9 first question, including net salvage and depreciation
10 rates is not IFRS compliant, so our reason for removing
11 it from depreciation rates is the -- is the -- is if --
12 is the fact that we're going to have to move to IFRS.

13

14 (BRIEF PAUSE)

15

16 MR. VINCE WARDEN: Mr. Lafond, as -- as
17 indicated earlier, our financial forecast has been
18 prepared assuming that IFRS will be adopted effective
19 April the 1st, 2014. If, in fact, it was further
20 deferred, and that's a real possibility based on the
21 current discussions that are now ongoing, we would have
22 to consider whether or not we would make this change to
23 our depreciation rates.

24 That -- so that would be a policy
25 decision that we would have to make at that time. And

1 the possibility is that we would further defer that --
2 that change to our depreciation rates such that the sal
3 -- the net salvage value could remain as a component of
4 -- of those rates.

5 MR. RAYMOND LAFOND: Thank you. Maybe
6 after we've gone through the depreciation analysis and
7 study I -- we can maybe revisit that. But it may be
8 cleared up by then. Thank you.

9 MR. VINCE WARDEN: Yes, I agree.

10

11 CONTINUED BY MR. BOB PETERS:

12 MR. BOB PETERS: Mr. Rainkie and Mr.
13 Warden, other Canadian utilities and regulators have
14 adopted US GAAP for financial reporting reasons?

15 MR. DARREN RAINKIE: That's correct,
16 Mr. Peters.

17 MR. BOB PETERS: And, in fact, you've
18 told the Board that Manitoba Hydro is using US GAAP
19 currently for financial reporting?

20 MR. DARREN RAINKIE: Only as it relates
21 to rate regulated accounting.

22 MR. BOB PETERS: And have since 2009?

23 MR. DARREN RAINKIE: Well, I think that
24 practice has always been a bit of a reference over to
25 US GAAP, Mr. -- Mr. Peters. But the only aspect of US

1 GAAP that we're having now, let's be clear in our
2 statements, is -- is rate-regulated accounting.

3

4 (BRIEF PAUSE)

5

6 MR. RAYMOND LAFOND: I'm going to ask a
7 further question on rate-regulated accounting. I can
8 understand the logic behind all this. However, once
9 you start having a major portion of your sales or
10 output going to exports, then this issue of rate
11 regulated does not apply as well. Am I right in that?

12 MR. DARREN RAINKIE: Really, the -- the
13 -- those companies that can use rate-regulated
14 accounting are those that -- where their rates are set
15 by a regulator and there is an expectation that you'll
16 recover the amounts that you defer. And that's really
17 the -- the only criteria to using rate-regulated
18 accounting. You can have export sales and it doesn't -
19 - it doesn't negate that ability to use rate-regulated
20 accounting.

21 MR. RAYMOND LAFOND: But at a point in
22 time when export sales are -- for instance, a major or
23 the majority of your total sales, rate-regulated
24 accounting does not make much sense because your
25 revenues have nothing to do with rate regulation.

1 MR. VINCE WARDEN: Well, our domestic
2 rates will always be subject to rate regulation.

3 MR. RAYMOND LAFOND: That I understand.
4 But the -- the logic of applying these accounting
5 principles or reg -- or regulated accounting to the
6 portion pertaining to exports is problematic, in terms
7 of reasoning behind it all.

8 MR. VINCE WARDEN: Don't think so.
9 Revenues are still revenues, and they're accounted as
10 such through -- whether they be Canadian,
11 international, or US standards, they're -- they would
12 be accounted for in the same manner.

13 So, no, I don't -- I don't think the way
14 we do our accounting is any way affected by our US
15 sales.

16 MR. RAYMOND LAFOND: Except that the
17 revenues in regards to exports are certainly not rate
18 regulated.

19 MR. VINCE WARDEN: Oh, yeah, no, the --
20 the revenues are not -- are not rate regulated, for
21 sure, the export sale revenues. We're only talking,
22 though, rate-regulated accounting as it pertains to, in
23 Manitoba Hydro's case, certain assets.

24 So the assets that were -- were -- that
25 are mainly, primarily affected by rate-regulated

1 accounting are Power Smart -- Smart -- Power Smart
2 programs and demand-side management. It does not
3 impact revenues.

4 MR. RAYMOND LAFOND: Thank you. That
5 clarifies things in my mind.

6 MR. VINCE WARDEN: You might just refer
7 to -- Mr. Rainkie was referring to the US GAAP, or --
8 or the Financial Accounting Standards Board, FASB as
9 it's known in the US. That's referenced in note 1 to
10 our financial -- or, for our -- our accounting
11 policies, which is referenced on page 62 of Manitoba
12 Hydro's annual report.

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Mr. Rainkie, the
16 Ontario Energy Board has allowed its utilities to
17 continue with US GAAP?

18 MR. DARREN RAINKIE: I think it's been
19 done on a case-by-case basis, Mr. Peters, as far as I
20 know.

21 MR. BOB PETERS: Likewise in Alberta?

22 MR. DARREN RAINKIE: Yeah, a lot of the
23 companies have moved to US GAAP, and part and parcel of
24 that has been to ask their regulators to accept US GAAP
25 for rate setting as well.

1 MR. BOB PETERS: But -- but if it's on
2 a case-by-case basis, it's always been related to rate-
3 regulated accounts?

4 MR. DARREN RAINKIE: Well, I think
5 that's the primary reason, is to avoid that writeoff,
6 Mr. -- Mr. Peters, and the uncertainty of how to deal
7 with that writeoff from a rate-setting perspective.

8 MR. BOB PETERS: And just to bring this
9 Board current to -- to the last time Manitoba Hydro was
10 before the Board, on page 187 of the book of documents,
11 is an extract from Board Order 5/12, page 96 of that
12 order. And in the middle of the page, there's a quote:

13 "Since IFRS result in changes to the
14 timing when certain costs will be
15 recognized in its operating accounts,
16 Manitoba Hydro believes that some
17 mechanism may be required to defer
18 certain costs for rate-setting
19 purposes. Manitoba Hydro stated that
20 it would provide the Board with
21 alternatives to consider at the
22 appropriate time."

23 Do you recall that, Mr. Warden?

24 MR. VINCE WARDEN: Yes, I do. And I
25 don't think we're quite at that time yet, because

1 there's still some uncertainty as to what -- where
2 we're going with IFRS.

3 MR. BOB PETERS: And that's a matter
4 better addressed at the next GRA, when it deals with
5 test years commencing for your fiscal 2015 year?

6 MR. VINCE WARDEN: Yes. And again,
7 probably the major issue there again is our demand-side
8 management Power Smart programs, as to whether or not
9 it's appropriate to write those off in the year that
10 they're incurred as required under IFRS or whether
11 there's some form of amortization would be appropriate
12 for rate-setting purposes.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: Mr. Rainkie, if we
17 turn to page 190 in the book of documents, there is an
18 extract from the Alberta Utilities Commission. And I
19 think it's the same one that we've seen previously,
20 sir. This was the rule that Alberta Utilities
21 Commission established with respect to rate regulatory
22 -- rate-regulated accounting?

23 MR. DARREN RAINKIE: That's right. I -
24 - I struggle in terms of who this rule really applies
25 to anymore. I suppose there are a few utilities that

1 have moved to IFRS, but most -- most of them, I think,
2 are in US GAAP. So I'm not even sure about the
3 application of this -- this rule in practice.

4 MR. BOB PETERS: Or -- or does this
5 rule -- is this rule what precipitated the utilities
6 from asking to stay with US GAAP?

7 MR. DARREN RAINKIE: I think what
8 precipitated the utilities is the fact that they, as
9 Mr. Warden mentioned, have had large balances of rate-
10 regulated assets on their balance sheet. And moving to
11 IFRS just wouldn't work for them.

12 You know, in our situation, we're in a
13 much better situation with a smaller amount of those
14 asse -- those assets. I mean, this issue is really the
15 fiscal cliff of utilities. Some utilities, as I
16 mentioned in my direct, had as many rate-regulated
17 assets as they did equity. So if they moved to IFRS,
18 poof, all their retained earnings for the whole history
19 of their company is gone.

20 And, you know, there's a lot of
21 uncertainty in that in terms of what's the regulatory
22 treatment if you start writing off these assets? So
23 rather than go through that uncertainty, I think they
24 were able to maintain the status quo by moving to US
25 GAAP.

1 THE CHAIRPERSON: Looking -- looking at
2 some of the major utilities in Canada, what -- what
3 element of the IFRS is of particular significance to
4 them?

5 MR. DARREN RAINKIE: It -- it's really
6 the rate-regulated asset and liability issue, Mr.
7 Chairman. It -- it's -- they just have a large
8 proportion of their assets that are rate-regulated
9 assets. And, you know, there are various other
10 accounting practices in the -- in the industry that --
11 that wouldn't survive, like negative salvage value, as
12 we just talked about, under a move to IFRS.

13 So I think while the uncertainty existed
14 about the status of rate-regulated accounting under
15 IFRS, the other utilities that moved to US GAAP simply
16 wanted to maintain the status quo until there is some
17 finalization of that issue.

18 And I -- I should mention, before I
19 forget, you know, we've talked about other companies
20 moving to a US GAAP. But for companies -- there's two
21 (2) ways to do that. One is to register yourself with
22 the Securities Exchange in the United States, which is
23 a fairly extraordinary thing to do, or go and ask your
24 provincial securities exchange commission for a
25 deferral of IFRS. And that's what this US GAAP is, is

1 a deferral.

2 They only, right now, have a deferral to
3 2015. So when we talk about it in these proceedings,
4 let's not, you know, think about it as a long-term
5 solution, because it isn't right now. I mean, who
6 knows what the securities commissions will do. If the
7 International Board is actually working on a solution,
8 they might give these companies another year or two (2)
9 as well. But it should be clear that for a lot of
10 these utilities that haven't registered themselves with
11 the Securities Exchange in the United States, this is a
12 short-term measure.

13 MR. RAYMOND LAFOND: Why would the
14 regulated assets of a utility like BC Hydro
15 proportionally be so much higher than Manitoba Hydro?

16 MR. DARREN RAINKIE: Well, I like to
17 think at Manitoba Hydro that we have judiciously used
18 rate-regulated assets. But there's all type -- all
19 different types of deferral accounts. You can -- if --
20 let's say you are writing -- writing off some plant.
21 Let's say you've made some expenditures on -- on some
22 particular piece of plant that you decided you were
23 going to no longer pursue. You could set that up as a
24 deferral account. Let's say that you -- some companies
25 have fuel cost adjustments accounts, so they -- they

1 look at the difference between what is embedded in
2 rates -- in fact, Centra, in Manitoba, has this -- and
3 what the actual cost of gas is. And they defer those.

4 So over time, there's been a
5 proliferation of a -- just a huge number of different
6 accounts that have been set up for the purposes of
7 smoothing rates. And, you know, I'll leave it to
8 others' judgements whether that really helps customers
9 or if that's just deferring costs to the future. I
10 mean, there's a debate -- debate on that.

11 I recall the BC Auditor General, you
12 know, this report that we're going to file on BC Hydro,
13 we've talked about the operating cost part of it, but
14 there's also a section of that report that talks about
15 the use of rate-regulated accounts and concern that
16 those balances are growing and continue to grow.

17 So I think here we've used this practice
18 judiciously, and it's -- it's been to our benefit. You
19 can thank Mr. Warden and Mr. Brennan for that.

20 MR. VINCE WARDEN: Especially Mr.
21 Warden.

22 MR. RAYMOND LAFOND: That was a change.

23 MR. VINCE WARDEN: I can say that now.
24 That guy's gone.

25 I do, though -- I do just happen to have

1 a list of the deferral accounts -- the major deferral
2 accounts of BC Hydro, because it is quite a significant
3 difference between what we have. So -- and this is at
4 March of 2011. It was related to that study that I
5 referred to earlier, BC Hydro study.

6 So it was 2.1 billion at that point in
7 time and now 2.4 billion. But deferral -- they have
8 twenty-nine (29) deferral accounts at BC Hydro. DSM is
9 506 million; First Nation negotiation settlement costs,
10 400 million; PCB environmental compliance, 231 million;
11 variance between forecast and actual costs and rate
12 applications, which is a curious one, but that's \$600
13 million. So, yes, they have -- their deferral account
14 is much -- much larger than at Manitoba Hydro.

15 MR. RAYMOND LAFOND: Thank you. I
16 appreciate that.

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: And --

20 MR. DARREN RAINKIE: And, Mr. -- Mr.
21 Lafond, just one other aspect of this before I forget
22 is that you also have to think about how these other
23 companies are regulated. They're regulated under -- a
24 lot of them under a rate-based rate of return
25 methodology, where the revenues that are allowed by the

1 regulator are based on the build-up of your costs plus
2 a return on your rate base. And so it's a very strict
3 methodology of rate setting, where a dollar of cost
4 goes up, rates go up a dollar; if the dollar of cost go
5 down, rates go down a dollar.

6 At Manitoba Hydro, we have what we refer
7 to as the, you know, cost of service rate-setting
8 methodology, where what we do is we use the revenue
9 increases that we ask for to smooth rates. We don't
10 ask for large, volatile rate increases. We tend to ask
11 for regular, reasonable rate increases, moderate rate
12 increases.

13 And so that's another reason why we
14 don't have to be fearful about IFRS as it relates to
15 rate setting. If we continue to do what we've done in
16 the past, we can very successfully manage any impacts
17 of IFRS, as far as I'm concerned, without resorting to
18 any type of accounting gimmicks or -- or anything like
19 that, because, you know what? Deferring costs on your
20 balance sheet doesn't improve your financial integrity.

21 MR. BOB PETERS: Mr. Rainkie and Mr.
22 Warden, for the benefit of the Board, if we could turn
23 to page 203 of the book of documents, 2-0-3, this is
24 Manitoba Hydro's response to an Information Request,
25 but it -- I think it was PUB/Manitoba Hydro First Round

1 42. But I wanted to turn to page 203 with you, and go
2 down to the line item -- go down to the line items on
3 that page.

4 This, Mr. Rainkie and Mr. Warden, you
5 can confirm to the Board, is to demonstrate the impact
6 to retained earnings of the rate impl -- of the rate
7 application that was filed premised on IFF11-2?

8 Is that correct?

9 MR. DARREN RAINKIE: It demonstrates,
10 yeah, the -- the impact on retained earnings of the
11 accounting changes in general, both Canadian and IFRS,
12 Mr. Peters.

13 MR. BOB PETERS: Right. And the page
14 I'm on talks about impact to retained earnings
15 specifically, Mr. Rainkie?

16 MR. DARREN RAINKIE: That's correct.

17 MR. BOB PETERS: And Mr. Warden listed
18 off a number of BC Hydro accounts that are being
19 treated as rate-regulated assets. If we go down to the
20 middle of the chart and we see the -- the write-offs to
21 Power Smart programs, that \$183 million is the largest
22 of the rate-regulated accounts of the Utility, Mr.
23 Warden and Mr. Rainkie?

24 MR. DARREN RAINKIE: That's right.
25 It's our largest rate-regulated account.

1 MR. BOB PETERS: And then you have site
2 remediation at \$36 million. What does that relate to,
3 Mr. Rainkie?

4 MR. DARREN RAINKIE: The remediation of
5 contaminated lands, Mr. Peters, like you -- under --
6 without rate-regulated accounting you would expense
7 those costs, because they don't increase the productive
8 value of those lands. But it's one (1) of -- one (1)
9 of our few rate-regulated items.

10 MR. BOB PETERS: And which contaminated
11 lands is that relating to, do you know?

12 MR. DARREN RAINKIE: Oh, they're in
13 various places, Mr. Peters. I'm not sure if we cover
14 that off in note 1 to our financial statements, but we
15 could --

16 MR. BOB PETERS: Was it related to --
17 to thermal -- thermal sites?

18 MR. DARREN RAINKIE: I think it's
19 related to any sites, Mr. Peters. I'd -- I'd have to
20 check on -- on that.

21 MR. BOB PETERS: Well, not at this
22 time. I'm not asking for that, Mr. Rainkie. Then you
23 also have the acquisition of Centra Gas, Manitoba Inc.,
24 and Manitoba Hydro. There's an additional \$20 million
25 that's currently in a -- rate-regulated account?

1 MR. DARREN RAINKIE: That's correct,
2 Mr. Peters.

3 MR. BOB PETERS: And --

4 MR. RAYMOND LAFOND: That would be
5 goodwill?

6 MR. DARREN RAINKIE: No, that was the
7 acquisition and integration costs of Centra Gas.

8 MR. RAYMOND LAFOND: Acquisition
9 and...?

10 MR. DARREN RAINKIE: Acquisition and
11 integration costs of Centra Gas.

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: There's an annual
15 payment that's made by Manitoba Hydro to the City of
16 Winnipeg; is that included in that at all, Mr. -- Mr.
17 Rainkie?

18 MR. VINCE WARDEN: No.

19 MR. BOB PETERS: Where does that show
20 up as an expense item, Mr. Warden, can you remind the
21 Board?

22 MR. VINCE WARDEN: It shows up in
23 finance expense every year.

24 MR. BOB PETERS: Okay. And that's a
25 \$16 million annual payment?

1 MR. VINCE WARDEN: It is, yes.

2 MR. BOB PETERS: In perpetuity?

3 MR. VINCE WARDEN: Yes.

4 MR. BOB PETERS: Okay. And there's
5 also regulatory costs of \$2 million that are also set
6 up as a rate-regulated account?

7 MR. DARREN RAINKIE: Yes, those would
8 be the costs of regulatory proceedings, Mr. Peters.

9 MR. BOB PETERS: Right. And that, in
10 my calculation, Mr. Rainkie, is the \$241 million that
11 was -- was the amount that was shown in IFF11-2 to be
12 written off on the -- on the balance sheet?

13 MR. DARREN RAINKIE: I lost you, Mr.
14 Peters, in that last question, sorry. We're talking
15 about \$2 million of rate --

16 MR. BOB PETERS: No. No, I was --
17 sorry, I was talking about \$241 million, the -- the
18 total of all of those items we've just talked about.
19 If I sum up the Power Smart, the site remediation, the
20 acquisition, and the regulatory costs, that's the --
21 that's the sum total of all of the regulatory accounts
22 that Manitoba Hydro has?

23 MR. DARREN RAINKIE: That's right; as
24 depicted here, Mr. Peters.

25 MR. BOB PETERS: Are there other ones

1 that aren't depicted here, Mr. Rainkie?

2 MR. DARREN RAINKIE: No, Mr. Peters,
3 those are all -- the whole -- the full list of them.

4 MR. BOB PETERS: Okay. And when we go
5 back to page 190 to look at the -- the guiding
6 principles that were set up. And -- and, Mr. Rainkie,
7 you've had a chance to compare the guiding principles
8 from Alberta to Ontario, and would you agree that
9 they're relatively comparable?

10 MR. DARREN RAINKIE: I think we went
11 through this last year, right, Mr. Peters, and --

12 MR. BOB PETERS: What was your answer
13 then?

14 MR. DARREN RAINKIE: -- I think it was
15 "yes".

16 MR. BOB PETERS: Okay. And the reason
17 I raise that, Mr. Rainkie, is that in terms of these
18 principles, these principles, could they equally apply
19 to Manitoba -- to Manitoba Hydro?

20

21 (BRIEF PAUSE)

22

23 MR. DARREN RAINKIE: I think princ --
24 principles are generally the same across jurisdictions.
25 You know -- but if we went into each one, and I don't

1 really want to but, you know, there's one (1) here, I
2 think, that talks about standardizing practices between
3 utilities. Well, that's not applicable in our case.

4 So, you know, the general principle that
5 the Public Utilities Board can, you know, is --
6 determines how rates are set, I'll agree with that one,
7 Mr. Peters. But if you've read our evidence and you
8 understand our evidence, we're saying because of our
9 cost of service rate-setting methodology we don't have
10 to resort to two (2) sets of books that might be
11 implied through these principles to protect the
12 customers in Manitoba. So if I was agreeing to this
13 principle I wouldn't be agreeing to two (2) sets of
14 books, because I don't think we need to do it, Mr.
15 Peters, and I just want to make sure that the Company's
16 position is clear.

17 MR. BOB PETERS: I think you've made it
18 clear. And -- and just so that we can be certain that
19 we have your point, Mr. Rainkie, you're saying writing
20 off \$241 million against retained earnings while an
21 absolute big number compared to the 2.5 billion of
22 retained earnings Manitoba Hydro can absorb that
23 writeoff?

24 MR. DARREN RAINKIE: Yes, we don't have
25 to ask for that recovery of that amount in the year its

1 written off through -- for customers, so -- and in fact
2 as I indicated earlier it largely reverses itself over
3 the ten (10) years of the forecast.

4 So we don't have to resort to deferrals.
5 We don't have to resort to accounting gimmicks. And we
6 don't have to resort to two (2) sets of books to make
7 this work, regardless of how the deliberations at the
8 International Board works out; and hopefully they work
9 out such that we never have to write this off and --
10 for financial reporting purposes. I -- I keep
11 forgetting to mention that, but I just can't suppose
12 what the International Board is going to do at this
13 time.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: The recovery of the --
18 the amount that Manitoba Hydro would write off if IFRS
19 came in the test years, and if Manitoba Hydro's
20 proposal to write it off was accepted by this Board,
21 you're telling the Board you'd recover over a ten (10)
22 year period, Mr. Rainkie? That's your determination?

23 MR. DARREN RAINKIE: No, what I'm
24 saying is that if you look at our forecasts with and
25 without regulatory accounting, because even if a cost

1 is deferred it has to be written off eventually, that
2 after ten (10) years our debt-to-equity ratio is about
3 the same under either scenario.

4 So what -- it -- it won't really impact
5 rate-setting at all, I don't think, Mr. Peters. I
6 mean, it's one (1) of the reasons we have retained
7 earnings. It's one (1) of the reasons why we want to
8 maintain a reasonable level of retained earnings, is
9 when these uncontrollable issues come up you have
10 something as a buffer for customers. That's the way to
11 protect customers; not through accounting but through
12 building up retained earnings over time.

13 MR. BOB PETERS: But to get back to the
14 same level the Corporation would be had it not written
15 off the \$241 million as proposed in the filing based
16 under IFF11-2, it would take ten (10) years to reverse
17 that situation which implies that it takes rate
18 increases of some amount over the ten (10) years to get
19 back to that situation?

20 MR. DARREN RAINKIE: Mr. Peters, I
21 think we had the same rate increases built into IFF11-2
22 as we did IFF10-2 for that period, and the write-off
23 wasn't included in the forecast until IFF11-2. So I
24 don't think there are any specific rate increases
25 associated with that write-off in our forecasts. I

1 think it's just one (1) of the things we take into
2 consideration over the long run, Mr. Peters.

3 Like I -- I'm not sure where we're
4 getting the fact that there's an additional rate
5 requirement that comes out of that write-off.

6 MR. BOB PETERS: The -- the initial
7 deduction that would occur on the -- on the retained
8 earnings and the debt-to-equity ratio, Mr. Rainkie, of
9 a write off of 241 million, does that take the -- does
10 that take the equity ratio down two (2) or three (3)
11 points?

12 MR. DARREN RAINKIE: Yes, it -- it
13 does, Mr. Peters. But, once again, we're not asking or
14 forecasting rate increases to restore that, and that's
15 the point I think that's being missed in a lot of the
16 Information Requests; is if we were under a rate base
17 rate of return methodology and we wanted to maintain 25
18 percent, then maybe we would ask for that rate
19 increase, but we're not. We're accepting the decrease
20 and we're managing it over the life of our forecast.

21 As I said earlier, that's one (1) of the
22 reasons we have retained earnings, Mr. Peters, is to
23 guard against these things.

24 MR. BOB PETERS: Yes, Mr. Rainkie. The
25 reduction in the equity percentage is made up over time

1 and it's done through rate increases, even though not
2 all in the first year.

3 Would you agree with that?

4 MR. DARREN RAINKIE: Well, as I
5 observed earlier, Mr. Peters, between IFF11-2 and
6 IFF10-2, the write-off appeared between those two (2)
7 forecasts, and we didn't change our -- our rate
8 proposals, Mr. Peters. So I'm not sure I would agree
9 with your proposition that there's a specific rate
10 increase related to those -- to that write-off in our
11 IFF.

12 MR. BOB PETERS: Well, I was -- I'm not
13 -- I'm not connecting a dot to a particular year or
14 particular amount, Mr. Rainkie, but to recover from
15 writing off \$241 million, there's got to be \$241
16 million made up somewhere along the way.

17 MR. VINCE WARDEN: Yes, that's fair to
18 say. I mean, if we're going to -- if we're going to
19 restore our retained earnings to what they were pre the
20 write-off, then -- then obviously we're going to have
21 to, over the long term, have rates -- rate increases
22 that reflect that. However, let me just qualify that
23 by saying that we would be amortizing -- because this
24 is mostly Power Smart programs and we went over the
25 list; it's not entirely, but for the sake of discussion

1 let's just assume that we're going to be writing off
2 those Power Smart programs, or amortizing them over ten
3 (10) years.

4 So that would be a charge against
5 operations of -- of \$24 million per year that we would
6 -- would have been charging against operations anyway.
7 We're not going to be charging that against operations,
8 because we're going -- we've written it off in one (1)
9 year.

10 So, in effect, by not charging that
11 amortization, we are recovering in rates what we
12 otherwise -- in -- in one (1) write-off we're
13 recovering that over a ten (10) year period that we
14 would have recovered it through amortization, if that
15 makes sense.

16 MR. BOB PETERS: What you're telling
17 the Board is that -- and we'll -- I'll maybe come to
18 that specific example, Mr. Warden -- but Manitoba Hydro
19 would be expensing an amount almost equal to what it
20 would -- would be entitled to amortize under its
21 deferral account schedules?

22 MR. VINCE WARDEN: In effect, that's
23 right, because our Power Smart -- we're in the kind of
24 a happy circumstance whereby -- in which our -- our
25 Power Smart programs almost equal what we would have

1 been amortizing anyway. So the -- the net impact on
2 expenses is very close to being the same.

3 MR. BOB PETERS: All right. But if the
4 -- if the DSM spending was set at say \$60 million, and
5 instead of amortizing that at 6 million a year, you'd
6 be looking to make it up in one (1) year?

7 MR. VINCE WARDEN: That's under IFRS.
8 Yes, we would have no alternative but to do that.

9 MR. BOB PETERS: All right. Thank you.
10 Mr. Chairman, in light of the hour, this might be an
11 appropriate time for me to step down and turn it over
12 to the Board?

13 THE CHAIRPERSON: Do we have any
14 matters to attend to before we adjourn?

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: None that we're aware
19 of at this end of the room. Thank you.

20 MS. PATTI RAMAGE: No, we don't have
21 any -- anything to file this afternoon.

22 THE CHAIRPERSON: Okay. Let's adjourn
23 now and see each other again at nine o'clock tomorrow
24 morning. And thank you for that moment of levity, Mr.
25 Warden. That was a classic.

1 MR. VINCE WARDEN: I'll try and think
2 of some more for tomorrow.

3

4 (PANEL RETIRES)

5

6 --- Upon adjourning at 4:28 p.m.

7

8 Certified correct,

9

10

11

12

13

14 _____

15 Cheryl Lavigne, Ms.

16

17

18

19

20

21

22

23

24

25

| | | | | |
|----------------------|----------------------|-------------------|---------------------|---------------------|
| \$ | 1285:12,19 | 07 1329:7 | 1472:12 | 1330:17 |
| \$1.40 | \$32.61 | 08 1338:18 | 1476:17 | 1348:23 |
| 1364:11,25 | 1285:13,20 | 08/'09 | 1477:20 | 1349:4 |
| 1365:5 | \$33 1338:15 | 1255:12 | 1478:16,21 | 1:03 1367:20 |
| \$10 1420:4 | \$35 1331:9 | 1404:12 | 1479:20 | 1:1 1344:3 |
| \$10,000 | \$36 1501:2 | 09 1253:21 | 1481:3,16 | 10 1253:11 |
| 1334:6,9,1 | \$396,964,000 | | 1486:2,12, | 1269:25 |
| 4 1336:21 | 1446:12 | | 14 1491:9 | 1291:15 |
| \$100 1355:4 | \$4 1350:3,8 | <u>1</u> | 1501:8,14 | 1302:17,23 |
| \$105 1298:12 | \$41.36 | 1 1245:5 | 1505:1 | ,25 |
| \$11 1452:17 | 1285:25 | 1246:20 | 1507:6,7 | 1311:5,7 |
| \$121 1337:21 | \$48.14 | 1248:24 | 1508:1,21 | 1319:17 |
| 1338:15,23 | 1286:2,3 | 1249:8 | 1510:8,12 | 1327:21 |
| \$126 1447:18 | \$5 1264:21 | 1262:1 | 1511:6 | 1341:18 |
| \$13 1350:12 | 1331:3 | 1268:22 | 1,000 1265:1 | 1371:20 |
| \$15 1338:17 | 1360:3 | 1269:8 | 1470:3 | 1421:4 |
| \$16 1502:25 | 1367:3 | 1273:18 | 1,300 | 1422:25 |
| \$183 1500:21 | \$50 1302:22 | 1276:12 | 1324:23 | 1425:3 |
| \$2 1503:5,15 | 1303:2 | 1288:22 | 1325:2 | 1428:1,2,6 |
| \$2.5 1427:14 | 1368:6 | 1290:4 | 1327:10 | ,15 |
| \$20 1343:17 | \$500 1410:4 | 1293:15 | 1,693 | 1430:11 |
| 1345:9 | 1338:20 | 1303:24,25 | 1462:22 | 1442:15 |
| 1346:21 | 1404:21 | 1308:15 | 1,700 1455:8 | 1456:9 |
| 1501:24 | \$6.90 1350:5 | 1311:5 | 1461:23 | 1461:6 |
| \$225 1418:22 | \$60 1301:17 | 1328:3 | 1462:22 | 1506:3,21 |
| 1419:7,12 | 1511:4 | 1331:19,20 | 1463:7 | 1507:2,16, |
| 1420:16 | \$600 1498:12 | 1332:22 | 1466:11 | 18 |
| \$24 1510:5 | \$63 1487:3 | 1337:13 | 1,754,000 | 1510:3,13 |
| \$241 | \$65 | 1344:2 | 1451:5,22 | 10,000 |
| 1503:10,17 | 1331:4,11 | 1349:25 | 1453:1 | 1330:16 |
| 1505:20 | \$7 1264:22 | 1350:1 | 1,900 | 10/'11 |
| 1507:15 | \$70 1354:24 | 1352:20 | 1325:6,16 | 1445:23 |
| 1509:15 | \$8 1360:20 | 1353:1 | 1.1 1467:23 | 1460:14 |
| \$243 1445:23 | \$9.4 1432:5 | 1378:3 | 1.6 1428:11 | 10:51 |
| \$3.34 1269:4 | \$90 1298:23 | 1385:5 | 1.7 1417:22 | 1327:24 |
| \$3.43 | 1301:7,14, | 1391:7 | 1463:6 | 100 1333:8 |
| 1268:18 | 17 1306:18 | 1393:6 | 1.754 | 1377:19 |
| 1269:5 | 1312:1,10, | 1394:11 | 1453:22 | 101/04 |
| \$30 1327:5 | 18 | 1406:23,24 | 1.8 1443:9 | 1372:2 |
| 1343:10,17 | \$91 1350:15 | 1410:19 | 1.9 1417:23 | 10-2 1291:16 |
| 1344:8,9 | | 1414:24 | 1/2 1294:7 | 103 1269:24 |
| 1345:2,3,8 | | 1419:21 | 1298:10,17 | 1276:2,4,8 |
| 1355:1 | | 1421:2 | ,20 | 1278:16 |
| \$31.36 | | 1422:6 | 1333:13 | 1280:11 |
| | | 1435:8 | 108 | 1299:7,12 |
| | | 1440:20 | 11 1255:24 | 1303:7 |
| | | 1444:5 | | |
| | | 1445:17 | | |
| | | 1447:6 | | |
| | | 1451:3 | | |
| | | 1452:14 | | |
| | | 1467:16 | | |
| | | 1468:5 | | |
| | | | 1/3 1268:21 | |

| | | | | |
|---|--|--|--|---|
| 1328:4 1349:21 1401:24 1442:15 11.7 1432:6 11/'12 1267:15 1338:18 1442:9 1450:16 1455:20 1460:15 11:06 1327:25 111 1314:23 11-1 1293:23,25 112 1317:24 1318:8 1319:11 1322:4 1328:4 11-2 1300:25 1305:12 116/08 1374:17 118 1345:15 119 1345:16 1346:4,12 12 1251:19 1255:24 1297:12 1333:6,12, 13 1337:24 1371:7 1442:15 1453:23 1476:23 12.9 1350:9 12/'13 1284:14 1285:8,10, 18 1290:1,5 1303:7 1451:14,15 ,25 12/'13/'14 | 1285:12,19 12:01 1367:19 1242 1242:24 1245 1244:3 1246 1244:4 1248 1245:4 1249 1245:6 125 1440:3 1250 1244:11 128 1349:17,21 1282 1246:9 129 1350:17 12A 1318:9 13 1279:19 1320:24 1330:25 1331:1,3,7 1468:16 13/'14 1284:15 1285:8 1290:2,16, 25 1303:7 1452:22 130 1351:14 1308 1246:20 131 1359:2 1313 1246:23 1335 1247:12 135 1372:2,19 137 1374:17 138 1374:24 1389 1247:17 1396 1247:20 13th 1405:11 14 1250:17 1278:17 1290:5 1314:23 | 1317:24 1337:13 1398:2 1447:9,18 1454:4 14/'15 1285:24 1286:5 1291:1 1292:14 1293:7 1294:25 142 1375:15 143 1375:15 1436 1247:24 145 1385:3 147 1396:17 14A 1246:4 1282:17,25 15 1340:11 1341:18 1392:22 1394:5 1404:11 1409:1 1430:14 1449:25 1451:7 1486:12 1487:4 15/'16 1286:5 1293:7 151 1397:25 1398:1 1512 1242:24 1244:13 156 1400:14 157 1402:18 158 1403:8 159 1403:24 16 1324:5 1431:25 1432:20 1454:4 16,846 | 1300:4 160 1333:10 162 1405:14 164 1408:18 17 1242:23 1285:5 1286:20 1290:4 1292:6 1294:24 1300:10 1304:13 1329:7 170 1447:8 1450:16 1451:2,14, 18,19 1452:12 1453:2,20 1460:9 173 1441:24 1459:25 1467:3 175 1469:13 176 1457:12 178 1454:3,5 179 1455:18 1456:1 1460:24 1463:16 17th 1481:23 18 1248:15 1249:13,23 1417:6 1423:8 180 1460:9 181 1471:5,19 187 1492:10 19 1404:11,15 1449:25 1450:14 1451:6 1452:1,14 190 1493:17 | 1504:5 1988 1318:2 1990s 1415:3 1416:8 19th 1400:17 1401:22 1481:13 1st 1307:9 1311:17,19 ,25 1312:2 1314:1 1407:4,9,1 5,16,18,19 ,25 1408:1 1417:18 1487:19 <hr/> 2 <hr/> 2 1244:6 1245:4 1248:12,14 ,17,20 1250:7 1255:1,2,2 5 1273:19,21 1288:23 1290:4 1295:15 1301:15,20 1302:4,6,1 7 1303:4,8 1304:4 1309:12 1331:18 1332:7 1346:20 1349:25 1360:4 1367:12 1384:13 1385:21 1401:21 1402:6 1405:4,6 1406:14,19 1414:8 1417:7,8,2 1 1419:21,25 1426:13 |
|---|--|--|--|---|

| | | | | |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 1434:21 | 1393:10 | 1403:2 | 1481:8 | 1439:5 |
| 1442:21 | 1413:3 | 1404:5,7 | 2012/13 | 2025 1439:20 |
| 1443:7 | 1414:17,21 | 1405:9 | 1242:8 | 2025/'26 |
| 1463:14 | 1416:13 | 1407:4 | 2012/'13 | 1422:13 |
| 1464:7 | 1417:9 | 1447:17 | 1299:6 | 203 1499:23 |
| 1467:5 | 1418:10 | 1477:22 | 1300:14 | 1500:1 |
| 1471:13 | 1420:3 | 1478:17 | 1453:7,21 | 2-0-3 |
| 1479:15,19 | 1422:17,20 | 2010/'11 | 1480:22 | 1499:23 |
| ,21 | 1423:1,7 | 1442:9 | 2013 1297:6 | 2035 |
| 1495:21 | 1427:21 | 2011 1251:19 | 1305:2 | 1350:5,11, |
| 1496:8 | 1428:2 | 1291:16,19 | 1407:7,9 | 15 |
| 1505:10,13 | 1438:24 | 1318:2 | 1417:18 | 21 1358:21 |
| 1506:6 | 2000 1295:16 | 1319:14 | 1478:25 | 22 1249:3,25 |
| 1508:10 | 1296:21 | 1320:8,23 | 2013/14 | 1319:13 |
| 1509:6 | 2002 1281:5 | 1322:16 | 1242:8 | 1369:18 |
| 2,000 1265:1 | 1283:11,22 | 1346:16 | 2013/'14 | 23 1246:3 |
| 1327:9 | 1314:9 | 1347:10 | 1302:25 | 1282:23 |
| 2,500 1463:4 | 2003/'04 | 1350:3,8 | 1447:23 | 231 1498:10 |
| 2,678 | 1426:8 | 1351:1 | 1453:8 | 24 1246:10 |
| 1461:21 | 2004 1372:1 | 1405:10 | 1480:23,25 | 1308:1 |
| 1463:9,11, | 1373:15,21 | 1407:15,17 | 1481:4 | 1327:15 |
| 19 1464:3 | 1374:3,14 | 1472:8 | 2014 1294:22 | 241 1508:9 |
| 2,700 | 2005 1277:2 | 1476:18 | 1407:20,25 | 25 1246:21 |
| 1455:13 | 1314:1,6,1 | 1498:4 | 1479:7 | 1313:18 |
| 1462:25 | 0,11 | 2011/'12 | 1486:15 | 1412:22 |
| 2.0 1251:23 | 2007 1328:17 | 1255:24 | 1487:19 | 1426:20,23 |
| 1294:12 | 1338:10,17 | 1262:1 | 2014/'15 | 1508:17 |
| 2.1 1251:21 | 2008 1253:21 | 1337:20 | 1292:8 | 250 1247:5,7 |
| 1256:1 | 1319:14 | 1338:12 | 1447:24 | 1334:19,20 |
| 1498:6 | 1320:7,23 | 1460:1 | 1481:18 | 1335:2,4,1 |
| 2.2 1444:21 | 1373:22 | 1476:21 | 1486:14 | 2,15 |
| 2.3 1434:24 | 1374:4,8 | 2011/2012 | 2014/2015 | |
| 2.4 1254:22 | 1416:25 | 1461:22 | 1487:4 | |
| 1421:22 | 2008/'09 | 2012 1242:23 | 2015 1352:1 | 26 1247:3 |
| 1498:7 | 1251:6 | 1246:20 | 1408:1 | 1335:9 |
| 2.5 | 2009 1400:17 | 1279:19 | 1439:20 | 27 1247:13 |
| 1407:17,18 | 1403:4,8,1 | 1288:9,22 | 1493:5 | 1389:7 |
| 1505:21 | 8 | 1293:15,21 | 1496:3 | 276 1253:24 |
| 2.678 | 1404:6,8,2 | ,23 1294:4 | 2015/'16 | 28 1247:18 |
| 1455:21 | 0 1477:22 | 1297:12,18 | 1286:1 | 1396:9 |
| 2.75 1407:25 | 1488:22 | 1299:15 | 1292:25 | 1440:13 |
| 1408:1 | 2009/'10 | 1303:25 | 2016 1482:12 | 28C 1441:9 |
| 2:46 1446:24 | 1404:11 | 1304:16 | 2017 1328:18 | 29 1247:21 |
| 20 | 1460:1 | 1308:16 | 2018 1352:2 | 1320:7 |
| 1302:16,24 | 1483:11 | 1311:25 | 1371:8 | 1411:14 |
| 1341:19 | 2010 1346:16 | 1312:2 | 2021/'22 | 1436:24 |
| 1344:24 | 1350:2 | 1328:6 | 1438:6 | 1498:8 |
| 1357:3 | 1351:1 | 1407:18 | | |
| | 1402:20 | 1450:21 | | |
| | | 1478:24 | | |
| | | 1479:6 | | |

| | | | | |
|--|---|---|---|--|
| 29,300 1305:2 <hr/> 3 3 1245:4 1248:13,15 ,17,21 1288:6,14 1291:18 1294:7 1296:9 1298:10,16 ,19,20 1306:3 1322:7 1344:11,13 1358:21 1391:18 1396:24 1403:3,18 1404:6 1408:12 1409:3 1434:24 1439:18 1443:18 1481:7 1508:10 3,000 1300:21 1303:10,13 1304:8 1305:8 1306:14,16 3,500 1462:15 3.5 1417:17 3.95 1418:1 1422:8 1423:7 3:02 1446:25 30 1302:11 1355:1 1429:24 30,838 1294:25 300 1249:1 3000 1298:4,9,1 | 8 30th 1299:14 31 1350:14 31.36 1290:9 31st 1455:9 1461:23,25 1463:7,8 32 1319:14 1460:15 32,900 1307:14 32,904 1295:2 1300:14 32.61 1290:16 32.9 1303:17,18 1307:1 1309:23 330 1242:21 35 1318:1 1331:10 363 1450:21 366 1449:15 368 1450:21 377 1449:13 382 1449:16 38D 1454:6 397 1446:15 <hr/> 4 4 1255:25 1267:16 1296:9 1320:7 1322:7 1333:10 1360:3 1367:2 1411:18 1418:3 1425:24 1430:20 1442:4,12 | 1456:8 1462:1 1485:8 4,000 1462:3,15 4,400 1253:9 1336:17 4,978 1253:23 4.1 1251:8 1255:14 1292:9 1441:16 4.28 1404:12 4.3 1444:22 4.5 1460:3 1467:25 4:28 1512:6 40 1392:20 1426:20 1461:2 400 1242:21 1498:10 41 1456:3,6 1461:2 42 1426:3 1500:1 45 1486:13 1487:4 457 1338:11 <hr/> 5 5 1251:16 1254:25 1255:3 1271:6,7 1272:20 1278:4 1285:6 1303:20 1311:7 1324:5 1331:4,8 1341:20 1353:1 1356:15,19 1391:18 | 1393:1 1411:18 1416:22 1424:24 1425:3 1428:10 5,000 1253:22 1328:17,20 1329:5 5,318 1329:6 5,589,000 1451:6 1452:5 5.1 1255:20 5.2 1442:25 1460:2 5.5 1256:3,8 1430:18 1468:2 5.6 1468:15 5.7 1404:7 5/12 1397:25 1492:11 50 1311:5 1320:25 1392:21 1429:25 506 1498:9 531 1449:14 <hr/> 6 6 1245:6 1248:25 1249:8 1273:13 1299:14 1300:6 1304:4 1325:7 1345:7 1354:21 1356:19 1402:18 1411:18 1511:5 6.1 1255:13 | 60 1302:3,22 600 1325:7,11 1327:8 61 1421:10 62 1491:11 63 1385:25 64J 1442:1 65 1385:25 1394:7 1395:17,23 67 1386:1 <hr/> 7 7 1281:18 1331:7,8 1345:7,9 1350:13,14 1354:21 1411:19 7,000 1330:15 7,881,000 1451:16 1452:4 7.2 1403:9 7.881 1453:18 70 1390:19 70s 1415:14 72 1304:20 1337:10,13 ,19 74 1431:25 1454:15 75:25 1415:20 1416:8 1417:1 1418:8 1422:10 1427:15 77 1338:12 1386:18 1454:16 |
|--|---|---|---|--|

| | | | | |
|--------------------|---------------------|--------------------|--------------------|---------------------|
| 1455:1 | 99/11 1385:2 | 1251:9 | 2,20 | achieve |
| | | 1289:1 | 1449:8 | 1263:16 |
| <hr/> | <hr/> | 1329:9 | 1450:10 | 1397:5 |
| 8 | A | 1336:2 | 1465:1 | 1416:25 |
| 8 1281:18 | a.m 1248:1 | 1375:10 | 1471:24 | achieved |
| 1304:19 | 1327:24,25 | 1437:16 | 1472:23 | 1246:19 |
| 1324:8 | abandoned | 1456:15 | 1473:4,8,1 | 1308:15 |
| 1337:10,19 | 1379:7 | 1491:24 | 6,17,19 | 1311:15 |
| 1356:16 | ability | acceptable | 1474:2,5,2 | 1412:22 |
| 1358:17 | 1489:19 | 1335:5 | 1 | achievement |
| 1360:23,25 | able 1262:5 | 1477:13 | 1475:1,6,8 | 1399:2,19 |
| 1371:19 | 1263:15 | accepted | ,24 | 1413:8 |
| 1400:18,19 | 1279:4 | 1474:2,5 | 1476:2,12 | achieving |
| 1402:1 | 1282:10 | 1506:20 | 1477:1,4,1 | 1416:18 |
| 1461:6 | 1310:11 | accepting | 0,16,21 | acquiring |
| 1468:16 | 1311:14 | 1375:9 | 1478:4,19 | 1323:10 |
| 820 1395:25 | 1325:23 | 1508:19 | 1479:9 | acquisition |
| 87 1466:16 | 1327:16 | accommodate | 1480:19 | 1501:23 |
| 88 1365:20 | 1351:7 | 1273:5 | 1481:8 | 1502:7,8,1 |
| 88,000 | 1353:19 | accordance | 1482:21 | 0 1503:20 |
| 1364:10 | 1356:3 | 1431:20 | 1483:9,21 | across |
| <hr/> | 1376:9 | 1473:1 | 1484:13,17 | 1294:8 |
| 9 | 1379:1 | According | 1485:16,18 | 1378:2 |
| 9 1250:17 | 1381:21 | 1407:23 | 1488:21 | 1379:25 |
| 1298:23 | 1382:11 | account | 1489:2,7,1 | 1394:3 |
| 1322:23 | 1385:15 | 1467:25 | 4,18,20,24 | 1465:11 |
| 1338:19 | 1386:10 | 1484:15 | 1490:4,5,1 | 1504:24 |
| 1340:12 | 1388:2 | 1496:24 | 4,22 | action |
| 1417:5 | 1391:12 | 1498:13 | 1491:1,8,1 | 1393:23 |
| 1424:19,20 | 1393:7 | 1500:25 | 0 1493:22 | active |
| 9,635,000 | 1399:21 | 1501:25 | 1495:10,14 | 1393:21 |
| 1453:2 | 1439:13 | 1503:6 | 1499:18 | activities |
| 9.635 | 1467:10 | 1510:21 | 1500:11 | 1325:25 |
| 1453:19 | 1494:24 | accountable | 1501:6 | 1326:11 |
| 9:00 1248:1 | absolute | 1472:24 | 1506:5,25 | 1445:23 |
| 90 | 1374:2 | 1473:12,15 | 1507:11 | 1463:25 |
| 1301:13,23 | 1383:2 | accountant | accountings | 1468:4 |
| 90/08 | 1428:8 | 1383:17 | 1473:11 | 1481:10 |
| 1375:15 | 1505:21 | 1445:4 | accounts | activity |
| 900,000 | absolutely | accounted | 1339:8 | 1310:13 |
| 1308:22 | 1278:3 | 1473:15 | 1472:25 | 1321:13 |
| 90s 1415:18 | 1339:15 | 1490:9,12 | 1480:15 | acts 1317:20 |
| 91 1250:16 | 1384:14 | accounting | 1492:3,15 | actual |
| 1267:14 | 1391:4 | 1361:2 | 1496:19,25 | 1290:7 |
| 1269:9 | 1398:16 | 1383:10,12 | 1497:6,15 | 1299:6 |
| 96 1492:11 | 1399:23 | 1419:2 | 1498:1,2,8 | 1329:6 |
| 97 1328:24 | absorb | 1422:1 | 1500:18,22 | 1337:21 |
| | 1505:22 | 1445:18 | 1503:21 | 1338:12 |
| | abuse 1325:1 | 1448:3,5,1 | accurate | |
| | 1326:15 | | 1315:6 | |
| | accept | | accurately | |
| | | | 1313:10 | |

| | | | | |
|---------------------|---------------------|---------------------|-------------------|------------------|
| 1340:9 | 1425:16 | addressing | adopt | 1428:19 |
| 1342:14 | 1426:7 | 1390:2 | 1465:24 | afforded |
| 1360:4 | 1435:8 | adequate | 1474:7 | 1408:3 |
| 1373:1 | 1446:1 | 1375:1 | 1480:24 | afternoon |
| 1403:3 | 1454:20 | adjourn | adopted | 1258:16 |
| 1442:14 | added | 1366:1 | 1472:7 | 1358:19 |
| 1445:24 | 1305:12 | 1367:16 | 1487:18 | 1370:6 |
| 1447:11 | 1331:22 | 1511:14,22 | 1488:14 | 1418:20 |
| 1450:15 | adder | adjourned | advance | 1446:19 |
| 1461:21 | 1343:18 | 1396:24 | 1306:5 | 1469:10 |
| 1462:1 | 1345:10 | adjourning | 1398:9 | 1511:21 |
| 1497:3 | adding | 1512:6 | 1485:4 | against |
| 1498:11 | 1258:14 | adjust | advantage | 1258:20 |
| actually | 1320:14 | 1301:14 | 1348:14 | 1265:6 |
| 1278:13 | addition | 1386:9 | advice | 1340:20 |
| 1279:1 | 1253:18 | 1432:23,24 | 1270:13 | 1360:12,21 |
| 1288:12 | 1302:23 | 1433:5,9,1 | 1343:6 | 1418:21 |
| 1291:15 | 1352:12 | 3,24 | 1353:15 | 1420:17 |
| 1296:3 | 1360:8 | adjusted | advisable | 1469:12,18 |
| 1303:21 | 1388:25 | 1263:12 | 1316:7 | 1505:20 |
| 1306:25 | 1403:16 | 1293:9 | advise | 1508:23 |
| 1328:4 | 1404:4 | 1301:18,22 | 1246:7,14, | 1510:4,6,7 |
| 1329:5 | 1459:4 | 1319:3 | 21 | agenda |
| 1330:23 | additional | adjusting | 1247:3,9 | 1477:25 |
| 1331:18 | 1271:4 | 1266:13 | 1282:19 | aging |
| 1339:9 | 1295:9 | adjustment | 1283:4 | 1329:19 |
| 1340:14 | 1300:20 | 1273:15,18 | 1308:7 | 1357:8,16 |
| 1342:24 | 1301:7,8 | 1302:3,23 | 1310:5 | 1419:25 |
| 1348:11 | 1304:8 | 1306:8 | 1313:3,13, | 1438:2 |
| 1354:23,25 | 1305:7 | 1368:4 | 18 | ago |
| 1364:17 | 1312:1,11 | 1430:16,21 | 1335:1,9,1 | 1281:18 |
| 1370:14 | 1321:13 | 1431:11 | 7 1336:3 | 1354:21 |
| 1379:3 | 1329:14 | 1433:18 | advocating | 1356:16 |
| 1383:14 | 1332:19,24 | 1434:6,18 | 1353:9 | 1359:22 |
| 1403:17 | 1341:25 | adjustments | affect | 1393:16 |
| 1410:11 | 1355:2 | 1290:22 | 1293:7 | 1414:25 |
| 1418:16 | 1405:17 | 1301:16 | 1360:14 | agreed |
| 1431:3 | 1409:22 | 1303:3,10 | 1367:12 | 1319:15 |
| 1442:25 | 1412:1 | 1305:18,22 | 1378:19 | 1374:15 |
| 1443:8 | 1481:16 | 1431:1 | 1390:17 | 1379:11,16 |
| 1461:10 | 1501:24 | 1496:25 | 1414:15 | ,17 |
| 1477:20 | 1508:4 | administrati | affected | 1431:18 |
| 1496:7 | additionally | on 1370:9 | 1414:2,13, | 1477:17 |
| actuals | 1246:13 | administrati | 18 | agreeing |
| 1311:19 | 1308:6 | ve 1360:13 | 1490:14,25 | 1505:12,13 |
| 1404:6,8,1 | addressed | 1386:18 | affects | agreement |
| 1 1450:18 | 1493:4 | 1387:3 | 1296:12 | 1252:9 |
| adapt 1487:5 | addresses | admit 1427:6 | 1376:13 | 1315:14 |
| add 1263:14 | 1247:23 | | afford | 1316:23 |
| 1303:10 | 1437:1 | | | 1317:1 |
| 1383:6 | | | | 1362:13,19 |
| 1405:1 | | | | |

| | | | | |
|---------------------|---------------------|-------------------|------------------|--------------------|
| ,21,25 | 1385:21 | 1510:11,14 | 1270:18 | 1353:19 |
| 1363:3 | 1477:21 | amortize | 1273:12 | 1359:15 |
| 1364:4 | all-time | 1339:25 | 1274:12 | 1376:23 |
| 1379:20 | 1430:8 | 1510:20 | 1277:19 | 1395:16 |
| 1408:6 | alluded | amortized | 1488:6 | 1397:9 |
| 1439:20 | 1476:16 | 1433:6 | analyzing | 1428:13 |
| agreements | 1482:6 | 1434:15 | 1461:11 | 1459:24 |
| 1274:5 | already | amortizing | Anderson | 1471:21 |
| ahea 1293:24 | 1252:21 | 1338:17 | 1243:14 | 1475:9 |
| ahead 1281:1 | 1253:15 | 1509:23 | and-such | 1487:8 |
| 1337:8 | 1310:4 | 1510:2 | 1394:22 | 1504:12 |
| 1356:9 | 1312:19 | 1511:1,5 | annual | answered |
| 1375:14 | 1345:17 | amount | 1268:13 | 1466:2 |
| 1397:24 | 1369:22 | 1257:21 | 1270:21 | answering |
| 1418:17 | 1387:25 | 1259:16 | 1284:10 | 1440:12 |
| 1427:10 | 1412:2 | 1306:24 | 1290:2 | answers |
| air 1484:16 | 1460:24 | 1328:20 | 1298:9 | 1414:24 |
| al 1439:11 | 1472:7 | 1333:11 | 1308:20 | Anterra |
| Alberta | alternative | 1338:23 | 1418:7 | 1384:5 |
| 1491:21 | 1329:25 | 1354:14 | 1431:25 | anticipated |
| 1493:18,20 | 1330:2 | 1361:11 | 1442:20 | 1358:8 |
| 1504:8 | 1342:19 | 1383:22 | 1443:7,18 | 1394:6 |
| align | 1438:11 | 1389:22 | 1444:20 | 1442:22 |
| 1273:14 | 1511:8 | 1422:3 | 1452:16 | Antoine |
| aligned | alternatives | 1424:2 | 1455:16 | 1243:12 |
| 1313:9 | 1342:3 | 1425:25 | 1463:20 | anymore |
| 1413:6 | 1492:21 | 1427:3 | 1464:5,15 | 1273:15 |
| 1414:23 | am 1261:10 | 1430:20 | 1466:4 | 1419:9 |
| 1415:25 | 1358:25 | 1431:4 | 1467:6,23, | 1471:22 |
| all-in | 1403:25 | 1433:23 | 25 | 1474:11 |
| 1256:10 | 1427:1 | 1449:15 | 1470:9,15, | 1493:25 |
| allocated | 1429:18 | 1458:7 | 19 1491:12 | |
| 1446:3 | 1464:8 | 1494:13 | 1502:14,25 | anything |
| allocations | 1474:23 | 1503:11 | annualize | 1378:14 |
| 1403:14 | 1489:11 | 1505:25 | 1453:23 | 1443:21 |
| allow | amenable | 1506:18 | annually | 1482:13 |
| 1324:12 | 1381:3 | 1507:18 | 1270:11 | 1485:13 |
| 1326:19 | America | 1509:14 | 1364:17 | 1499:18 |
| 1482:9 | 1394:3 | 1510:19 | 1414:4 | 1511:21 |
| allowed | 1477:3,7,8 | amounts | 1417:14 | anyway |
| 1316:15 | 1485:17 | 1268:13 | answer | 1510:6 |
| 1326:22 | among 1381:6 | 1340:9 | 1292:5 | 1511:1 |
| 1327:13 | amongst | 1366:18 | 1295:24 | apart |
| 1476:9 | 1362:13 | 1445:9 | 1300:2 | 1483:12 |
| 1477:2,10 | 1381:6,11 | 1446:3 | 1309:1 | apologies |
| 1491:16 | 1383:14 | 1448:3 | 1310:16 | 1304:17 |
| 1498:25 | 1464:24 | 1489:16 | 1312:7 | apologize |
| allowing | amortization | analogy | 1313:10 | 1270:7 |
| | 1493:11 | 1384:9 | 1319:4 | 1420:16 |
| | | 1423:12,14 | 1347:25 | |
| | | analysis | 1352:11 | |

| | | | | |
|---|---|---|--|---|
| apparent 1303:14 | 1383:11 1476:21 | 1305:7 1334:19 | 1319:7 1336:25 | 1419:8 1420:17 |
| appear 1280:20 | applies 1493:24 | 1335:2,11 1462:14 1463:2 | 1339:7 1441:21 | 1421:6,19, 22 1469:5 1479:13 |
| APPEARANCES 1243:1 | apply 1380:7 1407:10 1489:11 1504:18 | approximatel y 1251:8,22 1268:18 1277:2 1297:10 1298:4 1318:1 1327:5 1338:20 1371:8 1400:18 1403:3 1409:1 1412:25 1413:4 1414:16 1416:14 1442:21 1478:17 | areas 1315:1 1348:7 1376:4 1381:9 | 1480:4 1490:23,24 1494:10,14 ,17,22 1495:8,9 1496:14,18 1500:19 |
| appeared 1509:6 | applying 1490:4 | | aren't 1267:21 1340:4 1359:4,8 1458:8,11 1484:16 1504:1 | assign 1260:14,21 1261:5 |
| appearing 1467:8 | appreciate 1257:15 1300:2 1303:23 1312:15 1353:18 1392:1 1460:8 1473:25 1498:16 | | argue 1259:4 1263:23 | assigned 1377:5 |
| appears 1320:23 1337:19 1338:2 1346:19 1358:12 1359:3 1457:14 1467:9 | appreciated 1313:12 1388:25 | | arises 1384:24 | assigning 1382:2 |
| Appendix 1288:23 1441:16 1468:15 | approach 1275:8 1423:25 1461:5,8 1465:9 | approximatio n 1290:18 1330:10 | arrangement 1292:24 1364:14,15 1365:11 | assist 1250:5 1295:21 1375:1 1440:9 |
| apples 1397:11 | appropriate 1249:22 1271:17 1326:17 1327:20 1365:24 1398:6 1399:1,17 1447:7 1492:22 1493:9,11 1511:11 | April 1288:22 1293:15 1297:12 1303:25 1311:25 1312:2 1313:25 1417:18 1487:19 | arrangements 1314:17 | assistance 1371:25 1376:2 1400:8 1442:2 |
| applicable 1268:2 1505:3 | | | article 1423:18 | |
| application 1242:7 1288:22 1293:19 1294:10,19 1349:11 1351:17 1366:14,17 ,21 1442:7 1450:12 1460:11 1464:2 1468:3,15 1494:3 1500:7 | | arbitrage 1254:14,20 1255:2 | aside 1266:7 1458:9 | |
| applications 1498:12 | appropriatel y 1313:10 | arcane 1268:7 | aspect 1257:7 1488:25 1498:21 | associate 1316:18 |
| applied 1268:11 1312:8 1368:4,6 | approve 1476:6 | area 1276:5,22 1277:7,10 1278:16 1281:4 1283:21 1311:23 1315:16 | aspects 1250:15 | associated 1267:3,5 1274:7 1282:2 1283:15 1344:22 1355:12 1507:25 |
| | approved 1476:7 | | aspire 1394:10 | association 1379:5 1408:10 1478:14 |
| | approximate 1247:4 1300:21 | | asse 1494:14 | assume 1334:12 1393:6 1408:3 1457:1 1484:25 |
| | | | assess 1398:6 | |
| | | | asset 1479:25 1495:6 | |
| | | | assets 1361:15 1362:3 1418:22 | |

| | | | | |
|--------------------|-------------------|------------------|---------------------|---------------------|
| 1510:1 | 1419:5 | Avenue | 1285:7 | bar 1346:14 |
| assumed | 1447:8 | 1242:21 | 1286:9,13 | barely |
| 1297:23 | 1448:1 | 1395:18 | 1295:8 | 1276:15 |
| 1307:2,10 | 1456:1 | average | 1354:24 | bargaining |
| 1309:6 | attract | 1251:16 | avoid | 1379:11,18 |
| 1452:13 | 1393:8 | 1254:23 | 1336:20 | 1404:19,20 |
| 1453:19 | attractive | 1255:5,7,1 | 1337:3 | 1406:16 |
| assuming | 1262:6 | 1,19,25 | 1492:5 | 1407:10,24 |
| 1262:14 | 1321:16 | 1257:16,19 | awarded | 1408:8,12 |
| 1271:10 | 1342:19,23 | ,20 | 1407:4 | base 1339:23 |
| 1273:7 | attributed | 1259:13 | aware | 1408:21,22 |
| 1315:4 | 1446:12 | 1262:15 | 1279:25 | 1409:6,9,1 |
| 1427:1 | 1448:3 | 1274:19 | 1306:7 | 8,21 |
| 1428:3 | 1449:13 | 1275:9 | 1350:19 | 1410:3,4,1 |
| 1429:18 | 1452:16 | 1276:25 | 1353:23 | 6,23 |
| 1461:25 | 1464:10 | 1278:18 | 1358:5 | 1411:11,20 |
| 1466:11 | audit | 1280:15 | 1363:12 | 1412:13,15 |
| 1487:18 | 1387:20 | 1282:9 | 1364:5 | 1416:6,13 |
| assumption | 1485:7 | 1283:19 | 1400:24 | 1420:2,6,1 |
| 1295:25 | audited | 1286:22 | 1401:8 | 1 1429:9 |
| 1435:6 | 1472:25 | 1287:9 | 1511:18 | 1448:15 |
| assumptions | auditor | 1290:2,4,1 | away 1354:19 | 1449:7 |
| 1286:22 | 1464:19 | 4 | | 1499:2 |
| 1296:8 | 1476:9 | 1292:7,10 | | 1508:16 |
| 1434:25 | 1497:11 | 1294:23 | | |
| 1435:5 | auditors | 1295:7,11, | <hr/> | based |
| assurance | 1430:15 | 13,14 | B | 1258:19 |
| 1474:15 | 1431:17 | 1296:2,6,1 | <hr/> | 1261:14 |
| asterisk | 1476:2 | 3,17,18,22 | backlash | 1262:11 |
| 1328:6 | 1485:4 | 1304:20 | 1390:24 | 1264:5 |
| attaching | August | 1306:12,13 | back-to-back | 1268:4,7 |
| 1362:7,8 | 1322:16 | 1337:11 | 1428:23 | 1271:22 |
| attachment | 1405:9,11 | 1338:13 | backup | 1272:9 |
| 1285:6 | available | 1341:21 | 1332:16,22 | 1275:24 |
| 1350:21 | 1253:3,6 | 1344:1 | balance | 1279:5 |
| attempt | 1260:9,11 | 1345:5,8,1 | 1265:22 | 1280:20,22 |
| 1448:11 | 1264:7 | 2 1360:1 | 1324:8 | ,24 |
| attempted | 1267:17 | 1365:20 | 1472:2 | 1285:10 |
| 1276:24 | 1273:3 | 1429:14,23 | 1475:25 | 1286:14 |
| attempting | 1303:11 | 1457:2,6 | 1494:10 | 1287:9 |
| 1448:19 | 1305:23 | 1462:25 | 1499:20 | 1296:2 |
| attempts | 1307:11 | 1466:5 | 1503:12 | 1299:3 |
| 1314:24 | 1320:18 | 1470:16 | balances | 1310:19 |
| attend | 1321:18 | averaged | 1494:9 | 1312:8 |
| 1248:6 | 1322:13 | 1255:4 | 1497:16 | 1325:20 |
| 1511:14 | 1325:12 | averages | ballpark | 1356:9 |
| attention | 1331:24 | 1257:15 | 1324:23 | 1380:9 |
| 1300:9,13 | 1388:11 | 1270:14 | bang 1368:22 | 1385:18 |
| | 1393:2 | averaging | Bank 1441:2 | 1388:1,5 |
| | | 1251:8 | banks 1436:1 | 1430:2 |
| | | 1259:7 | 1441:1 | 1432:23 |
| | | 1272:9 | | 1435:18 |
| | | | | 1442:10 |

| | | | | |
|------------------|---------------------|---------------------|---------------------|---------------------|
| 1443:18 | 1500:18 | 1339:5 | 15 1455:3 | billed |
| 1447:12 | bears | 1349:16 | 1456:6 | 1366:10 |
| 1449:22 | 1456:23 | 1351:10,17 | 1460:16 | billion |
| 1453:20 | became | 1364:18 | 1461:1,20 | 1308:23 |
| 1487:20 | 1284:22 | 1367:22 | 1470:17 | 1420:2,4 |
| 1499:1 | 1305:8,9 | 1372:15 | 1484:15 | 1421:22 |
| 1507:15 | 1306:13 | 1377:17 | best 1248:13 | 1427:14 |
| basically | become | 1382:18 | 1375:3 | 1428:11 |
| 1389:20 | 1306:9 | 1398:15 | 1377:20 | 1432:5,6 |
| basis | 1321:15 | 1442:9 | 1394:13,15 | 1498:6,7 |
| 1262:16 | 1334:15 | 1444:8 | 1429:1 | 1505:21 |
| 1270:22 | 1340:14 | 1449:22 | 1430:2 | billions |
| 1286:10 | 1474:1 | believes | 1450:19 | 1480:3 |
| 1287:17 | becomes | 1492:16 | best-case | binder |
| 1293:15 | 1263:13 | belong | 1277:10,16 | 1249:13 |
| 1294:10,13 | 1350:14 | 1398:18 | better | 1369:19,23 |
| 1297:18 | 1371:8 | bench | 1256:22 | ,25 |
| 1301:23 | 1412:9 | 1376:20 | 1257:3 | Bipole |
| 1320:10 | becoming | benchmark | 1300:23 | 1288:6,14 |
| 1333:11 | 1318:22 | 1380:11 | 1356:17 | 1289:21 |
| 1340:13 | begin 1370:6 | 1382:14 | 1372:25 | 1291:18 |
| 1349:6 | beginning | 1469:11 | 1392:4,11 | 1409:3 |
| 1369:2,4 | 1475:11 | benchmarking | 1394:8 | bit 1264:6 |
| 1380:21 | behalf | 1375:17,23 | 1424:11 | 1266:4 |
| 1381:13 | 1249:18 | 1376:1,3,7 | 1455:18 | 1276:9 |
| 1419:19 | 1317:17 | ,8,16,21,2 | 1465:9 | 1321:13 |
| 1425:1 | behaviour | 4 | 1477:23 | 1322:17 |
| 1443:7 | 1284:8 | 1377:16,20 | 1493:4 | 1332:3 |
| 1464:4 | behind | 1379:13,20 | 1494:13 | 1356:20 |
| 1474:15 | 1419:16 | 1381:4 | betterment | 1359:3 |
| 1482:14 | 1484:23 | 1382:6 | 1469:5 | 1383:20 |
| 1491:19 | 1489:8 | 1396:20 | beyond | 1386:1 |
| 1492:2 | 1490:7 | 1397:5 | 1379:21 | 1402:23 |
| basket | believe | benchmarks | 1385:10 | 1423:24 |
| 1445:2,4 | 1248:3 | 1392:18 | 1413:13 | 1461:5 |
| BC | 1249:11 | 1393:4 | 1422:17 | 1488:24 |
| 1247:14,16 | 1264:10 | 1469:14 | bias 1353:13 | biting |
| 1372:6,13, | 1278:3 | benefit | 1436:8 | 1306:24 |
| 15 | 1279:15,21 | 1272:2 | bid 1264:5 | biz 1361:2 |
| 1373:2,20, | 1282:8 | 1364:16 | 1345:19 | blows 1348:3 |
| 23 1380:15 | 1285:8,10 | 1371:24 | 1393:13 | blue 1281:20 |
| 1382:17 | 1287:25 | 1375:3 | bidding | 1319:7 |
| 1384:19 | 1288:3 | 1385:10 | 1345:24 | BMO 1441:1 |
| 1387:16,24 | 1307:8 | 1398:5 | biggest | board |
| 1388:14,25 | 1314:8 | 1497:18 | 1405:5 | 1242:3,13, |
| 1389:3,8,1 | 1317:12 | 1499:22 | bilateral | 14,15,16,2 |
| 2 1394:20 | 1324:22 | benefits | 1314:11,17 | 0 1243:2 |
| 1421:21 | 1328:9 | 1326:1,3 | bill 1366:7 | 1246:14,21 |
| 1471:9,22 | 1336:19 | 1332:23 | | 1247:3,9,2 |
| 1496:14 | | 1454:8,13, | | |
| 1497:11,12 | | | | |
| 1498:2,5,8 | | | | |

| | | | | |
|-----------------|---------------------|-------------------|--------------------|-------------------|
| 1 1248:11 | 1365:24 | 1486:8 | 1273:17,22 | 1314:3,14,22 |
| 1249:18 | 1367:13 | 1488:18 | 1274:1,13, | |
| 1250:5,14,16,22 | 1370:2,21 | 1491:8,16 | 17 1275:10 | 1315:7,10 |
| 1251:5,13 | 1371:19 | 1492:9,10,11,20 | 1276:1,16,20 | 1316:5,17,22,25 |
| 1254:6,13 | 1372:1,4,8 | 1496:7 | 1277:5,9,2 | 1317:22,23 |
| 1267:2 | 1373:8,21 | 1499:22 | 4 | 1318:8,15 |
| 1269:25 | 1374:11,13,18 | 1500:5 | 1278:7,15,22 | 1319:9,20 |
| 1272:21 | 1375:21,24 | 1502:21 | | 1320:5,12,21 |
| 1276:2,4,7 | 1376:1 | 1505:5 | 1279:3,12,18,23 | 1321:3,20,23 |
| 1278:17 | 1385:2,3 | 1506:8,12,20,21 | 1280:2,10 | |
| 1279:4 | 1387:21 | 1510:17 | 1281:1 | 1322:3,11,20 |
| 1280:10 | 1388:14 | 1511:12 | 1282:4,9,15 | 1323:22 |
| 1286:25 | 1395:16 | Board's | 1286:17,18,24 | 1324:17 |
| 1289:19 | 1396:5,20 | 1300:9,13 | 1287:7,14,19 | 1325:4,10,14 |
| 1291:19 | 1398:2 | 1373:15 | 1288:4,8,18 | 1327:3,18 |
| 1293:16 | 1399:21 | 1374:16 | 1292:1,2,13,23 | 1328:13,14,23 |
| 1294:4,11,19 | 1400:1,12,14 | 1375:9 | 1293:14,20,24 | 1329:4,9,12 |
| 1295:22,24 | 1403:1 | 1396:16 | 1294:5,11,16 | 1330:1,9,18 |
| 1301:6 | 1414:21 | 1446:19 | 1295:20 | 8 1331:12 |
| 1303:5 | 1415:10 | 1447:8 | 1296:11,14 | 1332:6,10 |
| 1304:18 | 1418:18,20 | 1448:1 | 1297:1,5,10,17,22 | 1333:2,22 |
| 1307:17 | 1419:6 | 1456:1 | 1298:3,8,15,22 | 1334:17,25 |
| 1308:7,20 | 1423:4 | 1478:4 | 1299:5,12,21,25 | 1335:7,24,25 |
| 1310:5 | 1430:13 | Bob 1243:2 | 1300:8,20 | 1336:8 |
| 1313:3,13,19 | 1436:21,25 | 1244:11 | 1301:3 | 1337:5,6,9,17,24 |
| 1314:15,25 | 1437:9 | 1249:10 | 1302:1,6,10 | 1338:2 |
| 1317:25 | 1440:10,14,22 | 1250:3,12,13,22 | 0 | 1339:1,10,13,17 |
| 1319:12 | 1441:3,24 | 1251:1,5,12,18,25 | 1303:3,8,22 | 1340:16,24 |
| 1320:5 | 1442:2,6,2 | 1252:18,24 | 1304:3,6,17,25 | 1341:23 |
| 1323:24 | 4 1447:8 | 1254:5,12 | 1305:5,17,21 | 1342:4 |
| 1328:1 | 1448:16,20 | 1255:9,17,23 | 1306:16 | 1343:8,19,23 |
| 1329:13 | 1449:9 | 1256:12 | 1307:16,20 | 1344:4,10,13,16 |
| 1330:19 | 1451:12 | 1257:5,14,18 | 1308:18,19 | 1345:1,11,14 |
| 1334:18 | 1454:7,14 | 1258:6,9 | 1310:2,3,15 | 1346:3,11,17,23 |
| 1335:1,10,18 | 1455:1 | 1259:11,18 | 5 | 1347:5,8,14,22,25 |
| 18 1336:3 | 1460:12,25 | 1260:6,17,23 | 1311:11,12,21 | 1348:20 |
| 1337:10,12,17 | 1461:9 | 1261:9,16,21 | 1312:10,14,22 | 1349:10,16,19 |
| 1340:17 | 1467:4,8 | 1265:17,18 | 1313:2,11,16,23,24 | 1350:16,22 |
| 1343:9 | 1472:23 | 1268:20,21 | | 1351:6,12,22 |
| 1345:16,18 | 1473:4,8,9,12,17,19 | 1269:1,6,14,18,22 | | 1352:9,12, |
| 1346:11 | 1477:16 | 1270:7,20,25 | | |
| 1347:9 | 1478:3,19,20 | 1271:7,12 | | |
| 1349:13 | 1479:9 | 1272:8,19,23 | | |
| 1350:18 | 1480:8 | | | |
| 1351:24 | 1481:1,8 | | | |
| 1358:22 | 1482:2,7,16 | | | |
| 1359:16 | 6 | | | |
| 1360:6 | 1483:10,16,22 | | | |
| 1362:18 | 1484:1,2 | | | |
| 1363:24 | 1485:16 | | | |

| | | | | |
|------------|------------|---------------------|---------------------|---------------------|
| 19 | ,21 1408:2 | 1470:8 | 1409:3,21, | borrow |
| 1353:2,18 | 1411:22,23 | 1471:5,14, | 24 1410:5 | 1430:19 |
| 1358:15,16 | 1412:6,19 | 17,19 | 1412:5 | borrowed |
| 1359:1,13, | 1413:18 | 1472:1,6,1 | Boniface | 1430:4 |
| 24 | 1414:3,9,2 | 0,20 | 1389:18,24 | borrowing |
| 1360:5,16 | 0 | 1473:7,21, | book 1250:17 | 1430:8,18 |
| 1361:3,14, | 1415:2,7,1 | 24 | 1269:24 | 1435:9 |
| 19,23 | 5 | 1474:8,14, | 1276:2,4 | bottom |
| 1362:5,12, | 1416:1,5,1 | 23 | 1280:11 | 1250:19 |
| 17 | 6,24 | 1475:7,17, | 1299:7 | 1251:12 |
| 1363:5,11, | 1417:4,19, | 21 | 1304:19 | 1255:18 |
| 20 | 25 | 1476:11,15 | 1328:4,25 | 1296:18 |
| 1364:20,23 | 1418:3,11, | ,22,25 | 1337:11 | 1300:3 |
| 1365:1,9,1 | 17 | 1477:9,14 | 1345:16 | 1303:2 |
| 3,17,22 | 1419:4,14 | 1478:1,9,1 | 1346:4 | 1328:5 |
| 1368:9,10, | 1420:14 | 5,23 | 1349:17 | 1337:18,19 |
| 14 | 1436:19 | 1479:3,18, | 1351:14 | 1346:14 |
| 1369:7,8,1 | 1440:8,9,2 | 23 | 1358:18,22 | 1347:9 |
| 4 1370:19 | 1 | 1480:10,21 | 1359:2 | 1360:15,25 |
| 1371:4,5,1 | 1441:19,20 | 1481:6,15, | 1372:3,20 | 1367:2 |
| 1,16,23 | 1442:12,17 | 19 | 1373:4,9 | 1398:1 |
| 1372:11,18 | ,24 | 1482:1,19 | 1374:18,24 | 1420:13 |
| 1373:3,6,1 | 1443:4,11, | 1483:1,20 | 1375:16 | 1424:21 |
| 1,14 | 15 | 1484:7,18 | 1385:3 | 1425:22 |
| 1374:9,16, | 1444:4,10, | 1485:3,12 | 1396:17 | 1435:7 |
| 23 | 15,19 | 1486:7,10 | 1397:25 | 1445:6,9 |
| 1375:14,20 | 1445:1,11, | 1488:11,12 | 1400:14 | 1446:9 |
| 1376:22 | 19 | ,17,22 | 1405:14 | 1448:4,14 |
| 1381:1,2,1 | 1446:1,7,1 | 1491:14,15 | 1441:24 | 1453:4 |
| 2,15,25 | 7 | ,21 | 1447:9 | bottom-line |
| 1382:5 | 1447:1,4,5 | 1492:1,8 | 1450:16 | 1312:17 |
| 1383:16 | ,16,25 | 1493:3,16 | 1451:2,20 | 1369:1,4 |
| 1385:1,2 | 1448:18 | 1494:4 | 1452:12 | bought |
| 1388:10,13 | 1449:12,19 | 1498:18,19 | 1454:3 | 1326:21 |
| ,24 1389:5 | 1450:3,8,2 | 1499:21 | 1456:2 | Brandon |
| 1395:14,15 | 0 | 1500:13,17 | 1457:12 | 1330:24 |
| 1396:2,14, | 1451:10,11 | 1501:1,10, | 1459:24 | 1332:7,16 |
| 15,23 | 1452:7,8,1 | 16,21 | 1460:10 | 1333:3 |
| 1397:7,15, | 5,20,23 | 1502:3,13, | 1463:16,17 | 1336:14,18 |
| 20,24 | 1454:1,2,1 | 14,19,24 | 1469:13 | ,20 1337:1 |
| 1399:5,13, | 2,23 | 1503:2,4,9 | 1472:2 | break 1444:3 |
| 20,25 | 1455:24,25 | ,16,25 | 1492:10 | 1446:19 |
| 1400:3,10 | 1456:8,12, | 1504:4,12, | 1493:17 | 1447:7 |
| 1401:9,20, | 17 | 16 1505:17 | 1499:23 | break-even |
| 24 | 1457:10,11 | 1506:17 | books | 1265:23 |
| 1402:6,17, | ,24 | 1507:13 | 1479:14,16 | Brennan |
| 22 | 1458:9,19 | 1508:6,24 | 1505:10,14 | 1400:16,23 |
| 1403:1,7,1 | 1459:1 | 1509:12 | 1506:6 | 1497:19 |
| 5,23 | 1460:6,7,2 | 1510:16 | border | Brennan's |
| 1404:3,13 | 3 | 1511:3,9,1 | 1263:12 | |
| 1405:8,13, | 1467:1,2,2 | 8 | 1317:18 | |
| 16,20,24 | 1 | body 1473:5 | 1319:1 | |
| 1406:7,10 | 1468:8,22 | Bois 1249:15 | | |
| 1407:13,14 | 1469:9 | | | |

| | | | | |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 1401:20 | 1375:6,12 | 1393:18 | burgundy | calculate |
| bridge | 1395:12 | broken | 1346:14 | 1275:23 |
| 1273:8 | 1397:22 | 1448:2 | burning | 1278:5 |
| brief 1250:1 | 1401:18 | brought | 1331:24 | 1307:19 |
| 1254:17 | 1402:15 | 1300:9,13 | Burns 1441:1 | 1309:22 |
| 1256:5 | 1403:21 | 1341:25 | burnt | 1310:10,14 |
| 1257:10,24 | 1404:1,23 | 1423:16 | 1331:18 | 1463:23 |
| 1261:1 | 1407:1 | budget | business | calculated |
| 1265:15 | 1408:15 | 1401:5 | 1257:8 | 1261:12 |
| 1266:1 | 1411:6 | 1402:7 | 1275:17 | 1279:1 |
| 1268:25 | 1431:15,22 | 1403:2,17 | 1350:19 | 1286:9 |
| 1275:14 | 1433:2 | 1404:5 | 1363:6 | 1318:20 |
| 1277:12 | 1441:12 | budgeting | 1378:17 | 1334:1 |
| 1279:8 | 1443:24 | 1385:9 | 1385:12,15 | 1456:6 |
| 1280:6,17 | 1457:18 | budgets | 1391:11,23 | 1464:4 |
| 1287:5,23 | 1458:3 | 1385:12,16 | 1393:20 | 1470:18 |
| 1288:16 | 1459:12,18 | ,19 | 1401:5 | calculating |
| 1289:3,23 | 1461:15 | 1401:6,8 | 1403:12,19 | 1266:13 |
| 1290:11 | 1462:17 | 1402:5 | 1420:11 | calculation |
| 1291:8,21 | 1466:19 | buffer | 1426:18 | 1259:22 |
| 1293:3,12 | 1467:13 | 1507:10 | 1427:9 | 1260:25 |
| 1299:1,10 | 1468:10 | build 1275:1 | 1440:4 | 1267:8 |
| 1300:18 | 1469:1,7 | 1385:11 | 1465:2 | 1296:13,15 |
| 1301:1,10,25 | 1470:12,21 | 1392:20 | 1473:13 | ,25 |
| 1302:13,19 | 1471:3 | 1425:18 | 1480:16 | 1298:14 |
| 1304:11,23 | 1472:18 | 1426:22 | buy 1252:14 | 1301:14 |
| 1306:20 | 1487:14 | 1438:8 | 1253:13 | 1330:19 |
| 1307:6 | 1489:4 | 1439:22,25 | 1255:2 | 1339:5 |
| 1308:25 | 1493:14 | 1440:1 | 1316:3 | 1418:5,7 |
| 1312:5 | 1504:21 | building | 1337:3 | 1422:9 |
| 1313:5 | 1506:15 | 1247:20 | 1346:6 | 1433:11 |
| 1314:20 | 1511:16 | 1342:19 | 1348:16 | 1455:19 |
| 1317:5 | briefly | 1396:12 | 1392:19 | 1460:18 |
| 1318:4,17 | 1263:8 | 1410:10 | 1437:19 | 1461:4,13 |
| 1324:20 | 1323:22 | 1464:22 | buyers | 1463:18,20 |
| 1327:1 | 1362:18 | 1465:2 | 1317:10 | ,22 |
| 1330:5 | 1363:23 | 1507:12 | 1355:22 | 1464:5,14 |
| 1336:11 | bring | build-up | buying | 1503:10 |
| 1338:6,25 | 1333:17 | 1499:1 | 1251:22 | calculations |
| 1341:3 | 1447:7 | built 1259:3 | 1255:1 | 1310:18 |
| 1342:9 | 1448:1 | 1342:2 | 1333:17 | 1337:12 |
| 1343:14 | 1492:8 | 1394:4 | 1336:22 | 1463:15 |
| 1347:1,17 | brings | 1395:21 | Byron 1243:7 | 1467:6 |
| 1349:1,8 | 1297:18 | 1414:11 | 1395:2 | calculator |
| 1351:4,20 | 1366:22 | 1429:14,17 | <hr/> | 1457:23 |
| 1353:6 | 1412:7 | 1434:25 | C | calendar |
| 1357:6 | 1415:2 | 1507:21 | <hr/> | 1287:1 |
| 1363:18 | 1417:22 | bumping | cable | 1328:7,10 |
| 1364:1 | 1480:23 | 1281:25 | 1393:15 | Canada |
| 1370:17,23 | broad 1377:5 | burgundy | CAC 1243:7 | 1377:4 |
| 1371:25 | broke | | | 1378:2 |
| 1372:22 | | | | |

| | | | | |
|---|---|--|---|---|
| 1379:14,25 1380:4 1474:6 1482:10,18 ,20 1495:2 Canadian 1379:4 1385:24 1408:8,9 1431:20 1472:23 1473:8,18 1474:1,9,1 1 1477:10,13 ,17 1478:13,19 1479:9 1480:7 1488:13 1490:10 1500:11 cap 1380:7 capabilities 1320:15 1412:11 capability 1253:7 1323:13 capacity 1254:2 1267:6 1323:16 1328:17 1329:6 1339:2 capital 1247:4,7 1287:20 1288:6 1291:18 1310:17,23 1332:20 1334:17,19 1335:2,3,1 1,14 1380:8 1392:12 1393:4 1398:11 1403:14 | 1408:18,21 ,23 1409:5,6,9 ,18,21 1410:3,4,1 7,23 1411:12,13 ,20,25 1412:9,13, 15,16,22,2 3 1413:17 1420:3,4,7 1427:3 1429:10 1437:7 1439:6 1445:22 1446:4 1458:14,18 ,20 1463:24 1465:4,21 1468:17 1474:19 1480:11 capitalizati on 1445:20 1454:8,19, 22 1461:1 1464:20 capitalized 1310:24 1444:13,25 1445:7,9,1 2 1446:2 1455:10,12 ,14,20 1456:3,7,9 1460:16 1461:19,24 1462:4,12 1463:4,24 1464:1,11 1465:14,22 1466:14,16 1468:23 1469:4 caption 1453:8 capture 1264:6 1331:24 | carbon 1279:14,17 ,19 1280:3 1342:13,21 1343:9,18 1344:2,21 1345:2,10 1351:13,25 1352:13 care 1426:24 1427:11 careful 1298:16 carrying 1332:25 1432:2,5,8 1433:6 case 1279:16 1282:2 1288:3 1289:20 1298:22 1311:2 1378:3 1389:25 1393:10 1402:22 1403:5 1424:14 1426:16,21 1429:21 1490:23 1505:3 case-by-case 1491:19 1492:2 cases 1256:21 1341:8 casualties 1358:12 catchall 1359:4 category 1266:5 1310:25 1409:2 1410:15,19 1445:15 | cause 1292:17 1377:14 caused 1358:10 causes 1323:8 1348:8 1420:19 causing 1329:18,20 caution 1484:2 cautioned 1472:12 caveat 1261:5 1269:8 CEA 1484:22 cent 1321:25 Centra 1350:18 1497:2 1501:23 1502:7,11 central 1314:10,16 centrally 1314:7 1322:1 centre's 1473:11 cents 1251:8,16, 21,23 1253:11 1254:22,25 1255:1,20, 25 1256:1,3 1267:16 1268:18 1269:4,5 1282:10 1285:11,13 ,18,20,25 1286:2,3 1292:9 | 1298:10,17 ,19,20 1337:24 1344:13 1346:20 1350:5 1386:1 CEO 1384:10 CEP 1408:10 certain 1272:2 1345:20 1385:20 1387:21 1476:1 1483:24 1490:23 1492:14,18 1505:18 certainly 1285:17 1334:25 1373:7 1375:10,23 1376:13 1381:6 1392:7 1401:13 1420:23 1427:18 1448:24 1490:17 certainty 1343:3 Certificate 1244:13 Certified 1512:8 cetera 1356:20 1374:6 1380:22 1384:17 1436:1 Chairman 1242:14 1248:9 1249:11 1250:4 1276:2,3 |
|---|---|--|---|---|

| | | | | |
|--------------------|-----------------|------------------|---------------------|---------------------|
| 1285:4 | 1319:7 | 1362:2 | 1253:2 | 1411:20 |
| 1290:13 | 1320:10 | charging | 1329:20 | Clean 1277:2 |
| 1292:5 | 1374:5 | 1510:6,7,1 | 1334:7 | clear |
| 1300:10 | 1380:6 | 0 | 1439:25 | 1284:20 |
| 1327:18 | 1390:4 | chart | chooses | 1286:19 |
| 1365:14,23 | 1413:6 | 1250:19 | 1315:22 | 1287:13 |
| 1368:18 | 1417:14 | 1251:13,20 | choosing | 1304:18 |
| 1369:16 | 1419:1 | 1255:11,18 | 1329:24 | 1325:15 |
| 1446:18 | 1461:7,8,1 | 1256:13 | chunk | 1342:12 |
| 1447:2 | 2 1465:24 | 1280:20,23 | 1447:23 | 1347:4 |
| 1495:7 | 1467:9 | 1284:17 | Churchill | 1360:20 |
| 1511:10 | 1483:3 | 1285:14 | 1362:22 | 1403:12 |
| CHAIRPERSON | 1487:22 | 1306:1 | CIBC 1441:1 | 1418:25 |
| 1248:3 | 1488:2 | 1315:6 | circulated | 1429:5 |
| 1262:17 | 1497:22 | 1318:24,25 | 1369:21 | 1438:19 |
| 1263:6 | 1509:7 | 1319:6 | circumstance | 1483:24 |
| 1264:2 | changed | 1346:12,14 | 1424:8 | 1486:25 |
| 1265:4 | 1288:1 | ,16,18 | 1510:24 | 1489:1 |
| 1266:18 | 1305:7 | 1347:4 | circumstance | 1496:9 |
| 1267:13,20 | 1356:19 | 1432:1 | s 1253:1 | 1505:16,18 |
| 1284:4,19 | changes | 1455:6 | 1265:21,22 | cleared |
| 1285:15,21 | 1273:8 | 1472:12 | 1274:18 | 1488:8 |
| 1286:4 | 1278:12 | 1500:20 | 1380:9,25 | clearer |
| 1289:25 | 1281:14 | chartered | 1393:11 | 1303:16 |
| 1290:15,24 | 1356:11 | 1436:1 | 1443:22 | clearing |
| 1291:6 | 1390:16 | 1441:1 | cite 1389:18 | 1264:16,19 |
| 1309:1,10 | 1448:3,5,1 | cheap | cities | ,24 1265:3 |
| 1317:7 | 2,20 | 1365:10 | 1358:4 | 1266:16 |
| 1327:21 | 1449:8 | check | City 1243:16 | 1356:7 |
| 1328:1 | 1450:10 | 1251:10,15 | 1502:15 | clears |
| 1336:13 | 1465:20 | 1255:16 | clarificatio | 1266:15 |
| 1354:2 | 1481:3 | 1267:23 | n 1283:9 | cliff |
| 1355:19 | 1492:13 | 1288:2 | clarifies | 1494:15 |
| 1365:25 | 1500:11 | 1289:1 | 1491:5 | clock |
| 1366:12 | changing | 1359:22 | clarify | 1386:24 |
| 1367:14,22 | 1296:8 | 1444:2 | 1369:2 | close 1269:6 |
| 1368:25 | 1301:22 | 1468:5 | classes | 1290:7,8,1 |
| 1389:14 | 1318:22 | 1501:20 | 1294:8 | 4 1372:16 |
| 1406:18 | 1319:4 | checked | 1511:25 | 1441:21 |
| 1437:5 | 1420:10 | 1288:20 | classic | 1484:8 |
| 1446:21 | 1448:13 | 1430:22 | 1511:25 | 1511:2 |
| 1495:1 | charge | 1443:5 | classificati | closed |
| 1511:13,22 | 1264:21 | checking | ons | 1373:8 |
| Chair's | 1267:4,11, | 1277:20 | 1379:15 | closely |
| 1392:8 | 25 | Cheryl | classified | 1370:14 |
| chance | 1268:10,11 | 1512:15 | 1364:6 | 1371:1 |
| 1504:7 | 1510:4 | choice | | 1372:16 |
| change | charges | 1256:24,25 | | 1376:18 |
| 1289:15 | 1266:20,22 | choose | | 1389:23 |
| 1307:13 | 1267:17 | | | |
| 1309:24 | 1268:1 | | | |
| 1318:14 | | | | |

| | | | | |
|---------------------|-------------------|---------------------|---------------------|---------------------|
| 1413:6 | 14 1331:16 | 1493:5 | 1464:19 | 1257:15 |
| 1414:23 | 1332:5 | comment | 1473:20 | 1280:24 |
| closer | 1334:21 | 1485:8 | 1475:4 | 1281:17 |
| 1298:19 | 1343:22 | comments | 1489:13 | 1295:13 |
| 1442:25 | combustion | 1398:2 | 1491:23 | 1318:13 |
| 1461:2 | 1247:6,8 | 1400:11 | 1495:19,20 | 1377:2 |
| closing | 1252:8 | 1478:8,11, | 1496:8,24 | 1381:21 |
| 1390:23 | 1253:11 | 13 1483:13 | 1498:23 | comparison |
| 1440:10 | 1330:3,11, | 1484:24 | company | 1374:8 |
| CO2 1352:20 | 12,14,24 | 1485:9,14 | 1340:15 | 1377:13 |
| coal 1264:17 | 1331:6,16 | commercially | 1355:6 | 1379:8 |
| 1280:9 | 1332:16 | 1274:10 | 1465:4 | 1380:14 |
| 1329:19,22 | 1333:3 | commission | 1494:19 | 1382:18 |
| ,23 | 1334:6,10 | 1277:3 | Company's | 1449:24 |
| 1339:23 | 1335:3,4,1 | 1493:18,21 | 1319:23 | 1469:10 |
| 1341:13,14 | 3,16 | 1495:24 | 1505:15 | 1472:11,16 |
| 1343:24 | 1343:22 | commissions | comparabilit | comparisons |
| 1344:1,2 | 1344:20 | 1496:6 | y 1383:13 | 1376:13 |
| 1346:7,12, | 1439:8 | commitment | 1470:6 | 1379:2 |
| 13,19 | comes | 1363:22 | comparable | 1382:15 |
| 1357:17 | 1266:15 | committee | 1450:24 | 1383:3,18 |
| cold 1336:16 | 1273:2 | 1387:21 | 1452:3 | 1472:3 |
| 1354:6 | 1286:12 | 1411:3 | 1469:18 | compensate |
| colour | 1292:19 | committing | 1471:10 | 1364:7 |
| 1276:24 | 1384:5,22 | 1334:3,8 | 1474:21 | 1421:9 |
| 1346:14 | 1398:22 | commodity | 1504:9 | compensation |
| column | 1460:10 | 1423:17 | compare | 1365:3 |
| 1320:6 | 1470:19 | 1480:16 | 1295:13 | compete |
| 1349:21,22 | 1481:7 | common | 1376:9 | 1256:18 |
| 1442:21 | 1508:5 | 1348:1 | 1377:21 | 1384:11 |
| 1451:25 | comfort | 1465:10 | 1381:20 | 1386:10 |
| 1452:22 | 1272:1 | 1477:6,7 | 1382:6 | competing |
| 1453:3 | coming | commonly | 1395:6,21 | 1265:6 |
| columns | 1259:1,2 | 1475:3 | 1469:21 | 1343:1 |
| 1349:25 | 1260:12 | communities | 1471:6,13 | 1346:1 |
| 1442:3,4,1 | 1281:12 | 1391:1 | 1504:7 | competition |
| 3 | 1306:5 | community | compared | 1341:24 |
| com 1326:11 | 1319:1 | 1390:22 | 1295:1 | 1395:10 |
| 1377:13 | 1347:10,23 | companies | 1334:20 | competitive |
| combined | 1352:1 | 1270:11 | 1377:3,6 | 1340:19,20 |
| 1247:6 | 1394:22 | 1271:10,13 | 1381:22 | 1393:13,17 |
| 1330:21 | 1422:12 | 1318:22 | 1395:21,22 | ,21,24 |
| 1332:13,20 | 1423:2 | 1321:8,9,1 | ,25 | competitor |
| 1335:2,3,1 | 1425:18 | 1 1326:11 | 1414:22 | 1340:25 |
| 2,14 | 1439:20 | 1361:25 | 1421:19 | complete |
| combined- | 1452:9 | 1363:14 | 1450:16 | 1399:22 |
| cycle | commence | 1386:2,3,1 | 1505:21 | complex |
| 1247:5 | 1248:6 | 1 1434:17 | compares | 1332:25 |
| 1330:3,10, | commencing | | 1467:7 | 1378:5 |
| | 1248:1 | | comparing | |
| | 1476:17 | | | |

| | | | | |
|---|---|---|---|---|
| compliance 1498:10 | 1346:11 1397:3 1469:24 | 1264:9 1273:23 1274:10 | n 1429:15 1508:2 | 1273:7,11 1274:2 1275:25 1400:5 |
| compliant 1487:10 | concluded 1249:19 1250:14 1407:6 | 1275:12,25 1381:13 | considered 1277:10 1387:13 1390:11 1444:16 1464:9 | consultants 1270:9 1271:18,25 1272:2,4,5 ,14,15,18, 20 1274:5,21, 22,23 1275:9,11, 19,20 1277:15,18 ,22,25 1278:20,23 1279:6 1352:23 1353:11,14 |
| complicating 1292:4 | concludes 1402:1 | confidential ity 1274:7 | consistency 1272:3 | |
| complying 1474:16 | conclusion 1257:6 1449:2 1466:10 | confirm 1368:3 1406:23 1442:3 1500:5 | consistent 1321:3,4 1412:17 | |
| component 1488:3 | conditions 1262:15 1439:24 | confirmed 1368:5 | consistently 1376:15 | |
| components 1464:16 | condition 1262:15 1439:24 | congestion 1322:17 1323:8,14 1327:12 1348:8 | constant 1254:22 1281:22 1350:2,10 | |
| compounded 1442:20 1443:7,18 1444:20 1467:6,23, 25 | connect 1280:22 1290:23 1297:23 1301:21 1309:19 1312:20 1322:10 1323:17 1378:18,21 1380:17 1417:14 1426:1 1439:10 | connect 1346:18 | constantly 1319:2 1385:13 1391:9 1392:3 1465:2 | consulting 1270:11 1366:2,5,7 ,8 |
| comprehensiv e 1387:15 | connected 1362:23 | connecting 1509:13 | constituents 1263:6 | consumers 1356:14 1359:8,20 1366:24 1375:4 1386:14 1427:7 1438:21 1486:6 |
| con 1322:17 1387:2 | conducting 1376:20 | conscious 1326:14 | constrained 1322:12 | Con't 1247:1 |
| Conawapa 1287:21 1288:1 1409:3 1422:11,14 1423:3,10, 15 1424:1,15 | conducted 1376:23 1379:21 1387:16 1399:11 | consensus 1275:8 1286:10 1290:21 1293:9 1352:7 1435:19 | constraint 1405:17 | contained 1249:14 1276:8 1286:21 |
| concern 1374:21 1375:24 1479:24 1480:3 1497:15 | Conference 1441:3 | consequences 1351:13 | constraints 1443:14 | |
| concerned 1284:7,11 1355:10 1376:20 1499:17 | confess 1284:4 | conservative 1465:9 | construction 1380:12 1408:25 1409:25 1425:17,19 1455:9,16 1457:2,4 1458:21 1461:25 1462:3,7,1 0 1464:11,21 1468:4,23 | containment 1371:18 |
| concerns 1374:18 1400:13,17 | confided 1400:8 | consider 1267:4 1394:14 1454:23 1487:22 1492:21 | consultant 1272:16 | contains 1276:25 1471:5 |
| conclude 1300:12 1317:25 1342:5 | confident 1388:6 | considerably 1338:3 1416:20 | | contaminated 1501:5,10 |
| | confidential | consideratio | | contemplated 1390:2 1412:21 |
| | | | | CONTENTS |

| | | | | |
|------------------|--------------------|---------------------|------------|------------|
| 1244:1 | 1467:1 | 1316:13 | 19 | 6,21 |
| continue | 1479:5 | 1325:7 | 1261:3,10, | 1311:12,18 |
| 1248:7 | 1488:11 | 1371:14 | 13,20,25 | 1312:18 |
| 1250:4 | 1491:14 | 1374:19 | 1262:22 | 1313:24 |
| 1254:10 | 1498:18 | 1387:2 | 1263:9,20, | 1314:2,6,1 |
| 1342:18 | 1502:13 | 1445:13 | 23 1264:8 | 8,22 |
| 1385:24 | continuing | controlling | 1265:7,18 | 1315:4,9,1 |
| 1428:16 | 1484:22 | 1448:17 | 1266:3,18, | 2 |
| 1447:5 | contract | convin | 24 | 1316:5,11, |
| 1474:25 | 1256:12,14 | 1398:2 | 1267:18,21 | 20,24 |
| 1475:5 | ,16,20 | convinced | 1268:6,16, | 1317:2,12, |
| 1482:20 | 1257:2 | 1398:3 | 23 | 23 |
| 1484:21 | 1266:20 | coordinate | 1269:1,2,8 | 1318:6,12, |
| 1485:17 | 1267:14,15 | 1316:1 | ,13,17,21, | 19 |
| 1491:17 | ,17 | coordination | 22 | 1319:11,18 |
| 1497:16 | 1292:18 | 1315:13,14 | 1270:5,8,2 | ,24 |
| 1499:15 | 1293:6 | 1316:23,25 | 2 | 1320:9,16, |
| continued | 1316:21 | copies | 1272:9,24 | 23 |
| 1244:11 | 1324:3,4,1 | 1247:14 | 1273:1,20, | 1321:1,5,6 |
| 1250:12 | 1 1326:20 | 1249:4 | 23 1275:16 | ,22,25 |
| 1265:17 | 1354:22 | 1369:17,25 | 1276:11,14 | 1322:4,8,1 |
| 1268:20 | 1379:12 | 1370:4 | ,18 | 5,22 |
| 1286:17 | 1395:5 | 1389:1,9 | 1277:4,8,1 | 1323:25 |
| 1292:1 | 1438:21 | copy | 4 | 1324:18,22 |
| 1308:18 | contracted | 1276:6,8 | 1278:2,8,9 | 1325:6,11, |
| 1310:2 | 1324:7 | 1369:17 | ,15,21,25 | 15,19 |
| 1311:11 | contracting | 1372:20 | 1279:10,13 | 1327:3,6 |
| 1313:23 | 1354:15 | 1387:17 | 1281:2,3 | 1328:14,19 |
| 1317:22 | contractor | 1388:20 | 1282:6 | 1329:3,8,1 |
| 1322:9 | 1393:6 | 1436:10 | 1283:14 | 1,16 |
| 1328:13 | contractors | core 1391:23 | 1284:16 | 1330:2,7,1 |
| 1335:24 | 1392:25 | Cormie | 1290:21 | 0,13,22 |
| 1337:5 | 1393:19 | 1244:9 | 1294:21 | 1331:14 |
| 1358:15 | contracts | 1250:5,10, | 1295:23 | 1332:9,15 |
| 1368:9 | 1255:13,25 | 13,21,25 | 1296:4,12, | 1333:5,24 |
| 1369:7 | 1267:12 | 1251:4,10, | 20 1297:4 | 1334:18,22 |
| 1371:4 | 1269:19 | 17,24,25 | 1298:17 | 1335:5,6,2 |
| 1381:1 | 1291:4 | 1252:4,19, | 1300:7,9,1 | 5 |
| 1385:1 | 1292:16 | 22 1253:4 | 6,24 | 1336:6,8,1 |
| 1388:9 | 1380:21 | 1254:7,13, | 1301:12 | 9 |
| 1395:14 | 1393:13,18 | 19 | 1302:2,5,8 | 1337:6,8,9 |
| 1396:14 | ,22 1395:8 | 1255:10,15 | ,21 | ,16,23 |
| 1407:13 | 1438:22 | ,22 | 1303:4,6,9 | 1338:1,8 |
| 1411:22 | 1439:18 | 1256:7,14 | ,13,22 | 1339:4,12, |
| 1440:8 | contrasting | 1257:5,12, | 1304:2,5,1 | 15,20 |
| 1441:19 | 1255:20 | 16,17 | 3 | 1340:16,22 |
| 1447:4 | contrasts | 1258:1,7,1 | 1305:1,4,1 | 1341:5 |
| 1451:10 | 1256:2 | 2 | 0,20,25 | 1342:1,5,1 |
| 1452:7 | control | 1259:15,20 | 1306:17,22 | 1 |
| 1454:1 | | 1260:6,10, | 1307:8,17, | 1343:9,16, |
| 1455:24 | | | 18,24 | 21,24,25 |
| 1457:10 | | | 1308:21 | 1344:7,12, |
| 1460:6 | | | 1309:6,13 | 15,18 |
| | | | 1310:3,9,1 | 1345:6,12, |

| | | | | |
|--------------------|---------------------|---------------------|------------|----------------|
| 15,23 | 1507:14 | 1349:23 | 1261:6 | 1447:10 |
| 1346:10,15 | corporations | 1352:3 | 1263:7,11, | 1454:19,21 |
| ,19,22 | 1387:7 | 1361:6 | 13,19,21 | ,24 |
| 1347:3,7,8 | 1433:13 | 1365:16 | 1264:1,14, | 1457:2,21 |
| ,13,19,24 | 1434:4 | 1371:17 | 17 | 1461:7 |
| 1348:2,20 | Corporation' | 1396:21 | 1266:7,13 | 1496:25 |
| 1349:3,10, | s 1246:6 | 1403:10 | 1267:6 | 1497:3,13 |
| 14,18,24 | 1282:18 | 1408:2 | 1268:9 | 1499:3,4,7 |
| 1350:16,20 | 1283:3 | 1420:19 | 1288:13 | 1505:9 |
| ,25 | 1299:13 | 1429:18 | 1291:18 | 1506:25 |
| 1351:10,18 | 1455:2 | 1442:16,23 | 1305:13 | costing |
| ,24 | correct | 1443:9,10 | 1309:9 | 1428:10 |
| 1352:4,10, | 1250:24 | 1444:13,14 | 1310:12,17 | costly |
| 17,22 | 1252:1 | 1445:25 | ,23 | 1376:9 |
| 1353:3,8,2 | 1255:14 | 1447:13,14 | 1315:20,21 | 1383:24 |
| 3 1354:10 | 1256:3 | 1449:17 | 1316:10 | 1390:20,21 |
| 1356:5 | 1261:19 | 1455:10 | 1321:14 | costs |
| 1357:8,18, | 1265:19 | 1456:4 | 1331:9 | 1247:4,7,1 |
| 20 1358:5 | 1269:3,21 | 1460:13 | 1332:3 | 2,19 |
| 1362:20 | 1270:4 | 1465:15,25 | 1333:16,17 | 1252:5 |
| 1364:3,22, | 1272:22 | 1466:21 | ,23 | 1254:4 |
| 24 | 1278:16 | 1472:9 | 1334:1,7,1 | 1259:7,8 |
| 1365:2,12, | 1279:12,22 | 1474:23 | 9 | 1260:24 |
| 15,19 | 1280:1,13 | 1476:24 | 1338:14,17 | 1262:12,19 |
| 1367:1 | 1283:13,23 | 1479:1,4 | 1339:6 | ,20,23,25 |
| 1370:7 | 1286:23 | 1488:15 | 1340:9,15 | 1263:10 |
| 1429:13 | 1287:3,11 | 1500:8,16 | 1341:8 | 1264:3,5,1 |
| 1439:17 | 1288:11 | 1502:1 | 1342:14,15 | 2 1287:20 |
| 1442:23 | 1291:11 | 1512:8 | 1343:1,6,1 | 2 1288:6 |
| 1443:2,10 | 1292:22 | corrected | 2 | 1301:15 |
| 1446:5 | 1293:6 | 1287:12 | 1344:19,20 | 1302:9,25 |
| 1459:22 | 1294:19,20 | corrections | ,21 | 1332:25 |
| Cormie's | 1297:8,14, | 1472:15 | 1345:2,10, | 1333:19,20 |
| 1298:8 | 15,19,21 | correctly | 25 1356:6 | ,23 |
| corner | 1298:7,21 | 1283:11 | 1364:8 | 1334:9,18 |
| 1347:9 | 1300:7,12, | 1318:20 | 1366:13 | 1335:2,3,1 |
| corporate | 16,24 | 1321:12 | 1371:18 | 1,15,22 |
| 1400:19 | 1302:22 | 1405:22 | 1373:24 | 1336:5 |
| Corporation | 1304:5 | 1428:4 | 1374:6,19 | 1337:3,20 |
| 1286:21 | 1305:3,4,1 | 1454:25 | 1376:20 | 1338:16 |
| 1304:6 | 0,20 | corrects | 1378:2,20 | 1339:4,9,1 |
| 1305:24 | 1307:24 | 1292:3 | 1380:16,18 | 1,25 |
| 1310:19 | 1310:21 | correlation | 1382:16 | 1344:22 |
| 1361:13 | 1314:2 | 1343:9 | 1390:17 | 1356:9 |
| 1371:9 | 1315:9 | corresponden | 1392:12,22 | 1357:14 |
| 1387:8 | 1317:25 | ce 1485:2 | 1395:20 | 1360:13,21 |
| 1398:25 | 1319:12 | cost 1252:16 | 1400:24 | ,22,24 |
| 1415:5 | 1329:10 | 1253:11 | 1401:2,15 | 1361:20 |
| 1428:9 | 1332:11 | 1256:11 | 1405:17 | 1365:5 |
| 1442:15 | 1337:15 | 1258:19 | 1420:7,10, | 1366:10 |
| 1445:13 | 1340:17 | 1259:12,13 | 13 1421:13 | 1372:5 |
| 1447:20 | 1345:22,23 | | 1424:3 | 1377:2 |
| | | | 1434:16 | |
| | | | 1444:17 | |

| | | | | |
|-------------------------|----------------------------|---------------------------------|--------------------------|--------------------|
| 1378:25 | 1248:11 | covering | 1483:8 | 1387:10 |
| 1380:8,12 | 1276:11 | 1260:24 | 1485:14 | cycle |
| 1385:9,10, 18 | 1463:16 | created | 1487:21 | 1330:16,21 |
| 1386:9,18, 19 | counsel's | 1394:25 | 1492:9 | 1332:8,9,1 |
| 1387:1,4 | 1250:16 | creating | currently | 1,13,14,20 |
| 1390:7 | 1278:17 | 1264:19 | 1272:12 | 1334:20 |
| 1391:3 | 1358:22 | 1323:14 | 1279:18 | 1335:3,13 |
| 1393:10 | 1441:24 | 1327:12 | 1280:8 | |
| 1394:6,7 | 1447:9 | 1354:18 | 1368:24 | <hr/> D <hr/> |
| 1395:4,6,1 7,23 | counterparti es | credit | 1390:18 | damage |
| 1396:4,10 | 1440:16,23 | 1384:10,11 | 1408:7 | 1310:17 |
| 1404:21 | counterparty | crew 1393:2 | 1488:19 | damages |
| 1405:3 | 1275:21 | 1459:6,7 | 1501:25 | 1310:12 |
| 1406:8 | 1324:12,25 | criteria | curtailed | damn 1285:1 |
| 1420:6 | 1325:17 | 1489:17 | 1323:7 | DARREN |
| 1421:1 | counting | cross- | 1327:13 | 1244:8 |
| 1423:23 | 1459:20 | examinatio n 1244:11 | curtailment | 1250:9 |
| 1429:22 | countries | 1248:7 | 1326:25 | 1293:17,22 |
| 1430:8 | 1474:6,22 | 1250:12 | curtailments | 1294:1,9,1 |
| 1433:6 | 1482:10,17 | CUPE 1408:8 | 1324:16 | 4,20 |
| 1435:10 | couple | cur 1326:25 | curve | 1297:8,15, |
| 1438:3 | 1250:4 | curiosity | 1264:25 | 20,25 |
| 1443:13 | 1296:23 | 1461:17 | customer | 1299:18,23 |
| 1444:11 | 1302:1 | curious | 1324:6 | 1358:25 |
| 1445:4,5,1 7 1447:23 | 1348:21 | 1498:12 | 1372:5,12 | 1359:7,18 |
| 1448:14,17 ,24 | 1354:4 | current | 1373:24 | 1360:2,10, |
| 1449:3,4,1 0 1450:15 | 1358:7 | 1246:12,16 | 1378:20,23 | 19 |
| 1452:16 | 1416:22 | 1268:16 | 1382:17 | 1361:6,17, |
| 1454:7,16, 22 1456:9 | 1426:12 | 1290:6,8,2 | 1392:11 | 21 |
| 1459:9 | 1453:17 | 3 1307:22 | 1409:17 | 1362:1,10, |
| 1461:11 | 1463:13 | 1308:5,10 | 1443:16 | 15 |
| 1463:23,24 | course | 1310:6 | customers | 1363:8,15 |
| 1465:7 | 1387:17 | 1312:20 | 1252:20 | 1366:9,16 |
| 1480:13 | 1421:10 | 1356:18 | 1315:24 | 1373:19 |
| 1492:14,18 | 1424:9 | 1398:8 | 1325:21 | 1383:5,19 |
| 1497:9 | 1428:12 | 1401:9 | 1326:7,18, 21 1342:18 | 1385:8 |
| 1498:9,11 | 1438:20 | 1402:10 | 1348:19 | 1391:7 |
| 1499:1,19 | 1457:8 | 1407:7 | 1354:12,18 | 1404:25 |
| 1501:7 | 1458:6 | 1426:24 | 1355:7,10 | 1418:24 |
| 1502:7,11 | 1465:18 | 1429:23 | 1391:6 | 1419:11,15 |
| 1503:5,8,2 0 | 1474:4 | 1432:4 | 1392:10 | 1420:20 |
| costumers | 1484:14 | 1433:24 | 1497:8 | 1426:6 |
| 1326:18 | cover 1365:5 | 1435:12 | 1505:12 | 1431:24 |
| counsel | 1501:13 | 1449:24 | 1506:1 | 1432:11,19 |
| 1243:2 | coverage | 1450:1,18 | 1507:10,11 | ,21 1433:4 |
| | 1413:16,17 | 1460:25 | cut | 1434:13,21 |
| | covered | 1474:24 | 1391:23,25 | 1435:3,18, |
| | 1413:11 | 1482:10 | cutting | 23 |
| | | | | 1436:13,18 |
| | | | | 1440:19,25 |
| | | | | 1441:7 |

| | | | | |
|------------|---------------------|------------|------------|--------------------|
| 1442:8,16 | 1489:12 | 1256:7,14 | 1317:2,12 | 24 |
| 1443:13 | 1491:18,22 | 1257:12,17 | 1318:6,12, | 1365:2,12, |
| 1444:1,8,1 | 1492:4 | 1258:1,7,1 | 19 | 15,19 |
| 4,18,23 | 1493:23 | 2 | 1319:18,24 | 1367:1 |
| 1445:3,16, | 1494:7 | 1259:15,20 | 1320:9,16 | 1439:17 |
| 25 1446:15 | 1495:5 | 1260:10,19 | 1321:1,6,2 | 1442:23 |
| 1447:14,22 | 1496:16 | 1261:3,13, | 2,25 | 1443:2,10 |
| 1448:7,23 | 1498:20 | 20,25 | 1322:8,15, | 1446:5 |
| 1449:17 | 1500:9,16, | 1262:22 | 22 1323:25 | 1459:22 |
| 1450:7 | 24 | 1263:9,20, | 1324:22 | day 1253:9 |
| 1453:5,13, | 1501:4,12, | 23 1264:8 | 1325:6,11, | 1257:1 |
| 16 | 18 | 1265:7 | 19 1327:6 | 1260:15 |
| 1454:10,18 | 1502:1,6,1 | 1266:3,24 | 1328:19 | 1265:13 |
| 1455:4,11 | 0 | 1267:18,21 | 1329:3,8,1 | 1266:11 |
| 1456:5,10, | 1503:7,13, | 1268:6,16, | 1,16 | 1278:12 |
| 14,19 | 23 | 23 | 1330:7,13, | 1324:6 |
| 1457:5,20 | 1504:2,10, | 1269:2,13, | 22 1331:14 | 1327:16 |
| 1458:5,12, | 14,23 | 17,21 | 1332:9,15 | 1356:8,10 |
| 23 1459:23 | 1505:24 | 1270:5,8 | 1333:5,24 | 1357:21 |
| 1460:17 | 1506:23 | 1273:1,20 | 1334:22 | 1386:21 |
| 1461:3 | 1507:20 | 1275:16 | 1335:6 | 1387:5 |
| 1463:13 | 1508:12 | 1276:14,18 | 1336:6,19 | 1405:22 |
| 1464:12,25 | 1509:4 | 1277:4,8,1 | 1337:8,16, | 1406:1 |
| 1465:15,18 | data 1251:19 | 4 | 23 | 1427:24 |
| ,25 | 1267:25 | 1278:2,9,2 | 1338:1,8 | 1448:9 |
| 1466:21,25 | 1328:25 | 1,25 | 1339:4,12, | 1449:5 |
| 1467:15 | 1470:10,19 | 1279:10 | 15,20 | 1455:6,15 |
| 1468:1,12 | ,25 | 1281:3 | 1340:22 | 1459:10 |
| 1469:3 | date 1309:12 | 1283:14 | 1341:5 | day-ahead |
| 1470:14,23 | 1311:16 | 1284:16 | 1342:1,11 | 1250:24 |
| 1472:9,13 | 1315:5 | 1294:21 | 1343:16,21 | 1251:2,7,1 |
| 1473:3,10, | 1317:2 | 1296:4,12, | ,25 | 4 1256:22 |
| 22 | 1407:22 | 20 1297:4 | 1344:7,12, | 1263:4 |
| 1474:3,10, | 1430:20 | 1300:7,16, | 15,18 | 1265:11 |
| 18 | 1458:20 | 24 1301:12 | 1345:6,12, | 1345:19 |
| 1475:2,12 | 1461:24 | 1302:5,8,2 | 23 | days 1265:8 |
| 1476:20,24 | 1462:23 | 1 | 1346:10,15 | 1346:9 |
| 1477:5,12, | dated | 1303:6,13 | ,22 | 1359:22 |
| 19 | 1405:11 | 1304:2,5,1 | 1347:3,7,1 | 1372:4 |
| 1478:6,12, | dates 1304:1 | 3 | 3,19,24 | 1384:13 |
| 18 | 1458:13,24 | 1305:4,10, | 1348:2 | 1386:21 |
| 1479:1,8,2 | 1459:4 | 20,25 | 1349:3,14, | DC 1254:8 |
| 1 | 1468:17 | 1306:22 | 18,24 | deal 1275:7 |
| 1480:1,14 | DAVID 1244:9 | 1307:8,18, | 1350:20,25 | 1303:19 |
| 1481:2,11, | 1250:10,21 | 24 1308:21 | 1351:10,18 | 1327:16 |
| 17,21 | ,25 | 1309:6,13 | 1352:4,10, | 1376:10 |
| 1482:5,22 | 1251:4,10, | 1310:9,21 | 17,22 | 1424:12 |
| 1483:7,23 | 17,24 | 1311:18 | 1353:8,23 | 1426:15,17 |
| 1484:12,21 | 1252:4,22 | 1314:2,6,1 | 1354:10 | 1429:3 |
| 1485:6 | 1253:4 | 8 | 1356:5 | 1447:21 |
| 1486:23 | 1254:7,19 | 1315:4,9,1 | 1357:8,18, | 1492:6 |
| 1487:8 | 1255:15,22 | 2 | 20 1358:5 | |
| 1488:15,20 | | 1316:11,20 | 1362:20 | |
| ,23 | | ,24 | 1364:3,22, | |

| | | | | |
|--|---|---|---|---|
| dealing 1250:19 1266:5 1448:5 | 1496:22 | 1497:3 | 1324:3 1364:25 1385:13 1390:5 1391:3,12 | 1341:15 |
| deals 1493:4 | decimal 1418:12 | deferral 1447:24 1478:16 1479:11,19 ,20,21 1481:5,6,9 ,15 1495:25 1496:1,2,1 9,24 1498:1,7,8 ,13 1510:21 | delivered 1401:12 | depending 1333:6 1341:13 1364:17 1374:5 1457:7 |
| debate 1497:10 | decision 1262:14 1332:12 1411:1,3 1415:10 1487:25 | deferrals 1480:17 1506:4 | delivering 1324:6 | depict 1314:24 |
| debating 1484:17 | decisions 1374:6 1449:4 | deferred 1339:6 1478:24 1487:20 1507:1 | delivery 1389:21 1390:6 | depicted 1452:21 1503:24 1504:1 |
| debt 1408:20 1414:10,13 ,15,16,17 1416:2,8 1421:4 1425:4 1427:4,5 1429:6 1432:4 1433:6,8,1 7,20,22 1434:8,9,1 5 1435:5,6,9 | decline 1363:7 1419:22 | deferring 1497:9 1499:19 | demand 1266:20,22 1267:4,11, 16,25 1268:1 1348:4 1357:11 | depreciation 1249:24 1332:4 1369:20 1370:2 1424:24 1425:10 1486:15,19 ,22,25 1487:6,9,1 1,23 1488:2,6 |
| debt-equity 1413:9,14 1416:19,25 | declined 1425:2 | define 1257:12 | demand-side 1491:2 1493:7 | depressed 1295:15 |
| debt-to-equity 1507:2 1508:8 | decrease 1367:11 1443:17,19 1508:19 | defined 1266:16 1315:1,13 1316:21 | demonstrate 1276:9 1500:5 | depresses 1295:10,11 |
| decade 1379:6 | decreased 1426:24 | definitely 1322:15 1380:24 1390:13 | demonstrates 1284:24 1500:9 | deputy 1388:15,16 |
| decades 1480:12 | decreases 1382:13 | definition 1408:22 1410:9 1469:22 | Denise 1243:16 | describe 1263:8 1363:23 1406:3 |
| December 1242:23 1246:20 1307:9 1308:15 1311:17,19 1481:22 | decreasing 1426:11 | definitions 1377:5 | dense 1470:3 | described 1482:23 |
| decide 1260:7 1271:24 | decree 1476:18 | definitively 1466:8 | density 1378:23 | description 1245:2 1246:2 1247:2 1316:19 1353:22 |
| decided 1477:23 1478:21 1483:10 | decreed 1472:23 | delayed 1479:6 | depend 1271:2 1272:13 | design 1266:10 1331:15 |
| | deduction 1508:7 | deliberation s 1506:7 | dependable 1256:9,15, 17 1258:2,23, 25 1259:9,16 1266:5 1269:10 1439:11,15 | designed 1411:25 |
| | deem 1326:11 | deliver | dependent | |
| | deemed 1316:7 | | | |
| | deems 1324:25 | | | |
| | deeply 1357:25 | | | |
| | defer 1396:20 1478:21 1488:1 1489:16 1492:17 | | | |

| | | | | |
|---|--|--|---|--|
| desirable 1355:8 1474:20 | 1283:17 1398:5 | 1461:6 | 1428:13 | dissension 1482:15 |
| despite 1425:25 1445:18 | developments 1352:24 | differently 1272:17 | disclosed 1382:1 | distinction 1411:24 |
| destination 1321:16 | diagram 1315:5 | difficult 1276:5 1309:21 1379:19,23 1383:8,24 1425:12 1469:21 1470:7 | discloses 1434:25 | distort 1410:3,16 |
| detail 1387:18 1435:25 1461:11 | dies 1440:2,3 | difficulty 1384:7,24 | disclosure 1432:7 | distribution 1409:12,17 |
| detailed 1373:16 1374:13 1383:23 | difference 1289:12 1290:25 1350:9 1420:25 1421:7,15 1432:8 1434:7 1450:9 1451:8 1456:25 1497:1 1498:3 | digital 1392:13 | discounted 1430:21 | district 1390:19,23 |
| determinatio n 1246:7 1261:18 1282:19 1283:4 1481:24 1506:22 | differences 1273:5 1463:14 | direct 1306:1 1371:14 1413:23,25 1465:20 1482:6 1494:16 | discouraging 1284:5 | divergence 1383:6 |
| determine 1260:23,25 1261:22 1270:14 1271:14 1333:19 1341:22 1346:4 1382:12 1399:16 1482:7 | different 1248:16 1255:8 1274:21 1275:4 1284:21 1289:13,17 1318:22 1357:24 1358:4 1373:7 1374:5 1383:11 1386:5 1423:25 1436:12 1457:3 1464:4,19 1469:23 1473:9 1480:18 1496:19 1497:5 | directed 1346:6 | discuss 1418:19 1419:4 1486:7 | diversion 1364:5,8,16 |
| determined 1304:7 1316:10 1331:13,15 1332:21 1399:6 1422:2 | direction 1305:15 1343:6 | directionall y 1417:16 | discussed 1290:1 1368:2,6 1482:4 | diverted 1364:18 |
| determines 1270:14 1505:6 | directions 1441:22 | directive 1443:12 | discussing 1300:11 | divided 1339:11 |
| developed 1275:2 1482:11,24,25 | directive 1443:12 | directives 1375:22 | discussion 1258:15 1259:6 1265:19 1291:24 1296:5 1412:20 1416:17 1427:24 1484:8,14 1509:25 | division 1457:6 1459:22 |
| development | directly 1310:24 1362:24 1457:4 | direction 1305:15 1343:6 | discussions 1271:22 1272:14 1487:21 | divulging 1368:21 |
| | directs 1473:5 | directionall y 1417:16 | dispatch 1314:10 1315:18,22 1316:8 | document 1249:1 1294:6 1300:11,12 1358:22 1373:7 1402:18 1404:15 1434:23,24 1440:13,15,17 1441:16 1447:6 |
| | disagree 1456:15 | directions 1441:22 | dispatched 1322:1 1334:11 | documents 1248:11,12,17 1250:17 1269:24 1276:2,4 1280:11 1299:7 1304:19 1328:5,25 1337:11 |
| | disappear 1432:25 | directive 1443:12 | dispatching 1340:6 | |
| | differential 1433:10 1453:6,10,11,17 | directives 1375:22 | dispersed 1470:5 | |

| | | | | |
|----------------|---------------------|---------------------|-------------------------|---------------------|
| 1345:16 | 1286:1,2 | 1459:3,15 | 1409:3,21, 24 1410:5 | 1428:12,14 ,16 |
| 1346:4 | 1323:20 | doubt 1380:2 | 1412:5 | 1430:16,18 |
| 1349:17 | 1331:3,4,9 | 1393:5 | due | ,22 |
| 1351:14 | ,11 | downgraded | 1288:10,25 | 1431:2,11 |
| 1358:18 | 1334:6,8,1 | 1417:21 | 1404:18 | 1432:23,24 |
| 1359:2 | 4 1336:21 | downward | 1426:24 | 1433:5,9,1 |
| 1372:3,20 | 1337:21 | 1309:15 | 1443:11 | 4,25 |
| 1373:4 | 1338:14,15 | dra 1478:2 | 1468:4 | 1434:6,18 |
| 1374:18,24 | 1343:10,17 | draft | during | 1486:3 |
| 1375:16 | 1345:2,3,8 | 1477:21 | 1253:13 | 1494:18 |
| 1385:3 | 1346:21 | 1478:3,7,1 | 1254:1,2,9 | 1500:6,10, 14 |
| 1396:17 | 1349:25 | 0 1483:12 | 1306:1,4 | 1505:20,22 |
| 1398:1 | 1350:1,2,3 | 1485:9,10 | 1324:2 | 1507:7,8,1 |
| 1400:15 | ,4,6,8,10, | dramatic | 1354:8,20 | 2 |
| 1405:14 | 12,15 | 1391:4 | 1449:10 | 1508:8,22 |
| 1432:16 | 1351:1,2 | dramatically | 1453:7,21 | 1509:19 |
| 1434:22 | 1354:24 | 1430:10 | 1455:10 | earthquake |
| 1441:24 | 1367:12 | drastic | 1462:2,9 | 1358:10 |
| 1447:9 | 1419:7,12 | 1390:16 | 1463:2,4,1 | easier |
| 1450:17 | 1420:2 | draw 1420:22 | 1 1466:5,6 | 1282:11,14 |
| 1451:2,20 | 1430:20 | drawn | dynamics | 1390:7 |
| 1452:13 | 1446:11 | 1280:25 | 1262:18 | east 1321:21 |
| 1454:3 | 1480:3 | drive | <hr/> E <hr/> | 1322:1,2 |
| 1456:2 | domestic | 1354:13 | earlier | Eastern |
| 1457:12 | 1252:20 | 1388:2 | 1352:5 | 1380:4 |
| 1459:25 | 1490:1 | driven | 1356:20 | easy 1275:20 |
| 1460:10 | done 1254:1 | 1293:8 | 1359:14 | economic |
| 1463:17 | 1261:14 | driver | 1383:4,20 | 1274:11,12 |
| 1469:13 | 1262:11 | 1419:24 | 1386:17 | 1321:17 |
| 1472:3 | 1267:10 | drives | 1404:17 | 1332:14 |
| 1492:10 | 1272:9 | 1296:22 | 1416:17 | 1334:16 |
| 1493:17 | 1272:9 | 1348:8 | 1421:21 | 1434:25 |
| 1499:23 | 1301:18,20 | 1357:11 | 1422:8 | 1441:15 |
| dollar | 1303:19,24 | driving | 1425:24 | economical |
| 1338:23 | ,25 1364:9 | 1344:5 | 1461:22 | 1320:1 |
| 1340:10 | 1378:5 | drought | 1467:17 | economics |
| 1343:17 | 1382:16 | 1426:7,10 | 1487:17 | 1340:7 |
| 1344:8 | 1387:16 | 1428:10,21 | 1498:5 | economy |
| 1345:9 | 1388:3,15 | droughts | 1506:2 | 1274:25 |
| 1355:1 | 1390:6 | 1428:23 | 1508:21 | 1413:24 |
| 1364:11,24 | 1400:4 | 1429:15 | 1509:5 | early |
| 1365:4 | 1402:7 | dry 1306:11 | early | 1272:25 |
| 1383:2 | 1475:3 | DSM 1498:8 | 1352:1 | 1420:24 |
| 1385:25 | 1491:19 | 1511:4 | earnings | 1418:22 |
| 1397:15,16 | 1499:15 | du 1249:15 | 1420:18,23 | 1422:4 |
| 1428:8 | 1509:1 | | 1422:4 | 1295:5,15 |
| 1499:3,4,5 | dot 1509:13 | | | |
| dollars | dots 1346:18 | | | |
| 1264:21,22 | dotted | | | |
| 1268:17 | 1281:10 | | | |
| 1269:3,4 | 1282:5 | | | |
| 1285:11,12 | double | | | |
| ,18,19,25 | | | | |

| | | | | |
|---------------------|------------------------|-------------------------------|------------------------|---------------------|
| 1310:10 | 1470:17 | 1336:25 | 1401:14 | 1402:23 |
| 1320:4 | EFTs | 1348:4 | email 1249:2 | encompasses |
| 1354:11 | 1470:2,3,6 | 1361:10 | 1370:3 | 1267:16 |
| 1360:20,25 | eight | 1379:4 | emailed | encountering |
| 1364:6 | 1281:18 | 1478:14 | 1248:10 | 1401:2 |
| 1374:25 | 1324:8 | electricity | embarking | encourage |
| 1413:11 | 1356:16 | 1254:21 | 1408:7 | 1395:9 |
| 1437:6 | 1358:17 | 1258:14 | 1427:15 | encouraged |
| 1476:7 | 1365:19,20 | 1268:9,12 | embed | 1393:19 |
| 1510:10,22 | 1371:19 | 1270:10 | 1352:24 | endorse |
| effected | 1443:8 | 1271:11 | embedded | 1377:19 |
| 1457:4 | 1451:16 | 1286:11 | 1289:9 | endorsement |
| effecting | 1452:4 | 1318:13 | 1458:14 | 1476:4,5 |
| 1390:4 | 1461:6 | 1323:21 | 1497:1 | energy |
| effective | 1463:11 | 1330:20 | emer 1458:17 | 1251:3 |
| 1315:24 | eighteen | 1336:22 | emergencies | 1252:11,12 |
| 1407:8 | 1417:6 | 1340:5,19,25 | 1253:19 | ,14 |
| 1408:1 | 1423:8 | 1342:7,16,25 | 1254:2,6,9 | 1253:3,6 |
| 1417:18 | eight-eight-one | 1343:11 | 1332:23 | 1257:1,4 |
| 1455:9 | 1453:18 | 1344:19 | 1458:17 | 1258:4,20 |
| 1487:18 | eighty | 1345:4 | emergency | 1259:16 |
| effectively | 1365:19 | 1348:5,9 | 1253:19 | 1260:9 |
| 1465:12 | eighty-nine | 1355:23 | emission | 1261:15 |
| effects | 1451:6 | 1356:4,12 | 1351:25 | 1262:4 |
| 1295:6 | 1452:5 | 1357:9,14 | emissions | 1265:11 |
| 1426:9 | eighty-one | 1364:25 | 1352:20 | 1266:25 |
| efficiencies | 1451:16 | 1365:4,6,7,10 | emphasis | 1267:1,2,5 |
| 1332:24 | 1452:4 | 1429:21 | 1423:6 | 1269:15,20 |
| 1339:25 | either | 1470:4 | employee | 1298:9 |
| 1340:4 | 1254:1 | electricity-generation | 1457:2,8 | 1300:22 |
| 1375:2 | 1265:23 | 1284:23 | employees | 1303:11 |
| 1388:1 | 1341:13 | electronic | 1390:8 | 1304:9 |
| efficiency | 1345:19 | 1392:13 | 1406:16 | 1305:3 |
| 1332:18 | 1346:7 | element | 1408:9,11 | 1322:19 |
| 1459:5 | 1458:24 | 1444:17 | 1455:8,13,14,16,20 | 1323:1 |
| efficient | 1464:15 | 1447:10 | 1456:9 | 1324:6,10 |
| 1315:25 | 1486:1 | 1457:21 | 1457:4 | 1326:8 |
| 1330:11,17 | 1507:3 | 1458:10 | 1461:24 | 1331:5,24 |
| 1332:2 | ele 1288:18 | 1495:3 | 1462:3,10,12,23 | 1337:2,3 |
| 1387:12 | election | eleven | 1464:1,9,13 | 1345:24 |
| 1388:6 | 1419:3 | 1303:6 | 1466:3,4,6,12,13,14,15 | 1346:5 |
| 1391:2,13 | electric | 1401:24 | eliminates | 1357:3,16,24 |
| 1394:5 | 1355:5 | eliminated | 1366:20,23 | 1358:3,11 |
| 1459:10 | 1446:4,12 | 1367:4 | elsewhere | 1362:18,25 |
| effort | 1449:13 | elsewhere | 1372:25 | 1394:5,7 |
| 1252:2 | 1450:2 | electrical | enacts | 1395:20,23 |
| 1376:10 | EFT 1469:23 | | | 1396:3 |
| 1440:9 | | | | 1412:11 |
| | | | | 1437:20 |

| | | | | |
|---------------------|--------------------|---------------------|---------------------|--------------------|
| 1491:16 | envisioned | 1429:13 | events | 1393:14 |
| engaging | 1279:19 | 1432:25 | 1306:4 | 1394:2,11, |
| 1400:7 | equ 1461:20 | 1438:24 | 1414:18 | 17 1439:7 |
| engineering | equal | 1439:1 | 1458:6 | 1442:17 |
| 1390:3 | 1272:13,17 | 1487:2 | eventually | 1443:6 |
| engineers | ,19 | establish | 1379:6 | 1445:23 |
| 1380:22 | 1353:11 | 1341:10 | 1422:2 | 1510:18 |
| enhance | 1413:4 | established | 1507:1 | examples |
| 1412:11 | 1416:12,14 | 1269:10 | everyone | 1391:15 |
| enlighten | 1418:7 | 1277:6 | 1248:4,5 | 1409:8 |
| 1482:2 | 1510:19,25 | 1281:18 | 1249:2 | 1435:22 |
| ensure | equally | 1283:11,21 | everything | exceeded |
| 1255:9 | 1504:18 | 1314:7,8 | 1384:14 | 1417:1 |
| enter 1252:9 | equipment | 1320:18 | evidence | excellent |
| 1256:18,19 | 1331:23 | 1493:21 | 1274:9 | 1426:1 |
| 1257:2 | 1386:5 | estimate | 1306:1 | except |
| 1262:16,23 | 1392:13 | 1291:18 | 1373:22 | 1264:24 |
| 1263:2 | equity | 1303:18 | 1374:3 | 1321:8 |
| Entergy | 1412:23 | 1310:12 | 1482:6 | 1324:1 |
| 1319:8,10 | 1416:3,9 | 1311:4,6 | 1505:7,8 | 1425:16,17 |
| enterprises | 1421:5 | 1339:21 | evident | 1486:14 |
| 1472:24 | 1425:18 | 1450:19 | 1305:9 | 1490:16 |
| 1473:12,13 | 1426:19,22 | 1461:8 | evolving | exception |
| entire | 1427:10,14 | estimated | 1356:25 | 1265:5 |
| 1455:2 | 1428:1,5,8 | 1247:24 | 1358:1 | 1410:12 |
| 1471:20 | 1494:17 | 1380:22 | exact 1284:1 | 1412:4,5 |
| entirely | 1508:10,25 | 1437:3 | exactly | excess |
| 1509:25 | equivalent | estimates | 1416:7,12 | 1429:10 |
| entities | 1334:1 | 1288:1 | exam 1373:9 | exchange |
| 1315:15 | 1462:24 | 1306:10 | example | 1495:22,24 |
| 1319:1 | 1463:9 | 1341:20,22 | 1252:6 | 1496:11 |
| 1481:9 | 1466:13 | 1435:16,17 | 1253:21 | exclude |
| 1484:10 | 1469:15 | et 1356:20 | 1258:22 | 1455:8 |
| entitled | equivalents | 1374:6 | 1267:15 | Excuse |
| 1324:9 | 1461:20 | 1380:22 | 1282:3 | 1310:22 |
| 1326:16 | escalation | 1384:17 | 1290:3 | executive |
| 1510:20 | 1350:4 | 1436:1 | 1319:13 | 1401:13 |
| envelope | 1423:16 | evaluate | 1324:4 | 1406:11,14 |
| 1276:6 | especially | 1380:21 | 1330:24 | 1407:11 |
| Environment | 1384:3 | 1448:16 | 1336:15 | 1411:2 |
| 1277:3 | 1386:3 | evaluated | 1354:5 | executives |
| environmenta | 1497:20 | 1260:3 | 1366:2 | 1408:4 |
| l 1329:18 | essence | evaluating | 1376:12,25 | exemplifies |
| 1498:10 | 1471:6 | 1449:9 | 1378:1 | 1351:23 |
| envision | essentially | evaluation | 1386:16 | exercise |
| 1412:24 | 1322:6 | 1379:5 | 1387:8 | 1281:6 |
| | 1384:6 | event 1307:4 | 1389:18 | 1376:21 |
| | 1410:18,21 | 1374:13 | 1390:18 | 1379:5,7,1 |
| | 1424:22 | 1429:2 | 1392:18 | |

| | | | | |
|------------------|---------------------|------------------|---------------------|------------------|
| 3 1380:1 | 1352:1 | 1398:9 | 1438:12 | 1277:1 |
| 1382:7 | existing | 1410:2,23 | experience | 1278:18 |
| 1383:25 | 1259:1 | 1449:8 | 1265:24 | 1279:13,14 |
| 1398:21,23 | 1323:16 | 1455:2 | experienced | 1284:10 |
| 1399:3 | 1409:16 | 1496:21 | 1322:10 | 1285:9 |
| exercised | 1412:11 | expense | experiencing | 1286:25 |
| 1374:19 | 1439:21 | 1310:24 | 1423:23 | 1288:10,25 |
| exhausted | expansion | 1360:7 | expert | 1289:15 |
| 1253:7 | 1398:11 | 1361:4 | 1270:9 | 1290:2 |
| exhibit | expect | 1370:11,15 | experts | 1292:7 |
| 1245:2 | 1306:15,18 | 1371:1,2,8 | 1343:5 | 1296:21,23 |
| 1248:15,16 | 1307:13 | ,9,13 | explain | 1298:11 |
| ,19 | 1311:1 | 1387:3 | 1254:5 | 1302:9,10, |
| 1249:3,7,1 | 1319:7 | 1400:18 | 1321:17 | 15 1314:4 |
| 3,23,25 | 1356:21 | 1401:10 | 1323:23 | 1320:21 |
| 1250:16 | 1385:14 | 1402:24 | 1330:18 | 1327:14 |
| 1278:17 | 1399:21 | 1410:20 | 1337:10 | 1341:1 |
| 1285:5 | 1423:3 | 1413:19,20 | 1362:17 | 1342:17 |
| 1286:20 | expectation | 1414:4 | 1385:6 | 1348:6 |
| 1290:4 | 1256:20 | 1421:1 | 1400:12 | 1355:18 |
| 1292:6 | 1257:3 | 1425:11 | 1448:19 | 1364:14 |
| 1294:24 | 1263:3 | 1446:4 | 1451:11 | 1386:10 |
| 1300:10 | 1347:6 | 1451:2 | 1452:24 | 1419:22 |
| 1304:13 | 1422:25 | 1501:6 | explained | 1425:22,23 |
| 1314:23 | 1443:18 | 1502:20,23 | 1312:19 | ,24 |
| 1317:24 | 1475:10 | expensed | 1340:18 | 1426:11,25 |
| 1337:13 | 1485:15,21 | 1444:24 | 1468:3 | 1436:4 |
| 1369:18 | ,23 | 1458:10 | explanation | 1439:10,12 |
| 1398:2 | 1489:15 | expenses | 1271:21 | ,18 |
| 1404:11 | expected | 1360:17 | 1316:6 | 1489:18,22 |
| 1417:5 | 1246:11 | 1425:1 | 1338:4 | 1490:21 |
| 1447:9 | 1256:17 | 1442:7 | 1403:21,24 | exporting |
| 1449:25 | 1278:18,22 | 1444:12 | 1467:10 | 1313:25 |
| 1450:14 | 1298:1,12 | 1445:2 | 1468:6,14 | 1321:11 |
| 1451:7 | 1307:21 | 1446:9 | 1471:20 | exports |
| 1452:14 | 1308:2 | 1448:2,5 | explicit | 1246:19 |
| 1454:4 | 1443:7,20 | 1454:13 | 1476:5 | 1267:3 |
| 1486:12 | expecting | 1467:22 | explicitly | 1308:14 |
| 1487:4 | 1300:14 | 1511:2 | 1476:8 | 1311:15 |
| Exhibits | 1438:16 | expensing | export | 1322:5 |
| 1244:3 | 1480:24 | 1465:6 | 1250:15 | 1325:2 |
| 1245:1 | expects | 1510:19 | 1252:20 | 1348:15 |
| exist | 1357:2 | expensive | 1255:11 | 1386:4 |
| 1405:25 | 1401:5 | 1252:7 | 1257:7 | 1425:10,25 |
| 1485:7 | expenditure | 1253:16 | 1258:21 | 1426:2 |
| existed | 1332:19 | 1258:3 | 1260:2,8 | 1438:22 |
| 1281:4 | 1410:1,16 | 1323:19 | 1262:21 | 1489:10 |
| 1282:1 | 1411:13 | 1332:2 | 1269:23 | 1490:6,17 |
| 1495:13 | expenditures | 1333:1 | 1270:2 | exposed |
| existence | 1391:17 | 1340:14 | | 1324:15 |
| | | 1395:1,8 | | 1343:1 |
| | | | | exposure |

| | | | | |
|----------------------|---------------------|--------------------|---------------------|---------------------|
| 1477:20 | 1439:6,14 | 1258:17 | 1372:13 | 1445:10 |
| 1478:2,10 | facility | 1259:9 | 1374:8 | 1453:6 |
| 1483:12 | 1344:22 | 1263:22 | favourably | 1464:13 |
| 1485:9,10 | fact 1376:17 | 1341:6 | 1377:3,7 | 1487:3 |
| expressed | 1377:4,6,9 | 1342:4 | fearful | figures |
| 1374:22,23 | ,18 | 1361:22 | 1499:14 | 1266:19 |
| 1376:16 | 1386:12 | 1389:22 | February | 1284:10 |
| extend | 1388:19 | 1432:2,6,8 | 1288:9 | 1290:1 |
| 1422:16 | 1390:14 | 1434:16 | 1293:21,23 | 1309:4,11 |
| extends | 1394:8 | 1472:16 | 1294:4 | 1366:16 |
| 1317:1 | 1402:12 | 1509:17 | 1297:11 | 1458:15 |
| extension | 1415:17 | fairly | 1303:24 | file 1247:18 |
| 1293:6 | 1416:3 | 1368:2 | February/ | 1249:15 |
| extensions | 1422:1 | 1374:7 | April | 1282:11 |
| 1409:18 | 1423:18 | 1377:1 | 1288:12 | 1396:3,9 |
| extent | 1425:17,25 | 1410:23 | fee 1361:18 | 1399:21 |
| 1354:2,16 | 1434:4 | 1426:12 | 1362:9 | 1497:12 |
| 1356:10 | 1438:16 | 1468:14 | 1364:15,16 | 1511:21 |
| 1357:1 | 1462:1 | 1495:23 | 1435:9 | filed |
| 1429:8 | 1474:12 | fair-value | feel 1272:16 | 1248:24 |
| 1472:10 | 1487:12,19 | 1430:16 | 1393:17 | 1249:22 |
| external | 1488:17 | fall 1307:3 | fees | 1276:23 |
| 1291:2 | 1494:8 | 1353:12 | 1359:17,20 | 1286:21 |
| 1400:7 | 1497:2 | 1404:19,20 | ,24 | 1373:22 |
| 1476:9 | 1506:1 | 1409:1 | 1361:9,10, | 1405:1 |
| extra | 1508:4 | 1477:22 | 11 1362:14 | 1423:18 |
| 1295:16 | factor | 1483:12 | 1380:22 | 1442:10 |
| 1296:21 | 1329:17 | fallen | felt 1479:10 | 1457:6 |
| 1303:11 | 1339:3 | 1425:22 | FERC 1326:14 | 1460:11 |
| extract | 1378:20 | falls | Fernandes | 1500:7 |
| 1492:11 | 1385:4,12, | 1362:18 | 1243:5 | filing |
| 1493:18 | 14,20 | 1446:9 | 1248:8,9,2 | 1276:23 |
| extraordinary | 1391:13 | familiar | 3 | 1288:23 |
| y 1495:23 | 1414:11 | 1299:19 | Fernandes's | 1293:18 |
| extraprovinc | 1424:6 | 1328:19 | 1249:20 | 1297:18 |
| ial | 1425:21 | 1348:17 | fifteen | 1441:17 |
| 1288:10,25 | 1467:16 | 1358:24 | 1341:18 | 1460:25 |
| extreme | factored | farms | 1409:1 | 1507:15 |
| 1396:1 | 1467:19 | 1269:19 | 1430:14 | filling |
| extremely | factors | FASB 1491:8 | fifty | 1405:25 |
| 1470:7 | 1292:16 | fast 1416:1 | 1392:21 | 1406:4 |
| <hr/> | 1295:17 | favour | 1429:25 | final |
| F | 1309:14 | 1482:13 | fifty-four | 1293:23 |
| facilities | 1383:4 | 1483:24 | 1451:4,22 | 1448:25 |
| 1329:21 | 1414:14 | favourable | 1452:25 | 1481:12,23 |
| 1332:5 | 1420:7 | 1255:6 | figure | 1482:11,14 |
| 1363:2 | 1425:9 | 1307:12 | 1309:3 | ,24 |
| | 1426:13 | 1309:19 | | finalization |
| | 1428:19 | 1322:9 | | 1495:17 |
| | 1468:20 | | | finalize |
| | fair 1257:6 | | | |

| | | | | |
|--------------------|---------------------|---------------------|---------------------|---------------------|
| 1294:19 | fingerprints | 1509:2 | fixed | focussing |
| finalized | 1299:22 | fiscal | 1256:25 | 1398:21 |
| 1293:23 | finish | 1287:1 | 1334:7 | footnote |
| 1294:3 | 1358:17 | 1292:8,14, | 1339:25 | 1435:7 |
| 1467:18 | 1432:18 | 25 | 1344:22 | footprint |
| finally | 1459:8 | 1293:7,10 | 1354:16 | 1315:20 |
| 1480:7 | finished | 1297:6 | 1387:4 | 1318:21 |
| finance | 1294:3 | 1305:2 | 1425:10 | 1319:2,8 |
| 1370:15 | fire | 1328:7 | 1430:14 | 1327:12 |
| 1371:2,8 | 1309:9,25 | 1401:21 | 1455:17 | fore 1423:25 |
| 1414:3 | 1310:11 | 1402:10,11 | flat 1322:6 | 1450:1 |
| 1425:1 | Fires 1254:7 | ,20 1404:5 | 1377:9 | forecast |
| 1502:23 | firm 1252:20 | 1405:10 | fleet 1307:3 | 1246:15 |
| financed | 1260:4 | 1407:8 | 1321:19 | 1270:2,10, |
| 1427:4 | 1291:4 | 1442:14 | flip 1375:14 | 15,18 |
| 1429:6,7 | 1323:4,10 | 1447:17 | 1455:12 | 1271:15 |
| financial | 1324:10,13 | 1450:15,16 | floating- | 1272:25 |
| 1354:4,8 | 1326:19 | ,21 | rate | 1273:2,3,8 |
| 1359:11 | 1327:7,15 | 1476:21,23 | 1414:16 | ,18 |
| 1374:20 | 1438:21 | 1478:24,25 | flow 1262:14 | 1275:23 |
| 1383:7,10 | firms 1485:8 | 1479:7 | 1297:2,6 | 1276:25 |
| 1427:15 | first | 1480:24 | 1306:10 | 1277:6,7 |
| 1430:22 | 1248:11,25 | 1481:18 | 1309:19 | 1278:6,8,1 |
| 1431:4 | 1270:17 | 1493:5 | 1310:18 | 1 |
| 1432:1,3 | 1273:14,15 | 1494:15 | 1356:6 | 1279:1,13 |
| 1436:3 | 1295:14 | fit 1359:10 | 1426:1 | 1280:13 |
| 1462:20 | 1296:9,23 | fits 1286:11 | flows | 1281:12,15 |
| 1466:17 | 1302:24 | five 1251:16 | 1246:12 | ,16,24 |
| 1471:24 | 1305:1,24 | 1254:25 | 1263:18 | 1283:16,25 |
| 1473:1 | 1340:11 | 1255:3,20 | 1268:4 | 1284:3 |
| 1476:3,7,1 | 1367:4 | 1256:2,8 | 1296:2 | 1285:22 |
| 0 | 1376:8 | 1264:21 | 1298:1 | 1286:11,15 |
| 1485:20,22 | 1398:22 | 1271:6,7 | 1299:6 | 1289:9,15 |
| 1487:17 | 1399:4 | 1272:20 | 1300:23 | 1290:21 |
| 1488:14,19 | 1411:16 | 1278:3 | 1301:4,8 | 1292:8 |
| 1491:8,10 | 1432:20 | 1324:5 | 1307:22 | 1293:9,22 |
| 1499:20 | 1439:19 | 1328:20 | 1308:4 | 1295:25 |
| 1501:14 | 1440:11,13 | 1329:5 | 1424:20 | 1296:10,17 |
| 1506:10 | 1441:8 | 1331:3,8,9 | 1425:9 | 1298:5 |
| financing | 1442:1,18 | 1341:20 | 1429:14 | 1305:11,12 |
| 1408:20 | 1448:9 | 1353:1 | 1439:11,14 | ,23 1308:9 |
| 1427:5 | 1454:6,17 | 1356:15,19 | 1474:19 | 1310:6 |
| 1429:22 | 1455:5,15 | 1391:18 | fluctuate | 1312:9,21 |
| finding | 1463:18 | 1393:1 | 1414:4 | 1328:16 |
| 1357:1 | 1467:5 | 1411:18 | Flynn | 1329:6 |
| 1375:2 | 1481:12 | 1424:24 | 1287:14 | 1339:19 |
| 1424:16 | 1486:23 | 1425:3 | focus | 1349:12,20 |
| fine 1292:2 | 1487:9 | 1428:10 | 1381:10 | 1350:3,7,1 |
| 1434:10 | 1498:9 | 1451:5 | 1402:3 | 8,23 |
| 1473:25 | 1499:25 | 1452:5 | | 1351:14,22 |
| | | 1462:15 | | ,24 |
| | | 1467:24 | | 1352:13,14 |

| | | | | |
|--------------------|--------------------|---------------------|---------------------|--------------------|
| ,20 1359:6 | 1270:13,21 | forth 1362:2 | fraction | 1452:18 |
| 1368:22,24 | 1271:11 | Fortis | 1253:25 | 1467:20 |
| 1369:5 | 1272:10 | 1384:4 | frame | 1475:4 |
| 1411:13 | 1273:22 | fortunate | 1288:13 | functions |
| 1417:9,12, | 1274:4,9 | 1421:18 | 1383:12 | 1378:15 |
| 13,20,21 | 1275:9 | 1427:13 | 1438:7 | fund 1429:9 |
| 1418:9 | 1280:12,14 | fortunately | 1439:5 | fundamental |
| 1421:4 | ,15,22 | 1477:24 | framework | 1387:5 |
| 1422:11,13 | 1284:21 | forty | 1383:12 | funds |
| ,16,21,24 | 1285:2 | 1364:11,25 | free 1359:20 | 1429:8,9 |
| 1423:1 | 1291:2 | 1365:4 | freeze | 1430:3 |
| 1427:20 | 1351:8 | 1392:20 | 1405:24 | furthest |
| 1429:17 | 1352:25 | forty-eight | 1406:3,10 | 1442:5,20 |
| 1435:1 | 1354:1 | 1286:1,2 | 1415:12 | future |
| 1436:8 | 1368:7 | forty-four | freight | 1247:24 |
| 1442:19 | 1423:25 | 1336:17 | 1480:4 | 1274:22 |
| 1444:20 | 1424:2,11 | forty-nine | frequency | 1341:14,16 |
| 1447:12 | 1435:19 | 1253:22 | 1468:18 | 1342:12,22 |
| 1450:1,17, | 1506:24 | forty-one | frequently | 1355:11 |
| 20 1451:14 | 1507:25 | 1285:24 | 1371:22 | 1394:11 |
| 1467:19 | 1509:7 | forty-three | Friday | 1398:8 |
| 1485:21,22 | forensic | 1268:17 | 1249:12 | 1422:7 |
| 1487:17 | 1383:17 | 1269:4 | 1250:14 | 1424:10 |
| 1498:11 | foreseen | forum 1376:6 | 1258:16 | 1429:23 |
| 1506:3 | 1296:3 | 1377:11 | 1266:19 | 1432:14 |
| 1507:23 | forestall | 1384:23 | front | 1435:13,17 |
| 1508:20 | 1460:21 | forward | 1249:15 | 1437:3 |
| forecasted | forever | 1256:24 | 1465:13 | 1438:15 |
| 1329:1 | 1483:5 | 1275:5,7 | fuel 1331:10 | 1485:23,24 |
| 1435:12 | forget | 1295:12 | 1332:3 | 1486:14 |
| forecaster | 1495:19 | 1339:18,21 | 1334:9 | 1497:9 |
| 1358:8 | 1498:21 | 1353:4 | 1339:11 | |
| forecasters | forgetting | 1354:12,15 | 1340:19 | G |
| 1247:23 | 1506:11 | 1417:20 | 1345:20 | GAAP 1383:7 |
| 1271:2 | forgotten | 1424:9 | 1356:6 | 1431:20 |
| 1274:15 | 1418:13 | 1427:17 | 1496:25 | 1474:9,11, |
| 1341:21 | form 1355:2 | 1428:25 | full 1315:11 | 25 1475:5 |
| 1356:17,21 | 1364:21 | 1430:2 | 1451:3 | 1477:10,11 |
| 1435:19 | 1369:21 | 1437:10,21 | 1453:8,9 | ,13 |
| 1436:6,12 | 1493:11 | 1438:17 | 1463:9 | 1488:14,18 |
| 1437:2 | former | 1456:15 | 1504:3 | ,25 1489:1 |
| forecasting | 1388:16 | 1482:8 | Full-cost | 1491:7,17, |
| 1265:8 | 1400:16 | four-point- | 1464:25 | 23,24 |
| 1269:23 | 1406:8 | three | full-time | 1494:2,6,2 |
| 1286:6 | 1441:23 | 1444:21 | 1461:20 | 5 |
| 1351:13 | formula | fourteen | 1462:23 | 1495:15,20 |
| 1436:4,5,6 | 1268:7 | 1286:1,2 | 1469:15 | ,25 |
| 1440:24 | for-profit | | fully | G-A-A-P |
| 1460:15 | 1434:5 | | | 1474:9 |
| 1467:22 | | | | |
| 1508:14 | | | | |
| forecasts | | | | |

| | | | | |
|---------------------|-------------------|-------------------|--------------------|---------------------|
| GAC 1243:9 | 1319:25 | 1333:18 | 1259:2 | 1272:11 |
| gain | 1349:11 | 1336:16 | 1261:8 | 1290:6 |
| 1252:2,5 | 1351:17 | 1339:2 | generators | 1291:2 |
| game 1353:17 | 1352:6 | 1342:20 | 1259:13 | 1298:13 |
| Gange 1243:9 | 1353:22 | 1357:21 | 1264:18 | 1378:22 |
| gas 1264:17 | 1359:8,20 | 1362:22 | 1314:11 | 1397:17 |
| 1284:22 | 1407:17,18 | 1380:15 | 1315:19 | gives 1278:4 |
| 1319:13,17 | 1412:6,7 | 1409:13 | 1346:1 | 1435:11 |
| ,25 | 1442:6 | generation | 1348:10 | 1460:3 |
| 1320:1,11 | 1450:12 | 1294:23,25 | gentlemen | giving |
| 1321:14 | 1460:11 | 1295:3,6,9 | 1461:18 | 1248:15 |
| 1328:15 | 1474:2 | 1296:1,16 | geography | glad 1393:25 |
| 1329:2,15, | 1497:11 | 1298:5,24 | 1376:12 | glasses |
| 24,25 | 1500:11 | 1300:15 | 1470:1,5 | 1276:19 |
| 1330:1,20 | 1505:4 | 1301:20 | germane | global |
| 1331:2,18, | generally | 1305:8,11 | 1418:18 | 1425:13 |
| 21,25 | 1341:12 | 1306:24 | gets 1323:7 | 1441:3 |
| 1332:7 | 1348:3 | 1307:15 | getting | goal 1413:5 |
| 1333:11,18 | 1363:9 | 1309:8,20 | 1271:3 | 1415:24 |
| 1334:21 | 1390:10 | 1310:13 | 1278:3 | 1419:19 |
| 1340:18 | 1394:21 | 1311:16 | 1334:3 | goals 1399:2 |
| 1341:6,16, | 1412:12,14 | 1315:18,23 | 1348:15 | go-forward |
| 18,24 | 1426:18 | 1316:9,13 | 1349:4 | 1419:18 |
| 1342:1,6,1 | 1427:9 | 1319:17 | 1369:24 | gone 1281:6 |
| 3,14,16,19 | 1474:5 | 1320:15,19 | 1379:7,21 | 1302:16,17 |
| ,21 | 1504:24 | 1322:9 | 1399:1 | 1320:7 |
| 1343:3,19 | generate | 1328:15 | 1415:17 | 1338:14 |
| 1344:20 | 1263:21 | 1329:25 | 1438:11 | 1426:3 |
| 1345:11,12 | 1348:12 | 1337:14,15 | 1446:3 | 1465:7 |
| 1346:8 | 1366:25 | ,20 | 1508:4 | 1488:6 |
| 1348:21 | 1422:14 | 1338:9,11 | gigawatt | 1494:19 |
| 1349:12 | 1429:8 | 1341:11,12 | 1253:22 | 1497:24 |
| 1351:9 | generated | 1343:12 | 1294:25 | goodwill |
| 1354:3,6,1 | 1257:21 | 1355:24 | 1295:16 | 1502:5 |
| 3,21 | 1290:17 | 1357:10 | 1296:21 | gory 1435:24 |
| 1355:7,11, | 1300:5 | 1363:23 | 1298:4,9,1 | Gosselin |
| 22 | 1330:20 | 1364:4 | 9 | 1242:14 |
| 1356:8,9 | 1342:7 | 1380:8 | 1300:5,15, | 1284:16 |
| 1357:10,11 | 1427:21 | 1408:25 | 22 | government |
| ,12,14 | 1429:8 | 1409:5,16, | 1303:11,13 | 1366:4 |
| 1408:9 | generates | 24 | 1304:8 | 1390:25 |
| 1439:7 | 1331:19 | 1410:5,6,1 | 1305:2,8 | 1473:5,13 |
| 1480:16 | generating | 0,13 | 1306:15,17 | GRA 1272:21 |
| 1497:3 | 1254:7 | 1411:11,17 | 1338:11,12 | 1287:17 |
| 1501:23 | 1258:13 | 1412:2,8,9 | 1365:21 | 1297:18 |
| 1502:7,11 | 1259:23 | 1420:9,12 | 1470:4 | 1374:4 |
| Gas- | 1260:1,3,1 | 1429:11,21 | gimmicks | 1442:19,22 |
| generated | 5 1262:25 | 1437:7,14, | 1499:18 | 1443:6 |
| 1340:24 | 1268:10,12 | 22,23 | 1506:5 | |
| general | 1307:3 | 1438:9 | given | |
| 1242:7 | 1329:19 | 1439:4,8,1 | | |
| | 1332:18 | 2 | | |
| | | generator | | |

| | | | | |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 1444:19 | 1497:16 | 1369:24 | having | 2,15,17,20 |
| 1460:14 | grown 1318:1 | half | 1262:10 | 1333:2 |
| 1467:8 | 1319:15 | 1250:18,19 | 1295:6,16 | 1350:13 |
| 1480:22,23 | growth | 1255:10 | 1301:15 | heavily |
| 1493:4 | 1274:25 | 1298:10,16 | 1305:15 | 1269:11 |
| grab 1435:1 | 1318:10,21 | ,20 | 1323:14 | hedge |
| gradually | 1319:16 | 1333:13 | 1329:23 | 1354:19 |
| 1480:13 | 1320:20 | 1420:2 | 1332:24,25 | hedging |
| grand 1367:3 | 1442:20 | 1459:15 | 1352:25 | 1354:11 |
| grandfa | 1443:7,19 | halfway | 1353:12 | 1355:24 |
| 1483:8 | 1444:20 | 1396:17 | 1356:15 | HELD 1242:19 |
| grandfathere | 1467:6,24, | hand 1334:24 | 1357:16 | he'll |
| d 1483:4,5 | 25 | 1356:16 | 1419:20 | 1369:24 |
| grandfatheri | GS 1453:9 | 1387:7 | 1425:18 | help 1383:17 |
| ng 1482:23 | guaran | 1457:22 | 1489:1,9 | 1416:5 |
| 1483:2 | 1343:2 | handed | head 1394:1 | helps |
| granted | guarantee | 1276:17 | 1397:8 | 1291:24 |
| 1481:8 | 1309:24 | handle | 1412:4 | 1424:21 |
| graph 1276:3 | 1435:9 | 1248:14 | heading | 1497:8 |
| 1284:5 | guarantees | happen | headquarters | Here's |
| great | 1424:9 | 1278:13 | 1459:8 | 1396:19 |
| 1376:10 | guard | 1406:12 | health | he's |
| 1387:18 | 1508:23 | 1424:10 | 1378:12 | 1339:22,23 |
| 1424:20 | guess | 1439:16 | healthcare | hesitating |
| 1425:9 | 1264:12 | 1480:9 | 1378:1,13 | 1470:16 |
| greater | 1265:4,6 | 1497:25 | hear 1283:10 | hesitation |
| 1263:16 | 1284:8,24 | happened | 1377:24 | 1456:20 |
| 1320:10 | 1310:7 | 1247:16 | 1423:10 | high 1259:2 |
| greatly | 1347:10 | 1271:23 | heard | 1264:16 |
| 1380:17 | 1384:2 | 1321:7 | 1356:20 | 1277:6,9,2 |
| green | 1390:1,9 | 1356:15 | 1481:23 | 0 1278:19 |
| 1281:21 | 1394:19 | 1389:3,11 | hearing | 1279:13 |
| 1315:2,8,1 | 1417:7 | 1424:19 | 1270:1 | 1283:25 |
| 6 1318:24 | 1437:16 | happens | 1277:3,5 | 1322:23 |
| 1471:1 | 1456:10,19 | 1378:5 | 1279:4 | 1333:7 |
| gross | 1458:23 | 1473:10 | 1281:5 | 1339:14,17 |
| 1454:21,24 | 1464:17 | happy | 1303:5 | 1340:4,5 |
| group 1254:9 | 1473:23 | 1287:15 | 1373:23 | 1352:15 |
| 1471:23 | 1478:20 | 1510:24 | 1416:17 | 1353:21 |
| grouped | guiding | hard 1311:13 | 1464:9 | 1354:20 |
| 1359:20 | 1504:5,7 | 1319:3 | hearings | 1377:3 |
| grow 1319:5 | guy's | 1383:9 | 1283:13 | 1394:23 |
| 1328:16 | 1497:24 | 1469:18,20 | 1373:17 | higher |
| 1497:16 | <hr/> | haven't | 1427:19 | 1254:24 |
| growing | ha 1366:23 | 1354:14 | 1461:22 | 1277:17,21 |
| 1328:16,22 | <hr/> | 1475:4,15 | heat | ,23 |
| | Hacault | 1481:23 | 1330:15,24 | 1280:14 |
| | 1243:12 | 1496:10 | 1331:1,7,1 | 1305:15 |

| | | | | |
|---------------------|-------------------|---------------------|---------------------|------------|
| 1306:10 | hopeful | 1304:8 | hydraulic | 1271:12 |
| 1338:3 | 1438:15 | 1305:2,8 | 1246:12,15 | 1272:10,23 |
| 1355:17 | hopefully | 1306:15,17 | 1253:2,6,7 | 1273:24 |
| 1357:13 | 1373:4 | 1308:22,23 | ,15 | 1274:8,14, |
| 1373:24 | 1506:8 | 1318:1 | 1294:23,24 | 18 |
| 1380:3 | horsepower | 1319:14,17 | 1295:3,6 | 1275:11,18 |
| 1401:6 | 1268:7 | 1320:25 | 1296:1,16 | ,19,22 |
| 1403:3,18 | hospital | 1324:2,5,8 | 1298:4,24 | 1277:2,6 |
| 1404:6,7 | 1378:2 | 1327:16 | 1300:15 | 1282:16,17 |
| 1416:20 | 1389:18,22 | 1338:11,12 | 1301:8,19 | ,23,24 |
| 1463:10 | ,24 | 1339:24 | 1305:3,8 | 1283:16 |
| 1496:15 | hospitals | 1364:10 | 1306:23 | 1286:15,20 |
| highest | 1378:4,9 | 1365:21 | 1307:15,22 | 1288:21 |
| 1283:19 | hot-water | 1366:7 | 1308:4,8 | 1291:19 |
| 1398:24 | 1363:5 | 1470:4 | 1309:8 | 1292:6 |
| high-low | hour | housekeeping | 1310:6,18 | 1294:7,18 |
| 1246:8 | 1251:9,16, | 1369:16 | 1311:16 | 1295:3,25 |
| 1282:20 | 23 1253:12 | huge 1263:18 | 1322:9 | 1300:5,10, |
| 1283:6 | 1254:23,25 | 1290:25 | 1337:14 | 14 |
| highly | 1263:1 | 1333:11 | 1380:14 | 1301:4,14 |
| 1262:12 | 1264:22 | 1342:12 | 1412:8 | 1306:2 |
| high-water | 1268:9,15, | 1383:22 | 1438:9 | 1307:21 |
| 1322:24 | 18,22 | 1421:23 | 1439:8,9 | 1308:1,7,1 |
| 1323:12,17 | 1269:7 | 1423:16,23 | 1440:1 | 3 1311:15 |
| hinders | 1292:10 | 1426:23 | 1471:15 | 1312:1,2 |
| 1291:24 | 1298:11,17 | 1480:18 | hydro 1242:6 | 1313:18 |
| hint 1390:23 | 1331:4,10 | 1497:5 | 1243:4 | 1314:4,17 |
| hire 1270:10 | 1333:24 | hundred | 1244:6 | 1315:22 |
| 1275:22 | 1334:13,15 | 1249:1 | 1246:3,4,1 | 1316:2,7,1 |
| historical | 1337:22,25 | 1253:24 | 0,13,18,21 | 3 |
| 1251:6 | 1343:17 | 1295:1 | 1247:3,13, | 1317:14,16 |
| 1447:11 | 1344:6,9,1 | 1307:14 | 14,15,17,1 | ,19 |
| history | 4 1345:10 | 1325:8 | 8,21 | 1321:9,10 |
| 1415:11 | 1346:21 | 1327:10 | 1248:10,15 | 1322:12,25 |
| 1454:7 | 1350:15 | 1333:8,10 | ,24 | 1323:6 |
| 1475:23 | 1354:25 | 1336:17 | 1249:3,12, | 1324:13,14 |
| 1494:18 | 1364:11 | 1337:21 | 13,16,23,2 | 1325:17,23 |
| hit | 1365:23 | 1338:15,23 | 5 1250:7 | 1326:8,15 |
| 1486:2,14 | 1369:16 | 1419:7,12 | 1251:2,14, | 1327:4 |
| Hm 1262:5 | 1446:18 | 1436:15 | 20 1252:1 | 1328:8 |
| hold 1327:15 | 1511:10 | 1446:10,11 | 1254:3 | 1332:12 |
| 1434:15 | hours | 1451:4,5 | 1259:1,19 | 1335:1,9 |
| holes | 1252:13 | 1452:25 | 1260:7,24 | 1337:14 |
| 1318:25 | 1253:13,22 | 1455:8,13 | 1261:11,16 | 1340:25 |
| hope 1248:5 | 1295:1,16 | 1461:21,23 | 1262:3,13 | 1341:10,23 |
| 1311:12 | 1296:21 | 1462:15,22 | 1263:9,14 | 1342:18 |
| 1483:17 | 1298:4,9,1 | ,24 | 1264:13,20 | 1345:19 |
| | 9 | 1463:3,7,8 | 1267:10,11 | 1348:14,18 |
| | 1300:5,15, | 1466:11 | ,25 | 1349:11 |
| | 22 | HVAC 1363:13 | 1269:12,18 | 1350:7 |
| | 1303:11,14 | hy 1471:14 | ,25 | 1351:7 |
| | | | 1270:2,8,1 | 1352:19 |
| | | | 2,13,17,21 | 1353:3,16 |
| | | | | 1355:3 |

| | | | | |
|------------|---------------------|--------------------|---------------------|---------------------|
| 1356:7,17 | 1454:5 | 1285:5 | 1351:15,22 | 1280:12 |
| 1359:16 | 1458:20 | 1313:25 | 1352:14,25 | 1287:16 |
| 1361:4,15 | 1460:15 | 1316:9 | 1353:4,20, | 1288:2 |
| 1362:8 | 1462:7 | 1317:11 | 24 | IFF10 1288:2 |
| 1366:10 | 1464:18 | 1318:9 | ICF's | 1289:8 |
| 1369:17,18 | 1469:14 | 1322:4,5 | 1352:4,17 | IFF10-1 |
| 1371:7 | 1471:7,9,1 | 1324:10 | icing | 1287:19 |
| 1372:6,13, | 1,21,22 | 1328:15,25 | 1386:22 | IFF10-2 |
| 15 | 1472:3,25 | 1332:6 | I'd 1250:4 | 1280:12 |
| 1373:1,2,2 | 1473:14 | 1340:20 | 1299:3 | 1288:5 |
| 0 | 1474:24 | 1342:5,22 | 1370:6 | 1442:10 |
| 1374:8,19 | 1475:7 | 1347:6 | 1422:6 | 1507:22 |
| 1375:1 | 1476:11 | 1350:19 | 1444:1 | 1509:6 |
| 1376:2,15, | 1478:10 | 1355:15,18 | 1472:20 | IFF11 |
| 23 | 1480:22,24 | 1358:21 | 1501:19 | 1246:23 |
| 1381:2,15 | 1483:2 | 1360:8 | idea 1266:21 | 1288:8,19, |
| 1382:17,22 | 1484:10,18 | 1362:7 | 1272:5 | 24 |
| 1384:6,7,1 | 1485:15 | 1370:12 | 1285:22 | 1289:7,12 |
| 9 1385:4 | 1486:2,5 | 1371:14,18 | 1433:7 | 1293:15,25 |
| 1386:7 | 1488:18 | 1372:5 | 1435:11 | 1294:2 |
| 1387:16,24 | 1492:9,16, | 1373:16,23 | 1484:5 | 1297:5,11, |
| 1388:13,15 | 19 | ,25 | identical | 23 1298:5 |
| ,21,25 | 1496:14,15 | 1374:14 | 1369:4 | 1300:23 |
| 1389:2,3,7 | ,17 | 1394:1 | identified | 1301:5 |
| ,8,10,12 | 1497:12 | 1395:23 | 1254:13 | 1303:24 |
| 1392:3 | 1498:2,5,8 | 1405:9,10 | 1377:12 | 1311:24 |
| 1394:13,20 | ,14 | 1411:12 | 1409:24 | 1312:22 |
| ,21 | 1499:6,25 | 1420:18 | 1444:6 | 1313:1,3,1 |
| 1396:9,19 | 1500:18 | 1441:15,23 | identify | 4,21 |
| 1398:12 | 1501:24 | ,25 | 1398:24 | 1368:4 |
| 1399:5 | 1502:15 | 1442:19 | 1408:24 | 1481:3 |
| 1400:1,13 | 1503:22 | 1476:23 | IFF 1270:19 | IFF11-1 |
| 1401:1 | 1504:19 | 1478:24,25 | 1273:4,12 | 1297:24 |
| 1412:1,21, | 1505:22 | 1479:7 | 1279:2 | IFF11-2 |
| 22 | 1506:18 | 1480:25 | 1283:24 | 1280:13 |
| 1415:10,17 | 1510:18 | 1482:2 | 1287:9,16 | 1288:12 |
| 1416:2,3,1 | Hydro-Quebec | 1485:3 | 1288:5 | 1289:20 |
| 8,25 | 1317:8 | 1486:5 | 1289:19 | 1297:13,17 |
| 1417:5,20 | 1382:17 | 1490:23 | 1297:12 | ,22 |
| 1418:21 | Hydro's | 1491:12 | 1301:6 | 1298:3,24 |
| 1419:3 | 1252:19 | 1499:24 | 1305:16 | 1301:16 |
| 1421:8,17, | 1258:9 | 1506:19 | 1307:9,10 | 1302:4 |
| 21,23 | 1259:12 | <hr/> | 1309:7,8 | 1303:24 |
| 1423:22 | 1264:4,12 | <hr/> | 1358:21 | 1304:20 |
| 1430:24 | 1265:20 | I | 1370:12 | 1305:18 |
| 1436:7,20, | 1267:22 | IBEW | 1371:7 | 1312:24 |
| 24 | 1273:17 | 1379:12,15 | 1413:20 | 1337:12 |
| 1437:8,17, | 1275:23 | 1407:7,24 | 1420:24 | 1368:5 |
| 20 1439:21 | 1276:25 | 1408:6 | 1509:11 | 1447:12 |
| 1440:12 | 1278:17,24 | ice 1386:23 | IFF09 | 1449:23 |
| 1442:1 | 1279:24 | ICF | | 1453:20 |
| 1444:13 | 1280:3,12, | 1349:11,20 | | |
| 1448:2 | 14 1281:5 | 1350:17 | | |
| 1449:25 | | | | |

| | | | | |
|---------------------|--------------------|------------|--------------------|---------------------|
| 1481:4 | 0,12,18 | 1320:22 | 13 | 1381:10 |
| 1500:7 | 1492:13 | 1325:10,14 | imbedded | implementati |
| 1503:11 | 1493:2,10 | 1328:19,23 | 1420:6 | on 1376:18 |
| 1507:16,21 | 1494:1,11, | 1332:10 | immediate | 1481:9 |
| ,23 1509:5 | 17 | 1339:8 | 1356:11 | implemented |
| IFF12 1246:5 | 1495:3,12, | 1343:25 | immemorial | 1396:21 |
| 1282:5,18 | 15,25 | 1347:3,19 | 1476:13 | 1405:18 |
| 1283:1 | 1499:14,17 | 1352:10 | imminent | 1476:17 |
| 1286:22 | 1500:11 | 1353:23,24 | 1279:24 | impli 1476:6 |
| 1303:15 | 1506:18 | 1358:5 | imp 1381:10 | implications |
| 1304:14 | 1511:7 | 1363:11 | impact | 1289:14 |
| 1305:6,12 | ignoring | 1366:1 | 1246:10 | 1472:22 |
| 1306:13 | 1413:14 | 1368:17 | 1291:3 | implicit |
| 1310:11 | IHS 1441:2 | 1369:8 | 1307:17,21 | 1476:4 |
| 1411:12 | I'll 1272:1 | 1370:20 | 1308:2 | implied |
| 1417:5 | 1294:2 | 1372:2,7 | 1309:3 | 1505:11 |
| 1419:8 | 1295:23 | 1378:8 | 1354:7 | implies |
| 1432:13 | 1299:16 | 1392:17 | 1355:17 | 1507:17 |
| 1434:23 | 1313:8 | 1393:3,25 | 1356:2 | import/ |
| 1450:10 | 1319:9 | 1396:16 | 1366:24 | export |
| IFF2 1301:22 | 1336:9 | 1400:6 | 1378:25 | 1310:13 |
| IFFs 1281:25 | 1349:6 | 1404:14 | 1390:6 | importance |
| 1287:16 | 1378:1 | 1406:18 | 1391:5 | 1327:14 |
| 1304:4 | 1384:9 | 1411:23 | 1413:23 | important |
| 1371:7 | 1389:17 | 1418:13 | 1434:11 | 1367:9 |
| IFI 1487:5 | 1392:18 | 1419:18 | 1484:10 | 1382:20 |
| IFR 1473:21 | 1406:23 | 1424:14 | 1486:4,13, | 1444:3 |
| IFRS 1289:14 | 1435:1 | 1433:4 | 17 1487:6 | importantly |
| 1376:18 | 1456:14,16 | 1434:1 | 1491:3 | 1398:18 |
| 1383:8 | 1468:13 | 1436:14 | 1500:5,10, | 1438:5 |
| 1396:21,23 | 1478:16 | 1441:7 | 14 1507:4 | imports |
| 1421:3 | 1485:11,20 | 1443:15 | 1511:1 | 1320:22,24 |
| 1422:1 | 1497:7 | 1451:13,17 | impacted | 1321:5 |
| 1430:25 | 1505:6 | ,24 | 1246:17 | imposed |
| 1434:15 | 1510:17 | 1454:24 | 1308:12 | 1405:18 |
| 1447:21,24 | 1512:1 | 1460:21 | 1310:8 | impression |
| 1450:11 | I'm 1261:4 | 1462:13 | impacts | 1391:8 |
| 1465:19,24 | 1263:4 | 1463:1 | 1355:20 | 1392:2 |
| 1472:7,21 | 1264:2 | 1464:6 | 1413:19 | 1398:14 |
| 1474:1,7,1 | 1266:4 | 1466:1,2,1 | 1450:11 | 1421:11 |
| 2,13 | 1267:23 | 0 | 1472:21 | improper |
| 1475:4 | 1271:10 | 1470:1,15 | 1499:16 | 1466:10 |
| 1476:16 | 1277:21 | 1475:13 | impairment | improve |
| 1477:2 | 1288:18 | 1478:1 | 1480:2 | 1381:9 |
| 1478:21 | 1290:3 | 1480:1 | impairments | 1387:19 |
| 1479:6 | 1291:23 | 1486:25 | 1479:25 | 1499:20 |
| 1480:24 | 1300:1 | 1489:6 | impl 1500:6 | |
| 1481:4,9 | 1311:12 | 1494:2 | implement | |
| 1484:10 | 1314:23 | 1499:17 | | |
| 1486:8 | 1315:4,6 | 1500:14 | | |
| 1487:3,5,1 | 1318:8 | 1501:13,22 | | |
| | 1319:15 | 1506:23 | | |
| | | 1508:3 | | |
| | | 1509:8,12, | | |

| | | | | |
|---------------------|------------------|------------------|--------------------|---------------------|
| improvements | 1463:19 | 1443:1,6 | 1319:13 | 1283:21 |
| 1381:11 | 1464:13 | 1447:17 | 1341:24 | 1289:15 |
| 1391:9 | including | 1468:18 | 1357:10 | 1290:14,20 |
| improving | 1289:14 | 1470:6 | 1386:8 | 1292:15 |
| 1383:13 | 1367:6 | 1501:7 | 1400:18,24 | 1308:21 |
| 1390:6 | 1373:2 | 1508:19 | 1401:2 | 1309:16 |
| inappropriat | 1392:23 | 1509:10 | 1449:3 | 1345:17 |
| e 1326:12 | 1409:2 | increased | 1457:14,15 | 1348:21 |
| in-between | 1417:8 | 1305:23 | 1460:2,3 | 1359:21 |
| 1277:7 | 1432:4 | 1320:24 | 1468:21 | 1395:16 |
| Inc 1501:23 | 1487:9 | 1404:20 | increment | 1404:17 |
| inception | inclusion | 1428:20 | 1295:7 | 1425:23 |
| 1475:8 | 1279:16 | 1430:6 | incremental | 1459:25 |
| incident | income | 1449:10 | 1262:25 | 1465:5 |
| 1358:7 | 1309:3,11 | 1454:15 | 1263:11,13 | 1487:17 |
| include | 1312:1,11, | increases | 1305:13 | 1506:2 |
| 1246:5,18 | 18 1355:2 | 1309:20 | 1312:17 | indicates |
| 1248:14 | 1367:11 | 1356:15,22 | 1333:20 | 1255:19 |
| 1250:23 | 1369:9,11 | 1367:13 | 1365:5 | 1315:5 |
| 1266:20 | 1431:1 | 1382:13 | incur | 1346:16 |
| 1267:24 | 1486:17 | 1385:21 | 1458:16 | 1375:21 |
| 1268:1 | increa | 1401:25 | 1459:9 | indicating |
| 1269:15 | 1438:14 | 1406:15,16 | incurred | 1252:25 |
| 1271:24 | increase | 1407:3,19 | 1450:15 | 1281:22 |
| 1282:17 | 1252:16 | 1412:24 | 1493:10 | 1352:13 |
| 1283:1 | 1287:20 | 1413:2,6,1 | indecision | 1484:9 |
| 1291:17 | 1288:5,13 | 3 1414:22 | 1478:20 | indication |
| 1308:13 | 1293:16 | 1415:4,18, | independent | 1288:23 |
| 1311:15 | 1294:6,8,1 | 25 | 1314:9 | 1320:13 |
| 1347:22 | 2 1303:2 | 1416:8,11, | 1317:13,14 | 1363:21 |
| 1410:14 | 1312:3 | 19,23 | 1353:13 | 1388:22 |
| 1444:12 | 1319:16 | 1417:1,9 | 1375:23 | 1396:19 |
| 1464:15 | 1320:2 | 1418:12 | 1400:5 | 1403:9 |
| 1466:13,14 | 1343:7 | 1419:20,24 | in-depth | 1417:15 |
| included | 1344:16 | 1420:19,22 | 1375:17 | 1436:11 |
| 1246:23 | 1360:23,24 | 1423:23 | indexed | 1440:22 |
| 1279:14 | 1363:21 | 1424:4,21 | 1373:23 | 1460:4 |
| 1294:17 | 1367:11 | 1425:7 | indicate | indications |
| 1300:23 | 1382:21 | 1426:8 | 1328:5 | 1381:8 |
| 1310:4 | 1392:11 | 1427:8 | 1353:3,20 | individually |
| 1313:14,21 | 1402:4 | 1428:3 | 1369:15 | 1478:13 |
| 1333:19 | 1403:9,17 | 1437:10,12 | 1392:8 | industry |
| 1369:23,25 | 1404:17 | ,21 | indicated | 1358:9 |
| 1411:11 | 1405:5 | 1438:15,17 | 1253:8 | 1465:1,8,1 |
| 1419:8 | 1407:17,19 | 1468:16 | 1269:25 | 1 1480:20 |
| 1502:16 | 1418:1,8 | 1499:9,10, | 1271:5 | 1495:10 |
| 1507:23 | 1421:8,12 | 11,12 | 1274:8 | inefficient |
| includes | 1422:7,19 | 1507:18,21 | 1277:19 | 1333:12 |
| 1256:8 | 1423:4 | ,24 | 1281:9 | inevitably |
| 1445:6 | 1424:25 | 1508:14 | increasing | 1439:16 |
| | 1428:16 | 1509:1,21 | | |
| | 1430:9 | | | |

| | | | | |
|---|--|--|--|---|
| inflation 1356:22 1385:11,22 1412:25 1413:4,7,1 9,23 1414:2,5,1 1,18,22,24 1415:25 1416:12,20 1417:2,10, 21 1419:20 1424:23 1425:8,11 | 19,25 1384:3,14, 20,23 1404:4,5 1405:1 1411:9 1433:11 1436:10,20 ,25 1441:8 1442:1,5 1447:11,12 1454:9 1460:14 1461:18 1470:8 1471:6 1481:12 1499:24 1508:16 | 1249:17,21 inserted 1372:20 in-service 1448:13 1452:13 1458:13,24 1459:4 1468:17 Insight 1441:3 inspection 1361:10 instability 1354:18 installation s 1393:15 installed 1332:5 1380:15 instance 1380:9 1384:12 1392:17 1393:4,9 1394:20,25 1395:3 1409:20 1410:9 1423:10 1428:20 1429:24 1430:19 1489:22 instead 1248:15 1272:4 1331:7 1340:10 1382:1 1439:8 1449:12 1511:5 instigated 1395:8 institute 1378:7 institutions | 1436:3 instruments 1432:1 insuff 1323:17 insufficient 1323:18 insurance 1311:8 intact 1307:3 integral 1390:21 integration 1502:7,11 integrity 1499:20 intended 1258:8 1325:21 1326:10 1402:3 intention 1445:13 intents 1427:4 interchangeable 1412:16 interest 1332:4 1355:14 1374:13 1413:16,25 1425:2,9 1428:3,20 1429:22 1430:14 1432:9,12 1436:6 1465:8 interested 1271:3 1432:12 1478:8 interface 1322:17 | interim 1288:22 1293:16 1294:10,13 1301:5 1311:25 1312:2 1419:1 1482:9,14, 17,19 1483:18,20 1485:1 interject 1377:23 interna 1378:6 internal 1290:17 1377:20 1381:22 1382:6,14 1390:11 1399:7 1400:3 1422:18 1445:4 internally 1274:12 1381:22 1393:10 1429:7,9 international l 1351:15 1366:11 1473:1 1474:15 1477:17 1478:20 1482:7,16 1483:9,16 1484:1 1485:15 1490:11 1496:7 1506:8,12 internet 1388:11 interval 1304:7 intervening |
| inflationary 1414:13 | infrastructure 1357:9,16 1420:1 1438:2 | | | |
| inflows 1306:2 | | | | |
| influence 1354:3 1380:18 1448:21 | | | | |
| infor 1369:25 | infrequently 1340:3 | | | |
| information 1246:5 1247:22 1249:14,18 1251:7 1257:16 1271:20 1272:6,14 1274:3,6,1 1 1275:24 1279:5 1280:24 1282:18 1283:2 1285:14 1304:25 1317:24 1329:1 1351:7 1367:5 1369:19 1372:3 1373:12 1376:5 1377:25 1378:6 1381:3,16, | initial 1306:8,10 1311:6 1476:18 1508:6 initiating 1399:10 initiative 1247:15 1389:2,10 initiatives 1385:19 1387:24 1388:22 injected 1363:1 innovation 1394:3 innovative 1385:15 input 1287:10 insert | | | |

| | | | | |
|---------------------|---------------------|--------------------|------------|------------|
| 1407:15 | 1419:2 | 1371:9 | 1294:17 | 1391:10,20 |
| Intervenors | 1423:15 | 1410:14 | 1295:3 | 1392:9 |
| 1248:11 | 1427:17 | 1413:20 | 1296:14 | 1397:11 |
| intrans | 1496:5 | 1443:14 | 1297:13 | 1399:6 |
| 1263:2 | issue | 1445:22 | 1298:10 | 1402:18 |
| invested | 1319:10 | 1448:4,6 | 1299:19,21 | 1405:13 |
| 1429:10 | 1357:22 | 1475:25 | 1303:16,19 | 1406:3 |
| investigate | 1371:18 | 1502:20 | 1309:21 | 1410:9,13 |
| 1387:22 | 1383:9 | items | 1319:3,4,2 | 1412:10,12 |
| investment | 1392:9 | 1294:18 | 3 1320:7 | 1414:1,17 |
| 1397:14 | 1434:11 | 1301:20 | 1321:23,24 | 1417:15 |
| 1433:16 | 1438:2 | 1302:4,7 | ,25 | 1418:18 |
| investments | 1457:13 | 1318:11 | 1323:19 | 1419:3 |
| 1329:23 | 1477:1 | 1358:20 | 1325:20,21 | 1420:8,25 |
| 1480:12 | 1478:5,7 | 1360:6 | 1326:9,13, | 1421:7,9,1 |
| investors | 1480:6 | 1369:11 | 16 1327:14 | 5 1422:2,3 |
| 1427:7 | 1482:3 | 1413:21 | 1329:5 | 1425:4 |
| invited | 1483:10,12 | 1443:5 | 1330:7,22, | 1433:10,25 |
| 1271:14 | 1484:25 | 1444:5,24, | 23 1331:22 | 1434:1,4 |
| invoked | 1489:10 | 25 1445:6 | 1332:17 | 1436:15 |
| 1474:25 | 1493:7 | 1446:4 | 1333:6 | 1440:19 |
| 1475:5 | 1494:14 | 1500:2 | 1334:5 | 1444:3,21 |
| involved | 1495:6,17 | 1501:9 | 1338:19 | 1445:3 |
| 1365:18 | issued | 1503:18 | 1339:17,18 | 1449:6 |
| 1389:24 | 1372:1 | it'll | 1340:13 | 1450:17,18 |
| 1410:22 | 1375:17 | 1343:20 | 1341:6,11, | 1453:8,16, |
| 1462:10 | 1400:16 | 1474:3,8,1 | 15,17,19 | 17 1454:20 |
| involvement | 1419:2 | 1,12 | 1343:7,16 | 1455:13 |
| 1322:4 | 1433:8 | it's 1249:1 | 1344:3 | 1456:22 |
| involves | 1478:9 | 1252:7,14, | 1345:6 | 1459:3,5 |
| 1392:12 | 1482:9,15 | 15 1255:7 | 1349:16 | 1461:8,12 |
| IR 1435:24 | issues | 1257:1 | 1350:7 | 1462:8 |
| 1461:12 | 1306:23 | 1258:4,13, | 1352:6,7,1 | 1465:3 |
| 1470:24 | 1316:12 | 14,17 | 4 | 1470:1 |
| 1472:2,14 | 1376:24 | 1259:5,22 | 1360:15,24 | 1473:8 |
| irrespective | 1377:14 | 1260:12 | 1361:1,9,1 | 1474:18,20 |
| 1437:21 | 1381:4 | 1261:14,18 | 2 | 1475:10,14 |
| Island | 1398:24 | 1263:24 | 1362:1,10 | 1477:7,12, |
| 1362:18 | 1401:10 | 1264:13,15 | 1364:9,10, | 24 1478:6 |
| isn't | 1405:10 | ,16,17 | 13,14 | 1481:19 |
| 1254:22 | 1420:11 | 1266:24 | 1365:2,3,2 | 1484:9,12, |
| 1257:20 | 1448:22,24 | 1268:10,11 | 0 | 16 1485:25 |
| 1277:18 | 1484:15 | 1269:3 | 1367:1,4,8 | 1486:1,4 |
| 1362:23 | 1507:9 | 1272:17 | ,9,10 | 1491:9,18 |
| 1373:8 | it'd 1277:25 | 1275:3,8 | 1368:2 | 1492:1,2 |
| 1389:14 | 1476:22 | 1276:15,18 | 1369:22 | 1493:9,19 |
| 1415:18 | ite 1500:2 | 1278:10 | 1372:19 | 1495:5,7 |
| | item 1300:13 | 1281:8,11, | 1373:3,6 | 1497:18 |
| | 1358:23 | 13,22,23 | 1378:9 | 1499:2 |
| | 1361:24 | 1284:1,6 | 1382:19 | 1500:25 |
| | 1370:11 | 1285:19 | 1383:9,12, | 1501:8,18 |
| | | 1292:2,18 | 24 1384:22 | 1507:6,7 |
| | | | 1389:16 | 1508:1 |
| | | | 1390:5 | |

| | | | | |
|---------------------|---------------------|--------------------|---------------------|---------------------|
| 1509:1,25 | 1497:18 | | 1432:10,17 | lapse |
| I've 1276:24 | July 1328:6 | <hr/> | ,20,22 | 1303:23 |
| 1389:14,15 | jump | <hr/> L <hr/> | 1433:12,15 | large |
| 1418:13 | 1292:14,17 | labelling | ,19 | 1248:25 |
| 1419:5 | 1373:20 | 1289:10 | 1434:2,13, | 1257:20 |
| 1440:13 | Jumping | labour | 19 | 1274:14 |
| 1464:18,19 | 1418:17 | 1333:23 | 1435:2,14, | 1422:19 |
| ,20 | June 1291:19 | 1361:20,22 | 21 | 1423:2 |
| 1475:15 | 1297:18 | 1385:10 | 1436:9,16 | 1439:2 |
| <hr/> | jurisdiction | 1454:8,15 | 1438:18 | 1465:4 |
| J <hr/> | s 1470:7 | 1456:2,6 | 1439:17 | 1471:17 |
| January | 1504:24 | 1460:16 | 1441:5,10, | 1480:11 |
| 1407:4,8,1 | justified | 1461:19 | 15 1448:8 | 1494:9 |
| 5,16,18,19 | 1326:16 | lack 1465:9 | 1450:25 | 1495:7 |
| ,25 1408:1 | justify | Lafond | 1451:13,17 | 1499:10 |
| 1476:17 | 1332:19,24 | 1242:15 | ,21 | largely |
| Japan 1358:7 | <hr/> | 1263:17,22 | 1452:2,24 | 1437:13 |
| Jenpeg | K <hr/> | 1268:3,14 | 1453:11,14 | 1468:4 |
| 1246:11 | Keeyask | 1283:9,15, | ,24 | 1506:2 |
| 1306:24 | 1287:21 | 20 1310:22 | 1455:7,22 | larger |
| 1307:10,11 | 1288:1 | 1311:2,3,9 | 1457:1 | 1498:14 |
| ,17,22 | 1409:3 | 1328:1,3,1 | 1459:14 | largest |
| 1308:3,20 | 1424:1 | 1 1356:13 | 1461:17 | 1370:11 |
| 1309:2,3,7 | key 1468:17 | 1357:9,15, | 1462:11,19 | 1371:9 |
| ,13,25 | kilowatt | 19,23 | 1463:5 | 1407:24 |
| 1310:20 | 1251:9,16, | 1366:22 | 1464:8,17 | 1426:13 |
| job 1459:6,8 | 23 1253:12 | 1370:25 | 1465:12,17 | 1500:21,25 |
| 1485:7 | 1254:22,25 | 1377:23 | ,23 | Larry |
| join 1319:8 | 1268:15,22 | 1380:5,19 | 1466:1,9,2 | 1242:16 |
| joint-use | 1269:7 | 1384:1 | 2,23 | last 1253:10 |
| 1361:23 | 1292:9 | 1385:23 | 1486:9,11 | 1255:18 |
| Joseph | 1298:11,17 | 1387:6 | 1487:1,2,1 | 1259:2 |
| 1364:5 | 1308:23 | 1389:17 | 6 1488:5 | 1265:19 |
| ju 1468:13 | 1337:25 | 1392:6 | 1489:6,21 | 1269:10,24 |
| judge | 1344:6,14 | 1394:16 | 1490:3,16 | 1279:5 |
| 1258:18 | 1346:21 | 1395:16 | 1491:4 | 1281:9,25 |
| 1262:9 | kinds | 1408:17 | 1496:13 | 1285:2 |
| judgement | 1377:15 | 1409:7,10, | 1497:22 | 1286:21 |
| 1275:2 | 1386:5 | 20 | 1498:15,21 | 1287:17 |
| judgements | 1437:12 | 1410:8,18, | 1502:4,8 | 1292:4 |
| 1497:8 | knew 1278:13 | 25 | Lafond's | 1296:5 |
| judgment | 1395:3 | 1411:4,8,1 | 1440:14 | 1306:3 |
| 1272:24 | known 1301:4 | 5 1423:9 | lag 1273:4 | 1311:22 |
| 1278:24 | 1474:8 | 1424:13 | Lake 1364:5 | 1349:11 |
| 1410:22 | 1491:9 | 1425:16,20 | land 1392:23 | 1351:17 |
| judiciously | KPMG | 1426:5,6,1 | landed | 1356:19 |
| 1496:17 | 1405:3,6 | 4 | 1354:23 | 1358:6,18 |
| | | 1427:6,25 | lands | 1360:4 |
| | | 1428:18 | 1353:24 | 1374:25 |
| | | 1429:12,20 | 1501:5,8,1 | 1379:10 |
| | | 1430:5,12 | 1 | 1391:18 |
| | | 1431:6,10, | | |
| | | 17,24 | | |

| | | | | |
|---------------------|--------------------|---------------------|---------------------|---------------------|
| 1395:16 | 1416:18 | 1316:14 | 1454:5 | 1318:10 |
| 1400:12 | leads | lengthy | levity | 1323:13 |
| 1408:6 | 1295:18 | 1468:14 | 1511:24 | 1337:13,18 |
| 1423:19 | league | less 1252:7 | Liabilities | 1358:20,22 |
| 1424:20,24 | 1394:14 | 1271:24 | 1432:3 | 1360:6,14, |
| 1425:3,7 | lean | 1298:23 | liability | 15,25 |
| 1426:12 | 1389:18,19 | 1338:21 | 1258:19 | 1361:23 |
| 1429:24 | least | 1340:15 | 1495:6 | 1363:21 |
| 1431:25 | 1253:15 | 1392:12 | liberty | 1366:6,13 |
| 1440:12 | 1272:25 | 1395:7 | 1353:2 | 1367:2 |
| 1442:6,11, | 1301:6 | 1464:23 | lies 1285:1 | 1369:9,11 |
| 19 1444:19 | 1315:21 | 1465:6 | life 1390:7 | 1380:6 |
| 1446:8 | 1316:10 | let's 1251:6 | 1508:20 | 1382:19,20 |
| 1453:3 | 1352:14 | 1298:15 | light | ,23,24 |
| 1456:22 | 1382:10 | 1299:5 | 1327:18 | 1383:1 |
| 1459:24 | 1389:1,15 | 1319:12 | 1365:14,23 | 1385:24 |
| 1460:11,14 | 1392:22 | 1327:21 | 1397:8 | 1392:7 |
| 1467:8 | 1396:24 | 1337:20 | 1400:10,15 | 1408:19 |
| 1477:24 | 1404:17 | 1350:13 | 1446:18 | 1410:14 |
| 1480:12 | 1417:10 | 1354:24 | 1511:10 | 1413:20 |
| 1492:9 | 1418:22 | 1392:20 | lights | 1419:17 |
| 1503:14 | 1440:19 | 1421:11 | 1386:13,23 | 1420:13,22 |
| 1504:11 | 1477:3 | 1442:18 | likelihood | 1424:21 |
| lasts | leave | 1446:21 | 1265:2 | 1442:18 |
| 1461:25 | 1265:12 | 1456:24 | likely | 1443:14 |
| late 1304:15 | 1391:8 | 1462:22 | 1278:11 | 1445:6,21 |
| 1352:2 | 1392:2 | 1486:7 | 1347:15 | 1446:10 |
| 1359:16,19 | 1421:11 | 1489:1 | likewise | 1448:4,6,1 |
| ,24 | 1485:11 | 1496:4,20, | 1255:23 | 4 1456:22 |
| lately | 1497:7 | 21,24 | 1351:12 | 1500:2 |
| 1321:13 | leaving | 1510:1 | 1397:1 | lines |
| later | 1256:25 | 1511:22 | 1406:7 | 1281:10,19 |
| 1334:13 | 1458:9 | letter | 1491:21 | 1360:18 |
| 1352:6,8,9 | led 1377:17 | 1382:2 | limitations | 1386:22 |
| ,14 | 1383:14 | letters | 1376:7 | 1409:17 |
| 1402:19 | 1478:15 | 1484:25 | Limited | 1453:17 |
| 1418:20 | left-hand | level 1377:3 | 1269:16 | 1467:5 |
| 1426:16 | 1442:13 | 1383:23 | line 1255:18 | 1483:25 |
| 1435:15 | left-side | 1391:22 | 1277:9 | link 1247:13 |
| 1479:15 | 1445:22 | 1398:7 | 1281:20,21 | 1388:14 |
| latest | leg 1433:22 | 1400:19 | 1282:3,5,8 | 1389:1,8 |
| 1351:6,11 | legacy | 1401:14 | 1284:7,8 | linkage |
| 1371:7 | 1363:6 | 1403:12,19 | 1286:25 | 1413:25 |
| latter | legal | 1413:14 | 1295:2,4 | 1414:7 |
| 1347:10 | 1433:22 | 1428:7 | 1300:13 | list |
| Lavigne | legislation | 1461:10 | 1301:20 | 1244:3,4 |
| 1512:15 | 1279:24 | 1507:8,14 | 1302:4,6 | 1245:1 |
| lead 1476:9 | | levels | 1303:2 | 1246:1 |
| leading | | 1274:6 | | 1247:1,23 |
| | | 1439:15 | | 1275:24 |
| | | | | 1294:18 |
| | | | | 1391:17 |

| | | | | |
|--------------------|---------------------|---------------------|--------------------|-------------------|
| 1437:2 | located | 1332:4 | 1365:24 | 5, 24 |
| 1440:15 | 1390:19 | 1342:2 | 1369:16 | 1410:5, 6, 2 |
| 1498:1 | 1441:16 | 1348:4 | | 3 |
| 1504:3 | locations | 1377:25 | <hr/> | 1411:10, 17 |
| 1509:25 | 1378:15 | 1378:18 | <hr/> | , 25 |
| listed | lock 1354:16 | 1387:3, 23 | machine | 1412:9, 23 |
| 1361:8 | logic 1489:8 | 1388:1 | 1333:1 | 1420:9, 12 |
| 1370:11 | 1490:4 | 1401:13 | magnitude | 1425:21 |
| 1401:1 | long 1252:11 | 1438:3 | 1359:25 | 1426:4 |
| 1500:17 | 1264:24 | 1491:22 | 1410:1, 15 | 1427:3 |
| listen | 1321:15 | 1494:20 | 1445:20 | 1428:10 |
| 1483:18 | 1332:18 | 1496:9 | main 1401:4 | 1429:6, 11 |
| listing | 1344:19 | 1498:24 | mainly | 1430:21 |
| 1411:10 | 1348:5 | 1508:15 | 1320:3 | 1436:3 |
| lists | 1392:16 | lots 1339:24 | 1409:25 | 1437:7 |
| 1411:17, 19 | 1413:9 | 1427:23 | 1490:25 | 1439:18 |
| 1435:24 | 1432:3 | low 1264:14 | maintain | 1441:1 |
| lit 1393:13 | 1438:13 | 1274:25 | 1390:21 | 1458:6, 20, |
| literally | 1475:15, 16 | 1277:6, 20 | 1413:14 | 24 |
| 1462:2 | 1508:2 | 1278:19 | 1414:16 | 1464:21, 22 |
| little | 1509:21 | 1283:18, 25 | 1426:22 | 1468:19 |
| 1264:6 | longer | 1333:9, 12 | 1458:13 | 1486:16 |
| 1276:9 | 1474:3 | 1338:9 | 1482:10 | 1489:9, 22 |
| 1332:3 | 1483:19 | 1339:2, 3 | 1494:24 | 1493:7 |
| 1423:24 | 1496:23 | 1341:17 | 1495:16 | 1495:2 |
| 1435:7 | long-range | 1343:4 | 1507:8 | 1498:1 |
| load | 1270:9 | 1353:21 | 1508:17 | majority |
| 1253:9, 16 | long-term | 1424:23 | maintained | 1256:21 |
| 1254:10 | 1267:12 | 1430:8 | 1379:6 | 1266:8 |
| 1315:17, 20 | 1275:23 | low-cost | 1382:18 | 1413:11, 12 |
| 1316:9 | 1290:22 | 1264:15 | 1483:9 | 1429:6 |
| 1323:2, 12 | 1291:4 | lower | maintaining | 1489:23 |
| 1325:22 | 1292:16 | 1264:6, 25 | 1272:3 | manage |
| 1326:2, 5, 1 | 1329:22 | 1278:1 | maintenance | 1445:13 |
| 0 | 1342:17 | 1282:10 | 1263:11 | 1499:16 |
| 1339:3, 23 | 1343:5 | 1288:10, 25 | 1334:2 | manageable |
| 1348:6 | 1355:15 | 1297:23 | 1339:6 | 1422:3, 4 |
| 1438:6 | 1414:7, 9 | 1298:4 | 1360:12 | management |
| loading | 1415:24 | 1309:11 | 1370:9 | 1246:22 |
| 1333:7, 14 | 1429:15, 16 | 1342:6 | 1412:10 | 1301:15 |
| loadings | 1435:6 | 1395:18, 23 | major | 1302:3 |
| 1333:9, 12 | 1440:5 | 1425:4, 9 | 1378:2, 9 | 1305:18, 22 |
| lobby | 1496:4 | 1434:8, 9 | 1380:7 | 1306:8 |
| 1484:23 | lose 1323:20 | 1439:15 | 1385:19 | 1313:13, 20 |
| local | losses | 1461:10 | 1386:18 | 1368:4 |
| 1380:24 | 1263:12 | lowest | 1392:24 | 1371:14 |
| 1389:18 | 1366:25 | 1262:2 | 1393:5 | 1391:15 |
| 1390:24 | lost 1503:13 | 1283:18 | 1398:11 | 1401:7, 15 |
| lot 1271:18 | lot 1271:18 | lows 1262:2 | 1404:19 | 1405:3 |
| | | lunch | 1408:25 | 1406:11, 13 |
| | | 1358:17 | 1409:4, 8, 1 | 1407:11 |
| | | | | 1408:4 |

| | | | | |
|-----------------|------------|------------|---------------------|---------------------|
| 1422:23 | 1282:16,23 | 1360:8 | 1442:19 | 1303:21 |
| 1424:2 | 1283:16 | 1361:4,15 | 1444:13 | 1400:16 |
| 1459:21 | 1285:5 | 1362:7,8 | 1448:2 | 1401:22 |
| 1491:2 | 1286:15,20 | 1363:1 | 1449:25 | 1455:9 |
| 1493:8 | 1288:21 | 1366:10 | 1454:5 | 1461:23,25 |
| managing | 1291:19 | 1369:17,18 | 1458:20 | 1462:21 |
| 1508:20 | 1292:6 | 1370:11 | 1462:7 | 1463:7,8 |
| mandated | 1294:7,18 | 1371:7,13, | 1464:18 | 1466:13 |
| 1415:7,12 | 1295:3,25 | 18 | 1469:13 | 1479:6 |
| Manitoba | 1300:5,9,1 | 1372:5,15 | 1470:5 | 1498:4 |
| 1242:3,6,2 | 4 | 1373:1,16, | 1471:7,10, | margin |
| 2 1243:4,7 | 1301:4,14 | 25 | 21 1472:24 | 1258:18 |
| 1244:6 | 1307:21 | 1374:8,19 | 1473:13 | 1259:5 |
| 1246:3,10, | 1308:1,6,1 | 1376:2,15, | 1474:24 | 1260:4 |
| 13,18,21 | 3 | 23 | 1475:7 | 1261:14 |
| 1247:3,13, | 1311:15,25 | 1380:4,16 | 1476:11,22 | 1266:13,17 |
| 15,18,21 | 1313:18,24 | 1381:2,15 | 1478:10,24 | 1333:20 |
| 1248:10,15 | 1314:4,17 | 1382:22 | ,25 1479:7 | 1346:9 |
| ,24 | 1315:8,11, | 1384:6 | 1480:23,25 | marginal |
| 1249:3,12, | 22 | 1385:4 | 1483:2 | 1259:12 |
| 13,16,22,2 | 1316:2,7,8 | 1386:15 | 1484:10,18 | 1262:19,20 |
| 5 1250:7 | ,9,12 | 1388:13,21 | 1485:3,15 | ,23,25 |
| 1251:2,13, | 1317:10,13 | 1389:2,7,9 | 1486:1,5 | 1263:7 |
| 20 | ,16 1321:8 | 1390:20 | 1488:18 | 1341:8 |
| 1252:1,19 | 1322:4,5,1 | 1392:3 | 1490:23 | mark 1284:25 |
| 1258:9 | 2,25 | 1394:1,13 | 1491:11 | 1326:1 |
| 1259:11,18 | 1323:6 | 1395:23 | 1492:9,16, | marked |
| 1260:7,24 | 1324:10,12 | 1396:9,19 | 19 | 1249:13 |
| 1261:11,16 | ,14 | 1398:12 | 1496:15,17 | 1369:22 |
| 1262:3,13 | 1325:17,23 | 1399:5,25 | 1497:2 | 1417:5 |
| 1264:4,12, | 1326:8,15 | 1400:13 | 1498:14 | market |
| 20 1265:20 | 1327:3 | 1401:1 | 1499:6,24 | 1251:15,21 |
| 1267:9,11, | 1328:8,15, | 1405:9,10 | 1501:23,24 | 1253:12 |
| 22,25 | 25 | 1411:12 | 1502:15 | 1256:10 |
| 1269:12,18 | 1332:6,12 | 1412:1,21, | 1503:22 | 1258:21,24 |
| ,25 | 1334:25 | 22 | 1504:19 | 1260:2,13, |
| 1270:2,8,1 | 1335:9 | 1415:10,17 | 1505:12,22 | 20 |
| 2,13,17,21 | 1337:14 | 1416:2,3,1 | 1506:18,19 | 1261:14,17 |
| 1271:12 | 1340:20,25 | 8,25 | 1510:18 | ,19,22,24 |
| 1272:10,23 | 1341:10,23 | 1417:5,20 | Manitobans | 1262:3,11, |
| 1273:17,24 | 1342:5,18, | 1418:20 | 1427:7 | 12,21 |
| 1274:8,14, | 22 1345:19 | 1419:3 | manner | 1263:5 |
| 18 | 1347:5 | 1420:18 | 1315:19 | 1264:9,11, |
| 1275:11,18 | 1348:14,18 | 1421:8,17, | 1490:12 | 16,19,24 |
| ,19,21,23 | 1349:11 | 23 1423:22 | manufacture | 1265:3 |
| 1276:25 | 1350:7 | 1430:24 | 1389:21 | 1266:15 |
| 1277:2,6 | 1351:7 | 1436:7,19, | manufacturin | 1273:6,14 |
| 1278:17,24 | 1352:19 | 24 | g 1389:19 | 1279:14 |
| 1279:24 | 1353:3,16 | 1437:8,16, | map 1314:23 | 1295:10,16 |
| 1280:2,4,9 | 1355:3,15, | 20 | mar 1365:7 | 1298:11,18 |
| ,12,14 | 18 | 1438:6,20 | March | 1310:13 |
| 1281:5 | 1356:7,17 | 1439:21 | | 1313:25 |
| | 1358:21 | 1441:15,23 | | |
| | 1359:16 | ,25 | | |

| | | | | |
|--|---|--|--|---|
| 1314:5,7,1 2,16,25 1315:1 1316:2,4,8 1317:14 1318:1 1321:5,9,1 5,16,24 1322:1,2,1 9,25 1326:1,23 1328:16 1334:11 1337:3 1341:1,9 1345:18,20 ,25 1346:6 1347:11 1348:22 1356:4,6,9 1365:7 1393:7,21, 24 1425:23 1434:8 1439:10,13 | mathematical 1296:15 1418:5,7 1422:9 mathematical ly 1416:6 matter 1319:23 1333:3 1343:7 1377:17 1378:16 1386:13 1388:19 1390:14 1402:12 1423:17 1424:16 1434:20 1438:16 1477:18 1485:5 1493:3 matters 1248:6 1249:24 1370:2,9 1511:14 maturity 1430:20 maximize 1260:13 maximum 1323:3 may 1249:11 1252:11,12 ,15 1253:1,6,1 5,16 1255:5 1265:22 1273:4,14 1282:1 1291:10,16 1292:17 1306:25 1310:11,16 1318:19 1322:11 1353:12 1376:16 | 1378:14 1381:9 1402:20 1458:21,25 1485:16 1488:7 1492:17 maybe 1306:5 1311:22 1326:3,4 1330:18 1351:22 1359:13 1365:9 1368:18 1371:24 1396:2 1416:5 1426:15 1432:17 1433:25 1434:4 1454:24 1482:1 1485:11,19 1488:5,7 1508:18 1510:17 mean 1254:6 1257:13 1380:10 1387:8 1391:11 1401:12 1425:1 1432:24 1462:1 1463:9 1464:18 1494:14 1496:5 1497:10 1507:6 1509:18 meaningful 1376:21 1379:2 1383:21 meaningless 1383:3 means 1316:3 1327:9 | 1334:1 1346:5 1390:3,4 1456:8 1484:6 meant 1310:15 1373:8 measurable 1354:7 1378:16 measure 1398:25 1496:12 measured 1258:20 1399:14 measurements 1398:15 measures 1399:1,18 1405:17 mechanism 1492:17 median 1296:5 1297:6 1298:1 meet 1338:21 1340:8 1385:15 1401:8 1402:7 1428:8 meeting 1260:4 1340:14 1374:19 1402:5 meetings 1401:14 1481:22,24 1482:3 1484:19 megawatt 1247:5,7 1263:1 1264:22 | 1268:9,15, 18 1308:22 1331:4,10 1334:19,20 1335:2,4,1 2,15 1337:22 1339:24 1343:17 1344:5,9 1345:10 1346:21 1350:15 1354:25 1364:10,11 1380:16 1440:3 megawatts 1253:9 1265:1 1324:17,23 1325:2,6,8 ,12,16 1327:8 1328:17 1329:6 1333:10 member 1242:15,16 1315:11 1316:18 1328:1 1395:16 1396:5 1440:14,22 1471:23 members 1276:3,4,7 1318:23 1320:14 member's 1436:22 memberships 1443:17 1444:7 memo 1400:16 1401:20 1402:19 1405:11,16 1444:6 memory |
|--|---|--|--|---|

| | | | | |
|--------------------|---------------------|----------------|--------------------|----------------------|
| 1294:14,17 | metres | 9 | 6,22 | 1265:20 |
| 1321:12 | 1392:13 | 1282:7,13, | 1452:4,5,1 | 1327:22 |
| 1481:14 | metric | 21 | 7,25 | 1358:17 |
| memos | 1372:12 | 1283:12,23 | 1453:2 | 1400:12 |
| 1401:10 | metrics | 1285:4,17, | 1487:3 | 1414:25 |
| 1441:22 | 1398:6,15, | 24 | 1498:9,10, | MIPUG |
| mention | 16 | 1286:8,18, | 13 1500:21 | 1243:12 |
| 1376:22 | 1399:13,16 | 23 | 1501:2,24 | 1245:5 |
| 1469:17 | 1469:10,18 | 1287:3,11 | 1502:25 | 1248:24 |
| 1495:18 | MH-159D | 1297:7 | 1503:5,10, | 1249:7,24 |
| 1506:11 | 1405:2 | 1298:6,7,1 | 15,17 | 1369:19 |
| mentioned | MH-18 | 3,21 | 1505:20 | mirror |
| 1266:19 | (ADDITION | 1299:3,6,1 | 1507:15 | 1284:21 |
| 1283:10 | 1248:19 | 3,16 | 1508:9 | miscellaneous |
| 1334:17 | MH-18 | 1300:1 | 1509:15,16 | 1361:9,11 |
| 1357:20 | (ADDITION) | 1328:9 | 1510:5 | misleading |
| 1383:4 | Responses | 1339:21 | 1511:4,5 | 1380:2 |
| 1388:11 | 1245:3 | Miles's | millions | MISO 1313:25 |
| 1406:11 | MH-22 1245:5 | 1279:5 | 1323:20 | 1314:5,6,8 |
| 1415:3 | 1249:7 | Miller | mind 1374:7 | ,16,25 |
| 1422:8 | M-hm 1257:17 | 1243:10 | 1413:15 | 1315:1,11, |
| 1426:10 | Michael | million | 1417:12 | 13,17,18,2 |
| 1445:21 | 1243:14 | 1298:12,23 | 1491:5 | 0 |
| 1473:7 | microphone | 1301:7,14, | mind-set | 1316:1,3,8 |
| 1478:3 | 1368:17 | 17,18,23 | 1400:15 | ,10,18 |
| 1494:9,16 | middle | 1302:3,11, | minimize | 1317:25 |
| merchant | 1349:21 | 16,17,23,2 | 1254:3 | 1318:23 |
| 1325:24 | 1353:20 | 4 1303:1,2 | minimum | 1319:8 |
| merit | 1372:19 | 1306:18 | 1268:13 | 1320:14,22 |
| 1346:2,5 | 1435:4 | 1311:5,7 | ministers | 1321:5,11, |
| message | 1492:12 | 1312:1,10, | 1388:16 | 14,15,18,2 |
| 1355:9 | 1500:20 | 18 1327:5 | Minnesota | 1,24 |
| 1401:4,12 | middle-of- | 1338:17,19 | 1439:23 | 1322:2,5 |
| messages | the-road | ,21 | 1440:1 | 1327:12 |
| 1437:18 | 1278:6,8 | 1340:11,12 | minor | 1328:16 |
| met 1315:21 | Miles | 1355:4 | 1342:15 | 1329:1 |
| 1415:20 | 1270:22,23 | 1360:3,21, | 1368:2 | 1334:11 |
| method | 1271:1,9,1 | 24,25 | minus | 1341:24 |
| 1394:18 | 6 | 1367:3,12 | 1303:20 | 1345:18 |
| methodology | 1272:12,20 | 1368:6 | 1467:23 | missed |
| 1461:12 | ,22 | 1404:21 | minuses | 1508:15 |
| 1463:14 | 1273:23,25 | 1410:4 | 1369:10 | missing |
| 1498:25 | 1274:3,13, | 1418:23 | minute | 1434:1 |
| 1499:3,8 | 16,20 | 1419:13,15 | 1336:9 | misspoke |
| 1505:9 | 1275:10 | 1420:16 | 1337:7 | 1420:15 |
| 1508:17 | 1279:15,20 | 1445:23 | 1406:23 | mister |
| methods | ,21 | 1446:10,16 | 1450:4 | 1441:4 |
| 1486:22 | 1280:1,8,1 | 1447:18 | minutes | mixed 1485:9 |
| | | 1449:14,15 | | |
| | | ,16 | | |
| | | 1450:21,22 | | |
| | | 1451:4,5,1 | | |

| | | | | |
|---|--|--|---|--|
| mixing 1256:8 | 1300:8 1327:19 | municipal 1390:24 | necessarily 1324:8 | 1486:15,17 1487:9 |
| MKO 1243:14 | 1329:13 | | 1326:2 | 1488:3 |
| MMBTU 1350:4 | 1368:3,6 | <hr/> | 1375:9 | 1511:1 |
| mobile 1358:2 1391:15 | 1511:24 | <hr/> | 1403:13 | netted 1360:12,21 |
| model 1394:9 | most- efficient 1333:13 | nat 1369:3 | 1415:21 | network 1324:24 1325:1 1326:9,12, 19,22 |
| modelling 1286:12 | mostly 1330:2 1509:24 | Nation 1498:9 | necessary 1252:14 1332:20 1337:1 | Newfoundland 1366:3 |
| moderate 1499:11 | motivating 1254:15 | national 1266:25 1267:2 1378:7 1441:2 | negate 1489:19 | NFAAT 1279:11 1427:19 1438:11 |
| moderated 1423:4 1438:17 | motivation 1258:10,12 | natural 1319:13,17 ,25 1328:15 1329:2,15, 24 1330:1 1340:18 1341:6,16, 18 1342:16,19 ,21 1343:3,10 1346:8 1349:12 1351:9 1354:13,21 1355:7,11, 22 1356:8 1357:10,11 ,12,14 | negative 1265:10 1347:23 1348:12 1428:12 1443:8 1483:13 1486:17 1495:11 | NFAATs 1424:14 |
| modestly 1428:17 1430:9,10 | move 1306:9 1358:4 1408:18 1434:14,15 1447:23 1453:6 1456:15,24 1465:19 1467:2 1486:11 1487:3,12 1495:12 | negotiate 1414:10 | negotiate 1414:10 | nice 1455:6 |
| modified 1383:8 | moved 1281:8 1360:13 1465:8 1475:4 1491:23 1494:1,17 1495:15 | negotiated 1407:24 | negotiation 1498:9 | night 1326:8,23 1336:16 1348:4 |
| moment 1511:24 | moving 1281:22 1305:14 1306:10 1360:20,22 1397:24,25 1481:4 1494:10,24 1495:20 | negotiations 1379:10 1407:6 1408:7,13 | negotiation 1498:9 | nighttime 1324:7 1348:3 |
| money 1337:1 1348:18 1397:12,14 | monopolies 1384:6 | natural-gas- generated 1343:11 1345:4 | neither 1309:8 | nine 1295:1 1298:23 1303:17,18 1307:1,14 1309:23 1322:22 1350:9 1417:23 1424:19,20 1446:11 1453:2,18 1511:23 |
| Monsieur 1389:17 | month 1273:13 1297:11 1304:4 1401:25 | naturally 1369:3 1470:6 | negotiated 1407:24 | nights 1324:7 1348:3 |
| months 1299:14 1300:6 1347:10 1399:12 1453:23 1462:1,9 1463:11 1477:24 | multiplier 1333:8 1345:7 | nature 1317:9 1359:5 1362:19 1471:17 | negotiation 1498:9 | nighttime 1324:7 1348:3 |
| morning 1248:4 1276:6,13, 17 1297:24 | multiply 1331:2 1350:12 | natural-gas- generated 1343:11 1345:4 | negotiations 1379:10 1407:6 1408:7,13 | nine 1295:1 1298:23 1303:17,18 1307:1,14 1309:23 1322:22 1350:9 1417:23 1424:19,20 1446:11 1453:2,18 1511:23 |
| | | nearly 1354:14 | neither 1309:8 | nights 1324:7 1348:3 |
| | | NEB 1267:3 | Nesbitt 1441:1 | nighttime 1324:7 1348:3 |
| | | | net 1303:1 1309:3,11 1310:10 1312:1,11, 17 1360:25 1362:1,10 1366:17 1367:2,10, 11 1369:9,11 1391:12 1403:13 1426:11 1445:9 | ninety 1301:13 1350:5 |
| | | | | ninety-one 1350:14 |
| | | | | ninety-six 1446:10 |
| | | | | ninety-three 1462:21 |

| | | | | |
|---|--|--|--|--|
| nobody's 1260:4 | notable 1265:4 | 1439:25 | 1264:8,23 1356:3 | 1264:18 |
| nomenclature 1294:2 1297:14 1332:11 | note 1347:9 1371:6 1431:4,10, 13,25 1432:20 | obligation 1386:14 | offering 1266:14 1345:24 1363:12 | okay 1267:20 1282:21 1291:6 1319:9 1345:14 1368:14 1369:14 1373:5 1397:20 1419:4 1434:21 1435:3 1446:21 1451:21 1466:25 1468:8 1469:22 1473:24 1478:1 1502:24 1503:4 1504:4,16 1511:22 |
| nominal 1349:25 1350:6,9,1 5 1351:2 | 1433:14 1491:9 1501:14 | obligations 1252:17 1253:14 1254:11 1433:22 | offers 1356:8 | |
| none 1459:15 1511:18 | noted 1372:8 1385:4 1412:4 1445:8 | obliged 1433:13 | office 1247:20 1390:23 1392:20 1393:25 1394:2,3,1 0 1395:21 1396:12 1410:10 1412:4 1464:21 | |
| non-essential 1405:21 | nothing 1391:21 1438:5 1489:25 | obtain 1332:13 | offices 1390:19 | |
| non-firm 1323:5,7 1324:14 1326:23,24 1327:10 | notice 1253:20 1294:24 | obtained 1250:15 1276:7 1387:17 | off-peak 1295:17 1296:21 1322:24 | old 1329:23 1420:5 |
| non-issue 1262:7 | noting 1279:23 | obviously 1290:25 1355:8 1509:20 | offset 1309:19 1365:11 | OM 1373:16 |
| non-use 1324:24 | notional 1433:10 1434:7 1472:15 | occasionally 1384:21 | offsets 1369:3 1486:16 | OM&A 1358:19 1360:18 1370:11 1371:13,18 1372:5,12 1373:16 1374:14 1375:22 1376:24 1400:17 1401:10,25 1403:2,10, 13 1405:11 1413:19 1414:1 1442:7 1444:12 1446:9,12 1447:19 1448:2,5,2 1 1449:12 1450:1 1452:16 1454:7,13, 16 1455:2 |
| norm 1464:24 1465:1 | November 1273:11 1368:23 | occasions 1348:21 | oh 1260:19 1267:20 1275:21 1293:24 1339:15 1345:14 1347:24 1370:20 1371:19 1399:23 1404:14 1431:19 1432:16 1451:21 1487:2 1490:19 1501:12 | |
| normal 1289:7,18 | np 1243:14,16 | occur 1273:5,9 1361:4 1369:3 1485:2 1508:7 | | |
| normalize 1448:12,15 ,19 1449:7 | NSP 1292:18,24 1293:6 1440:3 | occurred 1403:22 1442:14 1449:9 | | |
| normalized 1449:14 | nuclear 1357:21,24 1358:2,3,9 ,11 | occurrence 1322:21 | | |
| normally 1306:15 1309:7 1407:4 | o'clock 1367:17 1446:22 1511:23 | o'clock 1367:17 1446:22 1511:23 | | |
| North 1394:3 1477:3,7,8 1485:17 | Odette 1243:5 1248:8,9,2 3 | offer | | |
| Northeast 1317:16 | offer | | | |
| Northern 1362:23,25 | objective 1278:7 | | | |
| northwest 1364:8 | obligated | | | |

| | | | | |
|------------------------|---------------------|-------------------|---------------------|--------------------|
| OM&M 1398:8 | 1340:2 | 1260:8,9 | 1463:25 | 1307:17,22 |
| one-eight- | 1360:7,12, | 1298:18 | 1492:11,12 | 1308:3 |
| zero | 22,24 | 1342:6 | orders | outages |
| 1460:9 | 1361:3 | 1368:17 | 1373:15 | 1254:8,9 |
| ones 1409:8 | 1364:8 | 1475:20 | 1396:16 | outcome |
| 1441:4 | 1365:5 | opposed | organization | 1353:12 |
| 1503:25 | 1370:9 | 1274:19 | 1384:10 | outcry |
| One-third | 1386:18 | 1332:13 | organization | 1477:15 |
| 1268:21 | 1387:3 | 1413:20 | al 1376:12 | outlight |
| ongoing | 1388:6 | 1418:3 | organization | 1377:9 |
| 1443:13 | 1391:14 | 1450:12 | s 1384:4 | outlined |
| 1481:24 | 1395:17 | 1451:5 | original | 1316:14 |
| 1484:20 | 1396:4,10 | opposite | 1276:23 | outlook |
| 1487:21 | 1445:5,10 | 1383:15 | 1468:2 | 1291:15,16 |
| on-peak | 1446:8,13 | 1391:10 | 1485:8,10 | 1441:16 |
| 1324:2 | 1465:3 | opposition | originally | output |
| 1341:11 | 1492:15 | 1479:5 | 1383:13 | 1246:15 |
| onset | 1497:13 | optics | originated | 1287:8 |
| 1314:15 | operation | 1418:4 | 1475:14 | 1308:9,20 |
| Ontario | 1366:5,7,8 | optimistic | others | 1310:6 |
| 1321:10 | 1387:20 | 1397:4 | 1352:5,6 | 1339:11 |
| 1363:23 | 1388:4 | option | 1362:6 | 1489:10 |
| 1364:4,7,9 | 1401:16 | 1438:5 | 1381:17,20 | outright |
| 1491:16 | operational | options | 1383:10 | 1377:9 |
| 1504:8 | 1458:16 | 1486:8 | 1394:9 | outside |
| onto 1347:11 | operations | orange | 1429:13 | 1477:8 |
| open 1323:19 | 1378:19 | 1284:6 | 1497:8 | outsourced |
| open-access | 1394:7 | order | other's | 1363:13 |
| 1327:4 | 1426:24 | 1254:10 | 1362:3 | outstanding |
| opening | 1446:13 | 1256:18 | Others | 1363:22 |
| 1377:18 | 1449:13 | 1271:5 | 1482:13 | overall |
| 1390:15 | 1450:2 | 1273:8 | otherwise | 1340:15 |
| operate | 1510:5,6,7 | 1275:6 | 1323:21 | 1386:17 |
| 1307:10 | operator | 1301:6 | 1434:12 | overhead |
| 1309:7 | 1314:9 | 1338:21 | 1458:25 | 1464:2,9,2 |
| 1364:15 | opinion | 1355:4 | 1466:10 | 0 1465:16 |
| operated | 1284:25 | 1359:25 | 1510:12 | 1466:15,16 |
| 1314:7 | opinions | 1360:3 | ourselves | 1472:15 |
| 1315:19 | 1353:10 | 1372:1,9 | 1377:4 | overheads |
| operates | opportunitie | 1373:21 | 1381:11 | 1446:2 |
| 1317:15 | s 1254:14 | 1374:17,22 | 1382:25 | overlaid |
| operating | 1314:16 | ,24 | 1393:16 | 1280:13 |
| 1247:18 | opportunity | 1375:15,16 | 1394:14 | overloads |
| 1252:6 | 1250:23 | 1380:21 | 1395:6 | 1348:7 |
| 1253:15 | 1251:1,21 | 1385:2 | 1469:12 | oversupply |
| 1263:11 | 1252:18 | 1387:4,12 | 1471:13 | 1348:11,13 |
| 1339:23 | 1255:13 | 1397:24 | outage | |
| | 1256:1 | 1398:17 | 1246:11 | |
| | 1258:21,24 | 1410:4 | | |
| | 1259:9,10 | 1445:22 | | |

| | | | | |
|---------------------|------------|---------------------|---------------------|---------------------|
| overtime | 1349:17,21 | 1500:1,3,1 | 1316:2,4 | 1511:20 |
| 1406:8 | 1350:17 | 3 1504:5 | participants | PAUSE 1250:1 |
| 1456:21,23 | 1351:14 | pages | 1314:12 | 1254:17 |
| 1457:13,14 | 1358:21 | 1242:24 | participate | 1256:5 |
| ,25 | 1359:2 | 1249:1 | 1265:10 | 1257:10,24 |
| 1458:7,10, | 1361:7 | 1375:15 | 1379:22 | 1261:1 |
| 13,16,22 | 1372:2,18, | 1391:19 | participated | 1265:15 |
| 1459:2,4,9 | 19 | 1411:19 | 1379:4 | 1266:1 |
| ,14 1460:2 | 1374:17,24 | paid | participatin | 1268:25 |
| 1461:19 | 1385:3 | 1325:20,21 | g 1264:25 | 1275:14 |
| 1463:20 | 1396:16,18 | 1326:6,14, | participatio | 1277:12 |
| 1464:14 | 1397:25 | 21 1348:16 | n 1484:22 | 1279:8 |
| 1466:14 | 1398:1 | 1353:15 | particular | 1280:6,17 |
| 1467:5,22, | 1400:14 | 1363:3 | 1258:18 | 1287:5,23 |
| 25 1468:16 | 1402:18 | 1457:16 | 1259:4 | 1288:16 |
| owner 1356:7 | 1403:8,24 | 1459:1 | 1260:15,21 | 1289:3,23 |
| owns 1362:22 | 1404:11,13 | Pambrun | 1262:10 | 1290:11 |
| | ,14,15 | 1243:16 | 1289:7 | 1291:8,21 |
| | 1405:13 | panel | 1395:3 | 1293:3,12 |
| | 1408:18 | 1242:13 | 1495:3 | 1299:1,10 |
| | 1411:14,16 | 1244:6 | 1496:22 | 1300:18 |
| p.m | 1431:25 | 1250:7 | 1509:13,14 | 1301:1,10, |
| 1367:19,20 | 1434:23 | 1367:15 | particularly | 25 |
| 1446:24,25 | 1441:24 | 1371:24 | 1309:5 | 1302:13,19 |
| 1512:6 | 1442:4,13 | 1412:21 | 1398:10 | 1304:11,23 |
| pace 1457:16 | 1447:8 | 1512:4 | 1480:11 | 1306:20 |
| pack 1353:20 | 1448:4 | paper 1249:4 | 1484:16 | 1307:6 |
| page 1244:2 | 1449:25 | 1369:17,21 | parties | 1308:25 |
| 1245:2 | 1450:14,16 | ,25 1370:4 | 1249:4 | 1312:5 |
| 1246:2 | 1451:2,6,1 | par 1265:10 | 1361:5,12, | 1313:5 |
| 1247:2 | 4,18,19 | 1386:1,2 | 16,18 | 1314:20 |
| 1250:16 | 1452:1,12, | 1453:21 | 1362:13 | 1317:5 |
| 1267:14 | 14 | paragraph | 1370:4 | 1318:4,17 |
| 1269:9,24 | 1453:2,19 | 1374:25 | 1478:8 | 1324:20 |
| 1276:1,4,8 | 1454:3,5 | 1400:25 | partnership | 1327:1 |
| 1278:16 | 1455:13,18 | 1402:12 | 1269:16 | 1330:5 |
| 1280:11 | 1456:1 | paramount | pass 1275:2 | 1336:11 |
| 1290:4 | 1457:12 | 1327:14 | past | 1338:6,25 |
| 1296:19 | 1459:25 | parcel | 1271:2,4 | 1341:3 |
| 1299:7,12 | 1460:9,10, | 1491:23 | 1382:16 | 1342:9 |
| 1300:3 | 24 1463:16 | parcels | 1413:3 | 1343:14 |
| 1304:19 | 1466:16 | 1393:19 | 1425:24 | 1347:1,17 |
| 1314:22 | 1467:3 | partial | 1467:2 | 1349:1,8 |
| 1317:24 | 1468:15 | 1453:7 | 1499:16 | 1351:4,20 |
| 1318:6,8,2 | 1469:13 | partially | path 1422:22 | 1353:6 |
| 4 | 1470:24 | 1305:22 | 1482:7 | 1357:6 |
| 1319:6,11 | 1471:5,19 | participant | Patti 1243:4 | 1363:18 |
| 1322:3 | 1477:5,19 | 1264:9,11 | 1367:24 | 1364:1 |
| 1328:4,24 | 1486:13 | | | 1370:17,23 |
| 1337:10,13 | 1487:4 | | | 1372:22 |
| ,18,19 | 1491:11 | | | 1375:6,12 |
| 1345:15 | 1492:10,11 | | | 1395:12 |
| 1346:4,12 | ,12 | | | 1397:22 |
| | 1493:17 | | | |
| | 1499:23 | | | |

| | | | | |
|--------------------|---------------------|--------------------|--------------------|---------------------|
| 1401:18 | 1325:2,12, | 1386:19 | 1272:6 | 1376:3 |
| 1402:15 | 13 1341:12 | 1392:22 | 1376:9 | periods |
| 1404:1,23 | 1346:24 | 1393:10 | performance | 1254:2,24 |
| 1407:1 | 1347:15 | 1394:5,8 | 1264:5 | 1354:20 |
| 1408:15 | 1348:24 | 1395:17,23 | 1271:3,13, | 1415:4 |
| 1411:6 | 1462:9,11 | 1400:19 | 17 1379:5 | permissible |
| 1431:15,22 | 1463:2,11 | 1402:1 | performing | 1422:2 |
| 1433:2 | 1466:4 | 1403:3,9,1 | 1461:4 | permit |
| 1441:12 | peaks 1462:8 | 8 | perhaps | 1482:20 |
| 1443:24 | peer 1375:1 | 1404:6,7,1 | 1287:7 | permitting |
| 1457:18 | 1471:23 | 2 | 1313:8 | 1419:2 |
| 1458:3 | peers 1376:3 | 1406:15,19 | 1320:25 | perpetuity |
| 1459:12,18 | 1381:7 | ,22 | 1327:19 | 1503:2 |
| 1461:15 | 1384:21 | 1407:17,18 | 1345:15 | perspective |
| 1462:17 | 1471:7 | ,25 1408:1 | 1351:25 | 1310:14 |
| 1466:19 | penalty | 1412:23 | 1352:2,15 | 1355:7 |
| 1467:13 | 1351:25 | 1414:17 | 1370:19 | 1427:10 |
| 1468:10 | penny | 1416:22 | 1371:8 | 1492:7 |
| 1469:1,7 | 1268:22 | 1417:17,21 | 1372:12 | perspectives |
| 1470:12,21 | 1269:7 | 1418:1,4 | 1374:14,17 | 1271:4 |
| 1471:3 | people | 1421:10 | 1375:1 | 1274:23 |
| 1472:18 | 1361:18 | 1422:9 | 1412:19 | 1275:3,4,5 |
| 1487:14 | 1367:9 | 1423:7 | 1418:18,20 | pertaining |
| 1489:4 | 1383:11 | 1426:3,20, | 1419:16 | 1490:6 |
| 1493:14 | 1386:20 | 23 | 1479:4 | pertains |
| 1504:21 | 1394:12 | 1428:1,2,6 | period | 1490:22 |
| 1506:15 | 1437:19 | ,16 | 1252:10 | Pet 1468:1 |
| 1511:16 | 1465:13,21 | 1430:19,21 | 1273:13 | Peter |
| pausing | 1474:15 | 1435:8 | 1338:13 | 1243:10 |
| 1371:6 | per | 1436:15 | 1354:9 | 1342:3 |
| pay 1265:11 | 1268:9,15, | 1442:21,25 | 1382:22 | Peters |
| 1348:12 | 22 1269:7 | 1443:7 | 1402:8 | 1243:2 |
| 1364:6,20, | 1344:5 | 1454:15,16 | 1413:5 | 1244:11 |
| 22,24 | 1346:21 | 1455:1 | 1415:11 | 1248:13 |
| 1365:3,4 | 1350:3 | 1456:2,3,6 | 1416:13 | 1249:10 |
| 1380:3 | 1372:5,12 | 1460:2,3,1 | 1418:9,10 | 1250:3,12, |
| 1414:1 | 1373:24 | 5 1461:2,6 | 1420:24 | 13,22 |
| paying | 1378:3,20 | 1508:18 | 1421:1 | 1251:1,5,1 |
| 1364:15 | 1380:16 | percentage | 1422:5,11, | 2,18,25 |
| payment | 1382:17 | 1320:10 | 21 | 1252:6,18, |
| 1359:17,20 | 1410:4 | 1454:14,18 | 1423:7,8 | 24 1253:5 |
| ,24 | 1457:2,6 | 1456:23 | 1426:1,3,9 | 1254:5,12, |
| 1502:15,25 | 1470:17 | 1457:15 | 1427:21 | 21 |
| pays 1327:4 | 1510:5 | 1508:25 | 1428:9,17 | 1255:9,17, |
| PCB 1498:10 | percent | percentages | 1449:10 | 23 |
| peak | 1294:7,12 | 1408:3 | 1460:2 | 1256:9,12, |
| 1252:7,10 | 1303:20 | perception | 1462:7 | 19 |
| 1253:8,13, | 1320:25 | 1437:12 | 1506:22 | 1257:5,13, |
| 14 1295:10 | 1377:19 | perfect | 1507:22 | |
| 1323:23 | 1385:5,22 | 1278:12 | 1510:13 | |
| 1324:1 | | 1394:2 | periodic | |
| | | perform | | |

| | | | | |
|------------|------------|------------|------------|------------|
| 14,18 | 21,22 | 2 | ,23 | 1413:18 |
| 1258:6,9,1 | 1298:2,3,8 | 1330:1,8,9 | 1365:1,9,1 | 1414:3,9,2 |
| 6 | ,15,22 | ,18 | 3,17,22 | 0 |
| 1259:11,18 | 1299:5,12, | 1331:12 | 1368:1,9,1 | 1415:2,7,1 |
| ,21 | 18,21,24,2 | 1332:6,10 | 0,14 | 5 |
| 1260:6,17, | 5 | 1333:2,22 | 1369:7,8,1 | 1416:1,5,1 |
| 23 | 1300:8,20 | 1334:17,23 | 3,14 | 6,24 |
| 1261:9,16, | 1301:3,12 | ,25 | 1370:13,19 | 1417:4,19, |
| 21 | 1302:1,6,1 | 1335:7,24, | 1371:4,5,1 | 25 |
| 1265:17,18 | 0,21 | 25 | 1,16,23 | 1418:3,11, |
| 1266:4 | 1303:3,8,1 | 1336:7,8 | 1372:11,15 | 17,24 |
| 1267:19,24 | 5,22 | 1337:5,6,9 | ,18,24 | 1419:4,14, |
| 1268:20,21 | 1304:3,6,1 | ,17,24 | 1373:3,6,1 | 16 |
| 1269:1,2,6 | 4,17,25 | 1338:2 | 1,14,19 | 1420:14,21 |
| ,14,18,22 | 1305:5,17, | 1339:1,10, | 1374:9,16, | 1421:17 |
| 1270:6,7,2 | 21 | 13,17 | 23 | 1436:19 |
| 0,25 | 1306:16,25 | 1340:16,23 | 1375:8,14, | 1440:8,9,2 |
| 1271:7,12 | 1307:16,19 | ,24 | 20,25 | 0,21 |
| 1272:8,19, | ,20 | 1341:5,23 | 1376:22 | 1441:4,19, |
| 23 | 1308:18,19 | 1342:4 | 1381:1,2,1 | 20 |
| 1273:1,17, | 1309:16 | 1343:8,19, | 2,15,25 | 1442:8,12, |
| 22 | 1310:2,3,1 | 23 | 1382:5 | 17,24 |
| 1274:1,13, | 5 | 1344:1,4,1 | 1383:5,16, | 1443:3,4,1 |
| 17 | 1311:11,12 | 0,13,16 | 25 | 1,14,15 |
| 1275:10,16 | ,20,21 | 1345:1,8,1 | 1385:1,2,8 | 1444:1,4,9 |
| 1276:1,16, | 1312:8,10, | 1,14 | 1388:9,10, | ,10,15,19 |
| 20 | 14,22 | 1346:3,11, | 13,24 | 1445:1,10, |
| 1277:5,9,1 | 1313:1,2,1 | 17,23 | 1389:5 | 11,19 |
| 7,24 | 1,16,23,24 | 1347:4,5,8 | 1395:14,15 | 1446:1,6,7 |
| 1278:7,12, | 1314:3,14, | ,14,21,22, | 1396:2,14, | ,16,17 |
| 15,22 | 22 | 25 1348:20 | 15,23 | 1447:1,4,5 |
| 1279:3,10, | 1315:7,10 | 1349:5,10, | 1397:3,7,1 | ,15,16,24, |
| 12,18,23 | 1316:5,12, | 16,19 | 5,20,24 | 25 1448:18 |
| 1280:2,10 | 17,22,25 | 1350:16,22 | 1398:13 | 1449:11,12 |
| 1281:1,3 | 1317:3,22, | 1351:1,6,1 | 1399:5,13, | ,18,19,21 |
| 1282:4,9,1 | 23 | 2,22 | 20,25 | 1450:3,8,2 |
| 5 | 1318:7,8,1 | 1352:9,11, | 1400:3,10, | 0,25 |
| 1286:17,18 | 5,19 | 12,19 | 23 | 1451:10,11 |
| ,24 | 1319:9,20 | 1353:2,9,1 | 1401:9,20, | 1452:7,8,1 |
| 1287:7,13, | 1320:5,12, | 8 | 24 | 5,20,23 |
| 14,18,19 | 21 | 1358:15,16 | 1402:6,17, | 1454:1,2,1 |
| 1288:2,4,8 | 1321:2,3,7 | 1359:1,11, | 22 | 1,12,19,23 |
| ,18 1289:5 | ,20,23 | 13,18,24 | 1403:1,7,1 | 1455:24,25 |
| 1291:10 | 1322:3,11, | 1360:2,5,1 | 5,23 | 1456:8,11, |
| 1292:1,2,1 | 20,23 | 0,16,20 | 1404:3,13, | 12,17,20 |
| 3,23 | 1323:22 | 1361:3,7,1 | 25 | 1457:10,11 |
| 1293:5,14, | 1324:17 | 1,14,19,22 | 1405:8,13, | ,21,24 |
| 17,20,24 | 1325:4,10, | ,23 | 16,20,24 | 1458:9,14, |
| 1294:5,10, | 14 | 1362:4,5,1 | 1406:7,10 | 19,25 |
| 11,15,16,2 | 1327:3,6,1 | 1,12,16,17 | 1407:13,14 | 1459:1,23 |
| 1 1295:20 | 8 | ,20 | ,21 | 1460:6,7,1 |
| 1296:11,14 | 1328:13,14 | 1363:5,8,1 | 1408:2,17 | 8,23 |
| 1297:1,5,9 | ,20,23 | 1,16,20 | 1411:22,23 | 1461:5 |
| ,10,16,17, | 1329:4,9,1 | 1364:12,20 | 1412:6,19 | 1467:1,2,1 |

| | | | | |
|------------|--------------------|---------------------|----------------|---------------------|
| 5,21 | 1503:2,4,8 | 1400:7 | 1359:14 | 1250:4 |
| 1468:1,8,1 | ,9,14,16,2 | 1412:24 | 1362:6 | 1382:5 |
| 2,22 | 4,25 | 1447:20 | 1368:21 | 1405:4,6 |
| 1469:4,9 | 1504:2,4,1 | plant 1344:1 | 1369:15,21 | 1508:11 |
| 1470:8,15, | 1,12,16 | 1345:11,13 | 1370:10 | point-to- |
| 24 | 1505:7,15, | 1380:8 | 1371:6,12 | point |
| 1471:5,14, | 17 1506:17 | 1496:20,22 | 1374:11,12 | 1326:13 |
| 17,19 | 1507:5,13, | plants | 1375:18,20 | 1327:7,8 |
| 1472:1,6,1 | 20 | 1336:18 | 1381:19 | pole 1254:8 |
| 0,20 | 1508:2,6,1 | 1343:24 | 1382:10,11 | poles |
| 1473:4,7,2 | 3,22,24 | 1358:3 | 1389:25 | 1361:25 |
| 1,23,24 | 1509:5,8,1 | play 1415:3 | 1390:1 | 1362:7,9 |
| 1474:8,13, | 2 1510:16 | please | 1411:24 | policies |
| 14,23 | 1511:3,9,1 | 1285:16 | 1413:13 | 1383:10 |
| 1475:3,7,1 | 8 | 1373:12 | 1415:16 | 1491:11 |
| 3,17,21 | phenomenon | 1374:11 | 1417:13,19 | policy |
| 1476:11,15 | 1423:21 | 1426:16 | ,22,23 | 1464:18 |
| ,22,25 | physical | 1441:6 | 1418:18 | 1487:24 |
| 1477:8,9,1 | 1310:17 | 1468:8 | 1419:6 | political |
| 4 | 1322:5 | plotted | 1420:15 | 1352:23 |
| 1478:1,9,1 | pick 1251:6 | 1282:5 | 1421:2 | poof 1494:18 |
| 5,23 | 1259:9 | plus 1303:20 | 1422:6,14 | population |
| 1479:2,3,1 | 1319:13 | 1334:9 | 1434:1 | 1378:23 |
| 7,18,22,23 | 1337:20 | 1462:3 | 1436:14 | 1470:3 |
| 1480:10,15 | 1442:18 | 1499:1 | 1439:4 | Portage |
| ,21 | 1485:20 | pluses | 1443:8 | 1242:21 |
| 1481:6,15, | picked | 1369:10 | 1446:8 | portfolio |
| 19,25 | 1298:16 | pocket | 1447:25 | 1320:17 |
| 1482:1,19 | picture | 1263:25 | 1449:20,22 | 1357:13 |
| 1483:1,7,2 | 1284:23 | point | 1453:18 | portion |
| 0 | 1425:13 | 1251:8,21, | 1455:17 | 1364:7 |
| 1484:7,14, | pie 1455:6 | 22 1254:22 | 1463:6 | 1386:4 |
| 18,23 | piece | 1255:10,13 | 1467:3,18, | 1409:17 |
| 1485:3,10, | 1484:17 | ,14,20 | 23,24 | 1429:7 |
| 12,19 | 1496:22 | 1256:1,2,8 | 1478:22 | 1432:4 |
| 1486:7,9,1 | PJM | 1258:11 | 1480:5,21 | 1439:2 |
| 0 | 1321:14,20 | 1276:10 | 1481:16 | 1454:13 |
| 1488:11,12 | places | 1284:13 | 1483:15 | 1464:1 |
| ,16,17,22, | 1267:11 | 1287:8,13 | 1484:9,23 | 1465:13 |
| 25 | 1501:13 | 1292:9 | 1489:21 | 1484:13 |
| 1491:14,15 | planned | 1294:22 | 1498:6 | 1489:9 |
| ,19,21 | 1307:12 | 1296:2 | 1505:19 | 1490:6 |
| 1492:1,6,8 | planning | 1298:2,9 | 1508:15 | posed 1370:2 |
| 1493:3,16 | 1283:17 | 1305:5 | Pointe | position |
| 1494:4 | 1398:20,23 | 1315:7 | 1249:15 | 1274:12 |
| 1498:18,19 | 1400:4 | 1344:11 | 1409:3,21, | 1372:13 |
| 1499:21 | plans | 1345:7,9 | 23,24 | 1375:10 |
| 1500:12,13 | 1390:12 | 1349:19 | 1410:5 | 1406:4 |
| ,17 | | 1350:8 | 1412:5 | |
| 1501:1,5,1 | | 1351:23 | pointed | |
| 0,13,16,19 | | | 1291:14 | |
| ,21 | | | points | |
| 1502:2,3,1 | | | | |
| 3,14,19,24 | | | | |

| | | | | |
|---------------------|---------------------|----------------------|----------------------|---------------------|
| 1427:13 | 1356:8 | 1410:9 | 1289:12 | 1397:3 |
| 1485:4 | 1363:23 | 1486:20 | 1359:19 | 1432:12 |
| 1505:16 | 1364:4 | precisely | 1360:9 | 1451:25 |
| positions | 1378:22 | 1262:24 | 1444:16 | 1453:15 |
| 1405:25 | 1380:8 | 1309:22 | 1445:6 | 1460:4,23 |
| 1467:9 | 1439:24 | predecessor | 1455:5 | previously |
| 1469:15 | 1440:2,5 | 1314:4 | 1485:4 | 1350:24 |
| positive | 1480:17 | predictable | presentations | 1352:15 |
| 1255:6 | 1491:1 | 1458:1,8 | 1429:13 | 1469:17 |
| 1467:24 | 1493:8 | predominantly | presented | 1493:19 |
| possibility | 1500:21 | 1249:14 | 1387:20 | price |
| 1487:20 | 1503:19 | 1346:12,24 | 1448:14 | 1254:21,23 |
| 1488:1 | 1509:24 | 1348:24 | president | 1256:2,15,25 |
| possible | 1510:2,23,25 | preferred | 1398:20 | 1257:3,19,20 |
| 1262:14 | practice | 1341:6 | 1400:16 | 1258:2 |
| 1271:8,10 | 1465:10 | preliminary | 1401:10 | 1261:17 |
| 1283:18,19 | 1475:14 | 1403:9 | 1402:19,23 | 1262:5 |
| 1315:25 | 1477:6,7,13 | premised | 1403:8 | 1263:16 |
| 1323:11 | 3 1488:24 | 1297:6 | 1405:10 | 1264:16,19,23,24,25 |
| 1392:14 | 1494:3 | 1500:7 | 1406:8 | 1265:2,3,9,10 |
| 1393:24 | 1497:17 | premium | 1441:23 | 1266:16 |
| 1401:16 | practices | 1279:17 | 1443:12 | 1267:7 |
| possibly | 1375:3 | 1394:4 | 1444:6 | 1270:10,15,18 |
| 1457:3 | 1383:23 | prepare | president's | 1273:2 |
| postponed | 1394:13,15 | 1271:19 | 1485:13 | 1275:23 |
| 1396:24 | 1465:16 | 1472:25 | pressure | 1278:18 |
| postponement | 1472:15 | prepared | 1309:15 | 1281:12,16 |
| 1447:21 | 1474:21 | 1287:20 | 1420:19 | 1283:25 |
| potential | 1482:11 | 1288:5,9,12,24 | pressures | 1285:11 |
| 1406:10 | 1483:8 | 1291:16 | 1374:6 | 1286:11 |
| power | 1495:10 | 1293:21 | 1400:24 | 1293:8,10 |
| 1252:6,8,9 | 1505:2 | 1297:11 | 1401:3 | 1295:7,11 |
| 1253:7,16,19 | pre | 1301:5 | 1420:13 | 1296:13,22,24 |
| 1257:7,13 | 1509:19 | 1304:14,15 | presumably | 1319:25 |
| 1260:5 | pre-ask | 1375:21 | 1401:25 | 1320:4 |
| 1262:6 | 1245:3 | 1388:21 | pretty | 1330:20 |
| 1265:21 | 1248:12,20,25 | 1424:11 | 1264:4 | 1331:2 |
| 1266:8,11 | 1249:21,23 | 1452:12 | 1369:4 | 1334:12 |
| 1269:16 | 1369:19 | 1480:22 | 1399:10 | 1337:11 |
| 1283:16 | 1370:1 | 1487:18 | 1427:16,22 | 1340:5 |
| 1302:9,11,16 | Pre-asks | preparing | prevalent | 1341:9,16,17 |
| 1317:15 | 1245:5 | 1270:19 | 1284:22 | 1342:20 |
| 1321:18 | 1248:24 | 1273:12 | prevent | 1344:5 |
| 1324:3 | 1249:7 | 1303:14 | 1316:12 | 1345:5,21 |
| 1331:19 | precedent | present | previous | 1346:13,19,20 |
| 1333:20 | 1439:24 | 1483:4 | 1292:14 | 1347:12 |
| 1336:17 | precipitated | presentation | 1318:24 | 1348:9,10,22 |
| 1348:16 | 1494:5,8 | | 1319:6 | |
| 1354:16 | precise | | 1396:16 | |

| | | | | |
|---|--|--|--|---|
| 1354:10,14 ,16 1356:7,12, 22 1357:12 1365:8 1380:11 1394:22 1395:7 1425:23 1436:5 priced 1298:10 prices 1247:10 1250:15 1254:24 1255:12,19 ,21 1256:10,13 ,16,21 1257:2 1261:14 1262:12 1264:8,10 1266:20 1267:1,15 1269:23 1270:2 1271:11 1277:1 1278:10 1279:13 1281:9 1283:18 1288:10,25 1290:22 1292:7 1295:9,17, 18 1329:15 1335:19 1336:3 1338:22 1341:9 1342:6,23 1345:18 1347:23 1349:12 1351:9 1354:3,6,1 3,21,22,23 1355:11,17 1356:2,4,1 5 1394:22 | 1423:17 1424:10 1425:22 1426:25 pricing 1265:5 1269:20 1292:15,24 1298:20 1342:22 1348:13 1352:21 prim 1361:20 primarily 1293:8 1341:11 1361:20,22 1468:20 1471:15 1490:25 primary 1386:14 1492:5 prime 1341:11 princ 1504:23 principal 1433:23 principle 1412:7 1505:4,13 principles 1474:2,5 1476:2 1490:5 1504:6,7,1 8,24 1505:11 print 1276:24 prior 1314:7,11, 15 1425:5 priorities 1398:19 1399:17,19 priority | 1398:24 1399:9 private 1386:11 1434:5 probably 1264:4,23 1282:13 1284:12 1285:2 1306:12 1329:17 1361:22 1372:25 1394:2 1395:24 1397:3,7 1398:22 1405:5 1406:3 1424:14 1426:13 1427:23 1435:24 1437:9 1438:4 1444:2 1455:18 1482:12 1493:7 problem 1336:25 1421:23 1429:16 problematic 1490:6 problems 1254:8 1377:16 proceed 1349:6 1422:22 1437:8 proceeding 1267:10 1394:18 1423:19 1442:11 1460:19 proceedings | 1248:4 1367:23 1417:6 1447:10 1496:3 1503:8 process 1249:19 1266:13 1289:18 1389:19 1468:7 1478:7 1481:13 processes 1387:9 1390:3 1391:10 1393:13 processing 1389:19 procured 1332:12 produce 1271:11 1283:24 1331:10 produced 1268:9 1357:17 1366:17 1374:4 produces 1268:13 producing 1261:7 1333:20 1342:15,24 1344:19 1358:2 1365:6 product 1261:24 1354:25 1355:15,16 production 1264:12 1439:2 productive | 1501:7 productivity 1385:4,12, 14,20 1391:13 profit 1258:11 1263:3,14 1266:9,16, 17 profitable 1257:7 1258:5 1265:21,23 programs 1491:2 1493:8 1500:21 1509:24 1510:2,25 prohibited 1326:9 project 1391:16 1393:5 1412:9 1426:19,20 1458:20,24 1464:21 1465:21 projected 1430:9 projecting 1310:19 1429:22 projection 1422:8 1430:2 projections 1271:19 1286:13,14 projects 1392:25 1398:11 1409:1,2 1411:25 1424:7,8,2 5 1425:17,19 |
|---|--|--|--|---|

| | | | | |
|---------------------|-----------------|---------------------|---------------------|-------------------|
| 1426:23 | 1274:11 | 1469:14 | 1246:3 | 1392:23 |
| 1427:3,16, | 1276:12 | 1470:24 | 1282:17,24 | purchased |
| 22 1429:6 | 1279:4 | 1478:12 | 1318:9 | 1253:20 |
| 1437:8,13, | 1325:22 | providers | 1442:1 | 1257:6,13 |
| 14,22,23 | 1343:5,8 | 1362:9 | 1499:25 | 1265:20 |
| 1458:14,18 | 1361:15,18 | provides | public | 1269:15 |
| 1468:18 | 1370:21 | 1337:15 | 1242:3,20 | purchases |
| proliferatio | 1373:7,12 | 1361:4 | 1275:20 | 1250:20 |
| n 1497:5 | 1374:11 | providing | 1277:1 | 1251:2,14 |
| promotion | 1375:22 | 1279:11 | 1333:4 | 1252:15,25 |
| 1402:24 | 1377:25 | 1353:22 | 1351:8 | 1256:9 |
| properly | 1388:14,20 | 1433:7 | 1370:1 | 1258:2,23 |
| 1390:5 | 1389:1,7 | province | 1376:5 | 1266:6 |
| property | 1391:5 | 1263:24 | 1377:11 | 1269:10,12 |
| 1395:19 | 1411:25 | 1280:3,9 | 1381:16,19 | ,20 |
| proportion | 1424:6 | 1315:8 | 1384:23 | 1272:10 |
| 1259:15 | 1428:24 | 1384:11,12 | 1408:9 | 1302:16 |
| 1495:8 | 1429:1 | 1390:20 | 1434:17 | 1355:24 |
| proportional | 1436:20,24 | 1391:3 | 1436:10 | purchasing |
| ity 1464:6 | 1440:22 | 1398:4 | 1440:2 | 1251:14 |
| proportional | 1454:6 | 1415:8,13 | 1443:16 | 1254:3 |
| ly 1496:15 | 1461:11 | provinces | 1473:4,11, | 1262:4 |
| proposal | 1467:10 | 1471:7 | 17,20 | 1326:7 |
| 1506:20 | 1468:6 | provincial | 1478:7 | 1378:22 |
| proposals | 1472:2 | 1435:8 | 1505:5 | purposes |
| 1509:8 | 1474:14 | 1495:24 | publically | 1255:8 |
| proposed | 1478:10 | provision | 1434:17 | 1270:19 |
| 1398:10 | 1485:2 | 1312:19,23 | 1472:24 | 1279:3 |
| 1437:14,15 | 1492:20 | 1313:1 | 1473:12,15 | 1283:10 |
| 1507:15 | provided | 1424:3 | ,20 | 1289:21 |
| proposing | 1246:9 | provisions | publicly | 1330:9 |
| 1418:21,25 | 1249:12 | 1246:22 | 1353:4 | 1377:6 |
| 1438:12 | 1276:6 | 1313:3,13, | 1384:4 | 1422:18 |
| proposition | 1277:16 | 20 1380:24 | published | 1427:4 |
| 1509:9 | 1278:19,23 | proxy | 1297:12 | 1492:19 |
| protect | ,24 | 1471:22 | pull 1434:23 | 1493:12 |
| 1458:19,23 | 1280:15 | PUB 1245:3 | 1445:8 | 1497:6 |
| 1505:11 | 1282:20 | 1248:12,20 | purchase | 1506:10 |
| 1507:11 | 1283:7 | 1314:23 | 1252:2,8,9 | pursue |
| protecting | 1304:21 | 1317:24 | 1253:1,2,1 | 1496:23 |
| 1459:4 | 1349:12,20 | 1337:13 | 7,24 | pursuing |
| protection | ,22 | 1398:1 | 1254:9 | 1387:23 |
| 1468:17 | 1350:17,23 | 1405:2 | 1255:19 | pushed |
| provide | 1351:15,16 | 1440:12 | 1256:2 | 1352:2 |
| 1247:13,21 | 1369:17 | 1441:9 | 1257:19 | 1397:1 |
| 1270:9,12 | 1370:5 | 1447:9 | 1258:1 | pushes |
| 1272:7,15 | 1372:3 | 1454:4,6 | 1262:6 | 1450:11 |
| | 1391:15 | 1463:16 | 1266:5,8 | pushing |
| | 1424:1 | PUB/Manitoba | 1269:19 | 1311:13 |
| | 1442:6 | | 1302:9,11 | |
| | 1447:12 | | 1326:24 | |
| | 1460:19 | | | |
| | 1468:14 | | | |

| | | | | |
|---|--|---|--|--|
| puts 1323:5 1325:2 | 1454:6 1456:16 1457:25 1459:24 1460:4,21 1462:8,20 1466:2 1486:12 1487:1,9 1489:7 1503:14 | 1498:2 quo 1494:24 1495:16 quote 1374:3 1492:12 quoted 1287:2 | 15 1420:15,20 1426:6 1431:8,24 1432:11,19 ,21 1433:4 1434:13,21 1435:3,18, 23 1436:13,18 ,21 1440:10,18 ,19,25 1441:7,20 1442:2,8,1 6,22 1443:13 1444:1,5,8 ,11,14,18, 23 1445:3,12, 16,21,25 1446:2,15 1447:6,13, 14,22 1448:7,20, 23 1449:17 1450:5,7 1453:5,13, 16 1454:2,10, 18 1455:1,4,1 1,25 1456:5,10, 14,19 1457:5,11, 14,20,25 1458:5,12, 23 1459:23 1460:8,17, 24 1461:3 1463:13 1464:12,25 1465:15,18 ,25 1466:21,25 1467:3,15 1468:1,12, 24 1469:3 1470:14,23 1472:8,9,1 3,20 1473:3,10, | 22 1474:3,10, 18,24 1475:2,12 1476:20,24 1477:5,12, 19 1478:2,6,1 2,18 1479:1,8,2 1,24 1480:1,14 1481:2,11, 17,21 1482:5,22 1483:7,23 1484:8,12, 20,21 1485:6 1486:23 1487:8 1488:12,15 ,20,23 1489:12 1491:7,15, 18,22 1492:4 1493:16,23 1494:7 1495:5 1496:16 1498:20 1499:21 1500:4,9,1 5,16,23,24 1501:3,4,1 2,18,22 1502:1,6,1 0,17 1503:7,10, 13,23 1504:1,2,6 ,10,14,17, 23 1505:19,24 1506:22,23 1507:20 1508:8,12, 24 1509:4,14 Rainkie's 1287:8 1296:18 |
| <hr/> Q <hr/> | | <hr/> R <hr/> | | |
| qualify 1509:22 | questioning 1250:14 1392:7 1419:17 1441:22 | radically 1386:4 rainfall 1306:4 Rainkie 1244:8 1250:9 1293:17,20 ,22 1294:1,8,9 ,14,17,20 1297:7,8,1 3,15,20,23 ,25 1298:5 1299:18,22 ,23 1300:2 1301:3 1302:2 1358:16,25 1359:7,18, 25 1360:2,6,9 ,10,19 1361:6,17, 21,24 1362:1,10, 15 1363:8,12, 15 1366:9,16 1370:7 1373:19 1374:10 1383:5,18, 19 1385:6,8 1391:7 1400:11 1404:25 1405:9 1418:19,24 1419:5,11, | quantify 1246:10 1307:16,21 1308:1 1323:24 | questions 1249:17,21 ,23 1295:21 1328:2 1366:1 1367:15 1369:20 1370:1 1440:15 |
| quarter 1299:13 | quick 1432:15 1467:3 | | quarterly 1368:20 | quickly 1264:4 1301:22 1356:25 1358:1 1373:4 1444:3 |
| Quebec 1317:13,18 1384:6,13, 19 1394:20 1471:9 1472:4 | quite 1248:25 1284:25 1318:25 1321:13 1322:17 1330:23 1340:1 1348:17 1377:7 1383:3 1386:24 1389:16 1409:15 1419:18 1492:25 | | question 1246:4 1260:20 1261:9 1282:17,25 1309:2 1311:22 1313:10 1317:8 1318:9 1328:4 1336:13 1365:25 1366:23 1368:18 1390:1,9 1391:16 1392:8 1415:23 1426:15 1432:12 1435:15 1448:8 | |

| | | | | |
|---------------------|------------|-------------------|---------------------|---------------------|
| 1371:25 | 1330:15,25 | 1492:2 | 1415:24 | 1380:20 |
| 1397:8 | 1331:1,7,1 | 1493:21 | 1416:6,13 | Rationalizat |
| raise | 3,15 | 1494:9 | 1423:12 | ion |
| 1298:12 | 1349:11 | 1498:11,24 | 1425:2,7,9 | 1408:19 |
| 1426:19 | 1350:13 | 1499:2,3,1 | 1426:21 | Raymond |
| 1504:17 | 1351:17 | 0,11,15 | 1428:3,20 | 1242:15 |
| raised | 1366:14,17 | 1500:6 | 1429:22,23 | 1263:17,22 |
| 1359:14 | 1367:7,12 | 1503:15 | ,24 | 1268:3,14 |
| 1393:25 | 1373:25 | 1507:17,21 | 1430:1,3,6 | 1283:9,20 |
| 1400:17 | 1385:11 | ,24 | ,14 | 1310:22 |
| 1450:5 | 1412:24 | 1508:4,14, | 1432:9,13 | 1311:3,9 |
| raises | 1413:2,4,6 | 16,17,18 | 1434:9 | 1328:3,11 |
| 1457:12 | ,12 | 1509:1,7,9 | 1435:12,17 | 1356:13 |
| raising | 1414:4,22 | ,21 | 1437:3 | 1357:15,19 |
| 1374:12 | 1415:4,12, | rate-based | 1476:7 | ,23 |
| Ramage | 18,24 | 1498:24 | 1487:10,11 | 1366:22 |
| 1243:4 | 1416:8,11, | ratepayers | ,23 | 1370:25 |
| 1367:24 | 12,19,22 | 1398:4 | 1488:2,4 | 1377:23 |
| 1440:13 | 1417:1,9,2 | 1437:19 | 1489:14 | 1380:5,19 |
| 1511:20 | 5 | rate- | 1490:2 | 1384:1 |
| range 1246:9 | 1418:8,12, | regulated | 1497:2,7 | 1385:23 |
| 1275:5 | 22 | 1421:6 | 1499:4,5,9 | 1387:6 |
| 1277:14,15 | 1419:2,7,2 | 1422:1 | 1505:6 | 1389:23 |
| ,17,18 | 0,24 | 1477:21 | 1509:21 | 1392:6 |
| 1278:4 | 1420:16,19 | 1480:15,19 | 1510:11 | 1394:16 |
| 1279:5 | ,22 | 1481:10 | rate-setting | 1408:17 |
| 1280:15 | 1421:8,12, | 1482:20 | 1421:13 | 1409:7,10, |
| 1281:4,7,1 | 18,22 | 1484:13 | 1492:7,18 | 20 |
| 1,14,17,19 | 1422:7 | 1485:17 | 1493:12 | 1410:8,18, |
| ,20,21 | 1423:3 | 1489:2,7,1 | 1499:7 | 25 |
| 1282:1,2,2 | 1424:23 | 3,17,19,23 | 1505:9 | 1411:4,15 |
| 0 | 1425:4 | 1490:22,25 | 1507:5 | 1423:9 |
| 1283:6,11, | 1426:8 | 1493:22 | rather | 1424:13 |
| 15,25 | 1434:8 | 1494:16 | 1253:10 | 1425:16 |
| 1284:1,3 | 1435:5,6 | 1495:6,8,1 | 1269:4 | 1426:5,14 |
| 1311:5 | 1436:6 | 4 1496:18 | 1326:5 | 1427:6,25 |
| 1355:1 | 1438:14,15 | 1497:15 | 1336:23 | 1428:18 |
| rapid 1449:3 | ,16 1442:6 | 1500:19,22 | 1426:23 | 1429:12,20 |
| rare 1322:21 | 1449:3 | ,25 | 1459:6 | 1430:5,12 |
| rarely | 1450:12 | 1501:6,9,2 | 1461:7 | 1431:6,10, |
| 1332:17,22 | 1459:1 | 5 1503:6 | 1464:4 | 17 |
| 1334:10,15 | 1460:11 | rates | 1494:23 | 1432:10,17 |
| rate 1242:7 | 1464:2 | 1247:24 | rating | ,20,22 |
| 1268:7,17 | 1474:25 | 1268:4 | 1333:2 | 1433:12,19 |
| 1293:16 | 1475:6,8,2 | 1288:22 | ratio 1344:3 | 1434:2,19 |
| 1294:6,7,1 | 3 | 1296:22 | 1421:5 | 1435:2,14, |
| 2 1311:25 | 1476:12,25 | 1366:14,24 | 1427:15 | 21 |
| 1312:3 | 1477:4,9 | 1367:6 | 1428:1,6,1 | 1436:9,16 |
| 1325:20 | 1484:11,16 | 1379:14 | 5 1507:2 | 1438:18 |
| | 1486:4 | 1386:8 | 1508:8,10 | 1441:5,10 |
| | 1488:21 | 1413:7,25 | rationale | 1450:25 |
| | 1489:10,25 | 1414:10 | | 1451:17,21 |
| | 1490:2,17, | | | 1452:2,24 |
| | 20 1491:25 | | | |

| | | | | |
|---|--|---|---|---|
| 1453:11,14 ,24 1455:7,22 1457:1 1459:14 1461:17 1462:11,19 1463:5 1464:8,17 1465:12,17 ,23 1466:9,23 1486:9,11 1487:2 1488:5 1489:6,21 1490:3,16 1491:4 1496:13 1497:22 1498:15 1502:4,8 re 1242:6 1301:19 1311:18 1382:10 1389:20 1390:2 reach 1413:10 reacting 1478:19 readily 1276:10 reading 1286:24 1357:2 1358:1 ready 1248:3 1358:19 1367:22 1437:21 real 1256:22 1343:6 1350:4 1351:1 1356:22 1401:3 1486:1 1487:20 | realize 1284:19 really 1284:6,10, 20 1326:13 1342:2 1364:13 1379:1 1383:3 1386:9 1387:11 1392:14 1400:8 1410:20 1413:19,22 1424:18 1425:2,12 1427:8 1433:10 1455:14,17 1462:7 1479:12 1486:13,16 1489:12,16 1493:24 1494:14 1495:5 1497:8 1505:1 1507:4 real-time 1251:3,7,1 5 1256:18 1257:4 1263:4 1265:5 1345:20 reappears 1354:17 rearview 1284:21 reason 1266:3 1321:7 1323:9 1342:17 1394:19 1405:5 1410:7 1426:4 1438:4 | 1462:19 1483:18 1486:13 1487:10 1492:5 1499:13 1504:16 reasonable 1278:5 1382:13 1479:11 1499:11 1507:8 reasonablene ss 1398:7 reasoning 1380:7 1434:3 1490:7 reasons 1316:15 1332:14 1377:11 1458:11,15 ,17 1459:5 1469:17 1480:19 1488:14 1507:6,7 1508:22 rebuttal 1373:22 1482:6 recall 1249:11 1250:20 1288:4 1292:20 1303:25 1372:11 1400:21 1403:5 1405:2 1418:11 1443:21 1477:20 1481:3 1492:23 1497:11 recent | 1407:6 recently 1377:1 1392:19 1439:19 1477:23 recess 1327:19 1329:13 1365:24 1367:16 1446:22 1469:10 recessing 1327:24 1367:19 1446:24 reclassifica tion 1360:11,15 1361:1 recog 1474:18 recognition 1448:24 recognize 1267:5 1301:21 1385:9 1393:22 recognized 1492:15 recognizing 1391:24 1395:7 1474:19 1479:17 recollection 1372:8 1373:21 1404:9 recommendati on 1483:24 recommended 1483:21 recommending 1482:8 1484:2,3 | reconcile 1466:7 reconciling 1466:3 record 1248:10 1262:2 1269:5 1286:19 1291:11 1292:3 1310:5 1333:4 1351:8 1359:16 1392:5 1436:15 1472:22 recorded 1359:5 record's 1325:15 recover 1334:14 1422:5 1426:9 1480:13 1489:16 1506:21 1509:14 recoverable 1311:7 recovered 1414:23 1510:14 recoveries 1360:7 1361:4 recovering 1510:11,13 recovery 1361:20 1427:20 1505:25 1506:17 recycled 1331:21,22 red 1281:20 |
|---|--|---|---|---|

| | | | | |
|--------------------|--------------------|-------------------|-------------------|---------------------|
| 1282:3,8 | 1402:13 | 1311:19 | register | 1506:25 |
| redo 1387:9 | 1425:21 | 1322:12 | 1495:21 | reinforce |
| reduce | 1449:24 | 1339:1 | registered | 1355:9 |
| 1252:5,16 | 1468:13 | 1430:16 | 1496:10 | reiterate |
| 1392:15 | 1488:24 | 1431:4 | regular | 1485:25 |
| 1423:12 | referenced | 1450:18 | 1366:6 | relate |
| reduced | 1408:6 | 1452:9 | 1408:20 | 1260:1 |
| 1288:9,24 | 1441:4 | 1509:22 | 1499:11 | 1284:21 |
| 1295:6 | 1491:9,11 | reflected | regulated | 1455:2 |
| 1296:16 | referred | 1288:13 | 1418:22 | 1501:2 |
| 1302:25 | 1291:15 | 1291:12 | 1419:2,8 | related |
| reduces | 1377:18 | 1292:25 | 1420:17 | 1249:24 |
| 1420:23 | 1390:15 | 1305:22 | 1421:19,22 | 1250:20 |
| 1450:10 | 1396:4 | 1309:3 | 1475:6,24 | 1274:11 |
| reducing | 1399:3 | reflecting | 1476:12 | 1284:6 |
| 1363:9 | 1409:6 | 1329:12 | 1477:1,4,1 | 1309:2 |
| 1366:13 | 1423:21 | reflection | 0,15 | 1350:18 |
| 1390:7 | 1441:15 | 1361:24 | 1479:4,13 | 1369:19,20 |
| 1392:9 | 1481:5 | 1413:24 | 1480:4 | 1370:2 |
| 1394:6 | 1498:5 | reflects | 1484:11,17 | 1376:24 |
| reduction | referring | 1291:1 | 1488:21 | 1401:10 |
| 1406:7 | 1301:13 | 1318:21 | 1489:11 | 1405:3 |
| 1430:17 | 1318:7 | 1322:9 | 1490:5,18, | 1454:8 |
| 1508:25 | 1388:17 | 1338:9 | 20 1492:3 | 1458:16,17 |
| reductions | 1402:10 | 1362:6,7 | 1494:10 | ,18 |
| 1247:19 | 1403:23 | 1485:21 | 1496:14 | 1469:15 |
| 1305:13 | 1432:7 | refusal | 1498:23 | 1475:8 |
| 1396:4,10 | 1433:20 | 1377:10 | regulating | 1485:5 |
| re-engineer | 1436:21 | reg 1490:5 | 1474:25 | 1486:8,18 |
| 1387:10,11 | 1440:18 | regard | regulation | 1492:2 |
| re- | 1450:14 | 1247:19 | 1342:13 | 1498:4 |
| engineerin | 1451:1,23 | 1364:4 | 1489:25 | 1501:16,19 |
| g 1392:10 | 1452:1 | 1396:11 | 1490:2 | 1509:10 |
| re- | 1491:7 | regardless | regulator | relates |
| estimating | refers | 1260:11 | 1476:5,6 | 1363:22 |
| 1301:19 | 1304:13 | 1445:14 | 1489:15 | 1488:20 |
| refer | 1473:18 | 1506:7 | 1499:1 | 1499:14 |
| 1310:23 | refined | regards | regulators | relating |
| 1404:10 | 1461:5 | 1490:17 | 1377:14 | 1249:14 |
| 1411:10,12 | refinements | regime | 1477:16 | 1501:11 |
| 1475:23 | 1463:21 | 1352:13 | 1479:5 | relation |
| 1491:6 | reflect | region | 1488:13 | 1317:8 |
| 1499:6 | 1255:5 | 1320:22 | 1491:24 | 1336:14 |
| reference | 1256:9,10 | 1348:10 | regulatory | relations |
| 1288:20 | 1284:14 | regions | 1352:23 | 1443:16 |
| 1372:17,25 | 1287:20 | 1348:5 | 1476:2 | relationship |
| 1379:18 | 1288:9 | Regis | 1493:21 | 1295:22 |
| 1396:25 | 1291:17 | 1242:14 | 1494:21 | 1315:13 |
| | 1292:15 | | 1503:5,8,2 | 1316:18,20 |
| | 1305:15,19 | | 0,21 | 1317:9 |
| | 1309:9 | | | |

| | | | | |
|---------------------|---------------------|---------------------|---------------------|-------------------|
| 1330:19 | 1405:22 | 1412:10 | 1247:22 | residents |
| 1467:4 | remarks | repay | 1249:19 | 1390:25 |
| 1484:4 | 1377:19 | 1433:22 | 1274:1 | resolved |
| relative | 1390:15 | repeat | 1293:16 | 1480:7 |
| 1247:12 | 1397:4 | 1285:16 | 1294:6 | resort |
| 1321:18 | remediation | rephrase | 1311:25 | 1505:10 |
| 1333:11 | 1501:2,4 | 1457:25 | 1367:13 | 1506:4,5,6 |
| 1335:22 | 1503:19 | replace | 1436:20,22 | resorting |
| 1336:4 | remember | 1434:8 | 1437:1 | 1457:22 |
| 1354:23 | 1254:21 | 1474:1 | 1441:8 | 1499:17 |
| 1375:22 | 1303:17 | replacing | 1442:1 | resource |
| 1382:13 | 1319:10 | 1420:5 | 1471:6 | 1256:10 |
| 1432:14 | 1322:16 | report | 1481:13 | 1258:13,18 |
| 1441:22 | 1340:6 | 1247:14 | 1485:16 | ,25 |
| 1447:21 | 1349:14 | 1299:13,15 | 1499:24 | 1259:4,8 |
| relatively | 1374:2 | 1347:20 | requested | 1262:10,13 |
| 1322:20 | 1419:20 | 1387:17,20 | 1437:13 | 1266:7 |
| 1424:23 | 1422:11 | 1388:2,10, | requests | 1283:17 |
| 1504:9 | remind | 20,21,25 | 1423:4 | 1326:20 |
| released | 1308:19 | 1389:8,15, | 1508:16 | 1329:2 |
| 1368:20 | 1502:20 | 16 1431:25 | require | 1412:7 |
| relevant | reminder | 1455:17 | 1408:20 | 1445:17 |
| 1415:19,22 | 1402:19 | 1463:20 | 1458:7,21, | 1454:22 |
| reliability | remobilizing | 1464:6,15 | 25 | resources |
| 1340:8 | 1459:10 | 1466:4 | required | 1320:13 |
| reliable | removal | 1470:9,15, | 1334:2 | 1329:14 |
| 1337:1 | 1486:15 | 19 1491:12 | 1418:8 | 1341:25 |
| re-licensed | removing | 1497:12,14 | 1426:20 | 1397:14 |
| 1357:22 | 1385:18,20 | reporting | 1430:3,24 | 1398:17 |
| reluctance | 1487:10 | 1267:9 | 1479:15 | 1412:1 |
| 1377:9 | renewable | 1360:8 | 1492:17 | 1439:21,22 |
| 1378:8 | 1320:13,17 | 1383:7 | 1493:10 | ,25 |
| 1384:2,8 | 1357:12 | 1473:1,5 | requirement | 1440:1,6 |
| reluctant | renewed | 1474:16 | 1244:6 | respect |
| 1376:5 | 1355:14 | 1488:14,19 | 1250:7 | 1266:25 |
| 1377:25 | renewing | 1506:10 | 1508:5 | 1274:24,25 |
| rely 1274:21 | 1425:4 | reports | requirements | 1275:1 |
| 1463:15 | rental | 1266:25 | 1260:5 | 1284:11 |
| relying | 1263:10,21 | 1319:22 | 1338:21 | 1289:12 |
| 1315:17,18 | 1268:3,6,1 | represent | 1340:8,15 | 1291:11 |
| remain | 7 1363:6 | 1386:18 | requires | 1292:16 |
| 1307:3 | rentals | 1442:5,14 | 1430:21 | 1351:8 |
| 1488:3 | 1264:1 | representati | resale | 1368:19 |
| remained | 1363:16 | on 1379:25 | 1266:9 | 1376:6 |
| 1322:6 | rents 1363:3 | representati | research | 1386:8 |
| remains | repair | ons | 1328:15 | 1408:5 |
| 1341:14 | 1310:17 | 1484:19 | 1374:10 | 1413:8 |
| | | request | reservoir | 1422:7 |
| | | | 1265:12 | 1442:7 |
| | | | | 1493:21 |
| | | | | respecting |

| | | | | |
|---------------------|------------------|-------------------|------------------|---------------------|
| 1372:4 | 1309:18,22 | 1431:2,11 | 1286:12,14 | 1447:19 |
| respond | 1310:11 | 1432:23,24 | 1288:10,25 | revisit |
| 1368:18 | 1329:14 | 1433:5,9,1 | 1300:21 | 1488:7 |
| 1436:21 | 1344:8 | 4,18,25 | 1301:7,15 | ride 1370:8 |
| 1440:14 | 1356:11 | 1434:6,18 | 1302:15,24 | right-hand |
| responded | 1379:10 | 1486:2,3 | 1355:18 | 1251:19 |
| 1294:12 | 1383:15 | 1494:18 | 1358:23 | 1347:9 |
| 1370:3 | 1388:21 | 1500:6,10, | 1359:3,4,8 | 1349:22 |
| responding | 1459:9 | 14 | ,9 | 1442:4,21 |
| 1415:23 | 1492:13 | 1505:20,22 | 1360:11,16 | rights |
| response | resulted | 1507:6,8,1 | ,17 | 1323:23,25 |
| 1247:16 | 1322:18 | 2 | 1366:25 | 1324:1,2 |
| 1303:23 | 1443:22 | 1508:7,22 | 1419:22 | 1325:8 |
| 1320:16 | 1468:20 | 1509:19 | 1422:20,25 | 1327:15 |
| 1389:2,11 | resulting | RETIRES | 1423:2 | rigour |
| 1441:8,25 | 1338:22 | 1512:4 | 1424:22 | 1383:22 |
| 1454:5 | 1357:13 | retooling | 1426:11 | risk 1292:4 |
| 1499:24 | 1468:16 | 1319:23 | 1427:21 | 1323:6 |
| responses | results | return | 1473:14 | 1324:15 |
| 1245:5 | 1290:8 | 1446:22 | 1489:25 | 1325:3 |
| 1248:12,20 | 1309:9,15 | 1498:24 | 1490:9,17, | 1329:22 |
| ,24 1249:7 | 1340:4 | 1499:2 | 20,21 | 1342:12,20 |
| 1329:1 | 1353:10 | 1508:17 | 1491:3 | ,21 1405:3 |
| responsibili | 1354:4,8 | rev 1260:8 | 1498:25 | 1424:1,2,6 |
| ties | 1358:9 | 1277:1 | reverse | 1427:8,17 |
| 1316:14 | 1368:19 | revenue | 1421:15 | risks |
| responsibili | 1376:6 | 1244:6 | 1507:16 | 1329:22 |
| ty 1315:23 | 1380:1 | 1250:7 | reverses | 1413:12 |
| 1316:1 | 1383:10,21 | 1259:10 | 1506:2 | 1427:23 |
| rest 1483:13 | 1403:4 | 1263:1 | review | 1428:8,25 |
| restore | 1404:6 | 1267:5 | 1247:17 | 1429:1 |
| 1508:14 | 1442:14 | 1284:10 | 1345:15 | River |
| 1509:19 | resume | 1286:9,13, | 1373:16 | 1362:22 |
| restrict | 1367:23,24 | 22 1290:3 | 1374:14,17 | role |
| 1386:16 | Resumed | 1298:12,23 | 1375:1 | 1332:15,16 |
| restriction | 1244:6,7,8 | 1302:9,10 | 1387:15,17 | roll 1267:7 |
| 1405:21 | ,9 | 1305:13 | 1388:5,15 | rolling |
| 1406:4 | 1250:7,8,9 | 1310:18 | 1389:3,12 | 1386:23 |
| restrictions | ,10 | 1312:17 | 1395:9 | rolls |
| 1329:18 | resuming | 1312:17 | 1399:7,14, | 1267:11 |
| 1402:24 | 1327:25 | 1359:12,21 | 16 1400:3 | room 1367:16 |
| restructure | 1367:20 | ,23 | 1405:4,7 | 1511:19 |
| 1386:5 | 1446:25 | 1360:7,14, | reviewed | rough 1460:4 |
| result | retained | 23 1364:14 | 1373:17 | roughly |
| 1257:21 | 1418:21 | 1367:10 | reviewing | 1446:15 |
| 1300:22 | 1420:18,23 | 1422:15 | 1250:15 | 1456:11 |
| 1301:7 | 1422:4 | 1499:8 | reviews | round 1246:4 |
| | 1428:12,14 | revenues | 1376:6 | |
| | ,16 | 1252:2,5,1 | revised | |
| | 1430:16,18 | 6 1257:21 | 1291:17 | |
| | ,22 | 1267:3,14 | | |
| | | 1285:7 | | |

| | | | | |
|---------------------|---------------------|-------------------|---------------------|---------------------|
| 1282:17,25 | 1257:20 | 1320:10 | 1406:24 | select |
| 1318:9 | 1260:8 | 1423:24 | 1418:12 | 1482:17 |
| 1379:10 | 1439:12,19 | 1483:11 | 1428:21 | self- |
| 1440:13 | ,22 | scalable | 1453:3 | sufficient |
| 1441:8 | 1440:2,3 | 1247:10 | 1468:5 | 1357:2 |
| 1442:1 | 1490:21 | 1335:19 | 1480:25 | sell 1255:3 |
| 1454:6 | sales | 1336:3 | 1481:5 | 1257:1 |
| 1462:8 | 1250:19,23 | scenar | 1487:1 | 1261:18,22 |
| 1499:25 | ,24 1251:7 | 1422:18 | Secondly | 1262:20,22 |
| row 1287:12 | 1252:2,19, | scenario | 1367:8 | 1263:15 |
| 1322:23 | 22 | 1277:10,16 | section | 1265:11 |
| Royal 1441:2 | 1255:12,21 | 1421:3 | 1434:24 | 1316:3 |
| rule 1380:14 | ,24 | 1507:3 | 1468:2 | 1322:25 |
| 1493:20,24 | 1256:13,15 | scenarios | 1497:14 | 1324:10 |
| 1494:3,5 | ,16,17,19, | 1422:19 | sector | 1325:25 |
| run 1252:8 | 20 1265:20 | scene | 1378:11,13 | 1345:20 |
| 1253:12 | 1285:9 | 1347:11 | 1434:5 | 1364:9 |
| 1270:16 | 1286:25 | scenes | 1473:4,6,1 | 1434:8 |
| 1332:22 | 1289:16 | 1484:23 | 1,17 | 1439:9 |
| 1333:25 | 1292:7 | schedule | sectors | selling |
| 1334:2 | 1296:23 | 1446:6 | 1378:1 | 1251:20 |
| 1336:24 | 1314:16 | 1448:10 | securities | 1252:12 |
| 1339:16 | 1334:15 | 1450:24 | 1495:22,24 | 1256:24 |
| 1344:19 | 1425:25 | 1452:11,13 | 1496:6,11 | 1257:6 |
| 1508:2 | 1439:23 | 1456:22 | seeing | 1321:9,14, |
| running | 1489:9,18, | 1457:21 | 1267:14,15 | 23,24 |
| 1333:9 | 22,23 | schedules | 1295:8 | 1438:25 |
| 1336:23 | 1490:15 | 1510:21 | 1366:14 | 1440:5 |
| 1339:22,23 | salvage | scheme | 1449:12 | sells |
| runs 1332:18 | 1486:15 | 1367:3 | 1451:3 | 1317:19 |
| | 1487:9 | 1386:17 | seek 1478:8 | send 1459:7 |
| | 1488:3 | Scotiabank | seeking | sending |
| | 1495:11 | 1441:2 | 1294:7 | 1348:9 |
| S | Saskatchewan | Scott | seem 1430:23 | 1355:10 |
| sa 1251:21 | 1362:23,24 | 1377:18 | seems | sends |
| sake 1509:25 | ,25 1363:2 | searching | 1305:14 | 1402:19 |
| sal 1488:2 | 1472:3,7 | 1468:2 | 1357:25 | senior |
| salaries | SaskPower | season | 1380:20 | 1401:7 |
| 1406:11,14 | 1362:21 | 1461:25 | 1425:6 | sense |
| 1442:19 | 1363:3 | second | seen 1309:12 | 1290:18 |
| 1457:16 | 1382:17 | 1246:4 | 1319:21 | 1433:24 |
| 1460:1 | sat 1384:19 | 1282:17,24 | 1354:14 | 1438:19 |
| 1464:10 | satisfied | 1299:13 | 1356:15 | 1448:10 |
| 1465:13 | 1377:4 | 1302:25 | 1383:6 | 1462:5 |
| 1467:5 | 1382:10 | 1318:9 | 1464:19,20 | 1489:24 |
| salary | save 1332:3 | 1337:18 | 1493:19 | 1510:15 |
| 1470:16 | savings | 1374:24 | sees 1280:11 | sensitive |
| sale 1250:15 | 1332:19 | 1400:25 | 1360:7 | 1274:10 |
| 1252:14,17 | 1401:15 | | | sensitivitie |
| 1253:21 | saw 1306:3 | | | |

| | | | | |
|--------------------|---------------------|---------------------|---------------------|---------------------|
| s 1278:5 | 1440:2 | four | shared | 1292:9 |
| sensitivity | 1451:3 | 1453:22 | 1378:6 | 1350:4 |
| 1277:20 | 1452:9,19 | seventeen | shareholder | shown |
| sentence | 1453:7,9,2 | 1455:8 | 1326:4 | 1277:15 |
| 1374:25 | 1499:7 | 1461:23 | shares | 1281:24 |
| separate | 1505:9 | 1462:22 | 1353:3 | 1294:25 |
| 1410:14 | services | 1463:7 | sharing | 1295:18 |
| 1475:25 | 1361:5,15, | 1466:11 | 1361:25 | 1312:1 |
| September | 18 1390:5 | seventh | 1381:3 | 1315:8,16 |
| 1299:14 | 1391:5 | 1295:4 | 1384:23 | 1339:9 |
| 1478:17 | 1400:5 | seventy | sheet 1445:8 | 1350:1 |
| 1481:7,13 | serving | 1354:24 | 1475:25 | 1359:1 |
| sequence | 1252:16 | 1390:19 | 1494:10 | 1460:24 |
| 1283:17 | 1315:20,24 | 1463:10 | 1499:20 | 1503:11 |
| series | 1470:2 | seventy- | 1503:12 | shows |
| 1392:24 | sets 1346:12 | eight | shifted | 1253:23 |
| serious | 1348:22 | 1253:23 | 1297:25 | 1258:3 |
| 1415:16 | 1473:19 | 1461:21 | shipped | 1285:6 |
| serve | 1505:10,13 | 1463:8,19 | 1363:1 | 1296:21 |
| 1252:14 | 1506:6 | 1464:3 | Shock | 1306:14 |
| 1253:13,16 | setting | seventy-six | 1423:20 | 1319:7 |
| 1254:10 | 1264:16 | 1253:24 | short 1254:2 | 1350:3 |
| 1315:17 | 1265:9 | several | 1256:19 | 1363:3 |
| 1316:9 | 1345:20 | 1270:10 | 1270:16 | 1364:19 |
| 1326:20 | 1346:20 | 1281:6 | 1273:9 | 1373:1 |
| 1378:24 | 1367:6,7 | 1399:11 | 1327:9 | 1392:5 |
| 1439:6,22 | 1491:25 | 1428:19 | 1414:12 | 1456:2 |
| serves | 1499:3,15 | severe | 1420:23 | 1502:22 |
| 1321:12 | settlement | 1376:7 | 1471:21 | shut 1329:20 |
| service | 1363:22 | sha 1326:3 | shortly | sic 1301:22 |
| 1286:6 | 1498:9 | shade | 1428:21 | 1398:8 |
| 1314:13 | settlements | 1276:15 | short-run | sign 1476:10 |
| 1323:4,5 | 1467:17 | shaded | 1262:23 | signal |
| 1324:9,13, | seven | 1276:5,8,2 | short-term | 1348:10,13 |
| 15,24 | 1264:22 | 2 | 1256:16 | signed |
| 1325:1,20, | 1281:18 | 1277:7,10 | 1257:2 | 1439:19 |
| 22,24 | 1330:15 | 1278:16 | 1263:7 | 1476:3 |
| 1326:9,12, | 1331:7,8 | 1281:4 | 1355:13,20 | significance |
| 13,19,22 | 1345:7,9 | 1283:20,21 | 1414:15,18 | 1495:3 |
| 1327:11 | 1350:13,14 | 1315:2 | 1429:16 | significant |
| 1333:17 | 1354:21 | share 1259:9 | 1435:5 | 1266:22 |
| 1355:3 | 1411:19 | 1274:5 | 1496:12 | 1306:4 |
| 1362:8 | 1417:22 | 1376:5 | showed | 1355:2,17 |
| 1389:21 | 1451:4,15, | 1377:10 | 1306:2 | 1378:25 |
| 1390:6,17 | 22 | 1381:6,11, | 1372:13 | 1390:4 |
| 1392:9,11 | 1452:4,25 | 12 | 1401:25 | 1397:13,14 |
| 1409:17,18 | 1453:18 | 1384:3,20 | 1455:6 | 1419:21 |
| 1421:13 | 1463:6 | 1398:12 | showing | 1422:14 |
| 1422:12 | seven-five- | | | 1437:10 |
| | | | | 1447:22 |

| | | | | |
|---------------------|--------------------|---------------------|---------------------|---------------------|
| 1467:9 | 1276:13,21 | 1290:9 | slowly | 1359:6,10 |
| 1479:25 | 1292:11 | 1299:14 | 1416:2 | 1436:15 |
| 1486:1 | 1299:15 | 1300:6 | 1440:4 | 1457:5 |
| 1498:2 | 1304:17 | 1304:4 | small 1358:3 | 1509:16 |
| significantl | 1308:22 | 1325:7 | 1367:8,10 | sooner |
| y 1272:4 | 1313:16 | 1345:7 | 1369:18 | 1334:4 |
| 1332:1,2 | 1314:24 | 1350:4 | 1393:18,19 | sorry 1294:1 |
| 1423:5 | 1315:2 | 1354:21 | 1421:19 | 1320:22 |
| 1426:12 | 1317:1 | 1356:19 | smaller | 1332:10 |
| similar | 1318:15 | 1402:18 | 1494:13 | 1343:25 |
| 1279:5 | 1322:21 | 1411:18 | Smart | 1344:10 |
| 1313:1 | 1345:15 | 1453:2,18 | 1480:17 | 1364:23 |
| 1317:10 | 1346:24 | 1461:21 | 1491:1 | 1370:20 |
| 1401:10 | 1347:15,23 | 1462:21 | 1493:8 | 1403:11 |
| 1423:13,15 | 1350:19 | six-seven- | 1500:21 | 1404:14 |
| 1424:8 | 1351:9,17 | eight | 1503:19 | 1406:18 |
| 1436:4 | 1358:18,20 | 1455:21 | 1509:24 | 1432:15 |
| simple | ,24 | sixteen | 1510:2,23, | 1434:22 |
| 1330:16,23 | 1362:14,19 | 1324:5 | 25 | 1451:17 |
| 1332:9,10, | 1373:12 | sixty | smooth | 1460:9 |
| 13 1334:20 | 1396:15 | 1302:22 | 1421:13,14 | 1470:1 |
| simple-cycle | 1403:24 | 1333:10 | 1499:9 | 1487:1 |
| 1247:8 | 1456:18 | 1446:11 | smoothing | 1503:14,17 |
| 1333:3 | 1493:20 | sixty-five | 1497:7 | sort 1383:17 |
| 1335:4,16 | sit 1297:1 | 1331:4,11 | sold 1295:9 | 1390:2 |
| simplistic | 1384:13 | 1385:25 | 1323:21 | sorting |
| 1460:18 | 1418:14 | sixty-one | 1324:3 | 1483:19 |
| 1464:5 | 1430:12 | 1285:13,20 | 1354:25 | sorts |
| simply | 1467:11 | 1290:16 | 1364:11 | 1480:14 |
| 1274:18 | site 1501:1 | sixty-seven | Soldier | sought |
| 1296:15 | 1503:19 | 1386:1 | 1242:16 | 1413:9 |
| 1339:10 | sites | sixty-three | solicitation | 1415:5 |
| 1360:15 | 1501:17,19 | 1385:25 | 1484:24 | source |
| 1361:1 | sitting | size 1266:22 | 1485:1 | 1260:21 |
| 1406:5 | 1424:18 | 1318:21 | solution | 1261:6 |
| 1421:7,15 | 1465:13 | 1410:2,20 | 1496:5,7 | 1320:2 |
| 1430:18 | situation | sketch | somebody | 1340:19,20 |
| 1448:13 | 1356:18 | 1282:11 | 1284:13 | ,21 1341:7 |
| 1453:22 | 1373:20 | skills | 1415:15 | 1343:20 |
| 1461:12 | 1384:16 | 1457:8 | someone | 1346:8 |
| 1466:10 | 1393:16 | slip | 1392:19 | 1355:2 |
| 1486:20 | 1415:19,22 | 1273:19,20 | somewhat | 1439:5 |
| 1495:15 | 1479:10,12 | slope | 1289:17 | 1469:25 |
| single | ,17 | 1382:19,23 | 1412:16 | 1470:9 |
| 1330:21 | 1494:12,13 | skotted | 1486:18 | sources |
| 1332:7 | 1507:17,19 | 1412:12 | somewhere | 1259:14 |
| 1334:20 | situations | slow 1478:2 | 1278:19 | 1318:13 |
| single-cycle | 1348:15 | | 1299:23 | 1343:1 |
| 1330:12 | six 1255:13 | | | 1357:1 |
| sir 1250:20 | 1264:21 | | | 1361:8 |
| | 1273:13 | | | |

| | | | | |
|---------------------|---------------------|---------------------|---------------------|-------------------|
| Southern | 1336:21 | priced | 1473:2,8,1 | 1431:1 |
| 1362:24 | 1338:20 | 1355:16 | 6,18,19 | 1437:6 |
| 1363:2 | 1340:11 | stack 1381:7 | 1474:17 | 1446:14 |
| sovereignty | 1420:1,9 | staff | 1477:16 | statements |
| 1316:12,15 | 1448:15 | 1259:24 | 1478:4,19 | 1359:11 |
| speak | 1511:4 | 1366:6 | 1479:9 | 1430:23 |
| 1259:24 | spent | 1405:25 | 1481:8 | 1431:5 |
| 1321:6 | 1271:18 | 1406:4,20, | 1482:17 | 1462:20 |
| 1346:19 | spike | 22 1407:11 | 1483:9,22 | 1466:17 |
| 1367:25 | 1354:3,5,6 | 1408:10 | 1485:7,16 | 1476:3,8,1 |
| 1371:21 | 1356:2 | 1463:23,24 | 1490:11 | 0 1489:2 |
| 1399:10 | spikes | 1482:8 | 1491:8 | 1501:14 |
| 1431:9 | 1354:11 | 1483:21 | start 1248:4 | states |
| 1477:5 | 1356:6 | 1484:1,3 | 1299:8 | 1317:20 |
| 1481:25 | spill 1268:5 | staffing | 1333:25 | 1319:8 |
| speaking | 1323:3,6 | 1449:5 | 1334:6,7,1 | 1322:1 |
| 1263:4 | spillage | 1454:4 | 2 1336:21 | 1323:8,11, |
| 1287:16 | 1322:18 | stage 1291:5 | 1347:11 | 15 1327:5 |
| 1412:14 | spilling | 1417:16 | 1384:15 | 1336:23 |
| 1426:18 | 1263:18 | staging | 1392:15 | 1341:7 |
| 1427:9 | spillways | 1452:9 | 1468:6 | 1426:21 |
| special | 1323:20 | stagnant | 1469:22 | 1495:22 |
| 1276:19 | spite 1425:8 | 1281:14 | 1472:22 | 1496:11 |
| specific | 1486:21 | stain | 1489:9 | station |
| 1260:15 | split 1330:8 | 1474:16 | 1494:22 | 1259:24 |
| 1261:6,7 | spoke | stakeholders | started | 1260:1,3,1 |
| 1328:24 | 1248:13 | 1391:24 | 1391:25 | 6 |
| 1372:7 | 1457:13 | 1392:1 | 1475:17 | 1268:10,12 |
| 1376:3,24 | spoken | stakes | starting | 1333:18 |
| 1379:14 | 1484:7 | 1353:17 | 1253:10 | 1362:22 |
| 1440:15 | sponsored | standard | 1295:12 | 1380:15 |
| 1447:20 | 1443:16 | 1296:25 | 1333:16 | 1409:12 |
| 1461:24 | 1444:7 | 1395:22,24 | 1340:3,7 | stations |
| 1462:23 | spot 1256:10 | 1419:1 | 1370:10 | 1254:8 |
| 1507:24 | 1262:11,12 | 1478:7 | 1374:12 | 1309:20 |
| 1509:9 | 1326:1 | 1479:14 | 1382:10,11 | 1329:19 |
| 1510:18 | 1354:23 | 1482:9,11, | 1472:8 | 1342:20 |
| specifically | spring | 14 19,24 | starts | 1357:21 |
| 1300:11 | 1273:13 | 1483:3,11, | 1422:14 | 1409:12,13 |
| 1313:2 | 1289:19 | 19,20 | 1426:21 | statistic |
| 1375:15 | ss 1281:15 | 1485:1 | startup | 1461:8 |
| 1394:17 | St 1364:5 | standardizin | 1333:23 | 1463:23 |
| 1411:10 | 1389:18,24 | g 1505:2 | 1337:3 | statistics |
| 1500:15 | stable | standards | 1339:2,4,9 | 1285:1 |
| specifics | 1436:5 | 1320:17 | state | 1300:4 |
| 1353:22 | stable- | 1357:13 | 1413:23,24 | 1304:20 |
| spend 1332:4 | | 1419:1 | stated | 1305:6 |
| 1336:25 | | 1472:23 | 1433:23 | 1309:8 |
| spending | | | 1492:19 | 1320:3 |
| 1334:8 | | | statement | 1381:23 |
| | | | | status |

| | | | | |
|---|--|---|---|--|
| 1494:24 1495:14,16 stay 1343:4 1386:23 1459:8 1494:6 stem 1437:13 step 1295:18 1388:19 1511:11 steps 1389:20 1400:13 stick 1294:2 Sticker 1423:20 stock 1479:10 stop 1334:13 stopping 1333:16 1340:4,7 1348:15 storage 1265:12 1348:17 stories 1392:21 storm 1469:3 storms 1458:6 1468:19 straight 1272:9 1420:22 1447:16 1456:21,22 straight- time 1470:17 strategic 1390:11 1398:20 1399:7 1400:4 strict | 1499:2 strike 1339:13 1404:18,19 1405:6 strokes 1481:12 stronger 1348:3 structure 1376:12 1390:17 1412:22 1420:8,10 1461:7 struggle 1493:24 studies 1396:20 studying 1478:5 subject 1246:6 1251:10,15 1255:15 1267:23 1268:13 1282:18 1283:2 1288:2 1289:1 1324:24 1326:25 1357:24 1359:22 1406:14,17 1427:18 1446:19 1490:2 subscribe 1270:21 subsequent 1307:4 1373:17 1411:18 1422:20 1450:11 subsequently 1444:12 | subsidiaries 1366:19 1367:2 subsidiary 1317:15,17 ,19 1366:18 subsides 1320:18 substantial 1386:3 1430:17 1458:7 substantiall y 1425:2,8 1428:20 1457:3 1463:10 success 1389:22 successfully 1499:16 successive 1302:17 sudden 1394:25 suffered 1426:7 sufficient 1359:5 1428:7,14 1466:24 1486:3 suggest 1249:2 1254:14 1262:1 1299:3 1316:6 1325:17 1367:15 suggested 1316:16 suggesting 1262:19 suggestion 1249:20 | 1452:15 suggests 1347:25 1437:17 sum 1503:19,21 summarize 1291:13 1295:23 summary 1265:19 1389:15 summed 1318:10,12 summer 1304:15 1306:4 1322:16 1455:10 1462:2,9 1463:2,4,1 1 1477:22 supervisory 1408:11 supplier 1264:2 1321:21 suppliers 1264:15,17 supplies 1321:18 supply 1259:8,13 1260:21 1261:6 1262:8 1295:2 1296:8 1300:4 1307:13 1309:16 1320:1 1337:1 1341:7 1438:6,20 1439:4,13 1469:25 1470:3 | support 1366:6 1465:21 suppose 1343:20 1412:8 1415:3 1445:4 1483:15 1493:25 1506:11 sure 1267:23 1277:21 1286:19 1291:23 1297:2 1313:9 1314:23 1319:15 1325:14 1339:8 1347:3,19 1372:7 1373:10,13 1375:2 1377:2 1386:23 1392:17 1393:23 1398:17,21 ,23,25 1399:2,18 1400:6 1401:7 1413:3 1418:13 1419:18 1422:24 1427:10,19 1429:4 1432:19,21 1433:4 1436:15,18 1440:25 1443:15 1460:21 1464:6 1466:2 1475:13 1480:1 1486:25 1490:21 1494:2 |
|---|--|---|---|--|

| | | | | |
|-------------------|---|--------------------|---------------------|---------------------|
| 1501:13 | 1348:8,18 | 1386:16 | tariffs | 1354:12 |
| 1505:15 | 1363:4 | 1391:22 | 1315:15 | tens 1323:20 |
| 1508:3 | 1388:2 | 1395:1 | 1316:2 | terawatt |
| 1509:8 | 1470:18 | 1419:23 | 1327:4 | 1318:1 |
| surplus | | 1421:21 | tax 1263:24 | 1319:14,17 |
| 1252:13 | <hr style="width: 100px; margin: 0 auto;"/> T <hr style="width: 100px; margin: 0 auto;"/> | 1438:2,3 | 1279:14,19 | 1320:7,24 |
| 1257:1 | tab 1249:22 | 1439:18 | 1280:3,9 | terawatts |
| 1258:14,25 | 1250:17 | 1454:21 | 1343:10 | 1320:8 |
| 1260:11,12 | 1269:24 | 1455:15 | 1345:2 | term 1256:20 |
| ,14,18,19 | 1304:19 | 1461:22 | 1352:13,15 | 1273:9 |
| 1261:4,7,1 | 1328:4 | 1467:17 | Taylor | 1392:16 |
| 1,15 | 1337:10,19 | 1468:19 | 1395:18,25 | 1414:13 |
| 1262:3 | 1349:21 | 1479:19 | TD 1441:2 | 1432:4 |
| 1324:10 | 1358:18,21 | 1481:4 | team 1458:21 | 1438:13 |
| 1342:25 | 1408:18 | 1495:12,19 | tech 1275:1 | 1465:9 |
| 1362:25 | 1411:13 | 1497:13 | technologies | 1483:19 |
| 1438:25 | 1454:4 | 1503:18 | 1275:1 | 1509:21 |
| 1439:9,12 | table 1244:1 | talking | technology | termed |
| surpluses | 1253:23 | 1271:18 | 1329:24 | 1359:9,11 |
| 1321:16 | 1269:9 | 1311:4 | 1356:18,25 | terminology |
| 1327:16 | 1271:15 | 1324:18 | telecommunic | 1476:13 |
| surprise | 1295:19 | 1325:15 | ations | terms |
| 1347:20 | 1320:3 | 1331:9 | 1361:25 | 1247:10,11 |
| 1349:5 | 1328:5 | 1389:17 | ten 1253:11 | 1284:2 |
| survive | 1338:10 | 1433:16 | 1291:15 | 1290:2 |
| 1495:11 | 1340:12 | 1450:9 | 1327:21 | 1292:13 |
| sustain | 1435:4,7 | 1462:14 | 1330:16 | 1298:20 |
| 1438:20,21 | tabs | 1469:9 | 1334:5,8,1 | 1311:16 |
| sustained | 1248:14,17 | 1490:21 | 4 1336:21 | 1320:21,22 |
| 1473:14 | 1249:16,17 | 1503:14,17 | 1341:18 | 1329:1 |
| sustaining | tag | talks | 1371:19 | 1335:20,21 |
| 1412:15 | 1387:14,15 | 1497:14 | 1421:4 | 1336:4 |
| switching | taking | 1500:14 | 1422:25 | 1340:10 |
| 1432:15 | 1266:4 | 1505:2 | 1425:3 | 1344:4 |
| 1434:22 | 1389:20 | tank 1363:5 | 1430:10,11 | 1345:18 |
| system | 1391:22 | target | 1456:9 | 1351:12 |
| 1252:6 | 1400:13 | 1307:9 | 1506:3,21 | 1357:3 |
| 1253:7 | 1429:14 | 1413:9,10 | 1507:2,16, | 1373:15 |
| 1254:3,8 | 1460:22 | 1415:20 | 18 | 1377:24 |
| 1258:13,15 | talk 1333:22 | 1416:3,9,1 | 1510:2,13 | 1379:18 |
| 1259:1 | 1370:8 | 9 1417:1 | tend 1272:1 | 1380:6,7,1 |
| 1260:5,11, | 1394:20 | 1418:8 | 1280:14 | 1,16 |
| 22 1261:6 | 1401:13 | targeted | 1385:19 | 1383:1 |
| 1262:10 | 1454:21 | 1406:8 | 1420:21 | 1394:10,17 |
| 1300:4 | 1468:16 | targets | 1499:10 | 1396:25 |
| 1306:2 | 1472:21 | 1374:20 | tendency | 1401:2 |
| 1314:9 | 1496:3 | 1391:12 | 1319:5 | 1402:5 |
| 1322:18 | talked | 1413:15,16 | tends | 1412:2,16 |
| 1323:17 | 1378:18 | tariff | | 1423:10 |
| 1342:25 | 1383:20 | 1314:13 | | 1428:8 |
| | 1385:17 | | | 1429:21 |

| | | | | |
|--------------|---------------------|---------------|------------|------------|
| 1430:8 | 25 1447:18 | 1491:4 | 1329:4,12 | 1432:6 |
| 1433:8 | 1450:19 | 1497:19 | 1331:24 | 1434:10,16 |
| 1446:3 | 1454:17 | 1498:15 | 1334:7,10, | 1441:14 |
| 1461:11 | 1480:25 | 1511:9,19, | 16 1335:5 | 1442:16,21 |
| 1466:3 | 1493:5 | 24 | 1338:22 | ,23 |
| 1467:22 | 1506:19 | Thanks | 1339:16 | 1443:2,10 |
| 1471:8 | tested | 1367:17 | 1342:11 | 1444:14,18 |
| 1472:6 | 1399:14 | that's | 1343:19,21 | ,23 |
| 1483:2 | testify | 1255:6 | 1345:23 | 1445:1,16, |
| 1486:21 | 1389:23 | 1259:1,6 | 1346:15 | 25 |
| 1490:6 | tests | 1260:11 | 1347:3 | 1447:14,19 |
| 1493:24 | 1283:17 | 1264:19 | 1348:1,17 | 1449:17 |
| 1494:21 | th 1344:23 | 1267:6,22 | 1350:9 | 1450:23 |
| 1504:17 | thank 1248:9 | 1268:11 | 1352:1,4 | 1452:12 |
| TERRY | 1249:10,25 | 1269:21 | 1356:19 | 1454:20 |
| 1270:23 | 1276:1,21 | 1272:19,22 | 1357:13,23 | 1455:4,18 |
| 1271:1,9,1 | 1287:13,15 | 1274:1 | 1359:9,21, | 1458:14 |
| 6 | 1311:9,21 | 1276:23 | 22 | 1459:16 |
| 1272:12,22 | 1313:16 | 1277:17 | 1360:8,11 | 1460:17 |
| 1273:25 | 1316:5 | 1278:3 | 1361:6,21, | 1461:3 |
| 1274:3,16, | 1328:11 | 1279:21 | 22 | 1463:16 |
| 20 | 1335:7 | 1280:1,20, | 1362:5,15, | 1464:12,17 |
| 1279:15,21 | 1336:8 | 23 1282:8 | 20 | 1465:15,25 |
| 1280:1,8,1 | 1345:14 | 1283:23 | 1363:6,9,1 | 1469:23 |
| 9 | 1350:16 | 1284:2 | 1 1364:18 | 1471:16,18 |
| 1282:7,13, | 1357:19 | 1286:8,23 | 1365:15 | 1472:9,13 |
| 21 | 1360:5 | 1287:3,11 | 1366:9 | 1473:4,24 |
| 1283:12,23 | 1365:1,22 | 1291:2 | 1367:14 | 1474:14 |
| 1285:4,17, | 1368:14,25 | 1293:18 | 1369:12,20 | 1475:2,3,1 |
| 24 | 1373:13 | 1294:14,16 | 1371:10,19 | 0 |
| 1286:8,23 | 1374:9 | ,20 | 1374:10 | 1476:9,20, |
| 1287:3,11 | 1389:5 | 1296:7,17 | 1375:19 | 24 1477:6 |
| 1298:7,13, | 1396:15 | 1297:8,15, | 1379:19 | 1478:18 |
| 21 | 1405:8 | 20 | 1381:14 | 1479:1,8,1 |
| 1299:3,16 | 1411:4 | 1298:7,21, | 1382:20 | 8 1480:10 |
| 1328:9 | 1420:14 | 22 | 1384:23 | 1481:2,17 |
| test | 1434:19 | 1300:7,16, | 1386:13,20 | 1484:1 |
| 1246:12,16 | 1435:14 | 24 1302:5 | 1388:24 | 1487:20 |
| 1284:6,9,1 | 1436:16,22 | 1305:4,7,1 | 1394:11 | 1488:15 |
| 1 1285:8 | 1441:10 | 0,17,18,20 | 1395:8 | 1489:16 |
| 1290:19 | 1446:17 | 1307:24 | 1397:2,7 | 1491:9 |
| 1292:6,20 | 1447:1 | 1310:21 | 1401:5 | 1492:5 |
| 1303:4,8 | 1450:3 | 1312:14 | 1402:25 | 1493:3,23 |
| 1305:1,24 | 1452:23 | 1315:5,9 | 1403:12 | 1495:25 |
| 1307:23 | 1453:24 | 1316:22 | 1412:15 | 1497:9 |
| 1308:5,10, | 1454:12 | 1319:20,22 | 1415:6,13 | 1498:12 |
| 11 | 1455:22 | ,24 | 1420:4,10 | 1499:13 |
| 1309:4,12 | 1456:17 | 1320:3,9,1 | 1424:22 | 1500:16,24 |
| 1310:7 | 1460:7 | 2 | 1426:4,5,1 | 1501:25 |
| 1368:10,12 | 1465:17 | 1321:3,7,2 | 6 | 1502:1,15, |
| ,13 | 1466:24 | 0,21 | 1427:18,23 | 24 |
| 1417:7,8 | 1488:5,8 | 1324:3,15 | 1428:2,22 | 1503:20,21 |
| 1419:9,10, | | 1326:20,24 | 1429:20 | ,23 1505:3 |
| | | | 1431:19 | 1506:22 |

| | | | | |
|---------------------|----------------|---------------------|---------------------|---------------------|
| 1507:10 | 1344:1 | 1384:20 | 16,18 | 1391:21 |
| 1508:14,15 | 1348:3,13 | 1395:24 | 1402:12 | 1399:3,9 |
| ,21 | 1351:14 | they'll | 1405:11 | 1400:7 |
| 1509:17 | 1353:16 | 1339:7 | 1408:19 | 1419:23 |
| 1510:22 | 1356:10 | 1354:19 | 1481:9 | thoughts |
| 1511:7 | 1362:12,13 | 1459:8 | third-party | 1302:1 |
| themselves | 1363:15,20 | they're | 1361:9 | thousand |
| 1496:10 | 1366:18 | 1251:14,22 | thirteen | 1295:1 |
| Theoreticall | 1369:10 | 1253:25 | 1327:9 | 1303:10 |
| y 1263:17 | 1372:25 | 1259:24 | 1330:25 | 1304:8 |
| theory | 1373:11 | 1262:12 | 1331:1,3,7 | 1327:9 |
| 1419:18 | 1377:8,15 | 1265:23 | 1350:12,14 | 1328:20 |
| thereabouts | 1380:2 | 1268:4 | thirty | 1329:5 |
| 1466:12 | 1381:8 | 1313:8 | 1290:8 | 1330:15,16 |
| thereafter | 1392:24 | 1326:22 | 1331:8 | 1334:5,8,1 |
| 1296:25 | 1393:2,20 | 1329:24 | 1343:10,17 | 4 1336:21 |
| there'd | 1394:12,24 | 1334:12,13 | 1344:7,8 | 1446:11 |
| 1298:23 | 1403:21 | 1344:23,24 | 1345:2,3,8 | 1451:4,6 |
| 1305:2 | 1410:8 | 1348:6 | 1355:1 | 1453:1 |
| 1381:18 | 1414:7 | 1353:15 | 1429:24 | 1461:20 |
| 1433:17 | 1420:11 | 1357:1 | 1462:14 | 1462:3,15, |
| therefore | 1423:18 | 1358:2 | thirty-five | 21 |
| 1332:23 | 1424:9 | 1359:9,11, | 1331:10 | thousands |
| 1392:15 | 1427:23 | 23 1386:22 | 1453:2 | 1266:12 |
| 1425:10 | 1432:1 | 1390:20,21 | thirty-four | three-five |
| 1430:17 | 1434:24 | ,22 1393:5 | 1269:3 | 1453:19 |
| 1464:11 | 1435:24 | 1409:14 | thirty-one | throughout |
| there'll | 1437:11 | 1413:3 | 1285:11,18 | 1390:19 |
| 1407:9 | 1445:21 | 1422:24 | 1290:8 | 1391:3,14 |
| there's | 1458:15 | 1429:17 | thirty-six | 1462:25 |
| 1263:18 | 1480:14,15 | 1435:18 | 1285:11,18 | 1465:5 |
| 1264:11 | ,16,17,18 | 1445:11,17 | ,25 | thumb |
| 1271:10 | 1482:15 | 1448:25 | thirty-three | 1380:14 |
| 1273:10 | 1486:13 | 1481:24 | 1338:14 | Thursday |
| 1274:3 | 1492:12 | 1482:5 | thirty-two | 1249:12 |
| 1279:23 | 1493:1,11 | 1483:19 | 1285:12,19 | tied 1412:24 |
| 1281:6,7,1 | 1494:20 | 1490:9,11 | 1290:15 | tie-lines |
| 9 1290:24 | 1495:20 | 1493:10 | 1295:1 | 1323:3 |
| 1300:4 | 1496:18 | 1498:23 | 1303:17,18 | till 1317:1 |
| 1317:2 | 1497:4,10, | 1501:12 | 1306:25 | timecard |
| 1318:25 | 14 1501:24 | 1504:9 | 1307:14 | 1465:21 |
| 1322:13 | 1502:14 | they've | 1309:23 | time-carding |
| 1324:23 | 1503:4 | 1271:4 | tho 1281:19 | 1463:25 |
| 1331:17,21 | 1505:1 | 1276:7 | 1324:7 | time-frame |
| ,22,23 | thermal | 1383:11 | 1360:11 | 1406:23 |
| 1333:18,25 | 1337:15,20 | 1475:5 | 1426:1 | timeline |
| 1334:1 | 1338:9,10, | 1482:23 | Thomson | 1399:6 |
| 1339:24 | 14,21 | third 1269:7 | 1385:17 | |
| 1342:1 | 1412:8 | 1330:17 | 1390:15 | |
| 1343:2,3 | 1501:17 | 1348:23 | | |
| | they'd | 1349:4 | | |
| | | 1361:5,12, | | |

| | | | | |
|--------------------|---------------------|---------------------|---------------------|---------------------|
| today | 1455:20 | 1340:3,8 | 1327:4,11, | 1397:10 |
| 1297:19 | 1456:3,5 | tran 1324:13 | 15 1333:17 | 1410:3 |
| 1343:4 | 1489:23 | trans | 1348:8 | 1414:15 |
| 1393:20 | 1503:18,21 | 1325:24 | 1363:2,4 | 1478:2 |
| 1395:22 | totally | transact | 1409:5,16 | 1512:1 |
| 1416:14 | 1356:19 | 1410:6,13 | 1410:6,13 | trying |
| 1430:6,19 | 1400:6 | 1317:17 | 1411:11,17 | 1261:10 |
| 1432:14 | 1466:2 | transaction | 1420:9,12 | 1348:6 |
| 1480:23 | 1486:18 | 1429:11 | 1429:11 | 1355:19,20 |
| today's | touted | 1255:2 | transport | 1401:15 |
| 1248:4 | 1383:13 | 1258:5 | 1344:21 | 1448:14 |
| 1415:19,22 | towards | 1262:24 | travel | 1449:6 |
| 1432:9 | 1269:11 | 1263:2 | 1386:16 | 1482:7 |
| 1433:8 | 1399:2,18 | 1266:14 | 1387:10 | Tuesday |
| 1474:19 | 1453:3 | 1326:2 | 1402:23 | 1253:10 |
| tomorrow | tower | transactions | 1405:21 | tune-up |
| 1278:14 | 1392:20 | 1252:4 | 1443:5 | 1334:3 |
| 1511:23 | 1393:25 | 1254:1,15, | treated | turbine |
| 1512:2 | 1394:4 | 20 1255:7 | 1500:19 | 1247:6,8,1 |
| tonne | 1395:17,21 | 1257:22 | treatment | 1 1252:9 |
| 1343:10,18 | towers | 1262:16 | 1445:18 | 1330:11,12 |
| 1344:2,8 | 1393:1 | 1266:8,12 | 1494:22 | , 14 |
| 1345:3 | 1394:10 | 1317:18 | tremendous | 1331:16,20 |
| top 1250:18 | towns 1358:4 | 1327:11,13 | 1320:19 | , 21 1332:5 |
| 1255:10 | Toyota | 1366:20 | 1390:24 | 1334:21 |
| 1256:13 | 1387:8 | TransAlta | trenching | 1335:3,4,1 |
| 1281:25 | track | 1384:5 | 1393:14,22 | 3,17,21 |
| 1333:15 | 1299:15 | Transcript | 1394:17,21 | 1336:4 |
| 1346:18 | 1399:2 | 1244:13 | 1395:5 | 1343:22 |
| 1445:7 | 1422:24 | transfer | trend | 1356:8 |
| topic | tracking | 1315:25 | 1319:25 | 1439:8 |
| 1486:24 | 1271:17 | 1323:13 | 1383:1 | turbines |
| Toronto | 1368:23 | 1362:18 | trending | 1253:11 |
| 1392:22 | 1369:10 | transition | 1284:5 | 1264:17 |
| total | 1373:1 | 1273:16 | 1382:25 | 1330:3,24 |
| 1260:10 | 1394:8 | 1296:7 | translated | 1331:6,13, |
| 1266:7 | 1399:18 | translate | 1276:12 | 18 |
| 1285:9 | tracks | 1306:17 | true 1412:15 | 1332:7,16 |
| 1286:25 | 1271:13 | 1403:13 | 1426:5 | 1333:3 |
| 1292:7 | trade | transmission | 1480:11 | 1334:6,11 |
| 1300:4 | 1263:15 | 1314:9,12 | truncating | 1344:20 |
| 1318:14 | traders | 1315:15 | 1274:19 | turn 1269:23 |
| 1325:4 | 1266:11 | 1322:12 | trusting | 1403:7 |
| 1386:19 | trading | 1323:4,5,1 | 1315:6 | 1449:20 |
| 1414:17 | 1314:16 | 0,13,16,23 | try 1260:13 | 1454:4 |
| 1426:2 | 1325:25 | 1324:9,13, | 1319:10 | 1460:8 |
| 1435:9 | 1326:10 | 14,18 | 1371:25 | 1472:21 |
| 1444:11 | training | 1325:8,16, | 1381:10 | 1493:17 |
| 1445:17 | | 19,24 | | 1499:22 |
| 1454:19,21 | | 1326:6,12, | | 1500:1 |
| , 22 | | 15,19,24 | | 1511:11 |

| | | | | |
|--|---|---|----------------------------------|--------------------------------|
| turning 1316:13 | 1417:10 | 1294:6 | undertaken 1375:18 | 1263:9,11 |
| turns 1337:12 | two-point 1444:20 | understand 1261:23 | 1387:24 | 1276:25 |
| Twain 1284:25 | type 1272:6 1284:1 | 1262:18 | 1437:23 | 1278:18 |
| twelve 1333:6,12, 13 1337:24 | 1393:7 | 1330:14 | undertaking 1282:12,16 | 1290:2,4 |
| 1350:8 | 1471:9 | 1340:17 | ,23 | 1296:22 |
| 1453:23 | 1496:18 | 1355:20,21 | 1307:20 | 1331:1 |
| twenty 1341:19 | 1499:18 | 1356:14 | 1308:1 | 1332:18,22 |
| 1343:16 | types 1271:21 | 1380:19 | 1310:4 | 1334:16 |
| 1344:24 | 1393:4 | 1383:9,22 | 1311:14 | 1336:14,22 |
| 1345:9 | 1449:5 | 1384:2 | 1313:8,18 | 1338:22 |
| 1346:21 | 1496:19 | 1387:6 | 1335:9 | 1339:3 |
| 1357:3 | typical 1271:6 | 1405:22 | 1336:1,2 | 1340:5,13 |
| 1413:3 | typically 1289:18 | 1433:12 | 1389:7 | 1379:11,18 |
| 1414:21 | 1471:12 | 1434:3 | 1396:9 | 1403:12,19 |
| 1416:13 | <hr/> U <hr/> | 1446:5 | 1436:24 | 1404:19,20 |
| 1417:8 | ultimately 1306:9,13, | 1449:1 | 1440:10,12 | 1406:16 |
| 1418:10 | 14 1411:3 | 1451:1 | undertakings 1244:4 | 1407:25 |
| 1420:3 | 1444:24,25 | 1463:6 | 1246:1 | United 1317:20 |
| 1422:17,20 | 1483:17 | 1469:16 | 1247:1 | 1323:8,10, |
| 1423:1,7 | un 1341:19 | 1477:1 | 1367:25 | 15 1327:5 |
| 1427:20 | uncertain 1309:17 | 1489:8 | undertook 1388:23 | 1336:22 |
| 1428:2 | uncertainty 1480:6 | 1490:3 | 1395:9 | 1341:7 |
| 1438:24 | 1492:6 | 1505:8 | units 1253:15 | 1495:22 |
| twenty-five 1419:7,12 | 1493:1 | understandin g 1271:19,20 | unexpected 1424:22 | 1496:11 |
| 1463:3 | 1494:21,23 | 1280:3 | unfair 1259:6 | units 1253:15 |
| twenty-four 1327:15 | 1495:13 | 1295:22,23 | unfilled 1406:6 | 1264:18 |
| twenty-nine 1498:8 | uncontrollab le 1507:9 | 1321:4 | unfold 1352:24 | 1333:16 |
| twenty-one 1337:21 | underground 1393:15 | 1347:6 | unknown 1344:23 | 1336:17 |
| 1338:15,23 | underlined 1372:19 | 1356:18 | unless 1263:15 | 1340:7 |
| twenty-seven 1455:13 | underlying 1449:4 | 1362:16 | units 1253:15 | 1385:13 |
| 1462:24 | underpinned 1301:5 | 1369:8 | units 1264:18 | 1391:11 |
| twenty-six 1463:8,10, 19 1464:3 | underpinning 1311:24 | 1371:17 | units 1264:18 | 1401:5 |
| twice 1330:11,13 | | 1384:7 | units 1264:18 | 1407:10 |
| 1331:17 | | 1434:10 | units 1264:18 | 1408:8,13 |
| | | 1460:13 | units 1264:18 | unknown 1344:23 |
| | | 1482:3 | units 1264:18 | unknown 1344:23 |
| | | 1483:6 | units 1264:18 | unknown 1344:23 |
| | | understandin gs 1319:22 | units 1264:18 | unknown 1344:23 |
| | | understood 1272:8,24 | units 1264:18 | unknown 1344:23 |
| | | 1429:12 | units 1264:18 | unknown 1344:23 |
| | | undertake 1313:12 | units 1264:18 | unknown 1344:23 |
| | | 1335:1 | units 1264:18 | unknown 1344:23 |
| | | 1388:14 | units 1264:18 | unknown 1344:23 |
| | | 1396:3 | units 1264:18 | unknown 1344:23 |
| | | 1436:14 | units 1264:18 | unknown 1344:23 |
| | | | unit 1260:15 | unprecedented 1429:2 |
| | | | | unprofitable 1265:22 |

| | | | | |
|-------------------------------|-------------------------------|------------------------------|---------------------------------|----------------------|
| unrelated 1486:18 | 1433:11 | 1500:22 | 1435:5 | 1292:12,21 |
| unsettle 1484:12 | usually 1270:11 | <hr/> V <hr/> | 1474:22 | 1293:1,5 |
| unsettled 1484:9,13 | utili 1380:2 | vacancies 1406:5 | 1495:9 | 1302:15 |
| upcoming 1402:11 | utilities 1242:3,20 | vacant 1405:25 | 1501:13 | 1311:1,6 |
| update 1246:3 | 1275:18 | 1406:4 | vary 1270:23,25 | 1312:7,12, 16,25 |
| 1282:16,23 | 1318:21 | valuable 1275:3 | 1271:5,24 | 1313:7,15 |
| 1285:6,14 | 1321:10 | value 1258:4 | 1280:22 | 1368:1,12, 16 |
| 1288:5 | 1329:19,20 | 1260:1,3,1 | 1303:20 | 1369:1,12 |
| 1289:8 | 1362:3,8 | 4,17 | 1457:7 | 1370:13 |
| 1349:22 | 1370:1 | 1261:4,11, 15,23 | varying 1272:4 | 1371:2,10, 15,21 |
| updated 1285:13 | 1373:2 | 1278:23 | vast 1256:21 | 1372:10,14, ,24 |
| 1291:17 | 1376:4,10, 14 | 1341:10,22 | 1266:8 | 1373:5,10, 13,18 |
| 1305:11 | 1377:3,7,1 | 1365:7 | venture 1464:22 | 1374:15,21 |
| 1350:23 | 0,24 | 1379:8 | ver 1382:25 | 1375:8,19, 25 |
| 1417:14 | 1378:9 | 1381:23 | vernacular 1365:10 | 1376:25 |
| 1449:23 | 1379:3,14, 21 | 1397:16 | versus 1331:11 | 1378:12 |
| 1450:18 | 1380:3 | 1418:23 | 1373:1,2 | 1380:13,23 |
| 1452:14 | 1381:4 | 1426:2 | 1378:24 | 1381:5,14, 18 |
| updates 1291:12 | 1382:1,3,1 | 1430:21 | 1380:15 | 1382:3,8 |
| 1368:19 | 6,24 | 1432:2,5,6 | 1382:23,25 | 1384:18 |
| 1450:15 | 1383:1,7,1 | ,8 1433:24 | 1384:12 | 1386:12 |
| updating 1289:21 | 4 1384:3 | 1434:7,16 | 1452:5 | 1387:14 |
| upgrades 1409:12,14 | 1421:20 | 1488:3 | view 1352:5,17, 23 | 1388:12,18 |
| ,16 | 1464:24 | 1495:11 | 1376:1,16 | 1389:4 |
| 1412:10 | 1469:18,24 | 1501:8 | 1398:12 | 1390:13 |
| Upon 1248:1 | 1471:10,13 | valued 1260:20 | 1399:4 | 1393:12 |
| 1327:24,25 | 1477:3,15 | 1341:12 | 1447:10 | 1395:20 |
| 1367:19,20 | 1479:4,13 | valve 1254:9 | 1449:15 | 1396:6,22 |
| 1446:24,25 | 1480:11,12 | variability 1284:2 | 1483:4 | 1397:2,13, 18 |
| 1512:6 | 1488:13 | variance 1468:14 | views 1352:25 | 1398:13 |
| upshot 1373:14 | 1491:16 | 1498:11 | 1353:1,4 | 1399:8,15, 23 |
| up-sizing 1247:11 | 1493:18,20 | variations 1274:14 | vigilant 1402:5 | 1400:2,6,2 2 |
| 1335:20 | ,25 | varies 1333:6 | VINCE 1244:7 | 1401:11,22 |
| 1336:4 | 1494:5,8,1 | 1364:16 | 1250:8 | 1402:2,9,2 1,25 |
| upwards 1420:2 | 5 | various 1274:23 | 1287:18,25 | 1403:6,11, 20,25 |
| users | 1495:2,15 | 1287:1 | 1288:7,11 | 1404:10,14 |
| | 1496:10 | 1318:10 | 1289:5 | 1405:12,15 ,19,23 |
| | 1505:3,5 | 1362:2 | 1290:13,20 | 1406:2,9,1 3,21 |
| | utility 1264:1 | | 1291:3,10, 23 | 1407:3,16, 23 |
| | 1275:17 | | | 1408:5,24 |
| | 1296:1,3 | | | 1409:9,11, |
| | 1326:4,7 | | | |
| | 1363:13 | | | |
| | 1378:17,24 | | | |
| | 1427:8 | | | |
| | 1465:1,10 | | | |
| | 1471:9 | | | |
| | 1496:14 | | | |

| | | | | |
|------------|---------------------|------------|------------|---------------------|
| 23 | 1503:1,3 | 19 | 1399:7,8,1 | 1451:12,13 |
| 1410:11,21 | 1509:17 | 1289:1,5 | 5,23 | ,19,24 |
| 1411:2,8,1 | 1510:22 | 1290:13,20 | 1400:2,6,1 | 1452:3,8,1 |
| 6 | 1511:7 | 1291:3,10, | 0,22 | 1,18,22 |
| 1412:3,14 | 1512:1 | 23 | 1401:11,22 | 1454:3 |
| 1413:1,22 | virtue | 1292:12,21 | 1402:2,9,2 | 1455:5 |
| 1414:6,12 | 1447:24 | 1293:1,5,1 | 1,25 | 1457:12 |
| 1415:1,6,9 | visible | 4 1301:4 | 1403:4,6,1 | 1459:3,16, |
| ,21 | 1314:24 | 1302:2,15 | 1,16,20,25 | 20 1462:6 |
| 1416:4,10, | volatile | 1311:1,6,2 | 1404:10,14 | 1463:3 |
| 21 | 1262:13 | 2 | 1405:11,12 | 1466:1 |
| 1417:3,11, | 1358:11 | 1312:7,12, | ,15,19,23 | 1469:11,16 |
| 24 | 1499:10 | 16,25 | 1406:2,9,1 | ,20 |
| 1418:2,6,1 | volatility | 1313:7,12, | 3,21 | 1471:12,16 |
| 5 1421:16 | 1354:17 | 15 | 1407:3,15, | ,18,25 |
| 1423:14 | 1355:5,7,1 | 1359:14,21 | 16,23 | 1472:5 |
| 1425:15,20 | 2,14,16 | 1367:25 | 1408:5,24 | 1475:9,16, |
| 1427:2,12 | 1356:11 | 1368:1,12, | 1409:9,11, | 19,22 |
| 1428:5,22 | volume | 15,16 | 23 | 1476:14 |
| 1429:19 | 1268:4 | 1369:1,9,1 | 1410:11,21 | 1484:4,5 |
| 1430:1,7 | 1296:16 | 2 | 1411:2,8,1 | 1485:19 |
| 1431:3,8,1 | 1365:17 | 1370:7,10, | 6,23 | 1487:16 |
| 2,19 | 1386:4 | 13,19,25 | 1412:3,14, | 1488:9,13 |
| 1433:15,21 | 1424:21 | 1371:2,6,1 | 19 | 1490:1,8,1 |
| 1436:2 | volumes | 0,12,15,17 | 1413:1,22 | 9 1491:6 |
| 1438:1 | 1253:21,24 | ,21 | 1414:6,12, | 1492:23,24 |
| 1439:3 | 1254:12 | 1372:4,10, | 20 | 1493:6 |
| 1441:14 | 1337:15 | 14,24 | 1415:1,6,9 | 1494:9 |
| 1449:21 | <hr/> | 14,24 | ,16,21 | 1497:19,20 |
| 1450:13,23 | W | 1373:5,10, | 1416:4,10, | ,21,23 |
| 1451:13,19 | wage 1379:14 | 13,18 | 21 | 1499:22 |
| ,24 | 1461:1 | 1374:15,21 | 1417:3,11, | 1500:4,17, |
| 1452:3,11, | 1467:16 | 1375:8,18, | 20,24 | 23 |
| 18,22 | wages | 19,25 | 1418:2,6,1 | 1502:18,20 |
| 1459:3,16, | 1442:18 | 1376:23,25 | 5 1420:1 | ,22 |
| 20 1462:6 | 1454:13 | 1378:12 | 1421:16 | 1503:1,3 |
| 1463:3 | 1455:2 | 1380:13,23 | 1423:14 | 1509:17 |
| 1466:1 | 1456:3 | 1381:4,5,1 | 1425:15,20 | 1510:18,22 |
| 1469:20 | 1457:16 | 4,18 | 1426:10 | 1511:7,25 |
| 1471:12,16 | 1459:25 | 1382:3,8 | 1427:2,12 | 1512:1 |
| ,18,25 | 1467:4 | 1383:20 | 1428:5,22 | warm 1309:18 |
| 1472:5 | waiting | 1384:18 | 1429:19 | wasn't |
| 1475:19,22 | 1482:14 | 1385:7 | 1430:1,7 | 1254:14 |
| 1476:14 | Warden | 1386:12 | 1431:3,8,1 | 1287:9 |
| 1484:5 | 1244:7 | 1387:14 | 2,19 | 1301:17,18 |
| 1485:19 | 1250:8 | 1388:11,12 | 1433:15,21 | ,23 |
| 1487:16 | 1270:1,6 | ,18 | 1436:2 | 1302:22 |
| 1488:9 | 1287:18,25 | 1389:4,5 | 1438:1 | 1364:5 |
| 1490:1,8,1 | 1288:7,11, | 1390:13 | 1439:3 | 1402:3 |
| 9 1491:6 | | 1391:25 | 1441:14 | 1423:22 |
| 1492:24 | | 1393:12 | 1447:6 | 1433:19 |
| 1493:6 | | 1395:15,20 | 1449:21 | 1443:19 |
| 1497:20,23 | | 1396:6,22 | 1450:4,13, | 1476:5 |
| 1502:18,22 | | 1397:2,13, | 23 | |
| | | 18 1398:13 | | |

| | | | | |
|---------------------|---------------------|------------|---------------------|-------------------|
| 1507:23 | weekend | 1267:13,14 | 1439:24 | 1497:13,17 |
| waste | 1248:5,10 | 1273:12 | 1444:15 | 1499:15 |
| 1331:20 | 1249:22 | 1275:17 | 1448:14 | 1503:18 |
| water 1259:2 | 1370:3 | 1294:23 | 1449:4 | 1510:8 |
| 1262:8 | weeks 1304:4 | 1295:8 | 1450:14 | whatever |
| 1263:10,18 | 1401:21 | 1306:12,14 | 1451:1,3 | 1292:24 |
| ,21 1264:1 | 1402:6,18 | 1309:21 | 1465:2,3,4 | 1334:9 |
| 1265:12 | weight | 1323:5 | 1484:17 | 1343:2 |
| 1268:3,6,1 | 1259:17 | 1324:6,8,1 | 1487:12 | 1384:5 |
| 1,16 | 1353:11 | 5 1325:15 | 1489:1 | 1392:21 |
| 1296:8 | weighted | 1327:9 | 1490:21 | 1476:12 |
| 1297:2,23 | 1269:11 | 1333:9,10 | 1492:25 | 1486:21 |
| 1299:6 | 1272:16 | 1338:16,17 | 1493:2 | whatsoever |
| 1300:23 | 1378:3 | ,18,20 | 1494:12 | 1423:12 |
| 1301:4 | weighting | 1340:6,7,1 | 1497:12 | whenever |
| 1305:23 | 1272:18,20 | 2,14 | 1503:14 | 1425:3 |
| 1307:13 | 1291:1 | 1341:21 | 1505:8 | whereas |
| 1309:16 | weightings | 1342:25 | 1508:3,13, | 1317:18 |
| 1312:20 | 1272:13 | 1345:24,25 | 19,20 | 1330:15 |
| 1322:14,24 | welcome | 1348:16 | 1509:18,20 | 1412:10 |
| 1340:20 | 1373:7 | 1353:9,12, | 1510:1,7,8 | 1424:5 |
| 1364:17 | we'll 1252:9 | 15 1358:10 | ,12,23 | 1463:20 |
| 1378:18,21 | 1253:12 | 1364:15 | 1511:18 | 1464:14 |
| 1424:20 | 1300:1 | 1366:14 | Western | 1470:2 |
| 1425:9 | 1303:17 | 1367:5,6,2 | 1380:2 | whereby |
| 1426:1 | 1310:9,10 | 2 | we've 1271:5 | 1430:13 |
| 1429:14 | 1313:15 | 1368:22,23 | 1281:24 | 1510:24 |
| 1439:10,14 | 1336:6 | 1369:4 | 1290:1 | where's |
| ways | 1373:4 | 1371:5 | 1297:24 | 1338:16 |
| 1385:13,15 | 1403:15 | 1376:19 | 1307:4 | whether |
| 1391:2,14 | 1407:10 | 1378:19,22 | 1310:4 | 1246:7,14 |
| 1392:4 | 1419:4 | 1379:17 | 1322:10,22 | 1258:17,19 |
| 1394:23 | 1426:15,17 | 1382:25 | ,23 1323:9 | 1259:4,5 |
| 1469:12 | 1427:5 | 1388:5 | 1359:1 | 1260:7,24 |
| 1495:21 | 1434:15 | 1391:9,21 | 1360:13 | 1261:18,22 |
| weather | 1436:19 | 1392:3 | 1361:8 | 1262:9 |
| 1262:9 | 1439:5 | 1394:8 | 1370:4 | 1264:21 |
| 1458:10 | 1447:19 | 1395:4,7 | 1376:18,19 | 1268:4,5 |
| weather- | 1456:24 | 1397:4,5 | 1377:1,16 | 1271:14 |
| related | 1486:21 | 1398:17,25 | 1379:1 | 1272:15 |
| 1458:11 | 1510:17 | 1399:18 | 1382:16,18 | 1282:19 |
| website | we're 1248:3 | 1401:14 | 1383:6 | 1283:5 |
| 1267:2 | 1250:16 | 1417:16 | 1424:1,3,5 | 1291:23 |
| 1299:20 | 1252:12 | 1418:25 | ,20 | 1308:8 |
| we'd 1282:16 | 1254:2,3 | 1420:1 | 1425:25 | 1310:6 |
| week 1269:10 | 1257:15 | 1422:3 | 1438:2,3 | 1353:20 |
| 1286:21 | 1258:23 | 1423:2 | 1448:16 | 1366:24 |
| 1296:5 | 1263:15 | 1424:11 | 1456:6 | 1378:22 |
| 1306:5 | 1264:24,25 | 1427:16 | 1465:7 | 1380:10 |
| 1475:17 | 1265:8 | 1429:4 | 1476:15 | 1382:12 |
| | | 1430:7 | 1488:6 | 1400:7 |
| | | 1433:5,16 | 1493:19 | |
| | | 1438:11,12 | 1495:19 | |
| | | ,15 | | |

| | | | | |
|---------------------|---------------------|---------------------|---------------------|---------------------|
| 1410:19 | 1439:23 | worry | 1424:6,12, | you've |
| 1415:23 | 1440:2 | 1323:14 | 16 | 1254:13 |
| 1421:5 | wish 1389:21 | worse 1292:4 | 1448:6,13 | 1281:24 |
| 1437:22 | wishes | wring | 1451:1,3,1 | 1287:1 |
| 1445:11 | 1446:20 | 1401:15 | 5 | 1296:15 |
| 1464:21 | withdrawing | write | 1452:10,17 | 1303:4 |
| 1469:25 | 1318:23 | 1418:21 | 1453:9,20 | 1316:16 |
| 1482:16 | withstand | 1421:5 | <hr/> | 1318:12 |
| 1483:10 | 1428:11 | 1422:3 | Y | 1319:21 |
| 1487:22 | 1486:4 | 1479:13 | year-over- | 1340:18 |
| 1490:10 | wonder | 1493:9 | year | 1345:17 |
| 1493:8,10 | 1248:5 | 1506:9,18, | 1402:4 | 1348:20 |
| 1497:8 | 1386:7 | 20 1508:9 | year-to-year | 1351:23 |
| whole 1261:7 | wondering | write-downs | 1295:13 | 1397:10 |
| 1357:22 | 1366:1 | 1479:25 | 1382:12 | 1412:20 |
| 1445:2,3 | 1378:8 | writeoff | 1425:1 | 1414:23 |
| 1483:12 | 1393:3 | 1492:5,7 | Yep 1365:12 | 1415:3,20 |
| 1486:24 | 1457:20 | 1505:23 | yet 1287:8 | 1445:8 |
| 1494:18 | work 1268:8 | write-off | 1297:5 | 1456:1 |
| 1504:3 | 1270:15 | 1421:9,25 | 1359:15 | 1460:24 |
| whose 1346:5 | 1366:2,3 | 1507:22,25 | 1369:24 | 1488:17 |
| 1440:23 | 1367:9 | 1508:5 | 1400:9,14 | 1496:21 |
| William | 1386:24 | 1509:6,10, | 1408:13 | 1504:7 |
| 1243:9 | 1390:8 | 20 1510:12 | 1492:25 | 1505:7,17 |
| Williams | 1458:21 | write-offs | <hr/> | Z |
| 1243:7 | 1494:11 | 1500:20 | yield | zero 1251:22 |
| 1395:2 | 1506:7,8 | writing | 1485:16 | 1263:19 |
| willing | workers | 1421:2 | you'll | 1361:1 |
| 1381:16 | 1380:3 | 1494:22 | 1249:11 | 1406:15,18 |
| 1384:20 | 1408:9 | 1496:20 | 1253:20 | ,22 |
| wind | workforce | 1505:19 | 1294:24 | 1407:5,7,9 |
| 1265:6,8 | 1391:15 | 1509:15 | 1382:11 | 1453:14 |
| 1269:11,19 | working | 1510:1 | 1389:1 | 1459:22 |
| 1320:6,19, | 1278:14 | written | 1399:21 | |
| 20 1341:13 | 1366:6 | 1419:9 | 1405:2 | |
| 1347:10,23 | 1386:21 | 1420:17 | 1432:3 | |
| 1348:2,4 | 1389:24 | 1480:4 | 1434:22 | |
| Winnipeg | 1496:7 | 1503:12 | 1448:4 | |
| 1242:22 | works 1506:8 | 1506:1 | 1489:15 | |
| 1243:16 | world | 1507:1,14 | yours | |
| 1392:19 | 1278:12 | 1510:8 | 1314:24 | |
| 1502:16 | 1284:22 | Wuskwatim | yourself | |
| winter | 1358:9,11 | 1269:15,16 | 1334:3 | |
| 1307:11 | 1423:17 | 1280:24 | 1377:21 | |
| 1309:18 | 1474:6,19, | 1282:1 | 1382:6,7 | |
| 1354:6 | 20 1483:14 | 1283:13 | 1400:11 | |
| wiring | worried | 1409:2 | 1428:7 | |
| 1361:10 | 1356:14 | 1423:11,15 | 1495:21 | |
| Wisconsin | | ,24 | yourselves | |
| | | | 1356:21 | |