

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: CENTRA GAS
 COST OF GAS APPLICATION

Before Board Panel:
 Graham Lane - Board Chairman
 Monica Girouard - Board Member
 Mario Santos - Board Member

HELD AT:
 Public Utilities Board
 400, 330 Portage Avenue
 Winnipeg, Manitoba
 September 16th, 2004
 Volume V
 Pages 872 to 1105

APPEARANCES

1
2
3 R.F. Peters)Board Counsel
4
5 Marla Murphy)Centra
6
7
8 Kris Saxberg)Canadian Association of
9 Consumers, Manitoba Society
10 of Seniors (CAC/MSOS)
11
12 Bill Carroll)MacDon Industries Ltd.
13
14 David Brown)Municipal Gas/Direct
15 Karen Melnychuk Energy
16
17 Nick Gretener)Simplot Canada
18
19 Carol Wilkinson)Court Reporter
20
21
22
23
24
25

| | TABLE OF CONTENTS | |
|----|---|----------|
| | | Page No. |
| 1 | | |
| 2 | | |
| 3 | | |
| 4 | List of Exhibits | 875 |
| 5 | List of Undertakings | 876 |
| 6 | | |
| 7 | CENTRA PANEL, Resumed | |
| 8 | Examination In-Chief By Ms. Marla Murphy | 880 |
| 9 | Cross-Examination By Mr. Bob Peters | 891 |
| 10 | Cross-Examination By Mr. Kris Saxberg | 964 |
| 11 | Cross-Examination By Mr. Bill Carroll | 1005 |
| 12 | Cross-Examination By Mr. Nick Gretener | 1009 |
| 13 | | |
| 14 | DAVID HAWK, Sworn | |
| 15 | DON READING, Sworn | |
| 16 | HANI RIAD, Sworn | |
| 17 | | |
| 18 | Examination In-Chief By Mr. Nick Gretener | 1057 |
| 19 | Cross-Examination By Mr. Kris Saxberg | 1069 |
| 20 | Cross-Examination By Ms. Marla Murphy | 1085 |
| 21 | Cross-Examination By Mr. Bob Peters | 1092 |
| 22 | | |
| 23 | Certificate of Transcript | 1105 |
| 24 | | |
| 25 | | |

| 1 | LIST OF EXHIBITS | | |
|----|------------------|--|----------|
| 2 | Exhibit No. | Description | Page No. |
| 3 | PUB-8 | Worksheet of the Unaccounted -for Gas Study, prepared by the Board Advisors, being Tab Number 16 in the Book of Documents. | 930 |
| 8 | | | |
| 9 | | | |
| 10 | | | |
| 11 | | | |
| 12 | | | |
| 13 | | | |
| 14 | | | |
| 15 | | | |
| 16 | | | |
| 17 | | | |
| 18 | | | |
| 19 | | | |
| 20 | | | |
| 21 | | | |
| 22 | | | |
| 23 | | | |
| 24 | | | |
| 25 | | | |

| | LIST OF UNDERTAKINGS | | |
|----|----------------------|-----------------------------------|----------|
| | Undertaking No. | Description | Page No. |
| 1 | | | |
| 2 | | | |
| 3 | 13 | Show method of allocation on | |
| 4 | | the distribution transmission | |
| 5 | | maintenance costs that are | |
| 6 | | charged through to Simplot. | 963 |
| 7 | 14 | Ms. Derksen to supply information | |
| 8 | | with respect to allocations used | |
| 9 | | before the 1996 Hearing. | 975 |
| 10 | 15 | Prepare revised version of | |
| 11 | | PUB 14(c) Attachment with | |
| 12 | | the current numbers taking | |
| 13 | | into account the new volume | |
| 14 | | forecast for special contract. | 998 |
| 15 | 16 | What would the dollar impact | |
| 16 | | would be if the allocation was | |
| 17 | | 55 percent using the report and | |
| 18 | | 45 percent based purely on | |
| 19 | | volumetric. | 1002 |
| 20 | | | |
| 21 | | | |
| 22 | | | |
| 23 | | | |
| 24 | | | |
| 25 | | | |

1 --- Upon commencing at 8:07 a.m.

2

3 THE CHAIRPERSON: Good morning everyone.
4 Welcome to day five (5). Yesterday we finished cross on high
5 volume firm from Mr. Carroll. In Mr. Carroll's cross in his
6 client's presentation there was an inference that decisions
7 on high volume could be a slam-dunk and that their time in
8 this process may have been wasted.

9 I want to assure Mr. Carroll and his client
10 that their concerns with respect to that issue are baseless.
11 Mr. Carroll as well as other Intervenors and Centra have an
12 opportunity and are expected to address the issue of high
13 volume firms in closing comments.

14 Following which the Board will review all of
15 the evidence and submissions and deliberate to reach a
16 decision that the Board believes to be just and reasonable
17 and in the public interest. Mr. Carroll admitted yesterday
18 that he has much to learn in respect of the regulatory issues
19 and processes impacting his client.

20 We trust that he has and is learning through
21 his participation in the process and should he have further
22 questions as to the process, jurisdiction and technical
23 matters, he is most welcome to seek assistance from the Board
24 advisors.

25 Mr. Peters, do you want to make some further

1 introductions and give us the lay of the land where we are
2 today?

3 MR. BOB PETERS: Yes, thank you and good
4 morning. You called it day 5, it almost reminded me of the
5 school days and the garbage cycled in my home but I don't
6 want to go there. What I do want to do is remind people that
7 for Thursday, September 16th we've set aside some -- some
8 time today to address one of the issues raised by one of the
9 Intervenors.

10 Specifically unaccounted for gas issues are on
11 the -- on the Board's agenda for this morning and likely part
12 of this afternoon. And what we will start with this morning,
13 Mr. Chairman, is the direct evidence from the Centra Panel
14 that's before you and was before you yesterday.

15 Ms. Murphy will have questions and introduce
16 the issue and Centra's evidence on unaccounted for gas.
17 Centra's Panel will then be cross-examined and I will go
18 first followed by Intervenors if they have any questions.
19 And then Simplot's counsel being one of the Intervenors, is
20 the last on the Intervenor list to cross-examine.

21 Once the Centra Panel has been cross-examined,
22 we will turn it over to Mr. Nick Gretener who joins us today.
23 And Mr. Gretener will introduce his witnesses and his
24 witnesses will be Mr. David Hawk, Dr. Don Reading and also
25 Mr. Hani Riad. They are with him at the table today and he

1 will introduce them and he will lead their direct evidence.

2 Once his witnesses have given the Board their
3 direct evidence, they will be cross-examined firstly by
4 Intervenors, if there any Intervenors that have questions,
5 followed by Centra's cross-examination and then I will go
6 last in that order.

7 And once we have concluded on the cross-
8 examination of the witnesses on behalf of Simplot Canada
9 Limited, then we'll revert back to where we were yesterday
10 and I'll pick it up with this Panel and deal with some issues
11 that I have outstanding.

12 Now, I've -- I'll leave it to Mr. Gretener to
13 specifically introduce his witnesses and they will be sworn
14 in due course. But I also note that this morning one of the
15 -- one of -- I'll call him one of my mentors even though he
16 was always across the room and that's Mr. Gary Meyer has
17 joined us.

18 I was joking this morning with Mr. Meyer and
19 telling him that if I asked a question this morning that is
20 considered a silly question, a stupid question, that I'm
21 going to have to say, well, Mr. Meyer told me it was a good
22 question. So, we'll see how he's taught me over the years
23 but I do welcome him to the hearing room and it's good to see
24 him again.

25 So, Mr. Chairman, I suggest you turn it over

1 to Ms. Murphy, she will introduce her Panel, I don't believe
2 there's any changes but will address the issue through direct
3 examination on unaccounted for gas and we'll continue at that
4 point.

5 THE CHAIRPERSON: Thank you, Mr. Peters. Ms.
6 Murphy...?

7 MS. MARLA MURPHY: Good morning. Thank you.
8 I just wanted to mention that when I refreshed the
9 introductions yesterday morning, I neglected to refresh the
10 back row and there's a new fact back there that I should
11 bring to your attention.

12 Ms. Kathleen Anderson is a rate analyst and
13 she's working in support of Ms. Derksen and Mr. Barnlund
14 today. I also was going to note for the record that Ms.
15 Derksen had brought out the heavy artillery today and Mr.
16 Meyer was back so we're all so very pleased to see him here
17 today.

18 The Panel having been sworn, we are ready to
19 proceed with direct.

20 THE CHAIRPERSON: Please.

21

22 (PANEL RESUMES)

23

24 EXAMINATION IN-CHIEF BY MS. MARLA MURPHY:

25 MS. MARLA MURPHY: Ms. Derksen, could you

1 please describe what changes have been made with respect to
2 the allocation of UFG?

3 MS. KELLY DERKSEN: Good morning everyone.
4 If you didn't get enough of me yesterday, I'm back to torture
5 you again today. Centra pays its suppliers for the amount of
6 gas received from the TCPL system and collects revenues from
7 customers for the delivery of that gas.

8 To recognize the differences that exist
9 between the amount of gas supplied and the amount of gas
10 delivered, Centra forecasts the expected level of unaccounted
11 for gas annually and recovers the cost of UFG as part of its
12 volumetric distribution to customer rate.

13 Any differences between the forecast cost of
14 UFG and the actual cost of UFG is accumulated in a PGVA and
15 later disposed of through a rate-rider added to the
16 volumetric distribution to customer rate.

17 The cost of UFG is currently allocated to
18 customer classes on a weighted volumetric basis. The SGS and
19 LGS classes are weighted twice their volumes while all other
20 classes received a weighting of one (1).

21 As a result of the UFG review, Centra's
22 proposing to allocate UFG to each specific customer class
23 based on the weightings determined in the UFG study for the
24 identified UFG. A table outlining the proposed weightings
25 with respect to the allocation of UFG is provided at page 9

1 of Tab 7.

2 In the case of the special contract class,
3 Centra's proposal will reduce the allocation of total UFG
4 from 12.8 percent to 5.7 percent.

5 MS. MARLA MURPHY: Ms. Derksen, are you aware
6 of the UFG allocation methodology used by gas distribution
7 companies in Canada.

8 MS. KELLY DERKSEN: Yes. Gas distribution
9 companies in Canada, for the most part, allocate UFG among
10 rate classes on an unweighted volumetric basis. Based on an
11 unweighted volumetric treatment the special contract class
12 would receive an allocation of 18.7 percent of UFG.

13 MS. MARLA MURPHY: Simplot has suggested an
14 alternative proposal with respect to the allocation of UFG;
15 can you explain to the Board your concerns with respect to
16 those alternative allocators?

17 MS. KELLY DERKSEN: Simplot has recommended
18 an allocation of UFG of 2.8 percent based upon its review of
19 the replacement value of the system that serves it. This rec
20 -- this recommendation, as well as several other physical and
21 financial indicators suggested in their evidence, is not
22 appropriate as these indicators do not correlate well with
23 the factors which cause UFG.

24 MS. MARLA MURPHY: Could you please describe
25 the implications of Simplot's proposal as it relates to rate

1 making?

2 MS. KELLY DERKSEN: It is a fundamental
3 principle of rate making that all customers with similar
4 characteristics are treated equally no matter where they
5 choose to reside in Centra's service -- service area in
6 Manitoba.

7 This postage stamp rate making philosophy req
8 -- requires that customers in any given rate class receive
9 the same level of service and pay the same uniform rates as
10 any other customer in that rate class.

11 The implication of Simplot's proposal is to
12 move away from the postage stamp philosophy, for at least the
13 special contract class, in favour of a distance based or
14 incremental cost approach.

15 This is not appropriate with a system that has
16 a significant amount of common costs. That portion of UFG
17 which cannot be directly assigned to a particular or class is
18 one such joint or common cost which must be allocated fairly
19 among customer classes by applying judgment based upon the
20 best information available.

21 Applying the percentage of UFG cost
22 responsibility on a class-by-class basis and then allocating
23 the total UFG to all customer classes in this manner is a
24 logical methodology consistent with the postage stamp
25 philosophy and is, in fact, the method -- methodology

1 advocated by Dr. Reading on page 4 of his evidence when he
2 suggests that the first step is to assign any directly
3 applicable costs to a customer or a customer class and then
4 to allocate the remaining shared costs.

5 MS. MARLA MURPHY: Thank you, Ms. Derksen.
6 Mr. Barnlund, would you please outline your areas of
7 responsibility with respect to this Application.

8 MR. GREG BARNLUND: Good morning, Mr.
9 Chairman, members of the Public Utilities Board, ladies and
10 gentlemen. In my testimony I will be providing evidence
11 regarding the unaccounted for gas review.

12 MS. MARLA MURPHY: Mr. Barnlund, could you
13 please explain the circumstances that led to Centra's recent
14 UFG study?

15 MR. GREG BARNLUND: Yes. In 2001 Centra's
16 special contract customer appeared before the PUB during the
17 2001/'02 cost of gas proceeding to oppose Centra's allocation
18 of UFG.

19 This customer was, at that time, experiencing
20 an increase in their rates resulting from both an increase in
21 the cost of UFG and an increase in their annual throughput.

22 The PUB was of the view that Centra's
23 allocation of UFG was fair and reasonable and it approved
24 Centra's rate request. The PUB also encouraged Centra to
25 determine whether other alternatives could be pursued to

1 ensure the special-contract customers' share of UFG is
2 properly allocated.

3 Centra initiated a review of the UFG
4 allocation methodology in mid-2003. Several meetings were
5 held with a special-contract customer to ensure a common
6 understanding of the UFG allocation process, and an
7 understanding of the study that was being undertaken.

8 MS. MARLA MURPHY: And how did Centra
9 approach this review?

10 MR. GREG BARNLUND: Centra undertook a
11 comprehensive system-wide study of the causes of UFG that
12 considered the characteristics of all customer classes, in
13 regard to their potential cost responsibilities.

14 The study determined that UFG is caused by a
15 number of factors, such as measurement accuracy, barometric
16 pressure effects, differences in base temperature and
17 pressure, super compressibility, pressure-factor metering,
18 gas temperature effects, physical loss and fugitive
19 emissions, and customer billing practices.

20 The Centra Study was performed by examining
21 each potential cause for its contribution to UFG on a class-
22 by-class basis. Several causes were recognized as being
23 attributable to some, but not all customer classes. These
24 were reflected in the summation of the amount of identifiable
25 UFG that could be estimated for each cause in each customer

1 class.

2 In the end the study was able to identify and
3 allocate approximately 55 percent of the average UFG on the
4 system.

5 MS. MARLA MURPHY: What were the results of
6 Centra's UFG review?

7 MR. GREG BARNLUND: It has been determined
8 that most of the difference between volume receipts and
9 deliveries, is related to the normal and acceptable level of
10 tolerance associated with industry standard practices as they
11 relate to gas measurement and billing.

12 The study found that approximately 70 percent
13 of the identified UFG was related to measurement tolerances,
14 which occur within the parameters mandated by Measurement
15 Canada. Other factors contribute approximately 18 percent to
16 the ident -- identifiable amount of UFG.

17 A relatively small portion, approximately 12
18 percent of identifiable UFG, can be attributed to the
19 physical loss of gas through fugitive emissions or
20 operational venting. This finding is consistent with the
21 results of other studies conducted by American gas
22 distribution companies in the past.

23 MS. MARLA MURPHY: Mr. Barnlund, you've
24 indicated that the Review was able to identify 55 percent of
25 UFG; is that an acceptable result?

1 MR. GREG BARNLUND: Yes, it is an excellent
2 result. UFG is, by its very nature, difficult to break down
3 into its contributing components. This Study improved on a
4 previous study which Centra performed in 1991, because at
5 that time Centra was able to identify the causes of 40
6 percent of UFG.

7 Since that time, the company has implemented
8 technologies and undertaken other initiatives that have
9 provided better information for the study of UFG. For
10 example, the company has performed a great deal of work on
11 quantifying physical losses and emissions, as part of our
12 participation, in voluntary green-house gas emissions
13 reporting.

14 In addition, the wider deployment of SCADA
15 systems and advanced metering technologies, have provided the
16 capability to obtain specific data that is useful in
17 understanding gas metering in actual operating conditions.

18 MS. MARLA MURPHY: With regard to the study
19 of measurement accuracy, could you please outline for the
20 Board, the approach that Centra took?

21 MR. GREG BARNLUND: Yes. There are
22 significant complexities associated with gas measurement
23 which must be considered. When gas is measured through a
24 metering device, the temperature and pressure of the gas must
25 be taken into consideration, in order to correctly calculate

1 the volume of gas delivered.

2 Therefore, the process of gas measurement
3 utilizes, in addition to the base metering device itself, a
4 system of components to sense and correct for gas
5 temperature, and to regulate or sense and correct for
6 pressure.

7 Centra's study of measurement accuracy was
8 based upon metre accuracy results obtained from the meter
9 proving tests performed on each base metre prior to its
10 installation in the field, or from meter proving tests done
11 as part of Centra's overall measurement compliance program.

12 While the available data only referred to the
13 base metre itself, other components of the measurements
14 system described above, while each exhibit some additional
15 natural variability, and will contribute additional variation
16 to the base metre measurement.

17 In addition, meter testing facilities and the
18 devices used to prove and calibrate all of these will be
19 subject to their own operating tolerances that contribute to
20 the overall level of variability. These factors, when taken
21 in totality, contribute to a range of uncertainty in terms of
22 measurement results.

23 In addition to the study of measurement
24 accuracy -- sorry, in addition, the study of measurement
25 accuracy must taken into consideration the actual flow rate

1 conditions experienced by the meter as the meter proving
2 tests usually report the accuracies at only two (2) different
3 flow rates.

4 Centra's analysis discovered that customers,
5 particular in large volume classes, may experience flow rates
6 low -- low enough to negatively affect measurement accuracy
7 from time to time. This discovery warranted the application
8 of judgment to the available meter accuracy data to reflect
9 the actual operating conditions that are experienced.

10 The accuracy data for the meters was analysed
11 to determine the mean and the standard deviation. While the
12 mean of the meter data indicates the average accuracy of all
13 the base meters tested, the standard deviation describes the
14 extent to which the results are dispersed about the mean.

15 Centra used its judgment, based on the
16 influencing factors I've just described, and assigned a
17 measurement accuracy obtained by taking the accuracy, one
18 standard deviation below the mean or average accuracy in most
19 cases.

20 In the case of turbine meters, the company
21 assigned an accuracy of two (2) standard deviations below the
22 mean. In other words, the study assigned a somewhat larger
23 loss estimate to each family of meters that would -- then
24 would be found if only the mean was used.

25 However, this is reasonable in light of the

1 factors that influence measurement accuracy in real life.

2 MS. MARLA MURPHY: Mr. Barnlund, Simplot has
3 suggested that Centra initiate a six (6) month trial of gas
4 measurement gain and loss for the portion of the system
5 serving their Brandon facility; what is Centra's response to
6 that suggestion?

7 MR. GREG BARNLUND: Simplot's suggestion is
8 based upon the incorrect premise that Simplot is being served
9 by a simple bullet pipeline with one (1) entry and one (1)
10 exit point; this is not the case.

11 Simplot's plant is served along a common
12 pipeline with some one thousand, six hundred (1,600) other
13 customers in the southwest portion of Manitoba. In addition
14 to those customers, all of the gas customers in the City of
15 Brandon receive their gas through the same entry point at the
16 TransCanada Pipeline at Rapid City, Manitoba.

17 All of the gas consumed by these customers
18 flows through TransCanada's meter. The calculation of UFG
19 involves comparing the amount of gas received from
20 TransCanada with the amount of gas billed to customers over
21 the course of a year.

22 The gas receipts for the TransCanada take-off
23 include, in addition to the requirements for the Simplot
24 plant, all of the gas consumed by the customers in the City
25 of Brandon and the communities in the southwest part of the

1 province.

2 Therefore, while there may be one (1) entry
3 point on the system there are many thousands of exit points
4 in addition to the one at the Simplot plant and, as such,
5 Centra cannot measure UFG specifically for Simplot or for any
6 other individual customer on the system.

7 The study undertaken in the past year by
8 Centra is a comprehensive one and further study on one (1)
9 portion of the system as suggested by Simplot will not
10 produce any better or more accurate information.

11 MS. MARLA MURPHY: Thank you, Mr. Barnlund.

12 Mr. Chairman, that concludes our direct and
13 the Panel's available to be cross-examined.

14 THE CHAIRPERSON: Thank you, Ms. Murphy, the
15 Panel. Mr. Peters...?

16 MR. BOB PETERS: Thank you. Good morning,
17 again, to the Panel.

18

19 CROSS-EXAMINATION BY MR. BOB PETERS:

20 MR. BOB PETERS: Do I take from the initial
21 evidence that you've given Ms. Derksen and Mr. Barnlund, that
22 the unaccounted for gas, or UFG as we'll certainly call it
23 today, it's the aggregate of all volumetric losses that
24 originate from the factors of measurement, physical loss and
25 accounting errors?

1 MR. GREG BARNLUND: Yes.

2 MR. BOB PETERS: And when you say that it's
3 the aggregate of all volumetric losses, does that include
4 volumetric losses related to primary gas as well as
5 supplemental gas?

6 MR. GREG BARNLUND: It would include all gas,
7 sir, yes.

8 MR. BOB PETERS: And when you say it would
9 include all gas are you including primary gas supplied by
10 direct purchase?

11 MR. GREG BARNLUND: Yes, indeed.

12 MR. BOB PETERS: Are you also including
13 supplemental gas or otherwise gas supplied through delivered
14 services?

15 MR. GREG BARNLUND: Yes, sir.

16 MR. BOB PETERS: In looking, first
17 historically, Mr. Sanderson, this may be for you, am I
18 correct in my interpretation of your schedules, and just for
19 the record, I have 5.1.5(a), that your unaccounted for gas in
20 2003/'04 was \$6.11 million?

21 MR. BRENT SANDERSON: If you'll just bear
22 with me for a moment while I find that reference.

23 MR. BOB PETERS: Thank you.

24

25

(BRIEF PAUSE)

1 MR. BRENT SANDERSON: If you would be so kind
2 as to refresh my memory as to what the number was that you
3 just quoted me?

4 MR. BOB PETERS: I quoted you \$6.11 million
5 and I think that was the summation of lines 3 and 4 on
6 Schedule 5.1.5(a).

7 MR. BRENT SANDERSON: Yes, that's correct,
8 sir.

9 MR. BOB PETERS: And because this is on
10 updated yellow paper, Mr. Sanderson, is this your final
11 calculation of what unaccounted for gas was last year?

12 MR. GREG BARNLUND: That's correct.

13 MR. BOB PETERS: And that's based then on an
14 actual measurement or an actual calculation as opposed to a
15 forecast?

16 MR. GREG BARNLUND: Correct.

17 MR. BOB PETERS: When you talk about
18 volumetric losses on the Centra system, Mr. Barnlund and Ms.
19 Derksen, you're referring to volumetric losses then
20 downstream of what we call city gate; is that right?

21 MR. GREG BARNLUND: That's correct.

22 MR. BOB PETERS: And city gate for the -- for
23 refreshing my memory is simply the name you give to the
24 delivery point where gas is delivered into the Centra system
25 in Manitoba?

1 MR. GREG BARNLUND: That's correct.

2 MR. BOB PETERS: And although you call it
3 city gate, there are multiple numbers of delivery points to
4 Centra system?

5 MR. GREG BARNLUND: That's correct. I think
6 that there's probably twenty-six (26) or twenty-seven (27)
7 different points where we accept gas off the TransCanada
8 system.

9 MR. BOB PETERS: And at those twenty-six (26)
10 or twenty-seven (27) points, Mr. Barnlund, they're not all in
11 the city either; they're throughout Manitoba?

12 MR. GREG BARNLUND: That's correct. They
13 would be across the province along the TransCanada pipeline.

14 MR. BOB PETERS: There is no part of the UFG
15 in your application before the Board that relates to any
16 volumetric losses on the TCPL system, is there?

17 MR. GREG BARNLUND: That's correct. That
18 would be separate.

19 MR. BOB PETERS: Can you explain to the Board
20 how that is treated separately?

21 MR. GREG BARNLUND: I think that information
22 would be embedded in the numbers that Mr. Sanderson referred
23 to last week. Any of the UFG that will be occurring on
24 systems upstream of our distribution system such as on
25 TransCanada or Great Lakes or ANR pipelines would be embedded

1 in their specific totals and would be a cost of gas on the
2 upstream side.

3 MR. BOB PETERS: So, while you don't measure
4 it and Manitoba consumers don't expressly get charged for UFG
5 on the TCPL system, it's your suspicion and probably view
6 that those costs are embedded in the TCPL tolls that are
7 fixed by the National Energy Board?

8 MR. GREG BARNLUND: I would assume so, yes.

9 MR. BOB PETERS: So, when I heard your direct
10 evidence this morning, I think Ms. Derksen, you're indicating
11 that you pay TransCanada Pipeline for what is received, you
12 then deliver to your customers and charge them for it and
13 somewhere between what you've received and what you've
14 delivered is -- is the unaccounted for gas?

15 MS. KELLY DERKSEN: Yes, sir.

16 MR. BOB PETERS: In terms of historical
17 information on this subject for the Board, in one of the
18 interrogatories and if you wish to you can turn it up. It's
19 PUB/Centra First Round Question 14, you were asked to provide
20 the unaccounted for gas percentage for the last ten (10)
21 years?

22 MR. GREG BARNLUND: I have that.

23 MR. BOB PETERS: And when -- when one looks
24 at the historical information provided, Mr. Barnlund, does
25 that show actual percentages calculated after the fact or is

1 that a forecast?

2 MR. GREG BARNLUND: I believe those to be
3 after the fact actuals.

4 MR. BOB PETERS: All right. And one of the
5 things that we note is that there is variability year over
6 year, correct?

7 MR. GREG BARNLUND: Yes, there is.

8 MR. BOB PETERS: And is it Centra's position
9 that this variability will continue to occur into the future?

10 MR. GREG BARNLUND: We would expect so.
11 Unaccounted for gas seems to be reasonably variable and tends
12 to cycle up and down. But in the long run on average, we're
13 looking at somewhere between .9 percent and 1 percent as
14 being an appropriate estimate.

15 MR. BOB PETERS: And when you say point nine
16 (.9) or 1 percent, what period have you averaged out to come
17 to that conclusion, Mr. Barnlund?

18 MR. GREG BARNLUND: I believe that would be
19 the most recent five (5) year average.

20 MR. BOB PETERS: So, there's nothing new in
21 this Application before the Board that is likely to affect
22 the quantity of unaccounted for gas year-over-year?

23 MR. GREG BARNLUND: No, sir.

24 MR. BOB PETERS: And as far as Centra's
25 concerned it has -- it has done nothing that will reduce the

1 actual amount of UFG on its system?

2 MR. GREG BARNLUND: I wouldn't say that. We
3 have, I think over the years, have undertaken a number of
4 different measures that either directly or indirectly improve
5 and reduce the amount of unaccounted for gas on the system.

6 And I think we had covered some of those off
7 in a response to an interrogatory.

8 MR. BOB PETERS: But you'll agree with me,
9 Mr. Barnlund, that unaccounted for gas will continue and it
10 will fluctuate including, probably, increase in percentage?

11 MR. GREG BARNLUND: Well, it will -- it will
12 continue and it will fluctuate but I have no way of
13 predicting what will happen to the percentage in the future.

14 MR. BOB PETERS: In terms of quantifying the
15 unaccounted for gas for the test year of 2004 and 2005,
16 you've embedded in your schedules .9 percent in your revised
17 material; is that correct?

18 MR. GREG BARNLUND: Yes, that's correct.

19 MR. BOB PETERS: And, Mr. Sanderson, that is
20 9 percent of total volumes?

21 MR. BRENT SANDERSON: That's .9 percent --

22 MR. BOB PETERS: I'm sorry.

23 MR. BRENT SANDERSON: -- of all gas received
24 into the Centra system.

25 MR. BOB PETERS: I apologize, I misspoke. .9

1 percent of all gas receipts onto the Centra system regardless
2 of the source of the gas?

3 MR. BRENT SANDERSON: Correct.

4 MR. BOB PETERS: And to help the Board put
5 some parameters around this in terms of numbers, am I
6 correct, Ms. Derksen, in looking at Schedule 5 -- I'm sorry,
7 in looking at Schedule 7.5.0, that once Mr. Sanderson had
8 told you it's going to be .9 percent of all supply of
9 commodity you have then determined that's going to come to a
10 cost of \$5.14 million?

11 MS. KELLY DERKSEN: Mr. Sanderson actually
12 provides the total dollar figure to me as well and what I do
13 is then I decide who that \$5.136 million should be recovered
14 from.

15 MR. BOB PETERS: Well, Mr. Sanderson, sorry
16 to jump away from you so quickly, but when you -- when you
17 quantify the amount for Ms. Derksen to allocate on what --
18 what rate do you charge against the unaccounted for gas?

19 MR. BRENT SANDERSON: On a forecast basis, we
20 would look at each month in question during the forecast
21 period and looking at the makeup of supply in any given month
22 the forecast makeup supply, in any given month, that will be
23 primary gas and -- and in winter months some portion of
24 supplemental gas.

25 And -- and an allocation of those receipts

1 into the system would be made based on the forecast
2 unaccounted for percentage, that being .9 percent and then
3 those volumes are costed at each individual month's
4 respective forecasted cost for those respective supplies
5 received into the system.

6 MR. BOB PETERS: And the volumes are costed,
7 Mr. Sanderson, based on the price that is determined under
8 your contractual arrangements?

9 MR. BRENT SANDERSON: On a forecast basis,
10 yes.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: I just thought of another
15 point of -- or another source of supply, Mr. Sanderson, I
16 just want to make sure that any T-service you provide, we
17 haven't specifically asked that, but in terms of your
18 transportation customers that source their gas, the
19 unaccounted for gas percentage in your Application is applied
20 against their volumes as well?

21 MR. BRENT SANDERSON: Absolutely.

22

23 (BRIEF PAUSE)

24

25 MR. BOB PETERS: All right. Ms. Derksen, let

1 me try again. Now that Mr. Sanderson has estimated \$5.1
2 million for unaccounted for gas for the test year, it becomes
3 your responsibility to allocate that to the different
4 customer classes; have I got that correct?

5 MS. KELLY DERKSEN: Yes, sir.

6 MR. BOB PETERS: And Mr. Sanderson doesn't --
7 doesn't give you an exact amount that will happen in the test
8 year but he gives you a forecast, correct?

9 MS. KELLY DERKSEN: Yes, he does.

10 MR. BOB PETERS: And that's like all of the
11 other costs that you are provided in your cost allocation
12 that are forecast costs for the test year because you don't
13 know the accuracy -- the accurate number at this point in
14 time?

15 MS. KELLY DERKSEN: Yes, that's correct.

16 MR. BOB PETERS: Because Mr. Sanderson
17 forecasts what that unaccounted for gas will be and because
18 we know he will be wrong, we just don't know by how much and
19 in which direction, what happens to the mistakes in his
20 forecast? Where do they end up?

21 MS. KELLY DERKSEN: Unaccounted for gas cost
22 is treated as all other gas costs on our system are treated
23 and that is that they are subject to a purchase gas variance
24 account. So, at the end of the day both the company and the
25 customer is kept whole because we track all of the costs with

1 respect to that particular cost item through the PGVA.

2 MR. BOB PETERS: And in this case would that
3 be in the distribution PGVA, Ms. Derksen, or gas cost of
4 PGVA?

5 MS. KELLY DERKSEN: It's a distribution PGVA,
6 sir.

7 MR. BOB PETERS: Mr. Sanderson was able to
8 tell me the actual amount of the UFG for last year, that is
9 the 2003/'04 year, how soon do you know that, of what -- what
10 the actual's going to be?

11 Do you have to wait until after the year's
12 finished or do you do -- do you know as you go month by
13 month?

14 MR. BRENT SANDERSON: Well, we would
15 accumulate actual results as we go month to month but the
16 results for the entire year won't be known until the
17 conclusion of that fiscal period.

18 MR. BOB PETERS: In my mind, Mr. Sanderson,
19 you forecast what you think the UFG is going to be based on
20 the volumes to be delivered month by month but at the end of
21 the year, you may find out that your receipts and your
22 deliveries are closer than what you intended or that you
23 forecast. Can that occur?

24 MR. BRENT SANDERSON: Yes, that is true. I
25 think you're referring to the annual accounted for gas true-

1 up?

2 MR. BOB PETERS: Yes. Well, and then let's
3 go through that step then. Once -- once the -- you track the
4 month by month and assign a value based on the actual gas
5 consumed in a month but you're still using your forecast of
6 .9 percent as an example?

7 MR. BRENT SANDERSON: Correct, until such
8 time as we do a calculation to calculate what the actual
9 percentage experienced was. And that would part of the UFG
10 true-up process performed annually.

11 MR. BOB PETERS: All right. And when you say
12 it's performed annually, it's performed at the end of your
13 fiscal year?

14 MR. BRENT SANDERSON: Actually there's a
15 little bit of a disconnect between the fiscal period on which
16 the PGVA accounts are managed and the period over which we
17 calculate our actual UFG percentage experienced. There's
18 operational considerations that dictate what period of time
19 is the most appropriate to look at what you're actual
20 unaccounted for experience was relative to forecast.

21 The percentage that you calculate during the
22 course of a true-up or the actual percentage experienced is
23 still contains somewhat an element of estimation at any point
24 in time. You perform the calculation by virtue of the fact
25 that in any given month at least 50 percent of the cyclic

1 billings on our customer billing system will be estimate --
2 estimated rather than actual figures.

3 So, to the extent that there is a tendency for
4 a cyclical error in those cyclical billings driven by the
5 level of volumes at any point in the year, there is better
6 times to perform that calculation as opposed to other times
7 in the year.

8 So, our market forecast people have determined
9 that the most appropriate time in the year to perform that
10 UFG true-up calculation is any one of the three (3) months of
11 May, June or July, because that is the time of year where the
12 actual calculation will show the least variability due to
13 extraneous factors.

14 So, we perform the calculation of our actual
15 experienced over the June to May period so there's a bit of a
16 disconnect between the way that the deferral accounts are
17 managed. But that's the most appropriate point in which to
18 calculate the actual percentage. It will be the closest to
19 the real number that we can get at any point in the year.

20 MR. BOB PETERS: Thank you for that answer,
21 Mr. Sanderson. Following that answer further, when you true-
22 up in either May, June or July, you are trueing-up based on
23 the volumes delivered for the previous twelve (12) months to
24 that point in time, correct?

25 MR. BRENT SANDERSON: Correct.

1 MR. BOB PETERS: And you're telling the Board
2 that that may not be the exact same twelve (12) months that
3 were used in your forecast as to the percentage of UFG?

4 MR. BRENT SANDERSON: Correct.

5 MR. BOB PETERS: And so, when you do that
6 true-up in either May, June or July, Mr. Sanderson, what
7 happens to -- what -- when you find out how much your
8 forecast was off, what do you do at that point in time?

9 MR. BRENT SANDERSON: The amount by which the
10 forecast was off is captured entirely in the distribution
11 PGVA account that is active for that fiscal year in question.

12 So, for example, if we're trueing-up from the
13 period June 2002 to May 2003 all of the true-up
14 quantification will be captured in the 2003/2004 PGVA
15 account.

16 MR. BOB PETERS: Ms. Derksen, back to you.
17 Once the -- once the true-up is done by Mr. Sanderson for the
18 prior year, do you run that back through your cost allocation
19 model then to decide which class will get what refund or what
20 additional charge?

21 MS. KELLY DERKSEN: Yes, sir. When we make
22 an application before the Public Utilities Board with respect
23 to either a general rate application or a cost of gas
24 proceeding I would rerun the allocation model to incorporate
25 any true-up that was provided -- or provided to me on account

1 of the unaccounted for gas and that would be incorporated in
2 customers' rates as part of an application before the Board.

3 MR. BOB PETERS: Ms. Derksen, can you tell
4 the Board what amount is presently before this Board on
5 account of prior years related to the unaccounted for gas
6 true-ups?

7

8

(BRIEF PAUSE)

9

10 MR. BRENT SANDERSON: If I take you to
11 Schedule 5.1.5(a) dated August 9th on the yellow paper; on
12 line 4 of that schedule you'll see, during the month of June,
13 an amount of one million two hundred and forty-nine thousand
14 five hundred and ninety-six dollars (\$1,249,596). So, that
15 is the amount by which UFG was under-recognized during the
16 June 2003 to -- to May 2003 period.

17 So, it's the additional amount of unaccounted
18 for gas outflows from the primary and supplemental PGVA
19 accounts that we were -- that we're required to book in
20 response to the actual figure that we calculated at that
21 point in time.

22 MR. BOB PETERS: Mr. Sanderson, that was part
23 of the information you told the Board existed in Schedule 750
24 which was the total amount of the \$5.136 million for the test
25 year?

1 MR. BRENT SANDERSON: It makes up part of
2 that figure, yes.

3 MR. BOB PETERS: Ms. Derksen, in turning to
4 Schedule 7.7.7 you have now taken the \$5.136 million that Mr.
5 Sanderson and I spoke of and you have had -- you have
6 allocated that to the various customer classes; am I correct?

7

8 (BRIEF PAUSE)

9

10 MS. KELLY DERKSEN: Sorry, Mr. Peters, there
11 was a little bit of confusion there. The amount of the UFG
12 true-up, would not be incorporated as part of Schedule 7.7.7.
13 Those schedules provide the UFG on a forecast basis and the
14 allocation there -- thereof.

15 The schedule that you would need to refer to
16 if you were looking to find the prior period UFG amounts,
17 because those are incorporated in a PGVA account, they are
18 disposed of through a rate-rider and you can look to Schedule
19 8.4.0 at the bottom of that particular schedule, line 46,
20 you'll find the distribution PGVA.

21 The total there, including carrying costs, is
22 \$1.50 million -- five (5) -- 5 million and that amount
23 exactly ties to Mr. Sanderson's schedule of 5.15(a), which of
24 course has embedded in it, the UFG true-up.

25 MR. BOB PETERS: You're also then telling the

1 Board, Ms. Derksen, that Schedule 7.7.7 is your forecast into
2 the future; it doesn't contain the past actuals?

3 MS. KELLY DERKSEN: That's what I'm trying to
4 tell you, yes.

5 MR. BOB PETERS: And so when we look at
6 7.7.7, you have allocated to the various customer classes,
7 \$5.136 million, which is forecast to be the unaccounted for
8 gas cost for 2004/'05?

9 MS. KELLY DERKSEN: Yes, sir, we have two (2)
10 amounts that we're talking about here: one is the forecast
11 of \$5.1 million that we are embedding in our base rates, the
12 other is incorporated in the distribution PGVA and that will
13 be recovered from customers through a rate-rider that we're
14 proposing for November the 1st.

15 MR. BOB PETERS: When the Board looks at the
16 percentage used to allocate the unaccounted-for gas in the
17 test year of 2004/'05, Ms. Derksen, they will see a different
18 percentage than what you used last year, correct?

19 MS. KELLY DERKSEN: For the forecast for the
20 '04/'05 year, yes, we've applied a different percentage.

21 MR. BOB PETERS: And the reason you've
22 applied a different percentage is because of the UFG review
23 that Mr. Barnlund undertook to determine, if possible, more
24 accurate information in allocating UFG costs?

25 MS. KELLY DERKSEN: Yes, sir.

1 MR. BOB PETERS: And before I leave it, in
2 terms of -- can you tell the Board: How do you treat the
3 prior year UFG that you want to -- that you want to include
4 in the rate-rider? What -- how did -- what percentages did
5 you use? Did you use the percentages from last year or are
6 you using the new methodology?

7 MS. KELLY DERKSEN: I would have used the
8 prior year's methodology, the two (2) to one (1) weighting,
9 given that those costs accumulated in a period in which the
10 two (2) to one (1) weighting was approved by this Board.

11 MR. BOB PETERS: Mr. Barnlund, the UFG Study
12 that you spoke of to your Counsel, Ms. Murphy, this morning;
13 the purpose of that study was to allocate the unaccounted for
14 gas costs, based on causation?

15 MR. GREG BARNLUND: To the extent possible,
16 yes.

17 MR. BOB PETERS: And why do you suggest you
18 would want to allocate it based on causation?

19 MR. GREG BARNLUND: Typically, we wanted to
20 take a look at improving our judgment in terms of how we
21 would allocate those costs and the most appropriate way to do
22 that will be to look at the origins of -- of the unaccounted-
23 for gas and make some determination, based on that data.

24 MR. BOB PETERS: Is the -- is the goal to try
25 to determine which customer or customer class caused the

1 unaccounted-for gas, and therefore, should be responsible for
2 its costs?

3 MR. GREG BARNLUND: To the extent that that's
4 possible, yes.

5 MR. BOB PETERS: And did I gather from your
6 evidence that the last time the Company studied this was back
7 in 1991?

8 MR. GREG BARNLUND: In 1991 the Company had
9 performed a study on unaccounted-for gas, albeit for a
10 different purpose. At that point in time the Company had
11 experienced an increase in unaccounted-for gas, on an annual
12 basis, from about one point two (1.2) to approximately 1.8
13 percent, and the Company undertook a significant amount of
14 work at that time to investigate that, and that was the
15 purpose behind the study that was done in 1991.

16 MR. BOB PETERS: Well, maybe we'll -- maybe,
17 Mr. Meyer, we'll -- can come over here and assist me a bit,
18 but I'll leave that from the history point of view. But was
19 it back in 1991 that you started using the waiting system,
20 the two (2) to one (1) waiting that I believe you referred to
21 a few minutes ago?

22

23 MS. KELLY DERKSEN: No, Mr. Peters, the two
24 (2) to one (1) waiting was approved as part of the 1996 Cost
25 Allocation and Rate Design Review.

1 MR. BOB PETERS: Can you briefly explain to
2 the Board what you mean by two (2) to one (1) waiting?

3 MS. KELLY DERKSEN: Essentially what we do
4 is, we take up -- we take all of the volumes for each
5 customer class in totality, and we apply a two (2), or a
6 double waiting to the SGS and LGS volumes, and we determine,
7 then, the percentage that each customer is responsible for --
8 each customer class is responsible for, based on the waiting
9 of doubling the SGS and LGS.

10 MR. BOB PETERS: At the time you did the UFG
11 report, Mr. Barnlund, had you at that time determined -- you
12 felt you already knew approximately where 40 percent of the
13 UFG was -- where the responsibility lay?

14 MR. GREG BARNLUND: At the outset, we took a
15 look at the 1991 study to see what we could use from that
16 study and it was useful in that it had a comprehensive review
17 of a number of the causes of unaccounted for gas.

18 However, we also expected that there had been
19 significant changes -- or changes that had occurred since
20 then in terms of our system that would need to be taken into
21 consideration.

22 So, while it was a starting point, we
23 essentially had to redo most of the work that was involved.

24 MR. BOB PETERS: In the study that you
25 prepared for the Board, and I know it's part of your -- your

1 evidence under Tab 7, Attachment 1, Mr. Barnlund, but it
2 appears that you have determined that UFG has three (3)
3 causes; one was measurement, the second was physical loss and
4 the third was accounting factors?

5 MR. GREG BARNLUND: That is how we summarized
6 it, yes.

7 MR. BOB PETERS: Have you cast your eyes
8 abroad and looked beyond Manitoba to see if there are other
9 causes that other jurisdictions have found?

10 MR. GREG BARNLUND: We've reviewed a couple
11 of studies that were performed in the -- in other
12 jurisdictions and we're satisfied that we have identified the
13 contributing factors that are appropriate to our system and
14 our operation in Manitoba.

15 Some of the other studies that have been done
16 in the past obviously took into consideration the
17 characteristics of the specific utilities that were being
18 studied and in those cases they had additional requirements
19 to study topics that we don't -- that we don't have.

20 In other words, customers -- or some other
21 utilities may have producers in their area delivering gas
22 onto the system and have to take that into consideration and
23 -- and we don't have that to take into consideration on our
24 system.

25 MR. BOB PETERS: So, you've concluded that

1 measurement, physical loss and accounting factors are the
2 only three (3) possible causes for unaccounted for gas on the
3 Centra gas system?

4 MR. GREG BARNLUND: Essentially, at a high
5 level, those are how we'd summarize them. There's obviously
6 a number of different factors underneath of that that we have
7 looked at and taken into consideration. But to the extent
8 that we feel that's the -- the extent of the known factors
9 that would contribute, yes.

10 MR. BOB PETERS: Is it also correct that even
11 having done your study you now still have 45 percent of
12 unaccounted for gas that you cannot fix the cause or identify
13 the cause of?

14 MR. GREG BARNLUND: That's correct.

15 MR. BOB PETERS: And would it be correct then
16 that your UFG study upgraded your confidence in being able to
17 assign responsibility for the causes of UFG from 40 percent,
18 as was the previous case, up to 55 percent in the current
19 case?

20 MR. GREG BARNLUND: I think so.

21 MR. BOB PETERS: And of the 55 percent of the
22 unaccounted for gas for which you can reasonable assign a
23 cause, 69 percent was related to measurement?

24 MR. GREG BARNLUND: I believe that's the
25 case. Yes.

1 MR. BOB PETERS: And then for physical loss,
2 I wasn't sure in your evidence, it was somewhere between 5
3 and 10 percent or do you have a more specific number?

4 MR. GREG BARNLUND: I think that the
5 identified portion we concluded was around 12 percent; so 12
6 percent of the 55 percent that we identified. I think that
7 if you extent that out over 100 percent of the unaccounted
8 for gas, it would be somewhere between five (5) and 10
9 percent.

10 MR. BOB PETERS: And that leaves the balance
11 to the accounting factors?

12 MR. GREG BARNLUND: Of the identified, yes.

13 MR. BOB PETERS: All right. I don't want to
14 get too in depth on them, but let's just turn to those three
15 (3) specific causes for a -- for a few minutes. And you said
16 in your answers to Ms. Murphy that gas measurement is complex
17 due to the physical nature of the -- the product you're
18 working with, with the commodity of natural gas?

19 MR. GREG BARNLUND: That's correct.

20 MR. BOB PETERS: And I understood you to say
21 that it's atmospheric pressure and temperature can affect the
22 actual amount of energy that's contained within a given
23 volume of gas?

24 MR. GREG BARNLUND: The volume of gas that we
25 bill to customers has to be corrected to a standard as

1 identified in the Electricity and Gas Measurement Act and the
2 accompanying regulations.

3 So, we have to take and account for that, yes.

4 MR. BOB PETERS: Well, let's be clear to the
5 Board, you buy gas based on heat units and you sell it based
6 on volume?

7 MR. GREG BARNLUND: Essentially we do.
8 Although TransCanada Pipelines, in reality, measures onto our
9 system in volume and then calculates energy by applying daily
10 heat unit value.

11 MR. BOB PETERS: In that process, Mr.
12 Barnlund, is there room for error?

13 MR. GREG BARNLUND: Not to the extent that we
14 are comparing volumes from TransCanada with volumes delivered
15 off of our system.

16 MR. BOB PETERS: So, in the conversion from
17 energy units to volumetric units, that -- if there is any
18 error in that, that falls on the TransCanada Pipeline of the
19 -- the equation?

20 MR. GREG BARNLUND: Maybe better put would be
21 to say that when we do an unaccounted for calculation,
22 TransCanada reports to us volume and energy and we would be
23 looking at the volume that they are reporting as delivered to
24 us as the reference that we would calculate our unaccounted
25 for off our system.

1 MR. BOB PETERS: In sticking with the
2 measurement concerns or as a source of unaccounted gas, Mr.
3 Barnlund, you use metres and that's the only way you measure
4 the volume of gas?

5 MR. GREG BARNLUND: That's correct.

6 MR. BOB PETERS: And you use metres when you
7 take it off of TransCanada Pipeline from what I just
8 understood from your second last answer? And then you also
9 use the metres on the -- on the customer's place of business
10 or residence to measure what sales you've made to those
11 customers?

12 MR. GREG BARNLUND: I think I should clarify
13 that TransCanada is the entity that measures the gas onto our
14 system, not us. The custody transfer occurs with
15 TransCanada's meter onto our system. But certainly when we
16 deliver off of our system to customers, those are our my
17 meters, yes.

18 MR. BOB PETERS: That clarification just
19 leads me to another question, Mr. Barnlund. What act -- what
20 degree of confidence does Centra have in the accuracy of the
21 TCPL meters?

22 MR. GREG BARNLUND: We examine that issue
23 quite extensively and we concluded that at this point that
24 the accuracy must be fairly good because we -- we could not
25 track down any large amount of error in terms of their

1 billings to us. We examined quite specifically, some of the
2 data that they use in calibrating their temperature and
3 pressure correction at all of their stations -- sorry, at the
4 seven (7) largest stations they deliver onto our system.

5 We looked at five (5) years worth of history
6 from there and analysed it and found that there really wasn't
7 a great deal of -- of influence in terms of the accuracy from
8 that. We also reviewed our billings and invoicing we
9 received from TransCanada and we have virtually no cases
10 where we've had an out of range issue that has required a
11 billing adjustment from them. So, our study assumes the
12 accuracy to be reasonably good from TransCanada.

13 MR. BOB PETERS: Reasonably good implies that
14 it's not -- it's not precise and it's not 100 percent
15 accurate?

16 MR. GREG BARNLUND: I would submit that
17 there's no meter that's 100 percent accurate.

18 MR. BOB PETERS: And if that's the case, how
19 do you monitor the degree of accuracy with respect to the
20 volumes you get from TCPL if you know that they're meter
21 isn't 100 percent accurate?

22 MR. GREG BARNLUND: We would monitor their
23 deliveries onto our system and for the most part we do have
24 check-metering equipment at our facilities that are adjacent
25 -- located adjacent to their plant -- or to their facilities.

1 And we would be monitoring the results of our
2 check-metering against their custody transfer metering to
3 determine if they were tracking in the same direction and
4 that if we do see during the day for example, that of the
5 previous day there may be some discrepancy between the two
6 (2) check-meters or between the check-meter and the custody
7 transfer meter we would contact TransCanada and have that
8 problem looked at very quickly.

9 MR. BOB PETERS: Do I gather from that answer
10 that you monitor it daily?

11 MR. GREG BARNLUND: I'm not really aware of
12 the specifics in terms of how we monitor but I know we keep a
13 very close eye on it.

14 MR. VINCE WARDEN: Mr. Stephens has confirmed
15 that it is daily.

16 MR. BOB PETERS: Thank you, Mr. Warden. In
17 terms of meter accuracy, Mr. Barnlund, I take that is
18 impacted by many factors one of which would be the mechanical
19 accuracy?

20 MR. GREG BARNLUND: That's correct.

21 MR. BOB PETERS: Is that simply wear and tear
22 on a meter?

23 MR. GREG BARNLUND: It may be wear and tear.
24 It may be the -- every meter itself as a -- as a manufactured
25 device will have some amount of bias that it will operate at.

1 In other words, you can never expect to have
2 any two mechanical devices calibrated exactly the same.

3 MR. BOB PETERS: How often do you calibrate
4 meters?

5 MR. GREG BARNLUND: In terms of the -- I
6 guess, the base meter that gets installed when we connect a
7 customer, depending on the type of meter, that is governed by
8 our measurement compliance program and our metering
9 compliance program that we conduct under the view of the --
10 of Measurement Canada.

11 So, for example, we would install -- calibrate
12 meters when they get installed and then according to our
13 measurement compliance program we would periodically take
14 those meters out of service and bring them in and re-
15 calibrate them and -- and put them back in service.

16 MR. BOB PETERS: What standards have to be
17 met, Mr. Barnlund?

18 MR. GREG BARNLUND: I'm not aware of the --
19 there's a -- a number of -- of -- it's an entire compliance
20 program that we have where, for example, with residential
21 small volume meters we have the capability of going out and
22 sampling meters, bringing them in and testing them.

23 If those samples pass the test, according to
24 the criteria that's been established with Measurement Canada,
25 then we can extend the seal date on that group of meters in

1 the field. In other words, they can remain in the field for
2 that much longer.

3 Other meters, such as some of our large volume
4 meters will have a finite seal date to them so that we may
5 have a six (6) or seven (7) year period where we would have
6 to bring them in for calibration after that point in time.

7 However, you know, there are more components
8 on our -- some of our large volume meters, for example, we
9 have components that sense temperature, sense pressure and --
10 and correct for that.

11 And we would be doing calibration on those
12 devices more frequently than six (6) or seven (7) years.

13 MR. BOB PETERS: From that last answer, Mr.
14 Barnlund, it seems that pressure and temperature also affect
15 the accuracy of your meters?

16 MR. GREG BARNLUND: It would be the -- the
17 ability to sense pressure and temperature and correct for it
18 would -- would, in the end, affect the accuracy.

19 MR. BOB PETERS: All right. The ability to
20 sense the pressure and temperature does not exist on your SGS
21 class and your LGS meters, does it?

22 MR. GREG BARNLUND: In a way it does. The
23 smaller volume customers, the diaphragm meters that are used
24 have an internal temperature sensing device that is like a
25 bimetallic coil that will sense the temperature of the gas

1 that goes past it and will adjust the index reading
2 accordingly to compensate for temperature.

3 There's no discrete compensation made for
4 pressure because we have an appliance -- or sorry, a service
5 regulator that maintains a certain pressure through that
6 piece of measuring equipment and -- and we use a fixed factor
7 in the billing system that takes that into consideration.

8 MR. BOB PETERS: And we'll probably talk a
9 little bit about that later in these proceedings but, in
10 terms of the fixed factor for pressure zones, I think you
11 presently have three (3) pressure zones in the province and
12 you're applying to the Board, or have applied to the Board,
13 to get a fourth pressure zone added?

14 MR. DARREN RAINKIE: The fourth was added in,
15 I think it was, Order 44/04 on an interim basis and looking
16 for finalization of that in this Proceeding.

17 MR. BOB PETERS: And, Mr. Rainkie, thank you.
18 That fourth pressure zone that you've added is to take into
19 account that you have now expanded the system by purchasing
20 the assets and the customers of the -- or the assets in any
21 event, and have the customers from the Gladstone Austin
22 Natural Gas Co-op?

23 MR. DARREN RAINKIE: That's correct. When we
24 purchased them we found that we had a -- we had a hole in our
25 -- between two different categories there was a bit of a hole

1 there so we plugged it with that application.

2 MR. BOB PETERS: And because I understand Mr.
3 Barnlund telling us that there's no pressure adjustment in
4 the LGS and SGS meters, whatever degree of variance there
5 occurs in those classes would be one of the sources for UFG?

6 MR. GREG BARNLUND: Some of these customers
7 -- some of the LGS customers will have more sophisticated
8 metering -- that we do have actual pressure sensing and
9 compensating equipment.

10 But it's going to be some -- there's going to
11 be some effect involved, yes.

12 MR. BOB PETERS: All right. Just to conclude
13 on these meters, what I think I can take from your evidence
14 is that you're prepared to acknowledge all meters have
15 inaccuracies; am I correct there?

16 MR. GREG BARNLUND: Yes.

17 MR. BOB PETERS: Some are more accurate than
18 others?

19 MR. GREG BARNLUND: Yes.

20 MR. BOB PETERS: And while I will come to
21 some of the issues relating to the special contract customer:
22 Do you have any meters on your system that are more accurate
23 than those used by the special contract customer?

24 MR. GREG BARNLUND: No.

25 MR. BOB PETERS: The second source of

1 unaccounted for gas that you speak of in your evidence is
2 that of physical loss, if I understand it; is that right?

3 MR. GREG BARNLUND: We do talk of physical
4 loss, yes.

5 MR. BOB PETERS: And I know you -- you break
6 it down into some -- to some three (3) categories and you
7 talk about fugitive emissions; what are those on the system?

8 MR. GREG BARNLUND: Fugitive emissions would
9 be leakage, if you would, that would occur from service
10 lines, meter sets, pressure regulating stations and any other
11 pipeline that we would have.

12 MR. BOB PETERS: These are emissions that are
13 leaking throughout the year and you have no way of
14 determining that they're leaking?

15 MR. GREG BARNLUND: Generally, very -- at a
16 threaded connection you may have a very small leak that's
17 going to emit some gas over the course of the year, yes.

18 MR. BOB PETERS: Just help me with that.
19 Every time the gas pipe has threads on it and you connect it
20 to another pipe, there's a source of leak at that connection?

21 MR. GREG BARNLUND: There would be a
22 potential source of leak.

23 MR. BOB PETERS: Okay. And that's what you
24 call "fugitive emissions"?

25 MR. GREG BARNLUND: Occurring from those

1 types, yes.

2 MR. BOB PETERS: You also list "vented gas"
3 as a type of physical loss; what do you mean by "vented gas"?

4 MR. GREG BARNLUND: In the normal course of
5 operation there may be some gas that's vented off or -- or --
6 or relieved to the atmosphere. For example, if we have a
7 break in the line -- a third party hit on one of our lines
8 and we have to go out to repair it. We may isolate that leak
9 and have to blow down a part of the system, for example, to
10 be able to make the line in a state that we could work on it.

11 In addition, we have some of our controls, for
12 example, may vent some gas in the course of their operation.
13 It's small but, you know, it does -- it's part of their
14 function.

15 MR. BOB PETERS: Would I be correct in
16 assuming that that gas is never -- is not metered or
17 measured?

18 MR. GREG BARNLUND: That's correct.

19 MR. BOB PETERS: Would it be estimated?

20 MR. GREG BARNLUND: Yes.

21 MR. BOB PETERS: And this would be by,
22 perhaps, a foreman at the job site who would tell one of your
23 engineers how many seconds they vented it? Or how do you --
24 how do you have some accuracy on the -- on the measurement of
25 the vented gas?

1 MR. GREG BARNLUND: The work that's been done
2 on analyzing that is related to our filing of information
3 through the Voluntary Challenge Registry and that's the
4 greenhouse gas emissions registry that I spoke of before.

5 And our engineering staff will take a look at
6 this data in a -- over the course of the year and will, in
7 the course of preparing that submission, will have analysed
8 that.

9 MR. BOB PETERS: The last source of physical
10 loss that you list in your evidence, Mr. Barnlund, is that of
11 company use; can you explain that to the Board?

12 MR. GREG BARNLUND: Specifically, I think
13 we're referring to the established of line-pack in the system
14 so it's not a loss through an escape of gas. But it's the
15 amount of gas that's required to pressurize and make
16 serviceable a new piece of line that's put in the ground.

17 In other words, if we extend, you know, a new
18 service line into a residence, obviously when you build the
19 line and you -- you've got air in the line to begin with, you
20 have to purge that line out with gas. Then you have to
21 introduce enough gas to bring it up to the working pressure
22 of, let's say, fifty/sixty (50/60) pounds per square inch
23 before you can begin delivering gas to that customer.

24 So, that gas that gets introduced to that line
25 is never -- you know, it's -- it's never sold. It has to be

1 there. So, there's going to be some component that
2 eventually makes its way into the accounting for unaccounted
3 for gas or it gets caught up in unaccounted for gas that is
4 related to that gas being used.

5 MR. BOB PETERS: All right. Thank you. One
6 of the sources of physical loss that you haven't mentioned is
7 that of gas theft. And I recall, not too long ago, Mr.
8 Warden and I were talking to your colleagues on the
9 electrical side of the Utility and, I think in a lighter
10 moment, we referred to hydroponics and grow operations and
11 theft of electrons, but is there actual theft of molecules of
12 natural gas?

13 MR. GREG BARNLUND: It's a topic we certainly
14 looked at and there's really two (2) ways that we would
15 experience theft of gas. One of them would be very difficult
16 and is almost -- I don't if it's ever occurred on our system.
17 Somebody would actually have to dig up our pipe and weld on a
18 hot connection and -- and try and take gas off of our system
19 before the meter; not likely to happen because it's pretty
20 dangerous.

21 The second situation that might occur would be
22 when we have a customer for example who may be locked off.
23 And the meter and the regulator are still there but we have a
24 valve that's shut before that that has a -- a locking device
25 in it to prevent customers from taking that service.

1 On occasion you may have somebody break that
2 lock and turn the service on, activate it. But we have dis
3 -- discounted that as being a contributor to unaccounted for
4 gas because those meters do get read. They may not be read
5 every month but they're usually checked on at least every
6 second month.

7 And in doing that, we would obviously have
8 some meter reading that would occur that would eventually
9 then be put through the billing system and you know, the
10 customer on the end of that line would be expected to pay for
11 it.

12 MR. BOB PETERS: All right. Thank you, Mr.
13 Barnlund. The last of the three (3) causes of unaccounted
14 for gas you list as accounting factors, correct?

15 MR. GREG BARNLUND: That's correct.

16 MR. BOB PETERS: And as I understood this
17 there's a couple of components. One was that you have
18 cyclical billing and that you may have an accounting mismatch
19 in terms of timing as to when gas was received by you and
20 when it was sold to a customer and ultimately billed to the
21 customer. Is that the -- the one discrepancy?

22 MR. GREG BARNLUND: That is, yes.

23 MR. BOB PETERS: And that's a timing issue?

24 MR. GREG BARNLUND: Essentially we would
25 assume that's a timing issue, yeah.

1 MR. BOB PETERS: Could it be anything else?

2

3

(BRIEF PAUSE)

4

5 MR. GREG BARNLUND: We would assume that that
6 -- that the cyclic billing aspect of it would indeed balance
7 out over time.

8 MR. BRENT SANDERSON: That would be the
9 situation that I described where we choose the months of
10 either May, June or July to perform the unaccounted for true-
11 up because those timing influences would have the least
12 amount of impact on the calculation at that point in time
13 during the -- during the year.

14 MR. BOB PETERS: And in your -- in your
15 billing to customers you also use estimated bills for some
16 customer classes?

17 MR. GREG BARNLUND: Yes, we do.

18 MR. BOB PETERS: And does that -- is that a
19 source of, again, some accounting issues or error that would
20 result in UFG?

21 MR. GREG BARNLUND: It can be in that if you
22 have accounts that are estimated across the -- the time
23 period that Mr. Sanderson refers to where you cut off your --
24 your books for the unaccounted for gas true-up your estimates
25 may be low or high. And so you may have actually delivered

1 more or less gas that would only become known in the next UFG
2 period.

3 MR. BOB PETERS: Also in customer billing
4 policies you may write-off customer accounts or you may make
5 some concession to customers in -- in your customer service
6 department?

7 MR. GREG BARNLUND: It would be specific to
8 either meter failures or slow meters. And that what we would
9 do in those cases, once we discover that a meter at a
10 customer's location is either quit running or is running
11 slow, our billing people will prepare an estimate of the
12 consumption that was under-billed.

13 And upon completion of that estimate they
14 usually provide a concession of 10 percent to the customer.
15 In other words, if we had an estimate of a hundred (100)
16 units of gas that under-billed to a customer, we would, in
17 essence, present them with a bill for ninety (90) units for
18 that period.

19 MR. BOB PETERS: Mr. Barnlund, if you could
20 turn in that Book of Documents that I had circulated on the
21 first day of the Hearing, to Tab Number 16 and for Mr.
22 Gretener's benefit and his -- his client's, there was a Book
23 of Documents that was just for ease of reference in the
24 materials that had been prepared. Only this morning have I
25 provided Mr. Gretener and his clients with a copy of it.

1 But I'd like to draw the witness's and the
2 Board's attention to Tab 16.

3 Mr. Barnlund, if I asked you to prepare a
4 summary of the unaccounted-for gas study, your study would
5 have resulted in a summary -- I'm sorry, your summary would
6 be as depicted on this sheet at Tab 16?

7 MR. GREG BARNLUND: I believe so. I've
8 looked at the numbers and they appear to be all consistent
9 with the numbers indicated in our work.

10 MR. BOB PETERS: All right. And, Mr.
11 Chairman, what Mr. Barnlund is politely referring to is, this
12 is a worksheet that was not prepared by the Utility, but was
13 prepared by the Board advisors, and submitted.

14 I'd ask it to be marked as an Exhibit in the
15 Proceedings, and if there's any explanations or corrections
16 or revisions that the Corporation wants to provide to it, I'd
17 certainly be amenable to that, but we'll -- we'll take it as
18 correct unless there is further issues from them.

19 THE CHAIRPERSON: Ms. Murphy, are you okay
20 with that?

21 MS. MARLA MURPHY: Yes, we are.

22 THE CHAIRPERSON: So, be it.

23 MR. BOB PETERS: Having said that, Mr.
24 Chairman, I will suggest that it be marked as PUB Exhibit 8.

25

1 --- EXHIBIT NO. PUB-8: Worksheet of the Unaccounted-for
2 Gas Study, prepared by the Board
3 Advisors, being Tab Number 16 in
4 the Book of Documents.
5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: Mr. Barnlund, if you can
8 just help me explain to the Board what your Study, in
9 summary, shows. At the top part of the page under the
10 heading of Metering, there are many -- there are six (6) sub-
11 categories of metering in terms of accuracy, barometric
12 pressure, base pressure, super compressibility, pressure
13 factoring and gas temperature, correct?

14 MR. GREG BARNLUND: Yes.

15 MR. BOB PETERS: And your study was to look
16 at those metering factors, to see which of those could have
17 led to inaccuracies in the volumetric receipts and deliveries
18 of the company, that would lead to the UFG?

19 MR. GREG BARNLUND: Correct.

20 MR. BOB PETERS: And what you have done is
21 you have, by class, assigned amounts under those various sub-
22 headings that the Corporation feels from their study they can
23 assign or affix responsibility to, in terms of customer
24 class?

25 MR. GREG BARNLUND: Yes.

1 MR. BOB PETERS: And you've done the same
2 under physical loss, both on the transmission and the
3 distribution system?

4 MR. GREG BARNLUND: Yes, sir.

5 MR. BOB PETERS: And then under the sub-total
6 of accounting, you've had -- you have some accounting issues
7 that you again assign responsibility to, in this case, only
8 to the SGS and the LGS class?

9 MR. GREG BARNLUND: Yes, sir, that's correct.

10 MR. BOB PETERS: All right. And what you
11 also, then, if we -- if we add up the total identifiable UFG
12 by customer class, and carry that across, that would be the
13 twelve thousand four hundred and ninety-two (12,492) 10-3-M-
14 3s, that you are forecasting in the test year?

15 MR. GREG BARNLUND: Well, it's not what we're
16 forecasting in the test year. This -- the twelve hundred
17 (1,200) -- sorry, twelve thousand four hundred and ninety-two
18 (12,492) 10-3-M-3s, is the amount of UFG that we can
19 identify, based on our study.

20 MR. BOB PETERS: Sorry, that is the
21 identifiable portion of the UFG that you have identified?

22 MR. GREG BARNLUND: That is correct.

23 MR. BOB PETERS: I will come back to that,
24 Mr. Barnlund, but in total, this Summary on Exhibit PUB 8,
25 shows 55 percent of your UFG forecast being assigned to

1 various customer classes in terms of responsibility?

2 MR. GREG BARNLUND: Yes, sir.

3 MR. BOB PETERS: And not only do you assign
4 55 percent responsibility, as you show on this summary, but
5 Ms. Derksen, you use the same percentages and apply that to
6 100 percent of the UFG, even though you're only sure where 55
7 percent of it is -- is originates?

8 MS. KELLY DERKSEN: Yes, sir.

9 THE CHAIRPERSON: Mr. Peters, would this be a
10 suitable time to have a break?

11 MR. BOB PETERS: Yes, it would, Mr. Chairman,
12 thank you.

13 THE CHAIRPERSON: Come back at twenty-five to
14 11:00. Thank you.

15

16 --- Upon recessing at 10:21 a.m.

17 --- Upon resuming at 10:41 a.m.

18

19 THE CHAIRPERSON: Whenever you're ready, Mr.
20 Peters.

21 MR. BOB PETERS: Yes, thank you.

22

23 CONTINUED BY MR. BOB PETERS:

24 MR. BOB PETERS: Mr. Barnlund, I'd like to
25 turn my line of questioning, specifically with respect to --

1 and turn towards the special contract customer class.

2 And it's a matter of the public record in this
3 Proceeding and in Manitoba that there is one (1) and only one
4 (1) customer in that special contract class; is that correct?

5 MR. GREG BARNLUND: That's correct.

6 MR. BOB PETERS: Mr. Chairman, I just want to
7 indicate to the Panel and to the Board that in my line of
8 questioning I'm only asking questions where I am seeking
9 answers that are already on the public record. I'm not
10 looking for any confidential customer or client information.

11 So if I ask questions that would require the
12 divulging of that information, I'm not asking for that to be
13 put on the public record.

14 In terms of PUB Exhibit Number 8 which is
15 found at Tab 16 of the book of documents, and it's the work
16 sheet that we've marked, if we turn to the special contract
17 customer class, it's the third column from the far right, Mr.
18 Barnlund, when I look at all of the different -- of the three
19 (3) different categories you told the Board about and all of
20 the sub-categories you told the Board about, I see that you
21 only assign responsibility to the special contract customer
22 class on three (3) of those areas?

23 MR. GREG BARNLUND: That's correct.

24 MR. BOB PETERS: And one (1) of those areas
25 appears to be a negative adjustment if -- if I understand the

1 evidence correctly?

2 MR. GREG BARNLUND: Yes, that's correct.

3 MR. BOB PETERS: Does a negative adjustment,
4 when you're talking about unaccounted for gas, mean that it's
5 a gas gain that you've located on the system?

6 MR. GREG BARNLUND: Yes, sir.

7 MR. BOB PETERS: All right. Can you explain
8 to the Board how that could possibly occur or why that result
9 would occur?

10 MR. GREG BARNLUND: Yes. This issue of the
11 gas gain is related to the different base pressure and
12 temperature conditions that Centra uses to describe a cubic
13 metre of gas versus those used by TransCanada Pipelines to
14 describe a cubic metre of gas.

15 And both are allowable under the Electricity
16 and Gas Measurement Act and regulations but one (1)
17 originates in the metric or SI form of units and the other
18 originates in the Imperial. Centra has always used the
19 Imperial measure in our billing system and in our metering.

20 And TransCanada uses the metric description of
21 the cubic metre. The difference between the two (2) when you
22 restate TransCanada's deliveries onto our system, results in
23 a gain of approximately .04 percent for each cubic metre.

24 MR. BOB PETERS: And how have you then put
25 that through to the various classes?

1 MR. GREG BARNLUND: That adjustment would be
2 applicable to every cubic metre delivered from TransCanada
3 onto Centra's system and, therefore, is reflected on a
4 unweighted volumetric basis.

5 MR. BOB PETERS: Mr. Barnlund, in your
6 revised information to this Board on August the 9th, you told
7 the Board that you revised the volumes for the special
8 contract customer class; correct?

9 MS. KELLY DERKSEN: Yes, sir.

10 MR. BOB PETERS: And, Ms. Derksen, even
11 though you have revised the volumes, the allocation
12 percentage of the unaccounted for gas that you are proposing
13 this customer class pay remained unchanged; is that correct?

14 MS. KELLY DERKSEN: Yes, Mr. Peters. When we
15 were preparing this unaccounted for gas study we included
16 volumes for this particular customer that are based on a
17 normal year. So we accounted for the fact that in any given
18 year this customer consumes in the neighbourhood of four
19 hundred and twenty thousand (420,000) 10-3-M-3s .

20 MR. BOB PETERS: So by updating the volumes,
21 Ms. Derksen, that just had the impact of reducing the unit
22 rate?

23 MS. KELLY DERKSEN: There are a couple of
24 impacts by updating the volumes. First of all, the more
25 volumes that you expect to take through the system, the more

1 that you can anticipate unaccounted for gas to be for the
2 year.

3 So, in addition to the unit rate dropping for
4 the special contract class, that's another result as well.

5 MR. BOB PETERS: But I understood the answer
6 -- that when Mr. Barnlund calculated, in particular, this --
7 this negative adjustment on unaccounted for gas or gas gain,
8 I suppose, which volumes were used and I understood the
9 answer to be normalized or normal volumes which you -- you've
10 indicated, Ms. Derksen, is about four hundred and twenty
11 thousand (420,000) -- sorry, four hundred and twenty thousand
12 (420,000), four hundred and ninety-nine thousand (499,000)
13 cubic metres?

14 MS. KELLY DERKSEN: It's four hundred and
15 twenty-thousand (420,000) 10-3-M-3s, I believe, per year and
16 that's what we included in each of the components through our
17 unaccounted for gas study.

18 So -- but you have to recognize that the
19 unaccounted for gas study is -- is -- is exactly that. It's
20 -- it's not a forecast of what we expect to incur in terms of
21 unaccounted for gas costs for the 04 -- 04/05 year.

22 And so increasing Simplot -- Simplot's volumes
23 as part of the update on August 9th would increase what we
24 expect, or what we forecast for unaccounted for gas to be for
25 the '04/'05 year.

1 MR. BOB PETERS: You're telling the Board
2 that you would increase the absolute total amount that you
3 had forecast because their volumes were in essence doubled?

4 MS. KELLY DERKSEN: Yes.

5 MR. BOB PETERS: And the increase would be
6 multiplied by the same .9 percent that we spoke of earlier
7 this morning?

8 MS. KELLY DERKSEN: Yes.

9 MR. BOB PETERS: All right. When we looked
10 again at PUB Exhibit Number 8 and we go down three-quarters
11 of the way down the page and find the total percent
12 identifiable and move over to the special contract customer
13 class, you have put into percentage form, I suppose for the
14 accountants on the Panel, and not the dollar amount, the --
15 the 5.7 percent as being the amount that you want to allocate
16 to the special contract customer on account of unaccounted
17 for gas?

18 MR. GREG BARNLUND: Yes, sir.

19 MR. BOB PETERS: And the other customer
20 classes, the percentage is -- is the -- is as shown again on
21 the schedule, Mr. Barnlund?

22 MR. GREG BARNLUND: Yes, those would follow.

23 MR. BOB PETERS: And this 5.7 percent that
24 you want to use in allocating unaccounted for gas to the
25 special contract customer, that's not only for the 55 percent

1 that you can identify but it's also for the 45 percent that
2 you cannot identify?

3 MR. GREG BARNLUND: That's correct.

4 MR. BOB PETERS: All right. In terms of --
5 last time this matter was before the Board, Ms. Derksen, the
6 allocation to the special contract customer was 12.8 percent
7 of UFG on the system, correct?

8 MS. KELLY DERKSEN: Yes.

9 MR. BOB PETERS: And in fact, in the rates
10 that are being charged to the special contract customer
11 today, they are paying 12.8 percent of the cost of UFG?

12 MS. KELLY DERKSEN: Yes, sir.

13 MR. BOB PETERS: And in terms of quantifying
14 it, I suppose we can do the math, but you've shown us in your
15 allocation tables, Ms. Derksen, that you're proposing that
16 the special contract customer class now be responsible for
17 two hundred and ninety-two thousand seven hundred and
18 seventy-eight dollars (\$292,778)?

19 MS. KELLY DERKSEN: Yes.

20 MR. BOB PETERS: Mr. Barnlund, do you agree
21 that the special contract customer is -- is unique?

22

23 MR. GREG BARNLUND: I'd say that, yes.

24 MR. BOB PETERS: It's unique enough that it
25 has its own special rate design mechanism?

1 MS. KELLY DERKSEN: Mr. Peters, I -- I would
2 agree that the special contract customer is unique in a
3 couple of respects.

4 Number one (1) is with respect to the type or
5 the load factor and the consumption level that they take. In
6 addition, I think they're unique in terms of being metering
7 facilities on -- on their particular property.

8 MR. BOB PETERS: In your cost allocation of
9 other costs, Ms. Derksen, you assign some cost directly to
10 this customer class; is that correct?

11 MS. KELLY DERKSEN: We do attempt to directly
12 assign costs where we can, yes.

13 MR. BOB PETERS: You attempt to directly
14 assign costs where you can determine cost causation rests
15 with that customer class?

16 MS. KELLY DERKSEN: When I can specifically
17 identify as a cost belonging to a particular customer or
18 group of customers, I will assign it to that particular
19 class, yes.

20 MR. BOB PETERS: And you understand do you,
21 that the special contract customer wants cost causation used
22 in respect of allocating UFG?

23 MS. KELLY DERKSEN: I understand that is
24 their position, yes.

25 MR. BOB PETERS: And their position is that

1 if a customer's responsible for certain costs, that customer
2 and no one else should pay for those costs?

3 MS. KELLY DERKSEN: I understand that
4 position, yes.

5 MR. BOB PETERS: All right. And attached to
6 Mr. Hawk's pre-filed evidence and also found in
7 Simplot/Centra-19(a), is a schematic and there's Attachment 1
8 of 2 and Attachment 2 of 2. If you could locate that and I
9 provided copies to the Board and if the --

10 MR. GREG BARNLUND: I have that.

11 MR. BOB PETERS: This document, Mr. Barnlund,
12 Attachment 1 of 2, is that the schematic of the transmission
13 system from TCPL through to Simplot's plant in Brandon?

14 MR. GREG BARNLUND: Attachment 1 of 2 shows
15 the transmission lines that originate at TransCanada
16 Pipelines and pass through Brandon City Gate Number 1 and
17 continue down to Brandon City Gate Number 2 and they would
18 leave City Gate Number 2 and be mapped, in terms of their
19 path, on Attachment 2 of 2.

20 MR. BOB PETERS: So, Attachment 2 of 2 is
21 just a continuation on from Brandon City Gate Number 2 at
22 17th Street East?

23 MR. GREG BARNLUND: Yes, sir, it is.

24 MR. BOB PETERS: And what you're showing the
25 Board is that from the south side of Brandon, if that's at

1 the south side of Brandon, you're showing the Board that from
2 City Gate Number 2, it goes on to southern Manitoba?

3 MR. GREG BARNLUND: Yes, sir.

4 MR. BOB PETERS: And that's where you
5 referred to these additional sixteen hundred (1,600)
6 customers in your evidence this morning?

7 MR. GREG BARNLUND: Yes, sir, that's correct.

8 MR. BOB PETERS: Is there any dedicated
9 pipeline specifically to the special contract customer?

10 MR. GREG BARNLUND: Outside of the service
11 line that runs onto their property, there were not.

12 MR. BOB PETERS: Is the special contract
13 customer served by all of these transmission pipelines, or
14 just one (1) of them?

15 MR. GREG BARNLUND: They receive service off
16 of a portion of the pipeline that is not odourized and there
17 is, at times, three (3) different pipelines that are
18 interconnected together to provide that capacity in some
19 fashion -- that -- they receive a part of that capacity.

20 The Brandon Generating Station is also served
21 off of that system, receives part of the capacity, and the
22 remainder of the capacity would be used to serve those
23 customers further south of Brandon.

24 MR. BOB PETERS: Is the system capable of
25 being modified so that there is a dedicated service to only

1 this customer?

2 MR. GREG BARNLUND: That's probably an
3 engineering question, which I am not in a position to answer,
4 but I'm not -- I will leave it at that, I guess.

5 MR. BOB PETERS: You're not aware as to how,
6 if at all, the system could be modified to have a dedicated
7 service to this customer?

8 MR. GREG BARNLUND: Nor would I understand
9 why we would do that.

10

11

(BRIEF PAUSE)

12

13 MR. BOB PETERS: Mr. Barnlund, one of the
14 possible other allocators that has been proposed is the
15 percentage of Centra's undepreciated plant or rate base,
16 represented by the replacement value of the assets being used
17 by this customer. Do you understand that request?

18 MS. KELLY DERKSEN: I understand the
19 proposal, yes.

20 MR. BOB PETERS: And in your evidence this
21 morning, I wasn't clear on why you felt this was an
22 inappropriate allocator?

23 MS. KELLY DERKSEN: Mr. Peters, a gas utility
24 typically has three (3) drivers of costs: The first driver
25 of costs would be the number of customers on your system, the

1 second driver of costs would be a commodity or the amount of
2 volume that a customer or customers on your system would
3 consume, the third driver of costs would be the amount of demand
4 or the -- the peak usage of -- of your customers on the
5 system.

6 Recognizing that those are typically the
7 drivers of costs in a gas utility of which Centra is no
8 different there is no direct correlation to total amount of
9 rate base or undepreciated plant, to the way that those types
10 -- that unaccounted-for gas cost would be incurred, and so I
11 don't think it is a preferable approach to allocate costs on
12 that -- on that basis as a result.

13 MR. BOB PETERS: From that answer I distill
14 you saying to the Board that there's no correlation between
15 the amount of the undepreciated plant's replacement cost and
16 the sources of UFG?

17 MS. KELLY DERKSEN: That's what I'm saying.

18 MR. BOB PETERS: And the sources of UFG are
19 the three (3) that we reviewed earlier this morning and that
20 was the metering, the physical loss and the accounting
21 issues?

22 MS. KELLY DERKSEN: Yes, sir.

23 MR. BOB PETERS: Is the use of this allocator
24 of -- as suggested by Mr. Hawk any better or any worse than
25 the waiting system that you had used prior to this proposal?

1 (BRIEF PAUSE)

2
3 MS. KELLY DERKSEN: I think if I had my
4 druthers and I had to choose between the two (2) I would
5 continue to choose the 2:1 weighting for a couple of reasons.
6 First of all, it was derived out of a 1991 study of
7 unaccounted for gas costs.

8 Of course there was some judgment in making
9 the determination of the 2:1 weighting. It recognized -- it
10 does recognize volumes which is a driver of costs in a gas
11 utility and it -- it also recognized that our smaller volume
12 customers in the SGS and LGS class have a greater number of
13 meters number one (1), and number two (2), that they are
14 billed on a cyclic basis.

15 So, from those number of perspectives, I think
16 that would be a preferable approach.

17 MR. BOB PETERS: Do you dispute the numbers
18 or the calculations that have been provided by Mr. Hawk and
19 that is the undepreciated plant's replacement cost would be
20 in the neighbourhood of \$10 million and that would translate
21 to responsibility for 2.8 percent of the rate base from
22 '03/'04?

23
24 (BRIEF PAUSE)

25

1 MS. KELLY DERKSEN: Mr. Peters, I -- I have
2 seen reference to the \$10 million that they are referring to.
3 I was provided a document last fall, I believe, and I had our
4 engineering people review it for -- for accuracy and based on
5 a cursor -- cursory review from -- from them, they couldn't
6 discount it as a possibility of the -- the value of that
7 particular plant.

8 So, I don't have any reason at this point,
9 although I haven't looked at that information in quite some
10 time, to dispute that.

11 MR. BOB PETERS: All right. And just to
12 leave this point, Ms. Derksen, I take it from your answer
13 that to use the allocation methodology that Mr. Hawk suggests
14 would assume that unaccounted for gas arises equally
15 throughout every dollar you spend on your rate base?

16 MS. KELLY DERKSEN: Yeah, I believe that's
17 the -- the implication of that statement. Yes.

18 MR. DARREN RAINKIE: And also note, Mr.
19 Peters, that rate base is a historic depreciated cost, it's
20 not a replacement value cost. So, that that proposal's
21 taking a replacement numerator and dividing by a depreciated
22 denominator so, I'm not sure what that calculation even
23 proves.

24 MR. BOB PETERS: Thank you, Mr. Rainkie, I'll
25 think about that. What you're really telling the Board is

1 that to figure out what is the undepreciated plant and then
2 put it into replacement cost is a calculation that the
3 Corporation doesn't do and you're not sure it's a meaningful
4 number at the end of the day in any -- in any event?

5 MR. DARREN RAINKIE: That's right, Mr.
6 Peters. We didn't propose this but I'm not sure what taking
7 a replacement value divided by an historic depreciated value
8 really -- really means in the end. Of course, that's not our
9 evidence so ...

10 MR. BOB PETERS: I understand that. In your
11 evidence though, Panel, you come up with the measurement
12 based -- identified source of UFG by using a case that is a
13 high -- labeled a high case; is that correct?

14 MR. GREG BARNLUND: The -- I think we
15 outlined our approach and it's been referred to in the past
16 as the high case.

17 MR. BOB PETERS: And you didn't use a base
18 case to develop your numbers?

19 MR. GREG BARNLUND: For the reasons that I
20 stated in my direct evidence this morning, to just simply
21 take an average of the numbers and go forward with that would
22 be to ignore the other significant influences that would
23 affect the real world results in terms of that measurement.

24 MR. BOB PETERS: And in -- in mathematical
25 terms though, Mr. Barnlund, if you used a base case in your

1 methodology there would be a -- a gain not a loss on a
2 system?

3 MR. GREG BARNLUND: For some classes, yes.

4 MR. BOB PETERS: So, even though the base
5 case came out one way, the case labeled high came out
6 another, it then took use of your judgement to determine
7 which of those two would be the more appropriate? Would you
8 agree with that?

9 MR. GREG BARNLUND: Well, I think that in
10 actual fact we did not set out developing the base case or a
11 high case or a low case to begin with. We followed the
12 process that we've described in our evidence and in our
13 information request responses where we looked at the
14 available meter data and realizing that we had a limited set
15 of data that didn't represent all of the system -- the
16 measurement system that is being to work that we had to make
17 some type of -- take that into consideration and make some
18 type of judgement in terms of the -- the data itself.

19 And we also did a lot of research into how
20 those meters are actually being used in the field. In other
21 words, we examined eight thousand seven hundred and sixty
22 (8,760) hours worth of meter data for over a hundred (100)
23 customers and mapped that out and found that to simply apply
24 the mean average accuracy would not be appropriate because a
25 large number of those meters from time to time throughout the

1 year will be flowing gas at capacities underneath of the
2 tested capacity that the accuracy was arrived at.

3 And in some cases we found unfortunately there
4 are some meters that potentially could be passing gas without
5 recording any measurement whatsoever.

6 Now, that's a result of having to design
7 enough metering capacity to be able to serve the peak needs
8 of those customers. And you have to be able to put enough
9 metering in place to be able to make sure that they have the
10 flow to be able to meet their peak needs.

11 So, it's a compromise that results in a
12 contribution to unaccounted for gas but we reflected that in
13 terms of our analysis.

14 MR. BOB PETERS: Were there any other factors
15 that went into that subjective determination, Mr. Barnlund?

16 MR. GREG BARNLUND: Well in -- in addition to
17 that by moving off of the mean to one (1) standard deviation
18 or two (2) deviations away from it, it's also reflective of
19 the fact that pressure and temperature compensation have a
20 significant impact in terms of your measurement results and
21 the accuracy of your measurement.

22 And we don't have specific data available that
23 allows us to perform the complex calculations in addition to
24 the analysis that we've done to be able to quantify that to a
25 higher degree of precision. So, knowing that's the case, we

1 also use that -- the understanding of that in terms of
2 arriving at the -- the selection of one (1) or two (2)
3 standard deviations below the mean.

4 MR. BOB PETERS: Thank you, Mr. Barnlund.
5 When we -- we talk about measurement of the -- of the gas for
6 Simplot, you agree and -- and PUB Exhibit 8 demonstrates that
7 the bulk of the UFG source that's being assigned to this
8 customer comes out of the metering and the measurements?

9 MR. GREG BARNLUND: That's what we found,
10 yes.

11 MR. BOB PETERS: And you also said that
12 there's no meter on your system that is more accurate than
13 the one used by Simplot?

14 MR. GREG BARNLUND: Generally speaking, the
15 meters at Simplot would be the way that they have been
16 installed and the way that they're being maintained and
17 monitored, would lead you to conclude that that's probably a
18 very, very accurate measurement facility.

19 And given that they -- those meters receive
20 far more attention than any other meters on the system in
21 comparison would lead you to think that we have more accuracy
22 there than -- than otherwise.

23 MR. BOB PETERS: Maybe, just in my mind so
24 I'm clear, the metres that are used to measure the gas
25 provided to Simplot, are meter that are owned by the Utility;

1 is that correct?

2 MR. GREG BARNLUND: Yes, sir.

3 MR. BOB PETERS: And then, Simplot has its
4 own check meter on its own -- on it's own property, I
5 presume, that would in essence check the accuracy of the
6 Centra meter?

7 MR. GREG BARNLUND: Yes, sir.

8 MR. BOB PETERS: And the meters that both of
9 you are using, are they the same types of meter?

10 MR. GREG BARNLUND: They are. But I would
11 also correct you in terms of checking the accuracy of the
12 meter. What they will do is they will read the gas flow that
13 has been measured through our meter. And if you consider the
14 example of two (2) wrist watches: If I have one (1) wrist
15 watch, I know what time it is, if I have two (2) I never know
16 what time it is.

17 MR. BOB PETERS: And what happens if you have
18 three (3)?

19 MR. GREG BARNLUND: God forbid.

20 MR. BOB PETERS: What -- what you're telling
21 the Board is, if you have one (1) meter, you assume that
22 meter is giving you the absolute correct information, and if
23 you have two (2), there inevitably may be differences between
24 the two (2) and then you're not sure which one is correct, if
25 either of them are correct?

1 MR. GREG BARNLUND: Yes, with two (2) devices
2 you're going to -- they will never produce the identical
3 results, and so there will be always some inevitable
4 question.

5 MR. BOB PETERS: And that inevitable
6 question, I understand from the evidence, is addressed
7 through a protocol that the Utility has developed with
8 Simplot, in terms of what to do when there are differences
9 between your meters?

10 MR. GREG BARNLUND: Yes, sir.

11 MR. BOB PETERS: And that protocol has
12 relatively tight parameters?

13 MR. GREG BARNLUND: I understand so, yes.

14 MR. BOB PETERS: And if there was a variance
15 outside of those parameters, then the parties would
16 investigate and presumably resolve the issue?

17 MR. GREG BARNLUND: Yes, sir.

18 MR. BOB PETERS: And when you say, resolve
19 the issue, do you know practically what happens in those
20 instances?

21 MR. GREG BARNLUND: In those cases, there
22 would be personnel that would be sent onsite to evaluate the
23 source of the problem and to take a look at the measurement
24 equipment, potentially at both the Utility custody transfer
25 station and at the customer's check measurement station.

1 MR. BOB PETERS: Not to get too fine with --
2 with the degree of tolerance and accuracy, Mr. Barnlund, but
3 my recollection from the evidence is that the meters used for
4 Simplot have an accuracy of plus or minus 0.1 percent?

5

6

(BRIEF PAUSE)

7

8 MR. GREG BARNLUND: Can you direct me to the
9 number that you are referring to?

10 MR. BOB PETERS: I will attempt to locate
11 that. But let -- let me rephrase the question then --

12 MR. GREG BARNLUND: I'm not sure if that was
13 our evidence, sir?

14 MR. BOB PETERS: I don't believe it was in my
15 -- I think it was in the Intervenor evidence. But if -- if
16 the suggestion was, it was plus or minus 0.1 percent accuracy
17 do you agree with that or disagree with that?

18 MR. GREG BARNLUND: I would have to say that
19 we have two (2) meters onsite and the analysis that we did,
20 evaluated the accuracies of each of those meters
21 independently, and we came up with two (2) different results.

22 So, in terms of being plus or minus .01, I
23 can't comment on that. What I can say is that, in evaluating
24 the average performance of those meters, over an entire
25 year's worth of operation, that the measurement accuracy or

1 the degree of unaccounted for gas that we're talking about
2 here, it approximately .2 percent.

3 MR. BOB PETERS: And, when I look at PUB
4 Exhibit 8, are the metres used by the mainline customers more
5 or less accurate than that?

6 MR. GREG BARNLUND: What we did for the
7 mainline class was to take a look at turbine meters and to
8 take a look at rotary meters for our entire system. We have
9 attributed a lesser accuracy to those, and that relates to
10 those conditions that I spoke to earlier, in terms of the
11 flow rates and in terms of the influences of the other
12 pressure and temperature compensating equipment.

13 MR. BOB PETERS: Maybe you can just tell the
14 Board then how does the relative degree of accuracy of the
15 meters factor into your allocation of unaccounted for gas
16 between your -- your customers who use a considerable volume?

17 MR. GREG BARNLUND: I think if we turn to our
18 original evidence, attached to -- the Attachment 1 of Tab 7,
19 and on page 3 of 14, we talk about the UFG loss factor
20 applied; that's the table at line 14. And in that regard
21 high volume firm mainline and interruptible customers are
22 being attributed a loss factor due to measurement of .7
23 percent.

24 With respect to this -- sorry, and the power
25 station class would be the same. The special contract

1 customer is looking at a loss factor attributive of .2
2 percent.

3 MR. BOB PETERS: Thank you for that, Mr.
4 Barnlund. Does the Corporation acknowledge and I believe in
5 Dr. Reading's evidence that the use of volumes is an
6 inappropriate way to allocate responsibility for unaccounted
7 for gas? Have you come to that position?

8 MS. KELLY DERKSEN: Our reading of Dr.
9 Reading's evidence is that on a purely volumetric allocation
10 approach that particular allocation is inappropriate.

11 MR. BOB PETERS: And even a weighted
12 volumetric approach would be inappropriate?

13 MS. KELLY DERKSEN: The 2:1 weighting that's
14 currently -- that's currently been approved is inappropriate,
15 I would agree with that as well.

16 MR. BOB PETERS: And I thought I heard you
17 say in your direct evidence this morning, Ms. Derksen, that
18 if a volumetric responsibility was attached, the UFG
19 percentage allocated to the special contract customer class
20 would -- would go up to 18 percent?

21 MS. KELLY DERKSEN: An unweighted volumetric
22 approach would be in the neighbourhood an 18 percent
23 allocation to the special contract class, yes.

24 MR. BOB PETERS: All right. And why is it
25 your position now that the volumetric approach is -- is no

1 longer appropriate?

2 MS. KELLY DERKSEN: We've gone through a
3 significant amount of work in trying to identify what
4 contribute -- contributors there are to unaccounted for gas.
5 We've identified what we believe that -- that we can identify
6 for unaccounted for gas. We think that it's better
7 information; it's -- it's certainly more up to date. And
8 that doesn't mean that the previous allocation is wrong in
9 our mind.

10 It just means based on the circumstances
11 today, based on our best of judge -- judgement that we have,
12 that with the information that we have now available, we
13 think that it is a -- a more fair allocation.

14 MR. BOB PETERS: I know in the rebuttal
15 evidence that was filed by the Utility, you addressed other
16 approaches to allocation that were -- were suggested but all
17 of the other suggested approaches that Dr. Reading put in his
18 evidence were ones that you also similarly dismissed as I --
19 I understand your rebuttal?

20 MS. KELLY DERKSEN: That's true.

21 MR. BOB PETERS: And would it be fair to say
22 that you're -- you're not agreeing to them or finding favour
23 with them was that you could not -- you could not use cost
24 causality as a basis to get to any of the other allocated
25 methods?

1 MS. KELLY DERKSEN: I think our position is
2 that there's no -- no direct link to any of the drivers of
3 the costs on our system. So, I think that's definitely one
4 of our problems with the proposal.

5 Another issue that -- that we take with the
6 proposal is that like I've previously said, we've gone
7 through a significant amount of work to try and identify the
8 causes of unaccounted for gas costs and we believe that we
9 have been able to reasonably identify some. And to -- to the
10 extent that our proposal acknowledges, you know, the year's
11 worth of work that we've done, we think it's a preferable
12 approach and it's based on the best judgement that we have --
13 based on the best information that we have today.

14 MR. BOB PETERS: Thank you for that answer,
15 Ms. Derksen. But let me turn to the physical loss component
16 that is being charged through to the special contract
17 customer. And we seen thirty (30) 10-3-M-3's under the PUB
18 Exhibit 8 as being assigned through to the special contract
19 customer class; is that correct?

20 MS. KELLY DERKSEN: Yes, sir.

21 MR. BOB PETERS: Is it also correct that the
22 prior estimate in this area for this customer was one point
23 three five (1.35) 10-3-M-3s?

24 MR. GREG BARNLUND: I'm not sure that we had,
25 in the past, estimated specifically any losses for this

1 customer in this regard. This is the first time that we have
2 formally done this type of an analysis for use in evaluating
3 unaccounted for gas.

4 So, I'm not aware of what the other reference
5 -- where the other reference would be originating.

6 MR. BOB PETERS: All right. We can address
7 that then with the Simplot witnesses. In terms of accounting
8 issues, both Centra and Simplot appear to be agreeing that
9 there are no accounting issues that would lead to UFG in
10 respect to -- to their gas supply?

11 MR. GREG BARNLUND: That's correct.

12 MR. BOB PETERS: And that's because your
13 accounting system and methods with them is somewhat different
14 than it is with other customers?

15 MR. GREG BARNLUND: I think the accounting
16 that we're talking about here refers to the 10 percent
17 concessions that occur from time to time when we have slow
18 meters; that's the nature of that.

19 We don't have that type of a situation -- I
20 mean, we're not in a position of having any billing
21 corrections currently with -- with the special contract class
22 customer.

23

24 (BRIEF PAUSE)

25

1 MR. BOB PETERS: Now, in the -- in the
2 evidence provided by Simplot there was a number of other
3 issues that were raised in respect of cost allocation and you
4 -- you reviewed those did you, Ms. Derksen?

5 MS. KELLY DERKSEN: Yes.

6 MR. BOB PETERS: And you -- you understand
7 that Simplot's position is that they know that this is not a
8 general rate application where these issues may otherwise be
9 addressed but they still had some questions or some issues
10 relative to those matters they raised?

11 MS. KELLY DERKSEN: Yes.

12 MR. BOB PETERS: Can you explain to the Board
13 then why -- well, first of all, and Simplot's gas is supplied
14 by themselves? They arrange their own supply through direct
15 purchase?

16 MS. KELLY DERKSEN: Yes, that's what we are
17 aware of.

18 MR. BOB PETERS: And I was going to ask you
19 if Centra supplied any gas to them but I recall that you do
20 supply a very small amount of gas, if I recall, to -- to
21 them?

22 MR. GREG BARNLUND: No, sir.

23 MR. BOB PETERS: You don't supply any gas to
24 them?

25 MR. GREG BARNLUND: No. The only gas that

1 would be charged through them would be this unaccounted for
2 we're speaking of.

3 MR. BOB PETERS: All right. You -- but you
4 do, in your cost allocation methodology, Ms. Derksen, charge
5 them monies on account of Oklahoma supply?

6 MS. KELLY DERKSEN: We do not.

7 MR. BOB PETERS: You don't incorporate that
8 into your cost allocation methodology and ...

9 MS. KELLY DERKSEN: Oklahoma supply is
10 certainly included as part of this Application but none of
11 those costs have been allocated to the special contract
12 class.

13 MR. BOB PETERS: Do you charge any of the
14 Minell Pipeline charges through to this customer class?

15 MS. KELLY DERKSEN: A pipeline cost to --
16 yes, we do.

17 MR. BOB PETERS: A Minell Pipeline cost?

18 MS. KELLY DERKSEN: Minell Pipeline cost;
19 yes, we do.

20 MR. BOB PETERS: Can you explain to the Board
21 why you do that?

22 MS. KELLY DERKSEN: Minell Pipeline is -- is
23 treated a little bit differently than the rest of the
24 pipeline costs that we have on our system only because it --
25 it borders two (2) provinces, Saskatchewan and Manitoba, and

1 that's the reason why it's really treated a little bit
2 differently than the rest of our pipeline costs.

3 But we really see it no differently than the
4 -- you know, the rest of the pipeline that we have on our
5 system.

6 MR. BOB PETERS: Do you charge this customer
7 any amount on account of gas procurement?

8 MS. KELLY DERKSEN: Gas procurement related
9 to operating and maintenance expenses, yes, we do.

10 MR. BOB PETERS: Why is that?

11

12 (BRIEF PAUSE)

13

14 MS. KELLY DERKSEN: First of all, recognize
15 that the gas procurement costs that we allocate to them have
16 a number of components in them. Of course, we have to deal
17 with the unaccounted for gas issue which could be viewed as -
18 - as a gas procurement related cost.

19 In addition, there -- a couple of the costs
20 that's included in that gas procurement function are related
21 to direct purchase and the reason that we allocate those
22 types of costs to Simplot and every other customer in our
23 system stems from the policy decisions that we made and that
24 were approved by the Board, flowing out of the Western
25 Transportation Service, which said that Centra was going to

1 be a facilitator of natural gas, and that competition was for
2 the benefit of all customers, and therefore, all customers
3 should be responsible for those types of costs.

4 And so that's the rationale that we have used
5 to allocate all of those types of costs to all customers.

6 MR. BOB PETERS: One of the other aspects of
7 allocation, Ms. Derksen, was a line location expense is
8 charged through to -- to Simplot; is that correct?

9 MS. KELLY DERKSEN: If you could just give me
10 a moment, please.

11

12 (BRIEF PAUSE)

13

14 MS. KELLY DERKSEN: Yes, sir, I have found
15 that.

16 MR. BOB PETERS: How much are you charging
17 through to Simplot on line location costs?

18 MS. KELLY DERKSEN: Approximately eighty
19 thousand dollars (\$80,000.00).

20 MR. BOB PETERS: And that rep -- with respect
21 to their twenty-three (23) kilometres of pipe, from TCPL to
22 their Plant in Brandon?

23 MS. KELLY DERKSEN: That is not particularly
24 meaningful when I'm allocating a system-wide cost to this
25 particular customer. But regardless of that fact, that's

1 what we've been allocating to the special contract class,
2 approved through the '03/'04 General Rate Application.

3 MR. BOB PETERS: And you can just explain to
4 the Board, what's your method of allocation of line location
5 costs?

6

7

(BRIEF PAUSE)

8

9 MS. KELLY DERKSEN: Mr. Peters, I would have
10 to get back to you as to the allocation of line locations.

11 MR. BOB PETERS: Could you come back to me,
12 also then, with the method of allocation on the distribution
13 transmission maintenance costs that are charged through to
14 Simplot, as to how you allocate those?

15 MS. KELLY DERKSEN: I can give you a general
16 idea of -- I don't know the specific allocation as I sit here
17 right now, but distribution maintenance implies something a
18 little bit different than what it act -- what it is in
19 actuality.

20 Distribution maintenance refers to maintaining
21 our entire distribution system. So to the extent that we do
22 cathodic protection on our entire system, that we upgrade and
23 repair service lines on our system, those are the types of
24 costs that would be incorporated in the distribution
25 maintenance function and appropriately, therefore, have been

1 allocated to Simplot.

2 MR. BOB PETERS: And I suppose the point that
3 you can help me on, just concluding on this, Ms. Derksen, is
4 that Simplot doesn't have distribution facilities as we would
5 normally consider them, do they?

6 MS. KELLY DERKSEN: That's correct. That's
7 the point that I was trying to make, is that this is
8 maintenance on our entire system, including the transmission
9 portion of our system. So, to the extent that they do take
10 service off of our transmission system and that the bulk, say
11 for example, of our cathodic protection program which makes
12 up the majority of this particular cost is done on our
13 transmission system. We felt that it was appropriate,
14 therefore, to allocate a portion of those costs to Simplot.

15 MR. BOB PETERS: And again, recognizing this
16 may be a general rate application issue, Ms. Derksen, what --
17 you'll get back to me what the specific allocator was in that
18 matter?

19 MS. KELLY DERKSEN: I can do that.

20 MR. BOB PETERS: All right. Thank you.

21

22 --- UNDERTAKING NO. 13: Show method of allocation on the
23 distribution transmission
24 maintenance costs that are
25 charged through to Simplot.

1 MR. BOB PETERS: Mr. Chairman, I'd like to
2 thank the Panel for their answers to my questions. Those
3 complete my questions of the Panel on the issues of
4 unaccounted-for gas. Thank you very much.

5 THE CHAIRPERSON: Thank you, Mr. Peters. We
6 will turn now to CAC/MSOS and Mr. Saxberg.

7 Mr. Saxberg, are you ready to begin?

8 MR. KRIS SAXBERG: I am, sir.

9 THE CHAIRPERSON: Proceed.

10 MR. KRIS SAXBERG: Thank you, Mr. Chairman.

11

12 CROSS-EXAMINATION BY MR. KRIS SAXBERG:

13 MR. KRIS SAXBERG: And perhaps everyone could
14 turn up PUB 14(c) attachment?

15

16 (BRIEF PAUSE)

17

18 MR. KRIS SAXBERG: Mr. Barnlund, you'd agree
19 that measuring UFG is anything but an exact science?

20 MR. GREG BARNLUND: Calculating UFG is
21 difficult and trying to find the components that make it up
22 is fairly difficult too.

23 MR. KRIS SAXBERG: And there's some exercise
24 of judgment then that -- that needs to be brought to bear in
25 -- in estimating UFG and its origins?

1 MR. GREG BARNLUND: In terms of its origins
2 is what I can speak to and I'd say that as we've described
3 earlier today, there is some judgment that is applied, yes.

4 MR. KRIS SAXBERG: Now, the -- your UFG
5 review identified approximately 12.4 million cubic metres of
6 UFG correct?

7 MR. GREG BARNLUND: Yeah. Twelve thousand,
8 four hundred (12,400) 10-3-M-3s. Yes.

9 MR. KRIS SAXBERG: And that's only 55 percent
10 of the UFG that you've been able to explain; you've indicated
11 that, correct?

12 MR. GREG BARNLUND: That's correct. Yes.

13 MR. KRIS SAXBERG: Which leaves 45 percent
14 unexplained, correct?

15 MR. GREG BARNLUND: That's true.

16 MR. KRIS SAXBERG: And now, are those
17 percentages based on the volumes that were originally
18 forecast before the update?

19 MR. GREG BARNLUND: No, that's really a -- I
20 would say, a long term average assuming about 1 percent
21 unaccounted for gas on the system in a long run.

22 MR. KRIS SAXBERG: So, if we're looking at
23 PUB/Centra 14 Attachment, there's an indication of volumes of
24 twenty thousand (20,000) -- approximately twenty thousand
25 (20,000) 10-3-M-3?

1 MR. GREG BARNLUND: Can I see that?

2 MR. KRIS SAXBERG: The twelve thousand, four
3 hundred and ninety-two (12,492) isn't the identified amount
4 of that number?

5 MR. GREG BARNLUND: I'd like to point out
6 that the data that you see at PUB/Centra 14(c) is related to
7 our forecast pre-update in the Application, whereas the UFG
8 study that we performed used a forecast which is similar to
9 our current forecast but reflective of -- of, I would say,
10 the long -- a longer term average of -- of system volumes.

11 So, the volumes won't -- you can't exactly tie
12 back the volumes from this attachment to the volumes that
13 would have been produced in our forecast -- in our UFG study,
14 sorry.

15 MS. KELLY DERKSEN: And if I might add that -
16 - to that, Mr. Saxberg, our initial application that this was
17 -- that this PUB/Centra 14 is -- is reflecting included
18 Simplot volumes at the lower level of a hundred and eighty-
19 one thousand (181,000) as part of the initial application.

20 Our UFG study took into account that -- took
21 into account normal year volumes for that particular class.
22 So, again, there will be some distinction.

23 MR. KRIS SAXBERG: Could you tell me then
24 what the appropriate number for volumes on line 10 would be
25 given the update?

1 (BRIEF PAUSE)

2

3 MR. GREG BARNLUND: If you'd just give us a
4 minute, please.

5

6

7

8 MS. KELLY DERKSEN: A couple of things
9 happened as part of the update to the Application, Mr.
10 Saxberg.

11 First of all we lowered our total unaccounted
12 for gas percentage from 1 percent that was incorporated in
13 our initial application and .9 percent. The second thing
14 that occurred as part of the updated of course that I already
15 mentioned is that Simplot's volumes were increased to normal
16 levels.

17 With that said, if you turn either to PUB
18 Exhibit Number 8 that we have been speaking about this
19 morning; if you look at the bottom of that particular table
20 on the most right-hand side two million two hundred and fifty
21 thousand (2,250,000) approximately is what our total volume
22 estimate is for the '04/'05 year.

23 MR. KRIS SAXBERG: I see. And that's because
24 there's an offset between the increase in volumes for special
25 contract class and a decrease because your -- you've moved

1 from 1 percent to .9 percent?

2 MS. KELLY DERKSEN: I think that's fair, yes.

3 MR. KRIS SAXBERG: So, the -- the changes
4 between the 45 percent unexplained and the 55 percent
5 explained based on the new volume would be pretty minor then
6 I guess?

7 MR. GREG BARNLUND: Potentially, yes.

8 MR. KRIS SAXBERG: Now the last report was
9 done, I have a date of October of 1992?

10 MR. GREG BARNLUND: If you're referring to
11 the Centra UFG study.

12 MR. KRIS SAXBERG: Right, it's called
13 Unaccounted for Gas Study by Centra?

14 MS. GREG BARNLUND: Yes, sir. I believe that
15 was filed in conjunction with a general rate application.

16 MR. KRIS SAXBERG: Now, there the total UFG
17 explained was thirteen thousand nine hundred and seventy-one
18 (13,971) 10-3-M-3. Does that sound right? You can take it
19 subject to check.

20 MS. GREG BARNLUND: Subject to check I would
21 accept that, yeah.

22 MR. KRIS SAXBERG: And that was out of a
23 total UFG of thirty-four thousand six hundred and forty-three
24 (34,643) 10-3-M-3. Do you take that subject to check?

25 MS. GREG BARNLUND: Well I believe the report

1 indicates that the percentage of the -- the known is 40.33
2 percent or something around that neighbourhood. It should be
3 in the report.

4 MR. KRIS SAXBERG: That's right but there's
5 an indication of the total explained UFG of thirteen thousand
6 nine hundred and seventy-one (13,971)?

7 MS. GREG BARNLUND: Yes.

8 MR. KRIS SAXBERG: I believe we're looking at
9 the same page. And a total UFG of thirty-four thousand six
10 hundred and forty-three (34,643); is that correct?

11 MS. GREG BARNLUND: According to this, the
12 table here, the total UFG that they had indicated based on
13 what they refer to as their best estimate in column 1 on page
14 4, is -- the unaccounted for volume would have been thirty-
15 four thousand six hundred and forty-three (34,643) which
16 represents 1.88 percent of system inputs as opposed to the 1
17 percent we currently have -- or that we had another .9
18 percent that we have on our Application.

19 MR. KRIS SAXBERG: So, is it fair to say, the
20 new report, the new study, has identified more UFG but out of
21 a smaller number of total UFG because UFG has declined
22 somewhat significantly?

23 MR. GREG BARNLUND: I think that could be.
24 Yes, that would be the case.

25 MR. KRIS SAXBERG: Now, you can't explain why

1 the UFG fluctuates though from year to year; can you?

2 MR. GREG BARNLUND: Well, we have, I think, a
3 certain amount of empirical information and experience that
4 leads us to believe that the fluctuation of UFG could be
5 caused by, in part, cyclic billing.

6 It's -- it's impacted by the number of
7 estimates that we may have on the system at any given point
8 in time. It may impact -- be impacted by the degree by which
9 we have a fairly simple model for calculating the un-billed
10 component which relies only on number of degree days and
11 number of billing days in a cycle.

12 So there are certainly some limitations to
13 that that will end up creating some cyclical aspect in terms
14 of the calculation of UFG.

15 MR. KRIS SAXBERG: If we're still on PUB 14
16 and we look at the very first page of that information
17 request which shows unaccounted for gas percentages since
18 1996, you'd agree that the range is from a low of .134
19 percent to a high of virtually 2 percent?

20 MR. GREG BARNLUND: Yes. The UFG percentage,
21 as taken at the end of March, shows that. I think what you'd
22 also find too that if you took the UFG percentage at the end
23 of December they would also vary significantly. And tending
24 -- the tendency for the -- or I should say that we, in terms
25 of doing the UFG true-up, have determined that the summer

1 months are the most appropriate months to be looking at the
2 UFG percentages in terms of their stability.

3 MR. KRIS SAXBERG: But the -- the point of
4 the 1992 report was to find out why there is -- why there was
5 such a dramatic increase in a particular year; correct?

6 MR. GREG BARNLUND: I agree that the report
7 was commissioned because of a significant increase in one (1)
8 year from 1.2 to 1.8 percent.

9 MR. KRIS SAXBERG: And is that something then
10 that's been corrected or that you haven't encountered since
11 then?

12 MR. BRENT SANDERSON: One (1) of the
13 outgrowths of the conclusions of that study was the attempt
14 on the part of the Utility to identify a particular time of
15 year that would be better to undertake a true-up as opposed
16 to other times of the year.

17 And that -- and over time we've learned more
18 information as we've gone on. And that's where we've come to
19 the determination that the May, June or July periods are the
20 most appropriate and subject to the least variability due to
21 extraneous factors such as the number of estimates in the
22 billing system and so forth.

23 To look at the March period, for example, if
24 we assume, for example, that there's a 2 percent inherent
25 estimate -- or inherent error in the billing estimates in the

1 system at any point in the year, what that will mean in terms
2 of absolute levels of volume will depend on the level of the
3 loads that have been at any particular time of year.

4 So if we just, and I'm picking this number out
5 of the air, mind you, but if we assume a 2 percent embedded
6 error in the billing estimates that will translate into a
7 much larger level of absolute volumes if taken at the end of
8 March as opposed to the end of May, June, or July.

9 And so we're dealing with a very small
10 estimate of unaccounted for gas to begin with which, you
11 know, is on the order of .9 percent presently. So, any
12 absolute error that is larger than it can be, based on the
13 point in time you're taking that estimate, will have big
14 impacts on the calculated levels of UFG.

15 So that's the -- one (1) of the actions that
16 was taken as an outgrowth of that study was to identify a
17 particular time of year which would minimize the impacts of
18 billing estimates and the like on the calculation.

19 MR. KRIS SAXBERG: And I suppose these --
20 some of the other actions are the ones that you've indicated
21 at CAC/Centra-48 with respects to efforts Centra's made to
22 reduce overall UFG on its system?

23 MR. GREG BARNLUND: Yes. And in addition to
24 that, I would also indicate that we've made some significant,
25 I would say, improvements or -- or advances in terms of

1 having our meter shop accredited by Measurement Canada.

2 We were, in the 1990s, we were one of the
3 first utilities or one (1) of the early adopter utilities in
4 Canada to put in place the quality programs that would enable
5 Measurement Canada to afford us that certification.

6 So those are some of the things that we're
7 done to -- that indirectly of course, help address the UFG
8 problem.

9 MR. KRIS SAXBERG: Thank you. And can you
10 confirm Mr. Barnlund that the 1992 report doesn't
11 specifically recommend a double waiting for the SGS class?

12 MR. GREG BARNLUND: Well, the 1992 report is
13 silent on how you would allocate it and I -- I understand
14 that it was not the intention of the report to make any
15 recommendation in terms of the allocation of unaccounted for
16 gas. The intent was to be able to explain the change from
17 one point two (1.2) to 1.8 percent.

18 MR. KRIS SAXBERG: And I think it was Ms.
19 Derksen's information that it was at a 1996 hearing --
20 hearing where Centra proposed a double weighing for the SGS
21 class?

22 MS. KELLY DERKSEN: Yes, that's true.

23 MR. KRIS SAXBERG: And is that something that
24 is -- was specifically addressed by the Board in the Board
25 Order?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(BRIEF PAUSE)

MS. KELLY DERKSEN: Subject to check, Mr. Saxberg, yes, it was.

MR. KRIS SAXBERG: And you'd agree that the double weighting approach is unique to Centra as opposed to other LDC's in Canada?

MS. KELLY DERKSEN: I think the specific split of two (2) to one (1) is probably unique to Centra Manitoba although we recognize that other utilities out west do also use a weighting volumetric approach to allocating UFG.

MR. GREG BARNLUND: And if I could add to Ms. Derksen's answer, more recently ATCO in Alberta has received approval from the Alberta Energy and Utilities Board for a separate weighting between transmission customers and distribution customers.

MR. KRIS SAXBERG: You're not going to suggest that the -- for ATCO that their transmission system is -- anyway which is a different company I believe ATCO's pipelines from the -- from the ATCO Gas North and ATCO Gas South are different companies?

You're not going to suggest that those are -- it's analogous situation or that Manitoba -- that Manitoba

1 Hydro/Centra's in a similar situation?

2 MR. GREG BARNLUND: I'm not suggesting
3 anything. I'm simply responding to the question of how other
4 utilities may use weighting or may not use weighting.

5 MR. KRIS SAXBERG: And your evidence remains
6 though that the majority -- vast majority of LDC's we use in
7 unweighted volumetric allocation?

8 MR. GREG BARNLUND: That's correct.

9 MR. KRIS SAXBERG: What did Centra use before
10 the 1996 Hearing? What type of allocation?

11 MS. KELLY DERKSEN: Mr. Saxberg, I'd have to
12 check into that. I don't know at this point.

13 MR. KRIS SAXBERG: Okay, well would you
14 undertake to do that then?

15 MS. KELLY DERKSEN: I could undertake to do
16 that.

17

18 --- UNDERTAKING No. 14: Ms. Derksen to supply information
19 with respect to allocations used
20 before the 1996 Hearing.

21

22 CONTINUED BY MR. KRIS SAXBERG:

23 MR. KRIS SAXBERG: Thank you for that. Now
24 is it correct to say there's always going to be a component
25 of UFG that will be unexplained?

1 MR. GREG BARNLUND: I would say yes.

2 MR. KRIS SAXBERG: And is it too strong a
3 word to say that there's always going to be a mystery or a
4 gremlin in the system whereby your -- your numbers aren't
5 going to match between what you have -- your receipts and
6 what you've delivered?

7 MR. GREG BARNLUND: Well, I would say that
8 similar to the stop watch or the comparison of the two (2)
9 wristwatches I described before, that it's very reasonable to
10 expect that you will never have deliveries, the number of the
11 amount of volume delivered and the amount of volume received
12 completely match.

13 MR. KRIS SAXBERG: And that's something that
14 you've got to live with as a cost of doing business, correct?

15 MR. GREG BARNLUND: I guess there's really a
16 cost in terms of approaching the problem if you were going to
17 invest a lot more money in terms of solving the problem you
18 have to make sure that -- that there's a related benefit to
19 it. But I think that it's always be there to some extent.

20 MR. KRIS SAXBERG: And I think your evidence
21 was that that then is a common cost, the unexplained portion
22 of the UFG that is, is a common cost for all customers and
23 customer classes of Centra?

24 MS. KELLY DERKSEN: Yes, sir.

25 MR. KRIS SAXBERG: Now, the special customer

1 class wants to directly measure their UFG; is that your
2 understanding?

3 MR. GREG BARNLUND: I believe that's my
4 understanding of their evidence, yes.

5 MR. KRIS SAXBERG: And if all customer
6 classes, or even individual customers, could do that, could
7 directly measure their UFG, and let me just stop there. You
8 say that can't happen, first of all...?

9 MR. GREG BARNLUND: Essentially, the example
10 that I provided this morning in terms of the Brandon area in
11 the southwest, makes it -- describes that it's impossible to
12 isolate one (1) customer out of that system and accurately
13 determine their unaccounted-for gas.

14 MR. KRIS SAXBERG: So, but let's just, if
15 you'd indulge me, assume that it could be done, that everyone
16 could directly measure their UFG, let me ask you this: Would
17 there still be unexplained -- would there still be an
18 unexplained portion of UFG, if everyone was able to do that?

19 MR. GREG BARNLUND: Well, I don't know, I
20 mean, I have a hard time knowing what I know of the topic,
21 conceiving of the scenario that you are trying to portray
22 here.

23 MR. KRIS SAXBERG: But there would still be
24 some, even indirectly, measuring UFG for a specific customer,
25 there would still be some margin of error, would there not?

1 MR. GREG BARNLUND: I assume that in terms of
2 any type of measurement, let's -- let's use an example of a
3 lateral that serves one (1) customer off the system, you're
4 still going to have unaccounted-for gas, because you'll have
5 a measurement that occurs for gas to enter the system, and
6 you'll have a measurement that will occur for gas to leave
7 the system. And those two (2) meters will never run
8 identically the same, and so you will always have some
9 component of unaccounted-for gas.

10 MR. KRIS SAXBERG: Now, with respect to the
11 45 percent of UFG that has not been explained, would you
12 agree that that amount needs to be allocated, there needs to
13 be an allocator for it?

14 MS. KELLY DERKSEN: I agree.

15 MR. KRIS SAXBERG: And that the allocator
16 that Centra has chosen is to take the explained percentages
17 for UFG and to apply them to the unexplained 45 percent?

18 MS. KELLY DERKSEN: Yes, that's our -- that
19 is our proposal.

20 MR. KRIS SAXBERG: So you're allocating, to
21 put it in plain English, you're allocating the unexplained
22 portion of UFG in the same manner as the explained
23 portion...?

24 MS. KELLY DERKSEN: I'm sorry, can you repeat
25 the question, please?

1 MR. KRIS SAXBERG: You're allocating the
2 unexplained portion of UFG in the same manner that you are
3 allocating the explained portion...?

4 MS. KELLY DERKSEN: Yes, Mr. Saxberg, that is
5 our proposal. We believe that's a reasonable proposal, we
6 think that, for a couple of reasons, first, is that we think
7 that the 55 percent that we have been able to identify is a
8 conservative estimate.

9 And we also believe that it's -- it's a
10 reasonable -- based on a reasonable judgment which all cost
11 allocations have is that it is likely that the unidentified
12 unaccounted-for gas is -- is composed of the same components
13 as the identified unaccounted-for gas, and so likely occurs
14 in the -- in the same proportions.

15 MR. KRIS SAXBERG: Well, I think I heard the
16 evidence today to be, there are no other sources, no other
17 categories, for unaccounted-for gas, other than the -- the
18 three (3) main ones that have been cited in the report?

19 MR. GREG BARNLUND: I think that we -- very
20 thoroughly investigated it and that as they're summarized in
21 those three (3) categories, I think that we have covered
22 extensively the potential sources of unaccounted-for gas,
23 yes.

24 MR. KRIS SAXBERG: But the question, then, it
25 becomes: What evidence is there that the unexplained UFG

1 arises from the same -- in the same order of magnitude as the
2 explained UFG?

3 MR. GREG BARNLUND: I would say that there's
4 no clear evidence in terms of the explicit source of the 45
5 percent. However, subsequent to an information request that
6 was made of us about the eight thousand (8,000) non-
7 temperature compensated meters, I can provide some additional
8 information for you that may help understand that the 55
9 percent that we're talking about is conservative.

10 We had gone back and more recently reviewed,
11 because we have replaced some of those non-temperature
12 compensated meters this year. We found there was an
13 additional offset that was taken -- that we needed to take
14 into consideration because our original volume estimates per
15 customer were low.

16 So at the end of this, by the time we see that
17 instead of eight thousand (8,000) meters we have five
18 thousand, one hundred (5,100) temperature compensated meters
19 out there, however, their average -- average useage on those
20 customers was thirty-three hundred (3,300) cubic metres and
21 not sixteen hundred (1,600) cubic meters that we had in our
22 original estimate.

23 So, if anything, our original estimate that
24 produced the 55 percent was low. It was conservative and it
25 understated that because we were conservative in terms of

1 producing those estimates.

2 So, I would have to say that there is a --
3 while there's no distinct evidence, there is a strong
4 likelihood that the remaining 45 percent has origins that
5 we've already discussed or already reviewed in our study.

6 MR. KRIS SAXBERG: Your answer then just
7 brief was that the 55 percent identified is a conservative
8 figure; correct?

9 MR. GREG BARNLUND: I believe so. Yes.

10 MR. KRIS SAXBERG: But if next year the total
11 volume of UFG increases from beyond the twenty thousand, two
12 hundred and fifty (20,250) 10-3-03 then that 55 percent
13 percentage is going to come down; isn't it?

14 MR. GREG BARNLUND: No, sir. Because we're
15 -- the results of this study were to develop a series of
16 percentages on a class by class basis with which we would use
17 to allocate future unaccounted for gas expenses regardless of
18 their level at that point in time.

19 MR. KRIS SAXBERG: But for the total number
20 of -- of unaccounted for gas you were using a forecast for
21 2004/2005; correct?

22 MR. GREG BARNLUND: We used a forecast which
23 was, at the time, different from the forecast in our
24 Application but very consistent with the forecast that we
25 have updated to now in our Application.

1 MR. KRIS SAXBERG: But if you'd used another
2 number, for example, the actual -- actuals for 2003/2004 you
3 wouldn't be here today talking about 45 percent unexplained
4 and 55 percent explained, you'd be using different
5 percentages; isn't that fair?

6 MR. GREG BARNLUND: Well, the -- I guess,
7 could you repeat the question for me again?

8 MR. KRIS SAXBERG: Well, rather than using
9 the forecast twenty-thousand (20,000) and change, 10-3-03, if
10 you used the actual for 2004, the actual amount of UFG
11 volumes you then -- that would have affected the percentages
12 vis-a-vis explained and unexplained UFG?

13 MR. GREG BARNLUND: All I can testify to is
14 the way that I did the analysis was referencing a set of
15 volumes that -- that we used which is reasonably close to
16 what we've updated to right now and is reflective of the
17 customers' usage that would aggregate to those volumes.

18 MR. KRIS SAXBERG: But -- and I'll just move
19 on. It's not that -- that important. But if we look at Tab
20 16 of Mr. Peters' Book of Documents, and just in general
21 these numbers, I just want to have it tidy on the record,
22 you're acknowledging that there's no evidence that these same
23 proportion of numbers apply to the 45 percent of unexplained
24 UFG; correct?

25 MR. GREG BARNLUND: Well, while we, as I

1 mentioned, have a conservative estimate that's arrived at the
2 55 percent, we have no conclusive evidence one (1) way or the
3 other, as to how the remaining unaccounted-for gas
4 originates.

5 MR. KRIS SAXBERG: Thank you. And so you
6 need an allocator and, I'm going to ask you then, did you
7 consider using a volumetric allocator for the 45 percent?

8

9 (BRIEF PAUSE)

10

11 MR. GREG BARNLUND: I think we looked at it
12 and we elected not to do that, because that would then say
13 that the remaining 45 percent was caused equally by all
14 customers. And obviously the study that we've completed that
15 identified 55 percent being caused by various groups of
16 customers, we would be inconsistent with our study.

17 MR. KRIS SAXBERG: So I guess that answer
18 then, applies equally to whether you considered using the
19 weighted volumetric approach for the 45 percent?

20

21 (BRIEF PAUSE)

22

23 MR. GREG BARNLUND: I'm not sure that we
24 evaluated attempting to apply the two (2) to one (1)
25 weighting to the remaining 45 percent. I think that we -- we

1 looked at either applying the same weightings that we have
2 for the identified as for the unidentified.

3 And as I said before, we had looked at the
4 possibility of allocating the remaining 45 percent on an
5 equal volumetric basis, but that was clearly in conflict with
6 the findings we had in the rest of the study.

7 MR. KRIS SAXBERG: Well, would doing -- would
8 allocating the remaining 45 percent with a weighted
9 volumetric approach contradict your findings in this report?

10

11

(BRIEF PAUSE)

12

13

14

 MS. KELLY DERKSEN: Can you repeat your
question, please?

15

16

17

18

 MR. KRIS SAXBERG: I'll try. Would using a
weighted volumetric approach to allocate the 45 percent
unknown UFG be in contradiction to the findings of your UFG
Study?

19

20

21

22

23

24

25

 MS. KELLY DERKSEN: I think to some extent,
yes. The two (2) to one (1) weighting list derived from the
-- the 1991 Study and proposes part of the 1996 Cost
Allocation Study. And that was based on judgment that we
placed, using two (2) factors: Number 1 is recognizing that
the SGS and LGS class have more meters on the system, and
inheriting in meters is -- is error, so we used -- that was

1 one (1) of the factors.

2 The second factor was that the SGS and LGS
3 class both are built on a cyclic billing and we used both of
4 those factors, then, to weight the SGS and LGS customers
5 twice their volumes as compared to the rest of the system.

6 We have now gone through a study which, of
7 course suggests metering as a major contributor to UFG, which
8 would be consistent with the two (2) to one (1) weighting,
9 however, we have discounted cyclic billing as a contributor
10 to UFG. And so from that perspective, we think it would be
11 inconsistent with our current proposal.

12 MR. KRIS SAXBERG: And do you agree generally
13 then, that the study shows that the prior approach of double-
14 weighting the volumes was too harsh for SGS class?

15 MS. KELLY DERKSEN: I think we have better
16 information today to provide different allocators. It
17 doesn't mean that what we've done in the past is wrong or too
18 harsh.

19 It simply means that what we have done in the
20 past was based on the information that we had had at hand.
21 Today is -- we have a refinement. We've gone through a whole
22 pile of work to get this information together and we think
23 it's reasonable.

24 We also think what we did previously was
25 reasonable under the circumstances.

1 MR. KRIS SAXBERG: Thank you for that. And
2 looking at Tab 16 again, the special contract class is not
3 allocated anything with respect to accounting and billing
4 practices; correct?

5 MR. GREG BARNLUND: That's correct.

6 MR. KRIS SAXBERG: And when -- when the
7 special contract class or anyone else isn't allocated for one
8 (1) of these factors on Tab 16 then that means that they're
9 not allocated anything with respect to the 45 percent of
10 unknown UFG; correct?

11 MR. GREG BARNLUND: For that particular
12 factor, yes.

13 MR. KRIS SAXBERG: So, for accounting and --
14 and billing practices of Centra, even though the special
15 contract class -- well, let me -- let me back up a second.
16 Centra bills the special contract class;
17 correct?

18 MR. GREG BARNLUND: Certainly. But the line
19 item we're discussing here is a specific topic related to
20 billing concessions that are applied to slow and non-
21 recording meters in the SGS and LGS class.

22 MR. KRIS SAXBERG: And maybe I have this
23 wrong then but if the concession policy -- if someone's meter
24 fails or there is a -- there's a problem with the meter for
25 mechanical reasons or whatever, then there is a concession

1 policy that Centra Gas has whereby they are going to reduce
2 the estimated bill that flows from that failure by 10
3 percent; correct?

4 MR. GREG BARNLUND: I believe that's correct,
5 yes.

6 MR. KRIS SAXBERG: Well, couldn't that happen
7 with the special contractor class?

8 MR. GREG BARNLUND: Not very likely for the
9 reasons that's been canvassed fairly significantly in this
10 evidence whereby that account is -- or that -- those meters
11 are monitored almost in real time and are check metered and
12 receive a significant amount of care and attention which
13 would -- which would indicate very early if there was any
14 type of a discrepancy and allow that -- discrepancy to be
15 taken care of without any type of concession.

16 And I might add too that other large volume
17 customers do not receive this 10 percent concession in terms
18 of a meter failure because generally, by and large, we have
19 uncorrected base meter readings available for all of those
20 types of meters and customers.

21 We take and we can very accurately estimate
22 what the volume of gas was that -- that might have flowed to
23 those customers and, therefore, they are not eligible for
24 that concession; that concession is only for the small volume
25 classes.

1 MR. KRIS SAXBERG: Okay. So no concession at
2 all then is what you're saying?

3 MR. GREG BARNLUND: That's correct.

4 THE CHAIRPERSON: Mr. Saxberg, I don't mean
5 to interrupt, but when you get a chance to have a pause we'll
6 take our lunch break.

7 MR. KRIS SAXBERG: I think what I'm
8 endeavouring to do is to -- to be able to finish and I think
9 I can do that within ten (10) minutes; if that's all right
10 with you or I could come back.

11 THE CHAIRPERSON: Why don't you -- why don't
12 you come back and then you're not going to feel rushed.

13 MR. KRIS SAXBERG: Sure.

14 THE CHAIRPERSON: Thanks.

15

16 --- Upon recessing at 12:07 p.m.

17 --- Upon resuming at 1:36 p.m.

18

19 THE CHAIRPERSON: Mr. Saxberg...?

20 MR. KRIS SAXBERG: Thank you, Mr. Chairman.

21 It's so nice out I'm surprised everyone came back. Hopefully
22 you'll be happy you did.

23 THE CHAIRPERSON: We'll suspend judgment.

24 MR. KRIS SAXBERG: Thank you.

25

1 CONTINUED BY MR. KRIS SAXBERG:

2 MR. KRIS SAXBERG: This is, I think, probably
3 for Ms. Derksen; UFG is forecast based on an actual -- based
4 on a percentage of volumes forecast to be consumed, right?

5 MS. KELLY DERKSEN: I would agree with that.

6 MR. KRIS SAXBERG: Is it as simple as the
7 more volumes, the higher the estimate of UFG?

8 MR. BRENT SANDERSON: All other things being
9 equal, I would agree. And when I refer to "all other things
10 being equal", price would affect it in a situation where
11 prices are going up but the forecast of absolute volumes is
12 going down. You could have the reverse take place, but I'll
13 agree with your statement.

14 MR. KRIS SAXBERG: So, aside from that
15 caveat, UFG cost is -- is forecast on a volumetric basis?

16 MS. KELLY DERKSEN: Yes, sir.

17 MR. KRIS SAXBERG: So you agree then that
18 there's at least some correlation between volume of gas and
19 UFG?

20 MS. KELLY DERKSEN: Yes, on an overall basis,
21 Mr. Saxberg.

22 MR. KRIS SAXBERG: And the record's clear
23 that the special contract customer used approximately 20
24 percent of Centra's throughput?

25 MS. KELLY DERKSEN: I think of total system

1 throughput not Centra's throughput, yes.

2 MR. KRIS SAXBERG: I understand. And you'd
3 agree that in a general sense, whether weighted or not, as an
4 allocator using volumes has, at least, some appeal?

5

6

(BRIEF PAUSE)

7

8 MR. GREG BARNLUND: Volume to the extent that
9 as we've seen in our study, different customer classes have
10 different -- or experience different levels of measurement
11 accuracy which we contribute to unaccounted-for gas.

12 Therefore there would have to be some
13 weighting attached to that volumetric allocation as -- as
14 opposed to an unweighted approach which would assume contrary
15 to our study, that all volumes would attract the same level
16 of accuracy through measurement.

17 MR. KRIS SAXBERG: I think then that you
18 would agree that since you forecast the total amount of UFG
19 based on volumes, that there has to be at least some
20 component within the allocation which is based on or touches
21 on volumes?

22 MS. KELLY DERKSEN: Yes, and I think to the
23 extent that we've identified the components that we believe
24 are -- contribute to UFG, we have identified those and have
25 allocated the ones that we believe are driven by volumes on

1 that basis.

2 MR. GREG BARNLUND: And further to add to
3 that response, I would suggest that our proposal is indeed
4 volumetric but is a weighted volumetric approach. Because
5 these are allocated through a volumetric method with specific
6 weightings for each customer class.

7 MR. KRIS SAXBERG: And let me just ask you.
8 If you did use purely volumetric allocation methodology with
9 no weighting, you're not suggesting that that would result in
10 unjust or unreasonable rates?

11 MS. KELLY DERKSEN: I think that to the
12 extent that we have gone through a UFG study which identifies
13 sources of UFG. And those sources have been allocated on a
14 recommendation or a judgement some of them volume for
15 example, to that extent we think that the proposal that
16 you're suggesting which is a purely volumetric proposal is
17 contrary to what we are proposing.

18 MR. KRIS SAXBERG: It's not necessarily
19 contrary to an allocation within the 45 percent of
20 unexplained UFG though is it? Because you have admitted that
21 you don't know with any certainty who has caused that UFG.

22 MR. GREG BARNLUND: Let me be clear that in
23 terms of the 45 percent, while there may be no evidence to
24 say that -- how it's caused, there's certainly no evidence
25 either that -- that would indicate that it wouldn't be caused

1 by the same factors that we've currently identified in the 55
2 percent. In other words, there may not be strong evidence in
3 either direction in that regard.

4 MR. KRIS SAXBERG: Is it fair to conclude
5 that Centra is at least moving away from a -- a volumetric
6 approach with this new proposal? It's distancing itself from
7 using the volumetric approach?

8 MR. GREG BARNLUND: I wouldn't characterize
9 that in that manner. I think what we have is currently we
10 have an approach that is volumetric that is weighted two (2)
11 to one (1) as Ms. Derksen had mentioned for the SGS and LGS
12 customers.

13 We are seeking to refine that allocation. And
14 the refinement would then create a weighting for each
15 individual customer class as opposed to two (2) of the
16 classes. And that we feel is strongly supported by twelve
17 (12) months worth of investigation that the company has
18 placed considerable time and effort and energy and diligence
19 in pursuing.

20 MR. KRIS SAXBERG: Well, isn't it more
21 accurate to say that you are relying on the report which
22 shows direct causes of UFG as opposed to using just a broader
23 allocation of -- based on volumes? So that it's a bottom up
24 approach?

25 MS. KELLY DERKSEN: I prefer to look at it as

1 we have identified what we believe to be the contributors of
2 UFG which identifies 55 percent of total unaccounted for gas
3 and to the extent that we have been able to identify it to
4 the extent that we believe that that is a conservative
5 estimate we think it's reasonable to allocate what we don't
6 know based on what we do know.

7 MR. KRIS SAXBERG: Isn't the main driver of
8 the allocation using the proposed methodology the judgement
9 that was brought to bear by the author or authors of the
10 report when making certain assumptions and attributing
11 certain UFG to -- in certain amounts to certain customer
12 classes?

13 MR. GREG BARNLUND: Well certainly there's an
14 element of judgement in all cost allocation and there's an
15 element of judgement clearly in this. However, this study is
16 based on a significant body of data that was obtained that is
17 reflective of real life conditions in terms of how the
18 Utility operates and is largely I would say based upon that
19 factual data.

20 MR. KRIS SAXBERG: Let me ask you just
21 generally: Is it fair to one (1) customer class if another
22 customer class pays less with respect to the dollar amount of
23 UFG because of their location on the system?

24 MS. KELLY DERKSEN: No, sir.

25 MR. KRIS SAXBERG: And is it fair if one

1 customer class -- to one (1) customer class if another
2 customer class can demonstrate its actual UFG when the former
3 customer class can only estimate?

4

5

(BRIEF PAUSE)

6

7

MS. KELLY DERKSEN: I think, Mr. Saxberg, if
8 we could isolate one (1) customer and demonstrate exactly
9 what their unaccounted for gas costs were, but the rest of
10 the system we could not identify what those unaccounted for
11 gas costs are, it would then be the responsibility of the
12 Utility to suggest that that one customer class should pay
13 for what we can specifically identify to them and to the
14 extent they should also bear some responsibility of common
15 costs or those costs that cannot be directly assigned.

16

MR. KRIS SAXBERG: Thank you for that. And
17 so if we take a look at Tab 16 of Mr. Peters' Book of
18 Documents. I'm just trying to clear up -- or clean up the
19 record here.

20

But if we're looking at the special contract
21 customer and noting the areas where there has been no
22 assignment of any UFG, for example, at the top under
23 barometric pressure, there's no assignment of UFG to the
24 special contract customer, correct?

25

MR. GREG BARNLUND: That's correct because

1 barometric pressure is taken into consideration in the
2 measuring equipment that is installed with that customer.
3 Their equipment is sufficiently sophisticated enough that it
4 senses actual barometric pressure and compensates in real
5 time.

6 Similarly there are other customer classes,
7 high volume firm, mainline and interruptible and power
8 station that have similar equipment and they do not have that
9 attributed to them because our metering devices are able to
10 compensate for that.

11 MR. KRIS SAXBERG: But can you tell this
12 Board for a certainty that with respect to the barometric
13 pressure category, that this special contract customer is not
14 contributing in any way to that 45 percent of unknown UFG?

15 MR. GREG BARNLUND: While there's not 100
16 percent certainty, it would be a very, very low likelihood of
17 that happening because that device and that metering
18 equipment is very, very carefully monitored and maintained
19 and similarly the -- for that particular case the fact that
20 there is sophisticated check measurement equipment maintained
21 by the customer in line with it, any cause of metering
22 deviation between the two (2) meters will become apparent
23 very quickly and would be investigated.

24 MR. KRIS SAXBERG: And you acknowledge that
25 you had indicated earlier that no measuring equipment or

1 equipment used to measure the measuring equipment is
2 infallible?

3 MR. GREG BARNLUND: That's correct.

4 MR. KRIS SAXBERG: So, there has to -- does
5 there not have to be at least some allocation with respect to
6 that 45 percent of unknown UFG for that category -- at least
7 some, however nominal?

8 MR. GREG BARNLUND: I have no data or no
9 basis with which to do that for that particular category.

10 MR. KRIS SAXBERG: And does the same hold
11 with regard to super compressibility?

12

13 (BRIEF PAUSE)

14

15 MR. GREG BARNLUND: Sorry, could you please
16 repeat the question?

17 MR. KRIS SAXBERG: How about with respect to
18 super compressibility?

19 MR. GREG BARNLUND: The same would apply for
20 that as would pressure factor metering and gas temperature --
21 well, gas temperature is not at all a situation that would
22 affect them.

23 But in -- in the end, let's be clear that the
24 special contract class is paying for part of the unknown.
25 They are being allocated 5.7 percent of all unaccounted for

1 gas and it so happens that the fact that we have identified
2 certain factors that contribute to certain classes then goes
3 into the calculation of those percentage; those percentages
4 of which are used to allocate all unaccounted for gas,
5 whether that be identified or unidentified.

6

7

(BRIEF PAUSE)

8

9 MR. KRIS SAXBERG: If I can get you to turn
10 to PUB 14(c), the attachment? I think we confirmed earlier
11 that this table's based on the prior 2004/2005 forecast,
12 correct?

13 MS. KELLY DERKSEN: It's based on the initial
14 Application that we filed with the PUB on February 20th of
15 this year.

16 MR. KRIS SAXBERG: And I want to focus on the
17 absolute dollar amounts. For small general service under the
18 proposed weighting the total amount of revenue that's going
19 to be recovered in rates from residential customers is
20 approximately \$1.6 million, correct?

21 MS. KELLY DERKSEN: Based on our proposal,
22 yes.

23 MR. KRIS SAXBERG: Precisely. "Based on the
24 proposal". And with respect to the current approved
25 weighting that number would have been around \$2 million;

1 based on the February Application?

2 MS. KELLY DERKSEN: Yes. There's a couple of
3 things that we need to clarify here. First of all, this
4 includes, like we said, the initial dollars of unaccounted
5 for gas that were incorporated in the initial filing.

6 Secondly, this also incorporates the one
7 hundred and eighty-one thousand (181,000) cubic metres of gas
8 that -- for the special contract customer rather than a
9 normalized volume usage which is more in the neighbourhood of
10 four hundred and twenty thousand (420,000).

11 So, it's likely overstated in terms of a
12 percentage for the SGS class recognizing that the volumes are
13 quite low as part of the initial Application for the special
14 contract class.

15 MR. KRIS SAXBERG: Could I ask you then to
16 prepare a revised version of PUB-14(c) Attachment with the
17 current numbers taking into account the new volume forecast
18 for special contract?

19 MS. KELLY DERKSEN: Yes. And, in fact, I'm
20 already working on that but I can prepare that.

21

22 --- UNDERTAKING NO. 15: Prepare revised version of PUB-
23 14(c) Attachment with the current
24 numbers taking into account the
25 new volume forecast for special

1 contract.

2

3 CONTINUED BY MR. KRIS SAXBERG:

4 MR. KRIS SAXBERG: And just directionally,
5 what are you suggesting that -- that we'll see in terms of
6 the absolute dollar costs?

7 MS. KELLY DERKSEN: What we're proposing, of
8 course, just -- just give me a moment please.

9

10 (BRIEF PAUSE)

11

12 MS. KELLY DERKSEN: I can -- I can give you a
13 general direction. Our updated Application that was filed on
14 August 9th, 2004 for the special contract class allocates two
15 hundred and ninety (290) -- say, two hundred and ninety-three
16 thousand dollars (\$293,000) of unaccounted for gas.

17 The SGS class would be allocated in total
18 dollars one point (1.) say \$9 million. That includes both
19 the updated volumes and then, of course, the updated dollar
20 value associated with unaccounted for gas.

21 If we were to apply that same information to
22 the February 20th Application, I think we would be looking in
23 the neighbourhood of six (6) -- a little over six hundred
24 thousand dollars (\$600,000) allocated to the special contract
25 class and maybe about \$2.2 million to the SG -- to the SGS

1 class.

2 But, of course, those are just preliminary
3 calculations. I have not finalized any of that information
4 so, it's subject to change.

5 MR. KRIS SAXBERG: Okay. Thank you and
6 you'll -- you're going to prepare a revised version of
7 PUB/Centra-14(c) Attachment along those lines then? Thank
8 you for that.

9 Have you considered what the numbers would
10 look like if the Board accepted Simplot's recommendation that
11 attributes 2.8 percent to it?

12 MS. KELLY DERKSEN: You probably could take,
13 you know, the rough, approximate two hundred and ninety-three
14 thousand (293,000) as a ballpark figure and half -- half it
15 to get a ballpark estimate.

16 MR. KRIS SAXBERG: I guess what I would like
17 to know, and like to have on the record, is the dollar impact
18 to the residential class if the Centra -- or sorry, if the
19 Simplot recommendation is -- is approved? In terms of how --
20 how would that then spin out and affect the other customer
21 classes?

22 MS. KELLY DERKSEN: I can't provide that
23 information to you, Mr. Saxberg, because that information was
24 just one allocator for the special contract class. I have no
25 way of determining, based on that proposal, who would pay for

1 the rest of the UFG costs on the system.

2 MR. KRIS SAXBERG: Could you though provide a
3 -- a table in the form of PUB/Centra 14(c) Attachment that
4 shows the results of a combined weighting wherein 55 percent
5 is based on the UFG report and 45 percent is based on a
6 purely volumetric allocation?

7 MS. MARLA MURPHY: I guess, Mr. Saxberg and
8 Mr. Chairman, Ms. Derksen can run scenarios from now until
9 she's a very old woman but without some sort of parameters
10 around this process we've had a number of IR's, a lot of
11 information exchanged and -- and, at some point, we have to
12 stop running scenarios and -- and move forward.

13 THE CHAIRPERSON: Mr. Saxberg, I take it
14 you're looking for this for your closing remarks?

15 MR. KRIS SAXBERG: That's right. And, I
16 mean, I don't want to burden the Centra Panel. I know they
17 do a lot of work to prepare for these proceedings and by way
18 of undertakings. Although I think this is the -- this
19 Hearing probably has the fewest number of undertakings of any
20 hearing that I've ever been at, by a large margin.

21 So with that in mind, all I'm asking is so --
22 is to know what the dollar impact would be if the -- if the
23 allocation was 55 percent using the report and 45 percent
24 based purely on volumetric.

25 THE CHAIRPERSON: Are you prepared to accept

1 that on an approximate basis?

2 MR. KRIS SAXBERG: Sure.

3 THE CHAIRPERSON: Ms. Murphy.

4 MS. MARLA MURPHY: I think on the
5 understanding that we're not prepared to run an infinite
6 number of scenarios, that would be fine.

7 THE CHAIRPERSON: I think that's your
8 understand as well, Mr. Saxberg?

9

10 --- UNDERTAKING NO. 16: What would the dollar impact
11 would be if the allocation was 55
12 percent using the report and 45
13 percent based purely on
14 volumetric.

15

16 CONTINUED BY MR. KRIS SAXBERG:

17 MR. KRIS SAXBERG: Yes. Thank you for that
18 then. Just one (1) quick question I'm only -- I'm asking out
19 of curiosity. The -- the total UFG actual costs for 2003/04
20 were 5.13 million, is that right?

21 MR. BRENT SANDERSON: That sounds like the
22 number we were discussing earlier today, yes.

23 MR. KRIS SAXBERG: And that is up from what's
24 on PUB/Centra 14(c) of 4.34 million, correct?

25 MS. KELLY DERKSEN: 4.34 million was our

1 initial application and that was a forecast of what we expect
2 the unaccounted for gas costs to be based, number 1, on an
3 expected level of UFG of 1 percent and also based on a strip
4 date of, I can't remember off the top of my head whatever the
5 date was so, those were our forecasted expected costs for the
6 04/05 year at that point in time.

7 MR. KRIS SAXBERG: Sorry. I should have said
8 the forecast is down from what the actual was the year
9 before.

10 MR. BRENT SANDERSON: The forecast as
11 depicted in Centra 14(c), yes the amount is somewhat less
12 than the actual result from 2003/2004. I might point out
13 that it's been referenced as 14 million -- 14.3 million, it's
14 4.3 million in Centra -- in PUB/Centra 14(c) just for sake of
15 clarification.

16 And that can be largely explained due to the
17 fact that we were using an amount for UFG in 2003/2004 in the
18 neighbourhood of 1 percent in the forecast is now at .9
19 percent. Prices -- changes in market prices play some role
20 in that change as well.

21 MR. KRIS SAXBERG: I appreciate that but
22 PUB/Centra 14(c) is going to be updated and we'll be looking
23 at line 10 at the -- at a new number there. Will it be
24 higher or lower than the one on the current?

25 MS. KELLY DERKSEN: It would be -- what we

1 are now proposing filed in our April -- sorry, the August
2 9th, 2004 filing is total UFG costs anticipated for the 04/05
3 period of five million one hundred and thirty-six thousand
4 dollars (\$5,136,000).

5 MR. KRIS SAXBERG: When the Application was
6 initially filed, that forecast was for \$4.34 million?

7 MS. KELLY DERKSEN: Yes, sir.

8 MR. KRIS SAXBERG: Notwithstanding that we've
9 gone from -- down from 1 percent of volumes to .9 percent,
10 the absolute dollar amount has, I was going to say, shot up.
11 Not shot up, but increased?

12 MR. BRENT SANDERSON: And that would be the
13 increase in the market prices that I described to you
14 earlier.

15 MR. KRIS SAXBERG: That's just a factor of
16 gas -- for the price of gas?

17 MR. BRENT SANDERSON: Yes, that's correct.

18 MR. KRIS SAXBERG: Okay, thank you for your
19 patience, Panel, and those are all my questions, Mr.
20 Chairman.

21 MR. BRENT SANDERSON: I might also add before
22 we close, if -- if the Board will allow it. That increase in
23 costs as well as contributed to by the near doubling of
24 Simplot's volume in the updated forecast relative to the
25 original forecast. So I can't give you exact quantification

1 right here as to which portion of that increase was
2 attributable to market price and which was Simplot's increase
3 in volumes. But there was those two (2) factors at play.

4 THE CHAIRPERSON: Thank you, Mr. Saxberg.
5 Ms. Melnychuk, would you like to ask questions of this Panel
6 and if so, maybe you could trade chairs with Mr. Saxberg.

7 MS. KAREN MELNYCHUK: We have no questions of
8 this Panel, thank you.

9 THE CHAIRPERSON: Thank you. Mr. Carroll...?

10 MR. BILL CARROLL: Mr. Chairman, I really
11 have four (4) questions of this Panel that require yes, no
12 answers although I doubt the answer will be yes or no. So I
13 won't take long.

14 THE CHAIRPERSON: Your speakers working fine
15 from there, so that's okay.

16

17 CROSS-EXAMINATION BY MR. BILL CARROLL:

18 MR. BILL CARROLL: Thank you, Mr. Chairman.
19 As I understand your proposal, the proposed weightings for
20 unaccounted-for gas for the high volume firm customers will
21 move from 4.3 percent where it is today to 8.8 percent, and
22 that's on Tab 7, page 9?

23 MS. KELLY DERKSEN: 4.3 percent to 8.8
24 percent, yes.

25 MR. BILL CARROLL: So this -- on -- on Tab 7,

1 page 9, lines 8 and 9 you say:

2 "For most classes the bill impact of the
3 proposed change to the UFG weightings is
4 almost negligible."

5 And in response to our clarification question
6 of MacDon/Centra-3 that number turns out to be about a half a
7 percent increase per year for the high volume firm customers
8 which, in my client's case on a half million dollar a year
9 bill, is around twenty-five hundred dollars (\$2,500) of
10 ongoing additional cost?

11 MS. KELLY DERKSEN: That -- that very well
12 may be. Our -- our -- what we were proposing or what we were
13 suggesting in our statement was that total UFG in relation to
14 the total cost of gas which is in the neighbourhood of four
15 (4) -- over \$400 million, \$5 million of that \$400 million is,
16 in our view, not a significant amount.

17 MR. BILL CARROLL: Thank you. I was just
18 trying to get it back to what my client is facing. My third
19 question is, as I understand it the new allocation or
20 weighting is based on your study in which about a half or 55
21 percent of the unaccounted-for gas problem, if I can call it
22 that, was accounted for?

23 MR. GREG BARNLUND: That's correct.

24 MR. BILL CARROLL: Is it possible that if you
25 could identify the other half of the problem or the other 45

1 percent of the problem that it could move the new 8.8 percent
2 weighting back towards the old 4.3 percent weighting or maybe
3 even the other way?

4 MR. GREG BARNLUND: I really -- I don't have
5 any information that -- that would give me any better
6 direction in terms of what might happen if we identified more
7 of the unaccounted-for gas.

8 We spent the better part of a year and
9 probably a hundred and twenty thousand dollars (\$120,000) of
10 company time to try and identify this -- the origins of this
11 matter and try and come up with a -- a more appropriate set
12 of data with which to apply the judgment for allocating this.

13 And I feel confident that we have done that.
14 We have accomplished that task and that the results speak for
15 themselves. And I wouldn't begin to speculate as to what
16 might happen, you know, if you -- in terms of the remaining
17 45 percent as you describe.

18 MR. BILL CARROLL: Thank you. I -- I guess
19 I'll touch on that in my closing. Those are my questions.

20 THE CHAIRPERSON: Thank you, Mr. Carroll.
21 Mr. Gretener...?

22 MR. NICK GRETENER: Thank you, Mr. Chairman.
23 And good afternoon, Mr. Chairman, and Panel members. As Mr.
24 Peters had noted, my name is Nick Gretener. And for the
25 court reporter that's G-R-E-T-E-N-E-R and I represent Simplot

1 Canada Limited.

2 And I do like, Mr. Chairman, the round table
3 format we have here. I find it a little more congenial
4 atmosphere than -- than the one (1) I'm used to in the
5 Hearing Room. And -- and I think it is conducive to -- to
6 the information exchange process so...

7 And before I start, I would like to thank the
8 Board. I'd like to thank Mr. Peters and I'd like to thank
9 the Applicant, Centra, for having crafted this UFG day that
10 allowed us to save some time and -- and money in our
11 participation in this Hearing.

12 Some of our witnesses have come from afar and
13 I just wanted to let you know that we do appreciate those
14 efforts very much. And, good morning, Witness Panel -- or
15 good afternoon, lady and gentlemen.

16 Being at the end of the train has its
17 advantages and disadvantages. I think Mr. Peters laid a good
18 foundation here in terms of understanding the UFG issues to
19 the extent that they are understandable.

20 And I've tried to adjust my questions but
21 there may be some overlap. I think it's a bit inevitable.
22 And my questions today are on behalf of the Simplot Brandon
23 Plant. I want to make that clear. Simplot also has other
24 service on the Centra system, in particular, the Portage La
25 Prairie Potato Processing Plant, but our UFG concerns are

1 focused on the special contract plant.

2 So, please take my comments in that context --
3 and my questions.

4 And at the outset, I -- I would note that
5 Simplot was very much encouraged to see the -- the good work
6 the Company has done in addressing this issue. It's been one
7 (1) of long-standing concern to -- to Simplot and -- and --
8 and ever increasing concern as we've seen gas prices rise,
9 and -- and the natural impact that has on UFG.

10 And as you'd understand from our evidence, we
11 believe that -- that we've gone a good way towards getting to
12 the right answer here, but we don't think we're quite at the
13 finish point.

14

15 CROSS-EXAMINATION BY MR. NICK GRETENER:

16 MR. NICK GRETENER: Before I get into my
17 cross-in-chief, I'd just like to do a bit of follow-up on
18 some of the questions that were -- that were raised before
19 me.

20 And in particular, Mr. Rainkie, I think I
21 heard you say that the Simplot indicator that compares the
22 2.8 percent of replacement cost to a depreciated rate base,
23 is not particularly meaningful, because you're comparing an
24 undepreciated to a depreciated number; do you recall that,
25 sir?

1 MR. DARREN RAINKIE: I recall that, but our
2 overall position is that the indicator is an inappropriate to
3 begin with, so, whether we refine that calculation or not, if
4 you have an inappropriate allocator, it's still an
5 inappropriate allocator.

6 MR. NICK GRETENER: And I understand that's
7 the position of the Company, but I heard you raised a, sort
8 of an extra concern, if I can call it that, of mixing
9 undepreciated and depreciated numbers; was that -- is that
10 fair?

11 MR. DARREN RAINKIE: That's fair. I mean, I
12 wasn't quite sure when I read the evidence what that number
13 was getting at when you have kind of an apples and oranges
14 comparison. But I want to make it clear we don't think
15 that's an appropriate allocator and we could do a depreciated
16 replacement study of Centra's System and get a new number,
17 but I still don't think that's an appropriate allocator.

18 MR. NICK GRETENER: And I understand that,
19 sir. Could you pull up Simplot/Centra 14 ...

20

21

(BRIEF PAUSE)

22

23 MR. NICK GRETENER: And in particular, 14(j),
24 which is on page 4 of five (5).

25

MR. DARREN RAINKIE: I have it now.

1 MR. NICK GRETENER: You see there that we had
2 asked for the dollar value of Centra's System on an
3 undepreciated basis, and the response was, it was in the
4 order of \$522 million; do you see that, sir?

5 MR. DARREN RAINKIE: That's correct.

6 MR. NICK GRETENER: And would you accept,
7 subject to check, that if we had used that undepreciated
8 number, our indicator would have come out at a level of 1.9
9 percent, as opposed to 2.8 percent?

10 MR. DARREN RAINKIE: Yes, directionally that
11 number would have been lower, but let's look at the
12 components of rate base. What does -- what does working
13 capital have to do with UFG? What does contributions and
14 native construction have to do with UFG?

15 What does depreciation have to do with UFG?
16 There may be some weak correlation to the physical loss with
17 respect to gross plan, but our overall position is this
18 allocator is an inappropriate, so no matter how you want to
19 slice this calculation, our position doesn't change.

20 MR. NICK GRETENER: And, again, I understand
21 that, sir. I was simply trying to pick up on the point of
22 mixing undepreciated and depreciated numbers. Would it be
23 fair to say by choosing the depreciated numbers then, Simplot
24 was in fact being conservative when it calculated its -- its
25 indicator? Using an undepreciated number would have driven

1 the indicator lower.

2 MR. DARREN RAINKIE: Simplot was being
3 conservative in estimating the relative value of its plant to
4 total -- to Centra's total rate base, but that's an
5 interesting calculation, but I don't think it has anything to
6 do with the subject of UFG.

7 MR. NICK GRETENER: Okay. Thank you, sir.
8 And we can agree that when we refer to UFG, we're referring
9 simply to the amount of gas that's received by Centra onto
10 its system, compared to the amount of gas that's delivered by
11 Centra off of its system; is that a fair definition?

12 MR. GREG BARNLUND: Yes, sir. Yes, it is.

13 MR. NICK GRETENER: Does UFG on the Centra
14 System include any fuel gas?

15 MR. GREG BARNLUND: No, sir.

16 MR. NICK GRETENER: Okay. So the -- do you
17 have any compression on your system?

18 MR. GREG BARNLUND: None.

19 MR. NICK GRETENER: So the pressure support
20 you get from TransCanada is all that's required to drive your
21 system?

22 MR. GREG BARNLUND: That's correct.

23 MR. NICK GRETENER: Thank you. I'd like to
24 briefly explore the facilities that are used to serve the
25 special contract class, and I believe Mr. Peters touched on

1 this, there may be a bit of overlap, but if you could pull up
2 once again, the Attachment 1 to Simplot/Centra-19, that
3 schematic diagram of the system serving the Brandon plant...?

4 MR. GREG BARNLUND: I have that.

5 MR. NICK GRETENER: Now, in your IR Response,
6 you indicate that there's a custody transfer point at the
7 TransCanada facility near Rapid City, that measures the flow
8 onto the Centra System, and on Attachment 2, sorry, on
9 Attachment 1, we see the take-off point from the TransCanada
10 System onto the Centra System at the top of that page;
11 correct?

12 MR. GREG BARNLUND: Yes, sir.

13 MR. NICK GRETENER: Would that, then, be the
14 Rapid City take-off point?

15 MR. GREG BARNLUND: That's what's represented
16 there, yes.

17 MR. NICK GRETENER: And would I be correct in
18 assuming that there is one (1) metering facility at that
19 point measuring the flow onto the Centra system?

20 MR. GREG BARNLUND: TransCanada has there
21 metering facility there, yes.

22 MR. NICK GRETENER: And I think I heard you
23 say this morning there's a -- there's two (2) meters at that
24 station, a TransCanada meter but Centra has also put in its
25 own check meter; is that correct?

1 MR. GREG BARNLUND: Well, adjacent to
2 TransCanada's property we have property where we have our --
3 what we call our primary station. I think Mr. Peters
4 referred to that as our City Gate and we have measurement --
5 check measurement facilities there.

6 We also have pressure regulation and
7 odourization facilities and -- for part of that system.

8 MR. NICK GRETENER: Okay. And focusing on
9 the metering equipment, are these meters of the highest
10 quality and accuracy; that is the TransCanada meters or the
11 TransCanada meter?

12 MR. GREG BARNLUND: I assume so. The
13 metering that TransCanada provides in terms of its custody
14 transfer of gas to us would have to comply with the
15 Electricity and Gas Measurement Act and Regulations and --
16 and be met -- meet the same standards as we have to meet for
17 custody transfer to our transfers.

18 MR. NICK GRETENER: And what's the nature of
19 the Centra meter that's at that station?

20 MR. GREG BARNLUND: We would -- in terms of
21 our check metering, we have got metering located, I would
22 say, at most of our primary stations along the system.
23 Bearing in mind that that check metering does not receive the
24 same level of attention as our custody transfer meters do
25 because it's not intended for custody transfer purposes.

1 information in terms of the correlation between their meter
2 and ours.

3 MR. NICK GRETENER: Okay. Thank you, sir.
4 And at the Simplot delivery point there's also two (2)
5 meters. There's the Centra meter and Simplot itself has
6 installed a -- a check meter; correct?

7 MR. GREG BARNLUND: Yes.

8 MR. NICK GRETENER: And, in fact, those
9 meters are very high accuracy, auto adjusting, turbine
10 meters. They're at the upper level of what can be done in
11 terms of measuring equipment?

12 MR. GREG BARNLUND: That's what I understand,
13 yes.

14 MR. NICK GRETENER: So, to the extent that we
15 have two (2) wristwatches there and they will be different
16 from time to time, they're probably within seconds and not
17 minutes of each other, if I could put it that way?

18 MR. GREG BARNLUND: I think that, given the
19 level of attention that they receive, that there's a very
20 good likelihood that they're, you know, going to be
21 maintained and would provide you with pretty good accuracy in
22 terms of that.

23 MR. NICK GRETENER: And, in addition to that,
24 effective of January of this year, Simplot and Centra have
25 initiated what we called in our evidence, a natural gas

1 metering protocol; is that correct, sir?

2 MR. GREG BARNLUND: Yes, it is.

3 MR. NICK GRETENER: And that metering
4 protocol essentially calls for almost realtime attention to
5 the -- to the meters at the Simplot facility and to the
6 extent that -- that there are concerns with respect to the
7 accuracy of those meters, that is addressed in a very timely
8 manner; is that a fair characterization of that program?

9 MR. GREG BARNLUND: Well, "realtime" depends
10 on your definition of "realtime". I think there's a certain
11 number of hours or days that are contemplated in that
12 protocol that if there is an issue that we would be on-site
13 within that time period.

14 MR. NICK GRETENER: Okay. That's fair
15 enough, but we're talking days not months?

16 MR. GREG BARNLUND: That's correct.

17 MR. NICK GRETENER: Now, back to our
18 Attachment 1, the schematic diagram of the system. We see a
19 number of pipelines between the Rapid City TransCanada take-
20 off at the top of the page and the Brandon Number 2 City Gate
21 at the bottom of that page, correct?

22 MR. GREG BARNLUND: Yes, sir.

23 MR. NICK GRETENER: And the pipeline on the
24 far left is odourized while the remaining pipeline are not?

25 MR. GREG BARNLUND: Yes, sir.

1 MR. NICK GRETENER: Would I be correct in
2 assuming that only the unodourized pipelines would be used to
3 deliver gas to the special contract class?

4 MR. GREG BARNLUND: The special contract
5 customer receives service off of the unodourized system.
6 Also the Manitoba Hydro Brandon generating station also
7 receives service off the unodourized system. And the
8 customers to the south of Brandon, sixteen hundred (1600)
9 customers in the southwest area have capacity supplied to
10 them off of the unodourized system.

11 MR. NICK GRETENER: Okay, but the special
12 contract class would not be receiving service on that
13 unodourized pipeline -- that odourized pipeline on the far
14 left of the diagram?

15 MR. GREG BARNLUND: That's correct.

16 MR. NICK GRETENER: Okay. And on Attachment
17 2, which is the continuation of your system, we see the more
18 complex distribution system that occurs downstream of your
19 Brandon Number 2 City Gate, right?

20 MR. GREG BARNLUND: Yes, sir.

21 MR. NICK GRETENER: And that part of Centra's
22 system would not be used or required to serve the special
23 contract class; is that fair?

24 MR. GREG BARNLUND: Facilities downstream are
25 not required to serve the special contract customer but these

1 customers do share in all the facilities from the -- from
2 their -- I guess from the TransCanada, the origin of
3 TransCanada itself.

4 MR. NICK GRETENER: These customers all
5 receive gas that flows through the pipelines that connect
6 with TransCanada but -- but again if you were -- if you had
7 to truncate your system at City Gate number 2, the special
8 contract class could continue to be served?

9 MR. GREG BARNLUND: If we had -- could you
10 repeat that question for me?

11 MR. NICK GRETENER: If -- if your system just
12 stopped at City Gate number 2, you didn't have Attachment 2
13 of 2, that wouldn't have any impact on your ability to serve
14 the special contract class?

15 MR. GREG BARNLUND: Hypothetically but we
16 would be -- we would have quite a bit of extra capacity as
17 far as City Gate Number 2 then is concerned.

18 MR. NICK GRETENER: Okay. But the simple
19 point being that all of the facilities on Attachment 2, none
20 of those facilities are required to serve the special
21 contract class, right?

22 MR. GREG BARNLUND: I would agree with that.

23 MR. NICK GRETENER: Now in your IR response,
24 when you refer to the whole part of the Centra system
25 downstream of the Rapid City takeoff point, you referred to

1 the fact that you have sixteen hundred (1600) custody
2 transfer points off of this portion of the system, right?

3 MR. GREG BARNLUND: That's correct.

4 MR. NICK GRETENER: And to be clear, these
5 sixteen hundred (1600) custody transfer points, they're
6 located on the distribution portion of the system shown in
7 Attachment 2, correct?

8 MR. GREG BARNLUND: Also taking into
9 consideration the one custody transfer point at the Manitoba
10 Hydro Brandon generating station which is north of the
11 Simplot plant.

12 MR. NICK GRETENER: Okay. So, the
13 distribution portion of the system where the sixteen hundred
14 (1600) custody transfer points again has nothing to do with
15 the special contract class; is that fair?

16 MR. GREG BARNLUND: That's fair.

17 MR. NICK GRETENER: Now could you pull up
18 your rebuttal evidence? Page 9, the last page of that
19 evidence?

20 MR. GREG BARNLUND: I have that.

21 MR. NICK GRETENER: Okay. And I think we
22 heard you mention this again this morning. At line 8 and
23 following you say and I quote:

24 "Simplot suggests that it is being served
25 by a simple bullet pipeline with one entry

1 and one exit point. This is not the case.
2 Simplot's plant is served along a common
3 pipeline with some eighteen hundred (1,800)
4 other customers in the manner described in
5 Centra's response as to Simplot/Centra-
6 19(a), (b), (c), (d) and Attachments 1 and 2
7 to Simplot/Centra-19(a).

8 As such Centra cannot measure UFG
9 specifically for Simplot or any individual
10 customer on the system." Endquote.

11 First of all where does the eighteen hundred
12 (1,800) come from as compared to sixteen hundred (1,600) that
13 was in the IR response?

14 MR. GREG BARNLUND: Our apologies, eighteen
15 hundred (1,800) would be a typographic error. It should be
16 sixteen hundred (1,600).

17 MR. NICK GRETENER: Sixteen (16)?

18 MR. GREG BARNLUND: Yes.

19 MR. NICK GRETENER: Okay. Thanks. But again
20 these sixteen (1600) customers, they again are the customers
21 downstream of that Simplot delivery point on the portion of
22 the system that we've established has nothing to do with the
23 special contract class, correct?

24 MR. GREG BARNLUND: Well and it would also
25 include the Manitoba Hydro generating station north of the

1 Simplot plant.

2 MR. NICK GRETENER: That's fair enough.
3 That's that one other delivery point. And indeed gas flowing
4 to the special contract class is measured only at two (2)
5 points, that is at the Rapid City take-off point onto the
6 Centra system and at the delivery point to the Simplot
7 Brandon plant; is that correct?

8 MR. GREG BARNLUND: Well I think to be clear,
9 it's certainly measured at the -- at the customer's location
10 at the delivery point on your property -- or on Simplot's
11 property sorry. However, I would say that the gas being
12 measured onto the system at TransCanada doesn't -- you can't
13 distinguish at that metering location which gas is for
14 Simplot and which gas is destined for all the other customers
15 down -- down the line.

16 It's -- it's, essentially, one metering point
17 and all of the flow will pass through that meter. And so in
18 the course of a day you'll have some volume that's being
19 consumed at the Simplot facility, you may have some volume
20 consumed at the generating station and you're going to have
21 some volume consumer, not just for the sixteen hundred (1600)
22 customer southwest of there, but all the gas that's consumed
23 in the City of Brandon area also flows through that metering
24 point.

25 So, the gas that becomes odourized at our

1 primary station and travels down to the City of Brandon will
2 be feeding eleven thousand (11,000) and some customers in the
3 City of Brandon as well.

4 So, there's no way of distinguishing, at it's
5 origin, which gas is destined for which customer. It's all
6 co-mingled together and measured in one -- in one batch.

7 MR. NICK GRETENER: Okay. Thank you, sir.
8 And I understand that. So, as the system is currently
9 configured, the gas that's measured at the Rapid City take-
10 off point includes non-Simplot gas, if I can call it that --
11 gas that's destined for other destinations.

12 But gas going to the Simplot plant would be
13 measured at that take-off point along with gas that's going
14 to the balance of the system. And then it would be measured
15 again when it enters the Simplot plant. A molecule of gas
16 going through the system would it -- would be metered at
17 those two (2) metering stations?

18 MR. GREG BARNLUND: Essentially, yes.

19 MR. NICK GRETENER: And those are two (2)
20 metering stations that have very high quality meters, in fact
21 the best that, basically, you can get; is that fair?

22 MR. GREG BARNLUND: I would say that -- that
23 they would be very high quality meters; yes.

24 MR. NICK GRETENER: Now, I'd like to
25 understand the relative volumes of gas that use this part of

1 the Centra system. And, again, in Simplot/Centra-19 at page
2 4 of 4 you indicated there that the combined volume of gas
3 that's delivered to customers other than the special contract
4 class over a recent twelve (12) month period was some forty-
5 six thousand two hundred and seventy (46,270) 10-3-M-3s;
6 correct?

7 MR. GREG BARNLUND: That's correct. Yes.

8 MR. NICK GRETENER: Would you know how much
9 of that would be accounted for by the power station class?

10 MR. GREG BARNLUND: I would have to do a
11 check. Just give me a second.

12

13 (BRIEF PAUSE)

14

15 MR. GREG BARNLUND: We'd like to double check
16 that at the break before we provide that, I think.

17 MR. NICK GRETENER: Okay. That's fine. I'm
18 just looking for a ballpark number. But, is it fair to say
19 you're estimating the annual throughput for the special
20 contract class in the upcoming year to be in the order of
21 four hundred and twenty thousand (42,000) 10-3-M-3; that's
22 the number you recall?

23 MR. GREG BARNLUND: Yes. It's so we've got
24 basically almost like a one-tenth (1/10) --

25 MR. NICK GRETENER: That's where I was going.

1 So, roughly ten (10) times the throughput for all the other
2 customers?

3 MR. GREG BARNLUND: Yes, I'd accept that.

4 MR. NICK GRETENER: Okay. Thank you. Before
5 I leave this area, let me ask you a hypothetical if I may:
6 If you have a special contract customer that was basically --
7 almost a tap off the TransCanada system located say, just a
8 kilometre or half a kilometre off the TransCanada system and
9 it had clearly the TransCanada meter, that high quality meter
10 that measured the meters on -- on the take-off point, and
11 that special contract -- special contract class had an
12 equally accurate meter, would you still apply a 5.7 percent
13 UFG ratio to the service to that customer?

14 And -- and be clear, this is a dedicated
15 service. No other customers involved. A simple short line
16 tap to this one (1) customer?

17 MR. GREG BARNLUND: All other things being
18 equal, given that our study is based -- the results are --
19 are pointing us directly towards measurement accuracy as
20 being the major contributor, if we had -- the results of our
21 study would not change regardless of the location of that
22 customer.

23 If that -- that customer could be virtually
24 located in TransCanada's right-of-way and it would have no
25 influence in the results of our study hence no change to the

1 percentage that we'd recommend for allocation of unaccounted-
2 for gas.

3 MR. NICK GRETENER: Okay. Thank you, sir.
4 I'd like to just next briefly explore industry standards for
5 UFG if I could. And there were a few IR responses that went
6 to that.

7 If you turn up your Application; Tab 7, page
8 8.

9

10 (BRIEF PAUSE)

11

12 MR. GREG BARNLUND: I have that.

13 MR. NICK GRETENER: At lines 4 and 5 you say
14 that your actual UFG during the period '96 to 2003 fluctuated
15 between 0.95 percent and 1.39 percent of total system
16 throughput; correct?

17 MR. GREG BARNLUND: Yes.

18 MR. NICK GRETENER: And so the midpoint of
19 that range would be something a little over 1 percent; is
20 that fair?

21 MR. GREG BARNLUND: That's correct.

22 MR. NICK GRETENER: And you go on to say that
23 Centra's UFG was well below industry average during that
24 period; right?

25 MR. GREG BARNLUND: Yes.

1 MR. NICK GRETENER: And what's the basis for
2 that conclusion?

3 MR. GREG BARNLUND: Well, if we look at the
4 data that -- I believe there was an IR that was asked on
5 that.

6 MR. NICK GRETENER: You might refer to
7 PUB/Centra 14?

8 MR. GREG BARNLUND: Correct. PUB/Centra
9 14(b), page 3 of three (3). We have a wide range of results
10 from different utilities across Canada. And if we take a
11 look at the distribution companies and average out the ranges
12 that could exist for the data that's there, it's possible
13 that their average, between all those utilities, is about 1.5
14 percent or somewhere in that regard.

15 MR. NICK GRETENER: Okay. And that's what I
16 got, 1.43 percent. I did the same exercise. I took the
17 midpoints. But would you agree, subject to check, at the
18 bottom of your list you have Enbridge New Brunswick; do you
19 know anything about that distribution system, sir?

20 MR. GREG BARNLUND: Enbridge in New Brunswick
21 is a rather new gas distributor that has been in business for
22 a little over a year now. And so they're basically a green
23 field operation that is really just getting underway and
24 getting established.

25 MR. NICK GRETENER: And you understand that

1 they've been struggling to try and get their customers up.
2 They've been having trouble meeting their forecasted customer
3 -- customer projections?

4 MR. GREG BARNLUND: Well, I have no idea
5 about that. But they did provide me this unaccounted-for gas
6 information.

7 MR. NICK GRETENER: Okay. And they are a
8 green field operation. Did it occur -- did it seem a bit odd
9 to you that their numbers are really out of the ballpark here
10 in -- in -- in comparison to the rest of the group?

11 MR. GREG BARNLUND: Well, understanding that
12 they are a green field operation, I imagine that they would
13 be endeavouring to reduce that percentage going forward as we
14 -- as we would see.

15 MR. NICK GRETENER: Would you agree, and this
16 can be subject to check, that excluding Enbridge New
17 Brunswick, the average of the midpoint of those ranges would
18 be in the order of 0.57 percent?

19 MR. GREG BARNLUND: If we did it in that
20 fashion, subject to check, I'd -- I'd accept your numbers.

21 MR. NICK GRETENER: Okay. And that would be
22 well below your UFG level of something over 1 percent or in
23 the order of 1 percent; is that fair?

24 MR. GREG BARNLUND: Well, it would certainly
25 be different. But as I look across these numbers and I see

1 an extremely wide variation. And I also see, when I compare
2 Union Gas in Ontario with Enbridge Gas in Ontario, two (2)
3 very similar gas LDCs with a couple of million customers a
4 piece, and their -- they've got quite a wide range of
5 difference between -- in fact, an extremely wide range of
6 different results between those utilities.

7 So, I think that this data tells us that it's
8 extremely -- difficult to make any uninformed comparisons, if
9 you would, from LDC to LDC without understanding the
10 circumstances behind the numbers.

11 MR. NICK GRETENER: That's fair. But if we
12 -- if we -- you know, I mean, you use these numbers to
13 support your -- your position that you're well below industry
14 average. If we're using these numbers and trying to get a
15 sense of them, the best we could do probably is take a
16 midpoint; is that fair?

17 MR. GREG BARNLUND: Potentially.

18 MR. NICK GRETENER: Okay. And now, in your
19 rebuttal evidence, and I don't think you need to pull it up
20 for this, you probably recall this point, you say that most
21 gas distribution companies in Canada allocate UFG on a
22 volumetric basis; is that fair?

23 MR. GREG BARNLUND: That's our findings, yes.

24 MR. NICK GRETENER: Would you agree that
25 certain systems that provide both transmission type service

1 and distribution type service differentiate between UFG for
2 their transmission and distribution sides?

3 MR. GREG BARNLUND: That would be my
4 understanding. Yes.

5 MR. NICK GRETENER: And, indeed, first of
6 all, would you consider the special contract class to be
7 receiving a transmission type service or a distribution type
8 service?

9 MR. GREG BARNLUND: If I was to evaluate what
10 other utilities call a transmission type customer, I think
11 that the special contract customer would fit that
12 description.

13 MR. NICK GRETENER: Okay. Fair enough. And
14 I think this was born out by your physical loss analysis
15 where you attributed a transmission UFG loss to the special
16 contract class but not distribution; fair enough?

17 MR. GREG BARNLUND: Correct.

18 MR. NICK GRETENER: Now, on that table,
19 PUB/Centra 14, page 3 of three (3), there are actually a few
20 networks that reported their UFG percentages broken out
21 between distribution and transmission systems; correct?

22 MR. GREG BARNLUND: That would be the ATCO
23 system in Alberta, yes.

24 MR. NICK GRETENER: And as well, the -- so
25 the two Atco Systems and as well, I believe, the Trans Gas

1 System; correct?

2 MR. GREG BARNLUND: That's correct, yes.

3 MR. NICK GRETENER: Okay. So, if we look at
4 those three transmission numbers only now, Atco Gas North has
5 a rate of .691 percent, Atco Gas South 0.19 percent, and
6 Trans Gas has a range from a gain of .5 percent to a loss of
7 .48 percent, which basically almost zeros them out to a net
8 gain of -- of zero, basically; is that fair?

9 MR. GREG BARNLUND: I'd say so, yes.

10 MR. NICK GRETENER: And the average of these
11 three (3) transmission UFG rates, which would be more in the
12 order of the kind of rates that should apply to the special-
13 contract class, is in the order of 0.29 percent, and, again,
14 you could take that subject to check?

15 MR. GREG BARNLUND: Subject to check, yes.

16 MR. NICK GRETENER: And that again, would
17 then be well below, in fact, that would be about a quarter of
18 the -- of your UFG rate of 1 percent; is that fair?

19 MR. GREG BARNLUND: In round numbers, yes.

20 MR. NICK GRETENER: Okay. I'd like to move
21 on and briefly discuss supplying UFG in kind, as opposed to
22 paying for it in dollar terms. And, first of all, I think we
23 touched on that a bit this morning.

24 The charge for UFG to all customer classes,
25 including the special-contract class, is based on Centra's

1 cost of gas; is that correct?

2 MR. GREG BARNLUND: That's correct.

3 MR. NICK GRETENER: Can you confirm that the
4 special-contract class -- purchases its own gas?

5 MR. GREG BARNLUND: Yes, I can.

6 MR. NICK GRETENER: And do you know if
7 Centra's cost of gas is the same as the special-contract
8 classes' cost of gas?

9 MR. GREG BARNLUND: We have no idea, because
10 we're unaware of the cost of gas for the special-contract
11 classes.

12 MR. NICK GRETENER: And, that's what I
13 expected you'd say. If I'd had an answer to that question,
14 it would have been interesting.

15 So, what we're talking about here when we're
16 talking about supplying UFG in kind, is if you have a
17 customer that -- that already purchases its own gas, that
18 customer like -- might like to explore the ability to -- to
19 also provide UFG in kind, and actually pay its UFG costs
20 through its own gas costs rather than the utilities; you
21 understand that that's the driver behind this line of
22 questioning?

23 MR. GREG BARNLUND: Yes, I understand that.

24 MR. NICK GRETENER: Now, in Simplot-
25 Centra 13, you presented your review of how other pipelines

1 dealt with the UFG in kind issue. You might want to pull
2 that up...

3 MR. GREG BARNLUND: Yes, I have that.

4 MR. NICK GRETENER: And, can you confirm that
5 of the nine (9) pipelines you canvassed there, that seven (7)
6 allowed customers to deliver gas in lieu of cash payments for
7 UFG?

8 MR. GREG BARNLUND: Well, and I think the
9 important distinction here is that some of these are pipeline
10 companies, some of these would be gas distribution companies,
11 but of the companies that we've identified, I believe that
12 those numbers that you've got are correct.

13 Now, and I just to footnote though, in terms
14 of Enbridge, Ontario; while technically it says yes,
15 effectively they do not accept receipt of gas in terms of, or
16 in lieu of UFG. That particular option is only available to
17 two (2) rate classes; there are no customers that are using
18 those rate classes, and no -- therefore, that option is not -
19 - has not been exercised in the last number of years.

20 So, for the remaining, say three (3) or four
21 (4) million customers on the Enbridge System, they will all
22 pay for UFG as part of their tariff. So, I just want the
23 clarification on this.

24 MR. NICK GRETENER: Yes, that's fair enough.
25 And that's Footnote 1 to the Table, I believe.

1 Do you know how TransCanada Mainline deals
2 with the UFG issue?

3 MR. GREG BARNLUND: I'm told that it is
4 assessed as part of the compressor fuel.

5 MR. NICK GRETENER: And, is compressor fuel
6 provided in kind by TransCanada -- customers, that is, as
7 gas?

8 MR. GREG BARNLUND: I believe it is, yes.

9 MR. NICK GRETENER: Okay. And do you know
10 how Nova Gas Transmission deals with the issue?

11 MR. GREG BARNLUND: I believe it's the same
12 on Nova.

13 MR. NICK GRETENER: So we could put both of
14 those systems into the yes category, that is, they allow
15 shippers to provide gas in lieu of cash, for UFG?

16 MR. GREG BARNLUND: Being pipelines and not
17 LDCs, I suppose we could include them on the list.

18 MR. NICK GRETENER: Now you indicate that one
19 (1) of your reasons for being reluctant to allow customers to
20 provide UFG in kind, is the fact that you have no storage on
21 your system; do you recall that?

22 MR. GREG BARNLUND: I think probably the
23 greater issue is that we do not -- UFG is -- is not a loss
24 that we have to makeup gas for. It's not like a compressor
25 field it gets consumed off our system and needs to be

1 replaced. It's largely the accumulated error of a number of
2 different sources of which may be only 12 percent of that may
3 actually be the physical loss itself.

4 MR. NICK GRETENER: And I just -- I want to
5 go to that point next that you don't have to replace losses
6 from meter error. But first, sticking with storage, are --
7 are you telling me now that storage really isn't a roadblock
8 to being able to provide UFG in kind?

9 MR. GREG BARNLUND: Well, I'm just indicating
10 that most of the -- the companies that accept gas in lieu of
11 UFG, have storage facilities available or operate their own
12 storage facilities on their system and -- and maybe the
13 facilitation of that is simpler for them.

14 MR. NICK GRETENER: Do you know whether
15 TransCanada or Nova operate their own storage facilities?

16 MR. GREG BARNLUND: I think that probably
17 those two (2) companies would be able to manage through line
18 pack as opposed to storage directly.

19 MR. NICK GRETENER: Okay, fair enough. Now,
20 back to the issue of -- of meter errors. We discussed at the
21 outset the -- the definition of UFG which is the difference
22 between the amount of gas received and the amount of gas
23 delivered.

24 So whether you have a shortfall in the amount
25 of gas due to a physical loss which you have to replace or

1 whether you have a shortfall due to measurement error. In
2 other words your meter has read high and low and you've sent
3 more gas out than you thought you did, you've drafted the
4 system, you still have to replace the gas for meter error as
5 well, would you not?

6 MR. GREG BARNLUND: It becomes a
7 transactional imbalance as opposed to physical imbalance. In
8 other words -- in other words the gas entered the system, it
9 left the system, it just didn't get counted properly leaving
10 the system.

11 MR. NICK GRETENER: But when you say you have
12 1 percent UFG in a year, that means you have to go out and
13 buy 1 percent of UFG to repack your line, right?

14 MR. GREG BARNLUND: No. That's not the case
15 at all. We're saying that sales and deliveries fell short of
16 receipts by 1 percent through whatever reason.

17 MR. NICK GRETENER: So you've under-billed
18 your customers?

19 MR. GREG BARNLUND: Essentially that would be
20 the case, yes.

21 MR. NICK GRETENER: So you're not purchasing
22 makeup gas for that full 1 percent. You're purchasing makeup
23 gas in the order of 12 percent and the rest is for an under-
24 billing of the customers?

25 MR. GREG BARNLUND: Well, we would not be

1 purchasing gas, we would -- we would not be purchasing gas to
2 make up any of that UFG related to the measurement issues.
3 The only potential makeup gas we would have will be some
4 small amount to replace gas that was lost through emissions
5 through physical -- physical means. Which amounts to as you
6 indicated 12 percent of 1 percent of our UFG.

7 MR. NICK GRETENER: Let me stay with this for
8 one more minute if -- if you would. If I have a meter that
9 reads high and tells me that a hundred (100) units have
10 entered the system when in actuality only ninety-nine (99)
11 units have passed through.

12 And then my takeoff meter reads low and it
13 tells me that a hundred (100) units have passed through when
14 a hundred and one (101) units have passed through. Isn't my
15 system going to be short two (2) units? Due to the meter
16 error I've -- I've -- I'm two (2) units short?

17 MR. GREG BARNLUND: Well, when we look at
18 overall the entire system I think that that's -- you may not
19 be units short so much as you're revenue short. In other
20 words, the gas left the system. The meter did not account
21 for it properly leaving the system. And therefore, you're
22 short the money --

23 MR. NICK GRETENER: But I'm also physically
24 -- I've -- I've taken in less gas than I thought I was taking
25 in and I've pumped out more gas than I thought I was pumping

1 out, so I've got a deficit in my inventory -- in my pack of -
2 - of those two (2) units, right, physically?

3 MR. GREG BARNLUND: But I guess over the
4 entirety of the system, any of that -- I mean, basically that
5 will get averaged out right across the system so that we
6 would end up with the scenario that we're talking about here
7 today, where over the course of the whole year all the pluses
8 and minuses accumulate together.

9 And we have the net result is meter readings
10 are 1 percent less than the meter going off the system than
11 the gas coming onto the system.

12 MR. NICK GRETENER: I'm going to have to
13 sleep on that because I don't think I'm -- I'm not -- I don't
14 think I'm there get.

15 As I understand, if you have a total system
16 meter error of 1 percent than that -- that means you've got a
17 net loss on your system that has to be made up and that's why
18 you're purchasing UFG.

19 You're applying your cost of gas price to --
20 to the UFG; right?

21 MR. GREG BARNLUND: That's -- but before we
22 leave that, I just want to make sure that we don't confuse
23 daily balancing processes off the pipeline with UFG. These
24 are two (2) entirely separate topics. What you're referring
25 to is the state of balance or imbalance we may be on the pipe

1 every day.

2 And that does -- that is a process that's
3 controlled on a day-to-day basis by our staff at the gas
4 control centre at City Gate that is not what we're talking
5 about in this Application.

6 We are talking about the sum of all of the
7 meter readings we have of gas leaving the system versus the
8 sum of the meter readings of the twenty-seven (27) meters
9 coming onto the system over the course of a year and that's
10 what we're referring to. I just want to be clear about that.

11 MR. NICK GRETENER: Yeah, I -- no, and I
12 understand that. But I understand at -- at the end of the
13 day when you net those two (2) numbers you still come up with
14 -- with being 1 percent short because of -- of -- of the
15 meter error and -- and I take that to mean that 1 percent of
16 extra gas has left the system because the meters weren't
17 entirely -- reading it entirely accurately?

18 MR. GREG BARNLUND: Well, as much gas came on
19 to the system left the system in the course of the year
20 because we have no other place for it. I mean, except for a
21 little bit of gas that escapes through physical loss, ours is
22 a -- a pipeline that has no compressors and no storage.

23 We take gas off at TransCanada and ultimately
24 it gets sent off to the customers and -- and gets metered.
25 If those meters, when you sum them up, don't reconcile

1 perfectly with your receipts, that's understandable.

2 But we don't reconcile those meters every day
3 to do balancing. We do our balancing using other methods and
4 so that this balancing process and the state of imbalance we
5 may have with the pipeline is, indeed, a separate matter that
6 we're not discussing here in terms of this topic.

7 MR. NICK GRETENER: Okay. Maybe I'll move on
8 to what may be the -- the to discuss the contribution to UFG
9 from -- from measurement variance or meter error.

10 And I think we've heard this before this -- in
11 this morning's testimony, the -- the measurement variance
12 from your analysis accounts for about 70 percent of the total
13 UFG; is that right?

14 MR. GREG BARNLUND: That's correct. Yes.

15 MR. NICK GRETENER: And if I wanted to
16 determine UFG resulting from measurement variance between a
17 receipt point and the delivery point, would it be fair to say
18 that what I'm measuring is the difference in accuracy between
19 those two (2) meters rather than the actual accuracy of the
20 meter at the inlet point or at the outlet point?

21 MR. GREG BARNLUND: Can you pose that to me
22 again?

23 MR. NICK GRETENER: Yeah. If I have two (2)
24 meters, an inlet and outlet point, and one (1) meter's
25 reading high, is -- is biased high, but the other meter is

1 equally biased then I really wouldn't have any UFG or
2 measurement variance loss through UFG; would I?

3 I'm comparing the delta between the two (2)
4 meters, not the absolute accuracy of either meter?

5 MR. GREG BARNLUND: I'd -- I'd agree with
6 that. If the meters measuring gas onto the system show the
7 same bias as the meters measuring gas off the system then you
8 would probably end up with a very low UFG.

9 MR. NICK GRETENER: Okay. Now, in your
10 determination of metering accuracy, it's fair to say that you
11 divided your meters into four (4) classes, your turbines,
12 your large rotary, your small rotary/diaphragm and the
13 special contract class meters; is that fair?

14 MR. GREG BARNLUND: That's fair. Yes.

15 MR. NICK GRETENER: Okay. Could you pull up
16 Simplot/Centra-8?

17 MR. GREG BARNLUND: I have that.

18 MR. NICK GRETENER: And Attachment (b) of
19 that -- of that IR?

20 MR. GREG BARNLUND: I have that.

21 MR. NICK GRETENER: So on Attachment (b) we
22 have the results for the first two (2) classes, turbine and
23 rotary. And we see that the -- the mean or base meter error
24 for the turbine meters was .1 percent; right?

25 MR. GREG BARNLUND: That's correct.

1 MR. NICK GRETENER: And I'm going to be, for
2 this exercise, rounding to one-tenth (1/10) of a percent
3 because I think that's what you did in your final analysis?

4 MR. GREG BARNLUND: That's fine.

5 MR. NICK GRETENER: And the mean meter error
6 for the rotary meters was a loss of .1 percent; right?

7 MR. GREG BARNLUND: I'd agree with that, yes.

8 MR. NICK GRETENER: And then if we turn the
9 page to Attachment (c), that addresses the third class of
10 meters, the small rotary/diaphragm and there we -- we had a
11 range depending on what -- what data source you chose but I'm
12 going to go with the third one, which is all data since 1979,
13 and we see there, there was a gain of .3 percent; is that
14 fair?

15 MR. GREG BARNLUND: That's fair, yes.

16 MR. NICK GRETENER: And, finally, if we turn
17 to Attachment (d) on page 2 of 2 ...

18 MR. GREG BARNLUND: Yes, sir.

19 MR. NICK GRETENER: We see the error -- the
20 mean meter error for the special contract class was zero
21 percent, right?

22 MR. GREG BARNLUND: Rounded to zero percent,
23 yes.

24 MR. NICK GRETENER: And, actually, we had two
25 (2) meters there, we have the Centra meter and the Simplot

1 check meter. Could you confirm for me that even on an
2 individual basis, each of these meters would still have shown
3 as zero percent error, right?

4 MR. GREG BARNLUND: I just want to clarify
5 that both of these meters that are shown here are the Centra
6 meters.

7 MR. NICK GRETENER: Fair enough. You've got
8 your own backup meter.

9 MR. GREG BARNLUND: That's correct.

10 MR. NICK GRETENER: So, each of the two (2)
11 Centra meters, on an individual basis, would have yielded a
12 zero percent error, right?

13 MR. GREG BARNLUND: I think it's worthwhile
14 paying attention to the -- the absolute volume that we're
15 talking about in error. The error volume for meter A was
16 eighty-six (86) 10-3-M-3 and the meter volume for Error B was
17 a hundred and seven (107) 10-3-M-3s.

18 MR. NICK GRETENER: Right. But these --
19 these watches are within seconds of each other. They're both
20 showing rounded a zero percent error.

21 MR. GREG BARNLUND: That's true.

22 MR. NICK GRETENER: And so, from your initial
23 analysis, the only meters that had a mean error of zero
24 percent, which means no error, were each of the two special
25 contract meters; is that fair?

1 MR. GREG BARNLUND: Compared against the
2 other meters which were indicating a gain, yes.

3 MR. NICK GRETENER: Thank you. And then you
4 had to make an adjustment or you decided to make an
5 adjustment to these meter base results, because of the fact
6 that the mean results reflected only the accuracy of the
7 meter itself, and there are not other components of the
8 measurement system, such as pressure and temperature sensing
9 equipment and electronic flow meters; is that right?

10 MR. GREG BARNLUND: Yes, plus the other topic
11 that I discussed this morning, in terms of the range of
12 accuracy of the meter and the range of flow that the
13 customers may be experiencing.

14 MR. NICK GRETENER: Okay. And, again, if you
15 could turn up Attachment (b), the adjustments you made, you
16 made by going on the down side, if I can call it, that
17 negative, and that you assumed added losses by using one (1)
18 or two (2) standard deviations under the mean, for the
19 turbine and rotary meters, right?

20 MR. GREG BARNLUND: Yes, sir.

21 MR. NICK GRETENER: And choosing the high
22 case for the special contract class, right?

23 MR. GREG BARNLUND: That's correct.

24 MR. NICK GRETENER: Would it be possible that
25 just a sum of the meter measurement base results, showed a

1 zero loss, or even a gain, that the variations from the non-
2 meter components could have resulted in a gain as well?

3 MR. GREG BARNLUND: It is possible.

4 MR. NICK GRETENER: Okay. And when you chose
5 standard deviations under the -- sorry, I've covered that.
6 If you can turn back to Attachment (b), you chose two (2)
7 standard deviations under the mean for the turbine class,
8 which gave you, instead of a gain of .1 percent, you had a
9 loss of .7 percent, correct.

10 MR. GREG BARNLUND: That's correct, sir.

11 MR. NICK GRETENER: And -- and indeed, if you
12 had chosen three (3) standard deviations, you would have had
13 a loss of 1.1 percent, correct?

14 MR. GREG BARNLUND: That's correct.

15 MR. NICK GRETENER: And for the large rotary
16 meter case, just below it, there you chose one (1) standard
17 deviation below the mean, and that's due in part to the fact
18 that rotary meters may be more accurate than turbine meters
19 at low-flow rates, correct?

20 MR. GREG BARNLUND: Yes, the view we took was
21 that the rotary meter is a positive displacement device and
22 the turbine meter is an inferential device, in other words,
23 it's not positive displacement, but it relies on the velocity
24 of the gas going through the meter, to be able to operate the
25 meter and measure.

1 So, we took that into consideration in terms
2 of the low-flow characteristics in weighting the turbine
3 meters with two (2) standard deviations and the rotaries at
4 one (1) standard deviation.

5 MR. NICK GRETENER: Okay. Thank you, sir.
6 And that resulted in a change from a loss of .1 percent to a
7 loss of .6 percent for the rotary meters?

8 MR. GREG BARNLUND: That's correct.

9 MR. NICK GRETENER: And, if you had gone to
10 two (2) standard deviations, that could have gone up to 1.1
11 percent?

12 MR. GREG BARNLUND: Yes.

13 MR. NICK GRETENER: And a three (3) standard
14 deviations would have taken you to 1.6 percent, right?

15 MR. GREG BARNLUND: It would have, yes.

16 MR. NICK GRETENER: And if we turn to
17 Attachment (c), 'Small Rotary Meters', you again chose one
18 (1) standard deviation below the mean, and that took you from
19 a gain of .3 percent to a loss of .3 percent, is that fair?

20 MR. GREG BARNLUND: Yes, I did.

21 MR. NICK GRETENER: And, again, if you had
22 gone to two (2) standard deviations, that would have been a
23 loss of 1 percent, right?

24 MR. GREG BARNLUND: That's correct.

25 MR. NICK GRETENER: And, finally, on

1 Attachment (d), the special contract class, the adjustment
2 took you from a base case of zero to a loss of .2 percent,
3 right?

4 MR. GREG BARNLUND: That's correct, yes.

5 MR. NICK GRETENER: Okay. So, it's clear
6 that the adjustments to account for these non-meter
7 variances, they significantly change the actual measured base
8 results, correct?

9 MR. GREG BARNLUND: Yes, they do.

10 MR. NICK GRETENER: And would you agree that
11 what we can conclude from all of this rather painful number
12 crunching is that the measurement variance results are quite
13 sensitive to whether one chooses the base case one (1), two
14 (2) or three (3) standard deviations from the base case or in
15 the high case for the special contract class?

16 MR. GREG BARNLUND: I would agree with that.

17 MR. NICK GRETENER: And would you also agree
18 that the choice of two (2) standard deviations below the mean
19 for the turbines and one (1) standard below the mean for the
20 rotaries was somewhat arbitrary?

21 MR. GREG BARNLUND: It would be somewhat
22 arbitrary but we feel quite justified in view of the data
23 that we have on that particular type of -- customer and that
24 particular type of meter.

25 MR. NICK GRETENER: Okay, but it's -- you

1 presumably -- you could have chosen adjustments of three (3)
2 and two (2) standard deviations below the mean or -- or any
3 other increment; is that fair?

4 MR. GREG BARNLUND: Well I suppose that could
5 have been done but we, you know, try to make a judgement that
6 was reasonable in view of, you know, the -- the factors we've
7 got.

8 MR. NICK GRETENER: And had you not made
9 these adjustments, you would not have identified any UFG in
10 that you would've had actually a total gain on your system;
11 is that fair?

12 MR. GREG BARNLUND: Quite possibly.

13 MR. NICK GRETENER: And if you'd made a
14 greater adjustment, that is gone down to two (2) or three (3)
15 standard deviations you may have accounted for all of your
16 UFG?

17 MR. GREG BARNLUND: I suppose that's
18 possible.

19 MR. NICK GRETENER: Okay. Can we move on, if
20 you could pull up your rebuttal evidence? And, Mr. Chairman,
21 this is my last point so I think we should complete
22 comfortably by 3:00 for the break.

23 Page 5 of your rebuttal evidence.

24 MR. GREG BARNLUND: I have that.

25 MR. NICK GRETENER: At page -- sorry, at line

1 28, you say that the implication of Simplot's proposal is to
2 move away from the postage stamp rate making philosophy,
3 right?

4 MS. KELLY DERKSEN: We did say that, yes.

5 MR. NICK GRETENER: And you described the
6 postage stamp rate making philosophy to be one that treats
7 all customers with similar characteristics equally, right?

8 MS. KELLY DERKSEN: Yes, we do.

9 MR. NICK GRETENER: And you say that
10 customers in any given rate class receive the same level of
11 service and pay the same rates as any other customer in the
12 rate class regardless of where they're located, correct?

13 MS. KELLY DERKSEN: We do say that.

14 MR. NICK GRETENER: Do you understand that
15 under Simplot's proposal, customers in any give rate class
16 will receive the same level of service and pay the same rates
17 as any other customer in that rate class?

18

19 (BRIEF PAUSE)

20

21 MS. KELLY DERKSEN: I couldn't conclude that,
22 no, sir.

23 MR. NICK GRETENER: And why not?

24 MS. KELLY DERKSEN: All we've been provided
25 is information with respect to the special contract class,

1 not with respect to all other customer classes.

2 MR. NICK GRETENER: Okay. But the Simplot
3 proposal isn't attempting to provide any customer specific
4 treatment, it's class specific treatment; is that fair?

5

6

(BRIEF PAUSE)

7

8 MS. KELLY DERKSEN: Mr. Gretener, we just --
9 we don't have enough information to base that conclusion,
10 sir.

11 MR. NICK GRETENER: Okay. But, let me ask
12 you this: Does Centra provide different treatment such as
13 different rates for different customer classes?

14 MS. KELLY DERKSEN: Recognizing different
15 levels of service, yes.

16 MR. NICK GRETENER: And does Centra consider
17 that different treatment such as class specific rates to be
18 in conflict with postage stamp rate making?

19 MS. KELLY DERKSEN: No, I don't think so.

20 MR. NICK GRETENER: Okay. Thank you very
21 much Panel, that was very helpful.

22 Thank you, Mr. Chairman. Those are my
23 questions.

24 THE CHAIRPERSON: Thank you, Mr. Gretener.
25 Ms. Murphy, do you any cross-examination?

1 MS. MARLA MURPHY: Sorry, no, I have no re-
2 direct.

3 THE CHAIRPERSON: I'm not watching enough TV,
4 obviously.

5 MS. MARLA MURPHY: If I cross-examine them
6 I'm probably really in trouble.

7 THE CHAIRPERSON: Okay. We'll have our
8 break, we'll come back. Mr. Gretener, how long do you think
9 it'll take to go through your witness?

10 MR. NICK GRETENER: That depends entirely on
11 how verbose my witnesses are going to be; you mean in my
12 direct examination?

13 THE CHAIRPERSON: Yes.

14 MR. NICK GRETENER: I -- I think it would be
15 a matter of maybe twenty (20) minutes, thirty (30) minutes --
16 thirty (30) minutes.

17 THE CHAIRPERSON: I'm quite conscious of the
18 fact that you've come from afar. So, we'll see whether we
19 can get it all done today; that's the intent anyway.

20 MR. NICK GRETENER: We would appreciate that,
21 sir.

22 THE CHAIRPERSON: So, we'll break for ten
23 (10) minutes and come back.

24
25 --- Upon recessing at 2:58 p.m.

1 --- Upon resuming at 3:11 p.m.

2

3 THE CHAIRPERSON: We're back and listening
4 very eagerly. Go ahead.

5 MR. NICK GRETENER: Thank you, Mr. Chairman.
6 Let's hope you can keep up your enthusiasm for another hour
7 or two (2). Mr. Chairman --

8 THE CHAIRPERSON: I wouldn't -- I wouldn't
9 count on that.

10 MR. NICK GRETENER: I was afraid of that.
11 Mr. Chairman, members, it's -- it's my privilege to introduce
12 the Simplot Canada Panel. And seated closest to the Board is
13 Mr. Hani Riad, who is the plant manager of the Simplot
14 Brandon Plant. Mr. -- and Riad, that's R-I-A-D. He's a late
15 breaking member of the Panel, Mr. Chairman. We just
16 discovered this morning that he was going to volunteer to --
17 to help out.

18 So, he won't be sponsoring any of the specific
19 pre-filed evidence but the thought was there might be some
20 questions, plant specific, and it might be helpful to have
21 Mr. Riad on board.

22 Next to Mr. Riad -- to Mr. Riad's left, is Mr.
23 Don Reading, Vice-President of Ben Johnson Associates, Inc.
24 Dr. Reading is responsible for the -- and I should say the
25 spelling is R-E-A-D-I-N-G. Dr. Reading is responsible for

1 the evidence of Don C. Reading being Exhibit Simplot 3 and
2 the related IR responses being Exhibits Centra/Simplot 5-1
3 through 5-14.

4 And next to Mr. -- Dr. Reading is Mr. David
5 Hawk. Mr. Hawk is responsible -- sorry, Mr. Hawk is the
6 Director of Energy Natural Resources for J.R. Simplot Company
7 which is the parent of Simplot Canada Limited. And Mr. Hawk
8 is responsible for the evidence of David Hawk being Exhibit
9 Simplot 2 and the related IR responses, again, being Exhibits
10 Centra/Simplot 5-1 through 5-14.

11 I wonder, Mr. Chairman, if the witnesses might
12 be sworn.

13 THE CHAIRPERSON: Mr. Singh...?

14

15 DAVID HAWK, Sworn

16 DON READING, Sworn

17 HANI RIAD, Sworn

18

19 MR. NICK GRETENER: Gentlemen, to expedite
20 matters, I'll ask you a series of questions at the same time,
21 except for Mr. Riad, who won't be adopting the pre-filed
22 evidence and perhaps each of you can answer in turn.

23 Can you confirm that the documents I have
24 referred to as being your responsibility were prepared by you
25 or under your direction and control? Mr. Hawk...?

1 MR. DAVID HAWK: Yes, with the exception of
2 one change; page 7, line 22 where we used the term "79
3 percent" it should be "69 percent"; that's page 7 of my
4 testimony, line 22. Sixty-nine (69) rather than seventy-nine
5 (79).

6 MR. NICK GRETENER: Thank you, Mr. Hawk. And
7 that was corrected, I believe, in one of the IR responses as
8 well, Mr. Chairman.

9 Dr. Reading, are the documents that I referred
10 to as being your responsibility, were they prepared by you or
11 under your direction and control?

12 MR. DON READING: Yes.

13 MR. NICK GRETENER: Gentlemen, do you have
14 any material corrections to make? I should say, Dr. Reading,
15 do you have any material corrections to make since Mr. Hawk's
16 already ahead of me on this one?

17 MR. DON READING: None that weren't corrected
18 in the IR responses.

19 MR. NICK GRETENER: Gentlemen, are these
20 documents then accurate to the best of your knowledge and
21 belief, Mr. Hawk?

22 MR. DAVID HAWK: Yes.

23 MR. NICK GRETENER: Dr. Reading...?

24 MR. DON READING: Yes.

25 MR. NICK GRETENER: And, gentlemen, do you

1 adopt these documents as your evidence in these proceedings?
2 Mr. Hawk...?

3 MR. DAVID HAWK: I do.

4 MR. NICK GRETENER: Dr. Reading...?

5 MR. DON READING: Yes.

6 MR. NICK GRETENER: Thank you. Turning to
7 Dr. Reading, Mr. Chairman, he hasn't had the pleasure of
8 appearing before this Board previously. So I wonder, Dr.
9 Reading, if you could briefly summarize for us your
10 educational and professional qualifications and, in
11 particular, your experience on rate design matters?

12 MR. DON READING: Yes. Attached to my
13 testimony is a resume and so I won't go into that much
14 detail. But, briefly, I have a Bachelor's, a Master's and
15 PhD in Economics with a doctoral minor in statistics.

16 Upon receipt of the -- well, I actually taught
17 some. I taught at the University of Hawaii, Hilo; Middle
18 Tennessee State University in Murfreesboro, Tennessee; and
19 Idaho State University in Pocatello, Idaho.

20 And the collective of -- of that teaching
21 experience was about fourteen (14) years. I left there and
22 went to work for the Idaho Public Utilities Commission where
23 I was hired as an economist. Moved up to Chief Economist and
24 head of the consumer division, then eventually was staff
25 director.

1 I left there for Ben Johnson Associates which
2 is located in Tallahassee, Florida, looking out the windows
3 today for big wind and tornadoes. The report from the home
4 office is, it's just raining a lot, and it does that. So it
5 looks like, at least up until a few hours ago, Tallahassee's
6 being spared.

7 I work out of Boise, Idaho. Been a tele-
8 commuter and worked there since about 1986. So the
9 collectivity of regulatory experience I've had is it's --
10 it's now better than twenty-five (25) years and I'm, you
11 know, the number's starting to scare me some.

12 MR. NICK GRETENER: Thank you, Dr. Reading.
13 Mr. Chairman, I would ask that the Board accept Dr. Reading
14 as an expert witness on rate design matters in this
15 Proceeding?

16 THE CHAIRPERSON: Ms. Murphy; do you have any
17 problems with that?

18 MS. MARLA MURPHY: No objection.

19 THE CHAIRPERSON: Mr. Saxberg...?

20 MR. KRIS SAXBERG: No objections.

21 THE CHAIRPERSON: Ms. Melnychuk...?

22 MS. KAREN MELNYCHUK: No objections.

23 THE CHAIRPERSON: And I don't see Mr. Carroll
24 and it's fine by the Board.

25 MR. NICK GRETENER: Thank you, Mr. Chairman.

1 I'll now conduct a brief examination-in-chief of the
2 witnesses wherein they will highlight their -- testimony for
3 you and outline exactly why Simplot is participating actively
4 in this proceeding.

5

6 EXAMINATION-IN-CHIEF BY MR. NICK GRETENER:

7 MR. NICK GRETENER: Maybe I can start with
8 you, Mr. Hawk, I wonder if you could briefly tell us who
9 Simplot Canada Limited is and how they fit into Centra's
10 system?

11 MR. DAVID HAWK: Simplot Canada Limited is a
12 agribusiness, a portion of the J.R. Simplot Company which
13 also is headquartered in Boise, Idaho and is an agribusiness.
14 And we are one (1) of Centra's longest, and I guess a long
15 client of thirty-seven (37) years and certainly one (1) of
16 their larger clients during that time frame.

17 We operate a major fertilizer plant in Brandon
18 as well as potato processing facility that's relatively new
19 in Portage La Prairie, Manitoba and formerly, up until just
20 very recently, we had a one-half (+) interest in a potato
21 processing plant with Nestle's at Carberry and that plant has
22 now been sold.

23 In the early 1980s we were the first
24 industrial to take TransCanada pipeline in our name and to
25 take natural gas in our name to move through that pipeline.

1 Gas that we both owned through our own exploration and
2 production efforts and gas that we acquired and we moved it
3 to the facility at Brandon.

4 And over the last twenty (20) years we have
5 taken some limited distribution service, if you will, from
6 Centra. The unique nature of the facility is described in
7 Mr. Reading's testimony. It's been recognized by Centra that
8 this plant constitutes its own Centra customer class called
9 the special-contract class.

10 In fact, when we recently asked to have the
11 new Simplot potato processing facility placed in the special-
12 contract class we were advised that only the fertilizer plant
13 qualified for the special-contract status.

14 Historically the plant when others have tried
15 to woo us to build elsewhere such as Saskatchewan, we've
16 stayed in Brandon and a few years ago we added immeasurably
17 to the facility there by more than doubling its size and
18 making our commitment to Manitoba.

19 MR. NICK GRETENER: And, Mr. Hawk, why
20 exactly is Simplot participating in this Proceeding?

21 MR. DAVID HAWK: Because we have sincere
22 concerns regarding Centra's allocation of the UFG to the
23 special-contract class.

24 MR. NICK GRETENER: Could you elaborate on
25 those concerns for us?

1 MR. DAVID HAWK: Well, we believe the
2 special-contract class is being allocated UFG costs above and
3 beyond those costs that the customer class is causing. We
4 have no quarrel with paying for costs we cause. We do object
5 to paying more than what we believe are our fair share of
6 costs.

7 MR. NICK GRETENER: And is this a recent
8 concern?

9 MR. DAVID HAWK: No. As noted in my evidence
10 the representatives of the company appeared before the Board
11 in 2001 during Centra's 01/02 Cost of Gas Proceeding opposing
12 the allocation of UFG. And while the Board at that approved
13 Centra's allocation, the Board did encourage Centra to
14 determine whether other alternatives could be pursued to
15 ensure that Simplot's share was fairly and accurately
16 allocated.

17 MR. NICK GRETENER: And, Mr. Hawk, why do you
18 believe that the special contract class has been overcharged
19 for UFG costs?

20 MR. DAVID HAWK: Well, on a rounded basis,
21 the Brandon plant consumes approximately 20 percent of the
22 throughput on the system at a relatively stable flow rate.
23 In fact you've heard it described today as a high load factor
24 facility. Using Centra's current volume based UFG allocation
25 methodology, the Simplot plant was assigned a large

1 proportion, approximately 12.8 percent after weighting of the
2 cost of the UFG.

3 Over the past five (5) years the plant has
4 paid more than \$2.5 million in UFG costs of the total \$7.7
5 million charges that we've had from Centra. And while the
6 plant uses a large amount of gas, I don't believe it
7 contributes to Centra's UFG problem anywhere near the
8 volumetric proportional basis of 12.8 percent.

9 As noted in Dr. Reading's evidence, the plant
10 is served by a simple set of pipelines off the TransCanada
11 main line that Simplot Brandon plant has been from the outset
12 a predominant user of the pipeline facilities.

13 In fact we signed a ten (10) year agreement at
14 the time we were told, this was nine (9) years ago, that a
15 part of the reason for it being ten (10) years was that it
16 would be our responsibility to -- amortize the investment
17 that Centra was making in the line.

18 And also that was to ensure that -- that we
19 would stay in and continue to work with them. Which in fact
20 we did and we appreciated their investment. That cleaned up
21 some of the problems that we were having prior to that time.
22 Over the time these pipelines have started to serve more
23 Centra customers including a power plant.

24 And distribution customers which are all
25 downstream of our -- of our take. While the facilities

1 required to serve such customers have added complexity to the
2 Centra system, basically the facilities required to serve us
3 have stayed essentially the same.

4 One (1) meter or custody station off of the
5 TransCanada system, twenty (20) kilometres, twenty-three (23)
6 kilometres of pipe to the plant and another meter to measure
7 deliveries to the plant. And we would point out that while
8 it was overlooked perhaps earlier, certainly not
9 purposefully, that a series of additional meters would allow
10 you to isolate the plant in total.

11 As Centra has advised us, UFG losses are
12 attributable in large part to the complexity of a utility
13 system. The portion of Centra's system required to serve the
14 Simplot Brandon plant is compared to the rest of Centra's
15 system really quite simple.

16 MR. NICK GRETENER: Dr. Reading, do you
17 believe that Centra's proposed method of allocating UFG costs
18 is accurate and fair?

19 MR. DON READING: No, and I'd like to --
20 before I make my comments, emphasize to the Board the fact
21 that the steps that have been taken by the company, in my
22 mind, are the correct steps that they are attempting to and
23 have invested significant effort in coming up with what the
24 causes of UFG are. And that is the correct way to try to
25 assign any costs.

1 And that is find the direct costs you can find
2 for any customer or any customer class, assign those costs
3 and then look at real causes of those costs. And assign
4 values to that. So the -- the criticisms here need to be
5 taken that we're making need to be taken in -- in that
6 context.

7 And they've -- in our mind made a very large
8 step as has been pointed out here, between 5.7 percent --
9 from 12.8 percent to 5.7 percent. It's a good large step,
10 it's moving in the correct direction, given the things that
11 are in evidence that we presented in some of the cross-
12 examination here, and I'm sure will come up in -- in our
13 cross-examination. There are certain areas that -- that need
14 to be remedied and investigated further.

15 MR. NICK GRETENER: And what do you say to
16 Centra's position, that the indicators that you present in
17 your evidence, are not representative of the causes of UFG?

18 MR. DON READING: If you look at the UFG Study
19 that's presented by the company, and also you look at the
20 special customer class or Simplot allocation, it's the
21 measurement error, is the one (1) that contributes the most.

22 And when you look at a whole set of other
23 indicators which can serve as proxies for the allocation of
24 UFG, those indicators, as indicated in -- in the evidence
25 that has been filed here, are one (1) -- are close to 1

1 percent or less, and so that is still high in our mind, given
2 the 5.7 percent as proposed by the company.

3 MR. NICK GRETENER: Dr. Reading, do you
4 believe that measurement variance for the special contract
5 class should be lower than that estimated by Centra?

6 MR. DON READING: Yes.

7 MR. NICK GRETENER: Mr. Hawk, maybe you can
8 tell us what specifically you are asking the Board to do in
9 the context of this Application...?

10 MR. DAVID HAWK: Well, we're asking the Board
11 to consider revising Centra's proposed allocation of the UFG
12 costs, from 5.7 percent to 2.8 percent of the Centra
13 throughput. And that's based on several things, on the
14 indicator-replacement costs for the facilities, to be served
15 -- to serve the Simplot Brandon Plant, via an analysis with
16 which Centra does not disagree.

17 And the allocation would still be higher than
18 that resulting from the five (5) indicators -- reviewed by
19 Dr. Reading in his evidence, and in his particular case, if
20 you took any one (1) particular reading, I don't think you
21 could base it on all those things.

22 If you took all the readings, all of Dr.
23 Readings work, all of the indicators together then, I think
24 it gives you, and some people like to use the term,
25 directionally or trending, clearly to the smaller number.

1 And while I use the 2.8 percent, that was
2 derived to some extent by taking an approximate \$10 million
3 Canadian, a replacement cost, which was very conservative on
4 -- on our point, and -- and dividing that by the
5 undepreciated value of the system. Now, if -- if the
6 remaining undepreciated value of the system.

7 Since the 10 million was a new number, then
8 maybe we should take the total system cost, which is 550
9 million. Now we're down to 1.9 percent. And if we take the
10 replacement value of the system so that it really is apples
11 to apples, we're probably at 1 percent or perhaps even less.
12 So consequently, we were being conservative in taking ten
13 (10) and dividing it by approximately \$350 million.

14 And we do commend Centra for their work on UFG
15 today. There's no question that they have worked an
16 extremely difficult issue and have worked it very hard. As
17 is typical, sometimes with utilities, not a lot of ideas get
18 to enter into the process, necessarily.

19 I'm a geologist by education and we have an
20 imagination, we have a curiosity, and we have a natural
21 undaunting spirit. How else could I take a million from
22 Chairman Graham, drill a dry hole and ask him for another
23 million, all on the same phone call?

24 So, that's kind of our nature, so we -- we try
25 to look at many different approaches to get to some kind of

1 an answer. We think Centra has worked very hard and
2 reasonably to get where they are today, and we offer up
3 additional analysis as a requirement to go further, but we
4 certainly accept their number.

5 MR. NICK GRETENER: Mr. Hawk, beyond Centra's
6 methodology, is there any other way to measure or allocate
7 UFG for the special-contract class?

8 MR. DAVID HAWK: Well, in our responses to
9 Centra, we noted that the simplest and most accurate way is
10 to try to determine exactly how much UFG is caused
11 specifically by the special-contract class, and that would be
12 to simply measure directly.

13 And that would probably entail, given Mr.
14 Barnlund's testimony, additional metering, to totally isolate
15 the plan. I mean, that wasn't offered up, but in fact it
16 became very clear that you have "X" number of pipes and "X"
17 number of opportunities for gas to move around in the system,
18 all of which can be metered, all of which can be compared
19 then.

20 And therefore, if that's, you know, not
21 necessarily possible, it could be actually the other way I
22 suppose is to look at totally constructing facilities that
23 isolate the Simplot plant. Either by Simplot or by Centra.
24 So those would be the ways that I would suggest you could do
25 it.

1 MR. NICK GRETENER: And would that be the
2 only way to control UFG costs for the special contract class?

3 MR. DAVID HAWK: Well, I mean, as I said,
4 isolating it is the -- is the ultimate way to do it. By its
5 own separate pipeline coming off of TransCanada, it's own
6 separate metering station there, and then a metering station
7 where consumption occurs.

8 MR. NICK GRETENER: Okay. Before we
9 conclude, gentlemen, do you have any comments on what other
10 Intervenors have proposed through their presentations to the
11 Board?

12 MR. DAVID HAWK: I think there were two (2)
13 -- a couple of points. First, we were not present to hear
14 the presentation by Professor Miller representing TREE and
15 RCM and saw in his proposal that Centra initiate natural gas
16 efficiency or DSM programs and pay for them through a system
17 benefit charge. And I -- I would ask that, you know, of
18 course something like that I -- I would hope would be noticed
19 and testimony taken and -- and the whole concept reviewed
20 openly.

21 I would note that it certainly shouldn't
22 levied, a charge like that at customer classes who are not
23 able to take advantage of it. For one, that our primary use
24 of natural gas at the -- at the Simplot Canada facility in
25 Brandon is feed stock.

1 And we use it for its chemical components. We
2 don't have an opportunity to use it in other ways. But I
3 would also suggest on behalf of Simplot Foods, part of
4 Simplot Canada at Portage La Prairie, that -- that's a brand
5 new facility. And in fact it won an award from Manitoba for
6 doing what it could from an electrical standpoint to be as
7 efficient and conserve as much energy as possible.

8 We appreciate that award and notification of
9 the same. But on the other hand we did the same kinds of
10 things with how we use natural gas, which is boiler fuel and
11 direct fire application. And, I mean, we've got to heat that
12 oil to make those potatoes into those great fries that you
13 all love, I hope.

14 And so -- so consequently we -- we would not
15 be a user of those benefits and we believe that to the extent
16 that those benefits flow once again to a class. They should
17 be accomplished by receiving the money from that class. As
18 to his comment that maybe somewhere on the west coast, he
19 assured that this has happened.

20 I can tell you that we take service from a
21 number of utilities in the western United States and none of
22 the natural gas utilities have demand side programs like
23 this. The only programs that they've had of which I'm aware
24 and that would be Questar Intermountain Gas, Cascade Natural
25 Gas, Northwest Natural out of Portland, and even talking to

1 people at Puget.

2 I would suggest would be those programs where
3 they made low interest loans available for homeowners to buy
4 high efficiency gas furnaces. The reason I know that program
5 isn't around, I bought a high efficiency gas furnace a year
6 ago and there was no program left. But it was a good
7 investment nonetheless.

8 Sec -- I would just say, we were not hear to
9 MacDon's presentation but we noted in his submission that it
10 suggested the Board should make no changes to Centra's
11 existing method of allocation of UFG. And I think in all due
12 deference in respect to Centra and the amount of work they've
13 done it demands that some kind of a change be made. And also
14 the fact that leaving it as status quo there's just too much
15 information and I think between the two (2) parties, it
16 presented too much evidence, that -- hopefully would -- would
17 rule out an opportunity for status quo being maintained.

18 MR. DON READING: On the presentation by
19 Professor Miller and TREE, from our perspective, looking at
20 the cost benefits of any DSM program on a customer class
21 basis, if in fact it would turn out that that would be a cost
22 benefit to that class as Mr. Hawk indicated, high efficiency
23 furnaces or water heater wraps or -- or any kind of a, you
24 know, device.

25 Since a water heater uses a lot of energy in

1 the home that turn it off and turn it on, again, on a DSM
2 specific basis and then the cost allocated that class, that
3 would make sense.

4 MR. NICK GRETENER: Thank you, gentlemen and
5 thank you, Mr. Chairman, and Panel members. The witnesses
6 are available for cross-examination.

7 THE CHAIRPERSON: Thank you very much. We'll
8 start with Mr. Saxberg.

9 MR. KRIS SAXBERG: Thank you, Mr. Chairman
10 and good afternoon Panel Members.

11

12 CROSS-EXAMINATION BY MR. KRIS SAXBERG:

13 MR. KRIS SAXBERG: Let me start with you, Mr.
14 Hawk, just to clarify, probably the obvious, but, you're not
15 advocating in any way for the status quo UFG allocation?

16 MR. DAVID HAWK: That's correct. That's
17 correct.

18 MR. KRIS SAXBERG: But ultimately, you don't
19 support the findings of the UFG Report either?

20 MR. DAVID HAWK: No, I wouldn't say that we
21 -- we think that their in-depth study has a fair amount of
22 accuracy associated with it. We think that we've added to an
23 understanding of the issue, with the numerical analyses that
24 we made, and we think that should be incorporated down the
25 road here, frankly, if not right now, which we would prefer.

1 And, and we understand that -- that the
2 process has a fair amount of intuitiveness in it. I do know,
3 if you asked me if the sun's going to come up tomorrow, I'm
4 going to tell you, yes. But, Counsellor, I can't prove it to
5 you.

6 And I do know that in their case, I felt like
7 they clearly said "A" equals "B" and they proved that "B"
8 equals "C", so therefore, I'm going to be pretty close onto
9 "A" equals "C". And I think -- I think that in anything,
10 there's a fair amount of intuitiveness involved, when you
11 can't measure it exactly.

12 And as a Scientist, I know that I make small
13 leaps of faith at times, when I have taken people's money and
14 drilled holes. They weren't all dry holes, Mr. Chairman.

15 MR. KRIS SAXBERG: You have -- you've praised
16 Centra for the report and you've indicated in your direct
17 that what they've done is a good step forward, but ultimately
18 though, you don't want to use any of the information in that
19 Report with respect to Simplot, and you want to use a
20 completely different indicator, that being a replacement
21 cost. I mean, isn't that the upshot of your evidence?

22 MR. DAVID HAWK: No.

23 MR. KRIS SAXBERG: And, is it not your
24 position, then, that the 2.8 percent should be the allocation
25 of UFG for Simplot?

1 MR. DAVID HAWK: I've explained how I arrived
2 at the 2.8 percent, and how it varies from that which Centra
3 has offered, and how it varies from that which Dr. Reading
4 has offered. And I'm a prudent business person that believes
5 there's a middle ground for both understanding and
6 calculation.

7 Would I accept 2.8 percent and go home and not
8 ask for reconsideration? Yes. Would I accept 5.7 percent
9 and go home and not ask for reconsideration? I'm not sure.
10 Would I accept 1 percent? Yes. Would I accept 12.8 percent?
11 No.

12 MR. KRIS SAXBERG: Dr. Reading, in your
13 evidence you quote from Bonbright text, and endorse what's
14 known as, The Golden Rule, which is that Centra should assign
15 any directly attributable costs to the customer class that
16 has caused those costs.

17 MR. DON READING: Correct.

18 MR. KRIS SAXBERG: And Centra has said that
19 they have done a study and have determined, for 55 percent of
20 UFG, who it is that's caused these costs; have they not?

21 MR. DON READING: Yes.

22 MR. KRIS SAXBERG: So, with respect to the
23 findings that Centra's made on that 55 percent, why aren't
24 you endorsing, then, an allocation of 5.7 percent as -- as
25 indicated by Centra?

1 MR. DON READING: The reason is that as
2 pointed out in the evidence that I filed -- filed, that there
3 were five (5) other indicators that could be used as proxies.
4 And I want to say it, and -- and several of those have been
5 discussed in the cross-examination here, and I want to
6 indicate that you really need to look at them as a group, not
7 necessarily individually.

8 And, if you look at those indicators, three
9 (3) of them physical; miles of pipeline, miles of
10 transmission line and number of meters, what they indicate is
11 the degree and extent of complexity of the system.

12 And as pointed out by Centra, measuring UFG is
13 complex and can have many aspects. And it is not unusual in
14 the regulatory world that we do the best we can, and use
15 proxies. The other two (2) that have been discussed are
16 financial; rate of return and revenue requirement -- not rate
17 of return, pardon me -- rate base and revenue requirement and
18 there's been some cross-examination on the rate base section
19 of it.

20 And again, I would say, that it's also a proxy
21 for the size, complexity of the system, how the company makes
22 its money by using those. So, to -- to come back and -- and
23 answer your question more directly, if you look at all of
24 those potential measures which are not direct but are proxies
25 which are not unusual in a regulatory.

1 They're all of 1 percent or less. That tells
2 me that the 5.7 percent that's being offered by the company
3 is too high. And so that -- that is the reason that I'm
4 saying that 5.7 is not the best number to use.

5 A lower number would be a number that would be
6 closer to what the accurate fair and true number is. I'll --
7 I'll just end by saying that, also advocated if you could
8 measure Simplot directly, that would be the best approach.

9 MR. KRIS SAXBERG: And -- and I'll pick up
10 that in a second. But what you're saying is that these five
11 (5) indicators that you mentioned in your evidence are
12 proxies for what you said earlier in your evidence, is the
13 best method and that is for there to be directly attributable
14 costs; that's what you're saying?

15 MR. DON READING: I'm not -- I'm not sure I
16 understand your question.

17 MR. KRIS SAXBERG: Well, what are these
18 indicators proxies of?

19 MR. DON READING: Of the complexity of the
20 system, the extent of the system, how many customers are on
21 the system, the number of customers in each class, how far
22 away customers would be and of course, I focused in on the
23 special contract class because that's the one that I'm
24 measuring again so I measured its meters to all the meters,
25 it's miles of pipeline to all the pipelines, its revenue

1 requirement to the revenue requirement.

2 So, in that sense, it's in a direct
3 assignment, it's a direct assignment of either the physical
4 or the financial capability of financial characteristics of
5 Simplot. So, in that sense, it is direct.

6 MR. KRIS SAXBERG: Are you suggesting that
7 the proxies of -- to determine the specific amount of UFG
8 caused by Simplot?

9 MR. DON READING: Yes.

10 MR. KRIS SAXBERG: And then you're suggesting
11 that that method by taking those indicators cumulatively, is
12 superior to all the work that Centra undertook for the last
13 year at an expense of approximately a hundred and twenty
14 thousand dollars (\$120,000)?

15 MR. DON READING: It is -- I -- I would not
16 use the term superior. What I would say is when -- whenever
17 one is engaged in -- in studies to measure allocations and
18 cost allocations, there is the work that you do where you get
19 the numbers and you crunch them through. And then you stand
20 back and you do a reality check. And you say, does this make
21 sense given this particular situation or this particular
22 class?

23 And that's what I did. So, I think the
24 approach that the company has taken, the first steps that
25 they have taken, those steps methodologically are superior to

1 any of the proxy measures I've used. But the proxy measures
2 I've used show that they haven't gone far enough yet.

3 MR. KRIS SAXBERG: And if I could just narrow
4 down what you're saying, if -- if you'd let me. The 5.7
5 percent that comes out of Centra's survey, their report, you
6 think it's wrong it's that simple?

7 MR. DON READING: I think it's -- I think
8 it's too high and as pointed out in my direct evidence, it is
9 -- it is too high primarily for the way in which the company
10 use their measurement error by taking a high case et cetera,
11 et cetera, et cetera.

12 MR. KRIS SAXBERG: Do you also say that
13 Centra's assessment of costs directly attributable to the
14 other classes is too high?

15 MR. DON READING: I -- I would have to look
16 specifically at -- and this -- investigate whether they're
17 too high. Certainly, if you look at all of the components of
18 the UFG study, the -- the one that I discussed the most is a
19 measurement error. I discussed a little of physical loss
20 error.

21 MR. DAVID HAWK: Let me add to that, may I?
22 I think part of what's being said here is that the complexity
23 of the system other than serving Simplot is much greater.
24 There's thousands of meters, there's hundreds of miles of
25 pipeline, thousands of miles I presume, there's hundreds of

1 millions of dollars of cost involved in serving the rest of
2 the system.

3 The company has said and we believe correctly
4 so, complexity is the source of UFG. And you can define and
5 break that out by several -- such as volume, such as
6 metering, such as when you measure the meters, that is when
7 you read the meters, that's all complexity.

8 We maintain that we're quite simple when
9 compared to the total complexity of the system. And we use
10 several different financial and other types of indicators to
11 make that clear. And those taken in context with what the
12 company has done, I think form the basis for a solid UFG
13 analysis and allocation.

14 MR. KRIS SAXBERG: But, you or Dr. Reading
15 aren't specifically endorsing then or rejecting the
16 percentages determined by the report with respect to all
17 other classes?

18 MR. DAVID HAWK: No.

19 MR. DON READING: No.

20 MR. KRIS SAXBERG: And is it fair to say that
21 on what Mr. Gretener had described in his cross as the key
22 issue, that is the accuracy of the meter or the meters, the
23 check meter and the centre meter at -- at Simplot, that you
24 have presented to this Board no definitive evidence
25 whatsoever, that these specific meters are any more accurate

1 than the report suggests?

2 MR. DAVID HAWK: Well, I believe that Centra
3 did that in their testimony.

4 MR. DON READING: And -- and Centra in their
5 testimony has indicated that these particular meters are more
6 accurate, as accurate or more accurate, than any others and
7 that certainly there's more care given to them, that they're
8 monitored almost in a real time basis that if there's
9 anything that looks a mess, it is corrected and it's
10 corrected immediately and the special customer class is the
11 only class where that care expense and -- and accuracy of
12 the meters applies to.

13 MR. KRIS SAXBERG: The record will disclose
14 what Centra said but you haven't presented any evidence of
15 that sort, have you?

16 MR. DAVID HAWK: We agree with what Centra
17 said about the -- and -- and that's why we didn't cross them
18 on it.

19 MR. KRIS SAXBERG: Well Centra --

20 MR. DON READING: And as I remember, I would
21 have to look, but I remember I presented in my direct
22 evidence, a discussion of the protocol and the methods that
23 were in place for the plant. I got that information from
24 company documents and discussions with Hani on my right here.

25 MR. KRIS SAXBERG: But with respect to

1 measuring Simplot's actual contribution to UFG, you're
2 recommending that further analysis be done, right?

3 MR. DAVID HAWK: We're recommending that 12.8
4 percent is unacceptable given the analysis done by Centra and
5 giving the comparative analysis done by Simplot. And so
6 consequently we believe that that inherent question should
7 probably continue in terms of study. But that the issue
8 needs to be addressed now in terms of a reduction.

9 MR. DON READING: The 5. -- what we're saying
10 is -- is that the 5.7 percent in our mind because of the --
11 the evidence that we've given, is too high and so as a place
12 holder that the 2.8 percent is better, if I may borrow Mr.
13 Buckland's -- Barnlund's example of a watch.

14 We think that five point eight (5.8) -- of the
15 two (2) watches five point eight (5.8) -- 5.7 percent is
16 closer than twelve (12) and 2.8 percent is closer than five
17 point eight (5.8). So we think it's in a directionally --
18 directional sense.

19 And to be able to -- to come up with the
20 definitive evidence that -- that you were asking for that
21 we're asking a further study be done so that we can fine tune
22 it. And I might add if that fine tuning and that
23 investigation indicated that the number was higher, so be it.

24 MR. KRIS SAXBERG: To be specific, if you
25 could turn to Tab 16 in Mr. Peters' Book of Documents? It

1 was discussed earlier this morning. And under the heading
2 "Metering and Accuracy"; you see that, the report has
3 attributed eight hundred and forty (840) 10-3-M-3 to Simplot;
4 right?

5 MR. DON READING: Correct.

6 MR. KRIS SAXBERG: And that's the heart of
7 the issue, isn't it? You think that number's too high?

8 MR. DON READING: Yes. I might add that we
9 also think that the thirty (30)'s too high but that in a
10 relative sense, the one that -- that we're most concerned
11 with is the measurement accuracy.

12 MR. KRIS SAXBERG: And with respect to base
13 pressure temperature that's a minus, you don't have any
14 concerns with that one?

15 MR. DON READING: No.

16 MR. KRIS SAXBERG: So it all comes down then
17 to this accuracy and all I was asking was, on that score, you
18 had -- you don't -- you haven't presented any independent
19 information or evidence that the Board can weigh against the
20 report that Centra's prepared, and say, it shouldn't be eight
21 forty (840), it should be some lower number?

22 MR. DON READING: That -- that's -- okay. I
23 -- without being redundant, I thought I had answered that.
24 We do not have a definitive study where we have a meter at
25 the top of the pipeline, downstream from the one meter that

1 comes off where the odourization and that stuff takes place.
2 Measure there, maybe even have a check meter
3 there, then move down the system, look at the two (2)
4 generating stations, look exactly at what comes off there.
5 Measure what's there. Move down to the Brandon Plant,
6 measure what's off there. Have a meter just downstream from
7 the Brandon plant and measure what's there.

8 If you went through that whole procedure then
9 you would have a -- a very direct indication of -- of what
10 the gas usage is and any mistakes -- any measurement errors
11 that may occur.

12 If you're asking have we done that, no. What
13 we've said is, is that for the system as whole the meters on
14 the Brandon plant are the most accurate and checked and
15 looked at. And that, given twenty-three (23) kilometres, we
16 think that the assignment of eight forty (840) is too high.

17 MR. DAVID HAWK: You might also look at my
18 testimony and that would be question 15. We offered that as
19 evidence after meeting with Centra and having discussions
20 with Centra, over a period of years actually I might add,
21 about the quality of those meters and the protocol in --
22 aligned and working with those meters.

23 So we did offer something. And certainly we
24 would agree with their testimony about the accuracy of these
25 meters and the fact that no other meters on the system

1 maintain that kind of accuracy.

2 Were you suggesting that our meters were the
3 same accurate as a 5B home meter for instance?

4 MR. KRIS SAXBERG: Thankfully, I don't have
5 to answer questions so I won't.

6 MR. DAVID HAWK: Okay.

7 MR. KRIS SAXBERG: I'll just put another one
8 to you. What Simplot ultimately wants to do through further
9 work with Centra is to determine, by direct measurement, a
10 more precise measure of what Simplot contributes to UFG; is
11 that not the case?

12 MR. DAVID HAWK: We want to determine what
13 really is the responsibility of the special contract class to
14 pay UFG, as accurately as possible.

15 MR. KRIS SAXBERG: And your view is that that
16 can be done. That -- that it's possible, because you heard
17 the evidence from the Centra Panel earlier today that it
18 can't be done, but your view is that it can be done?

19 MR. DAVID HAWK: I -- I suppose everything is
20 possible at a cost and if, in fact, it's -- it's -- it's not
21 capable of being done, based on some technological aspect
22 with which we're not familiar and certainly won't stand in
23 awe of, nor we will stand in disagreement of it, once proven
24 to us.

25 That -- we would suggest that either that or a

1 combination of what we've presented with the work Centra has
2 done is the appropriate approach.

3 MR. KRIS SAXBERG: Well, if that additional
4 work isn't done, what are you recommending as the --

5 MR. DAVID HAWK: 2.8 percent.

6 MR. KRIS SAXBERG: And that 2.8 percent is
7 based solely on replacement cost, correct? It's not based on
8 those five (5) other indicators?

9 THE CHAIRPERSON: Mr. Saxberg, with all due
10 respect, I think we've been around this horn several times.

11 MR. KRIS SAXBERG: Okay, that's fine. I'll
12 move on. You indicated that you want to measure for Simplot
13 directly it's contribution to UFG and that that may be
14 possible.

15 If it isn't possible for other customer
16 classes, Dr. Reading, is it -- is that fair then? Is that
17 something that -- that Professor Bonbright would endorse?

18 MR. DON READING: Well, without being
19 sacrilegious and stepping on holy ground of Dr. Bonbright, I
20 would think that he would agree with that, because as I
21 understand what he had to say, is you do the best you can to
22 do the direct, the most you can.

23 And if it is feasible for one (1) class and
24 not another class, so be it. You do that and then you use --
25 you know, lapse into econ lecture, second best solution when

1 first best solution isn't available for those others.

2 And it's a cost benefit. Yeah, one (1) of the
3 things that -- that the company is struggling with, with UFG
4 is -- is the billing cycle problem and -- and that billing
5 cycle problem is -- is not unique to UFG. The billing cycle
6 problem occurs in electric and water utilities, for instance,
7 where they have seasonal rates.

8 And so one (1) of the solutions to that that's
9 being offered is electronic automatic meter reading. Well, I
10 don't know whether on Centra's system, the cost benefits of
11 doing that. But in a perfect world, if it were free, then
12 every individual could have a meter that would be read at two
13 (2) seconds after midnight on the last day of the month. And
14 then that problem would go away and that particular segment
15 of their study would be fixed.

16 So, you look at each individual circumstance
17 and each individual class and do the best you can. So, a
18 very short answer and, again, not trying to presuppose what
19 Dr. Bonbright would say, I think he would agree with that.

20 MR. KRIS SAXBERG: If this Board endorses the
21 -- the use of a direct measurement for Simplot alone, does
22 that not then contravene its earlier policy of not a postage
23 stamp system where you -- where you're location on the system
24 doesn't benefit you or doesn't work to your detriment?

25 MR. DON READING: As I think's been pointed

1 out here, we're talking about postage stamp rates within a
2 class. We're not talking about postage stamp rates for all
3 customers.

4 And, certainly any position that Simplot would
5 advocate if there would be another -- don't hit me when I say
6 it -- another fertilizer plant would come on the system to
7 compete with the Brandon plant and have usage characteristics
8 the same, we would be advocating they be treated the same and
9 that to me is what postage stamp rates are.

10 MR. DAVID HAWK: Let me just clear the air on
11 that point, if I may. First of all, there are a dozen
12 fertilizer plants, not on this system, but that compete with
13 us.

14 And, secondly, I think that if one recalls the
15 cross-examination that our Learned Counsellor performed with
16 regard to Ms. Derksen and Mr. Barnlund, I think it became
17 clear that we're not talking about distorting the postage
18 stamp rate on the total system.

19 But we're addressing a special class of
20 customer as if something could occur that would affect, such
21 as a public DSM benefits charge that might go just to the
22 residential customers. Same kind of thing that wouldn't come
23 to us, because no benefits could accrue to us.

24 MR. KRIS SAXBERG: Well, what if there is,
25 and you'll have to take this as a hypothetical, another

1 customer that comes on board, but this time is -- is much
2 further away and at the other end of the system, then
3 wouldn't the methodology that you're asking the Board to
4 endorse then, be something that would be a detriment to that
5 other special-contract customer?

6 MR. DON READING: I think that what would
7 happen is the company and, both companies, Centra and whoever
8 that was, would look at the special circumstances of that
9 particular customer, do the best they could to directly
10 assign all that they could directly assign, and then come up
11 with other kinds of measures for the other aspects.

12 MR. KRIS SAXBERG: Those are all my
13 questions. Thank the Panel.

14 THE CHAIRPERSON: Thank you, Mr. Saxberg.
15 Ms. Melnychuk. Would you like to cross-examine the Simplot
16 Panel?

17 MS. KAREN MELNYCHUK: I have no questions,
18 sir, thank you.

19 THE CHAIRPERSON: Sorry to single you out.
20 Mr. Carroll; do you have any comments or questions?

21 MR. BILL CARROLL: We have no questions,
22 thank you.

23 THE CHAIRPERSON: Thank you, Mr. Carroll.
24 Ms. Murphy...?
25

1 CROSS-EXAMINATION BY MS. MARLA MURPHY

2 MS. MARLA MURPHY: Thank you. Good
3 afternoon, Panel.

4 Dr. Reading, we talked about costs that can be
5 directly attributed and costs that can be allocated on some
6 reasonable basis, and I take it that you'd agree that the
7 unidentified portion of UFG is one (1) of those costs that
8 needs to be allocated on its individual basis?

9 MR. DON READING: I think, on some reasonable
10 basis? Certainly, all costs should be allocated on the most
11 reasonable basis and that -- that's we do in these Hearing
12 rooms, is decide what's most reasonable.

13 MS. MARLA MURPHY: So I take it from that
14 that -- that Simplot, like all other customers, accepts that
15 they'd be allocated some portion of costs which can't be
16 attributed specifically to them?

17 MR. DON READING: Oh, certainly.

18 MS. MARLA MURPHY: And, I think where we part
19 company is that you're suggesting that Centra's allocation of
20 five point seven (5.7) is too high?

21 MR. DON READING: Yes.

22 MS. MARLA MURPHY: And you're suggesting that
23 two point eight (2.8) is better; is that correct?

24 MR. DON READING: Yes, as -- as a placeholder
25 and then further study.

1 MS. MARLA MURPHY: And, when you talk about
2 further study, I think I got from your evidence today that
3 you're suggesting that we should put a number of additional
4 meters close to the TCPL takeoff, and measure those meters;
5 is that fair?

6 MR. DON READING: Yes, that that should be
7 investigated and again looked at on a cost-benefit and
8 technical-feasibility basis.

9 MS. MARLA MURPHY: And when we go back to Mr.
10 Barnlund's many wrist watches, we'd now have probably four
11 (4) or five (5) or maybe six (6) more wrist watches that we'd
12 be calibrating and looking at if we were to do that?

13 MR. DON READING: Without torturing the
14 analogy too much, I would say yes.

15 MR. DAVID HAWK: Ma'am, let me just add to
16 that metaphor just a moment, if I could. Once again, if you
17 have two (2) watches, or four (4) or five (5) watches on the
18 same arm and you purchased them virtually at the same time,
19 and they're of the same accuracy. And they're watches all of
20 the same, as in the same meter, you're far likely to have
21 fewer variations of significance unless a turbine blade is
22 thrown and there's real destruction, and then the others will
23 pick that up.

24 Versus the, I don't know how many other types
25 of meters that you had; you described four (4) here. And

1 then you have various sizes of those meters, I'm certain,
2 within your system and -- and various regulator stations of
3 various sizes and various piping, relationships of various
4 sizes approaching that equipment.

5 So, consequently, from a complex standpoint,
6 four (4) or five (5) meters still, not an issue in terms of
7 complexity compared to the rest of the system.

8 MS. MARLA MURPHY: Mr. Hawk, you've suggested
9 that we should use an estimate of the replacement cost of
10 Simplot's plant, in order to -- or you've used it to drive
11 your 2.8 percent; is that right?

12 MR. DAVID HAWK: Well, I think I've already
13 answered that, that we -- we used a number of approximately
14 \$10 million Canadian to run a hot tap off TCPL, acquire the
15 rights of way and lay a line to our facility and that would
16 include metering.

17 And but that -- that's part of what drove the
18 2.8 percent. The other thing is that you had come up with a
19 number of 5.7 percent. Dr. Reading had come up with a number
20 of 1 percent, on average.

21 And so, consequently, there's a variety of
22 numbers that fall in between the one point (1.) and the 5.7.
23 Arriving at the 2.8 percent was done, not only through the
24 comparison of those numbers that I had put together, but also
25 through the numbers you had acquired and Dr. Reading's

1 numbers.

2 MS. MARLA MURPHY: So it's a bit of saw off
3 as well?

4 MR. DAVID HAWK: It is.

5 MS. MARLA MURPHY: And the calculation that
6 you used in your evidence was based on the cost to replace
7 facilities to Simplot; correct?

8 MR. DAVID HAWK: That would be to provide
9 service to Simplot from TCPL.

10 MS. MARLA MURPHY: And a large driver in that
11 cost would be the length of the pipe; wouldn't it?

12 MR. DAVID HAWK: Of course, yes.

13 MS. MARLA MURPHY: So the location of Simplot
14 would become important in that calculation?

15 MR. DAVID HAWK: Well, I used twenty-three
16 (23) kilometres approximately so -- I mean, we are where we
17 are. We're not going to move that plant, I can tell you
18 that. I know Mr. Riad may want to comment on that but.

19 MS. MARLA MURPHY: Would you agree that if
20 the Board didn't accept Centra's study that one of their
21 options would be to remain at the status quo?

22 MR. DAVID HAWK: Yes.

23 MS. MARLA MURPHY: And, Dr. Reading, if I
24 could just take a minute to turn you to page 15 of your
25 evidence. There's a number of factors there that you

1 indicate impact on the allocation of UFG?

2 MR. DON READING: Where again?

3 MS. MARLA MURPHY: It's page 15 of your
4 evidence.

5 MR. DON READING: Yes.

6 MS. MARLA MURPHY: You note, first, that
7 Simplot is served by only twenty-three (23) kilometres of
8 transmission line; is that right?

9 MR. DON READING: Correct.

10 MS. MARLA MURPHY: And I think that you'd
11 agree that the length of the pipe is a factor that relates
12 only to physical loss, not measurement loss; is that fair?

13 MR. DON READING: Yes.

14 MS. MARLA MURPHY: And I think we've already
15 established today that the portion of UFG that relates to
16 physical loss is fairly small?

17 MR. DON READING: Given, pardon me, given the
18 study that the company has done, they have calculated that 12
19 percent is the amount of physical loss. And I might add,
20 that's -- that's kind of a fall out of the -- the process of
21 taking those various categories and measuring them.

22 If -- if the company would have undertaken,
23 for instance, Mr. Gretener's cross-examination picked maybe
24 different standard deviations than that 12 percent, in fact,
25 could have been a different number.

1 But given the -- the study that the company
2 did, yes, 12 percent was the result of that.

3 MS. MARLA MURPHY: You've also noted that
4 Simplot is a customer in its own class; how does that impact
5 UFG?

6 MR. DON READING: It doesn't affect UFG
7 whatever it is. It certainly can affect the calculation of
8 UFG because it's only one (1) customer and, therefore, it
9 only has one (1) or two (2) meters and given that one of the
10 reasons for UFG is meter error, if you have one (1) meter or
11 two (2) meters rather than one thousand, six hundred (1,600)
12 meters or eight hundred thousand (800,000) meters, that
13 certainly would impact what UFG would be.

14 MS. MARLA MURPHY: Thank you. You also
15 indicate that "Simplot purchases its own gas"; how would you
16 say that impacts UFG?

17 MR. DAVID HAWK: Well, it -- it impacts UFG
18 in -- in terms of our costs. Once again, I think the point
19 was made that our price of gas which Mr. Barnlund suggested
20 he was not aware of, and -- means that we may or may not be
21 paying too much if we were otherwise had the opportunity to
22 pay UFG in kind.

23 But as far as how it affects UFG, as the price
24 of gas goes up and you have the same amount of UFG the whole
25 time, then the cost of UFG goes up. And, likewise, down.

1 MS. MARLA MURPHY: But it doesn't impact the
2 allocation of UFG?

3 MR. DAVID HAWK: No.

4 MS. MARLA MURPHY: You also indicate that
5 "the constant use pattern is a factor"; I take it that refers
6 to Simplot's load factor?

7 MR. DON READING: Yes.

8 MS. MARLA MURPHY: Dr. Reading, as a general
9 principle, I think we've talked today about the fact that
10 rates within a customer need to be equitable and fair --
11 reasonable among the customers in the class. Would you agree
12 with that?

13 MR. DON READING: Yes.

14 MS. MARLA MURPHY: And would you also agree
15 that one (1) of the Utility's responsibilities is to ensure
16 that their rates are equitable, fair, and reasonable among
17 the classes of customers --

18 MR. DON READING: Among all customer classes,
19 yes.

20 MS. MARLA MURPHY: Thank you. Those are my
21 questions.

22 THE CHAIRPERSON: Thank you, Ms. Murphy. Mr.
23 Peters...?

24

25 CROSS-EXAMINATION BY MR. BOB PETERS:

1 MR. BOB PETERS: Thank you. Mr. Riad, good
2 afternoon. I thought I should talk starting first with the
3 Manitoban in the crew. I -- I have not very many questions
4 for you, sir, but in terms of where we are at in this
5 Application, the evidence discloses that the volumes that are
6 being forecast for Simplot in Brandon have been revised
7 recently. Are you aware of that?

8 MR. HANI RIAD: Yes. Last year we did shut
9 down for two (2) months because of the very high natural gas
10 costs and we really at that point were not sure what 2004
11 will turn out to be.

12 So we had to revise some forecasts as the
13 business climate ...

14 MR. BOB PETERS: Would it be fair to say that
15 your forecast for the fiscal year used by the Corporation of
16 April 1st of '04 to March 31st of '05, you're hoping you'll
17 be up to 100 percent production, if I might?

18 MR. HANI RIAD: Yes, this is the forecast we
19 forwarded to Centra earlier this year.

20 MR. BOB PETERS: And that's your expectation
21 of -- of how you're going to operate this year?

22 MR. HANI RIAD: That's my expectation.

23 MR. BOB PETERS: Can you tell the Board when
24 you expanded your Brandon facilities and the nature of that
25 expansion, please?

1 MR. HANI RIAD: In the mid-90s we embarked on
2 a project to upgrade the ammonia manufacturing facilities.
3 We retired two (2) old technology plant and we -- plants, and
4 we erected a significantly larger, newer technology plant in
5 Brandon. And that more than doubled our capacity at that
6 time.

7 MR. BOB PETERS: Well, you said is that --
8 was that 1996, 1997, somewhere in that range?

9 MR. HANI RIAD: The construction took place
10 in 96/97 and the plant was started up in '98.

11 MR. BOB PETERS: Do you -- is the cost of
12 that on the public record that you'd be prepared to disclose
13 it here or --

14 MR. HANI RIAD: Yes, it was in the vicinity
15 of \$250 million. At that time, this was the largest project
16 in Manitoba, by far.

17 MR. BOB PETERS: Dr. Reading, turning to you,
18 and thank you, Mr. Riad. The five (5) indicators that are in
19 your evidence are all around a 1 percent allocation proxy for
20 UFG for Simplot. Is that correct?

21 MR. DON READING: Correct.

22 MR. BOB PETERS: And you come before the
23 Board with your clients and your clients are now saying 2.8
24 percent and we've heard from Mr. Hawk how he's derived that
25 proxy.

1 Do you agree with his proxy?

2 MR. DON READING: Yes.

3 MR. BOB PETERS: Why -- why do you develop
4 five (5) proxies that are around the 1 percent level, and yet
5 you didn't develop one (1) at 2.8 percent?

6 MR. DON READING: Two (2) reasons. One (1)
7 reason is -- is to be conservative. The second reason is
8 what I said at -- at the top of my direct and that is I think
9 the approach the company's taken in trying to identify the
10 causes of UFG is a important and significant step and that we
11 want to support that effort.

12 And so that's why we're settling as a place
13 holder on two point eight (2.8) and saying, let's investigate
14 it further and fine tune it further, so that we can come up
15 with a -- a percentage given the approach that the company's
16 taken that we think is accurate.

17 MR. BOB PETERS: I would have accepted a
18 third explanation perhaps, in a more lighter vein that Mr.
19 Hawk is paying the bill so you don't want to disagree with
20 his 2.8 percent, but --

21 MR. DON READING: Well, that --

22 MR. DAVID HAWK: Let me add to that, that has
23 never kept him from disagreeing with me either publically or
24 privately and certainly not politically, do we find ourselves
25 agreeing.

1 MR. BOB PETERS: We'll get into that --

2 MR. DAVID HAWK: He's wrong and I'm right.

3 MR. DON READING: Yeah, you're wrong about
4 that as well.

5 MR. BOB PETERS: All right. Let's -- let's
6 get back to your comment, Dr. Reading, that -- and you both
7 have been complimentary towards the Utility and the steps
8 they have taken, but you also say they should take additional
9 steps forward.

10 The only additional steps forward that I hear
11 you recommending is that they attach some more meters. Is
12 that the additional steps?

13 MR. DON READING: That -- that would be one
14 (1) approach more -- more meters and a, you know, I think Mr.
15 Barnlund was asked the question about well couldn't the plant
16 be served from just one of the unodourized lines and his
17 answer was, I can't answer that because I'm not an engineer.

18 That would certainly be one (1) approach.
19 Another approach would be further measurement meter studies.
20 Another approach may be as kind of indicated, going back and
21 looking at the selection of the standard deviations from
22 base. A whole variety of steps could be undertaken.

23 I certainly didn't disagree with the billing
24 cycle and -- and this is, Mr. Gretener hit on me for gut
25 level statements by experts in the -- in the Hearing room.

1 But I was surprised when I saw the study at how low the
2 allocation was to the billing cycle amount.

3 My gut level in looking at electric and water
4 is as usually when you have billing cycle problems of
5 calculation and matching to particular date, it's usually on
6 a system basis a higher percent of that. So that may be
7 something that they would want to look at, I don't know.

8 MR. BOB PETERS: Mr. Hawk, from -- from that
9 answer and the ones given previously, would it be a correct
10 understanding that Simplot would like to be involved in the
11 development of further studies on this issue?

12 MR. DAVID HAWK: Yes, that would be correct.

13 MR. BOB PETERS: Would Simplot like to be
14 involved in the payment for the costs of the development of
15 these further studies?

16 MR. DAVID HAWK: That would be fine.

17 MR. BOB PETERS: And in terms of the
18 dedicated system --

19 MR. DAVID HAWK: We'll spread that to our
20 customer class.

21 MR. BOB PETERS: In terms of the discussion
22 from Dr. Reading of -- of perhaps a single pipeline flowing
23 on the unodourized side down to Simplot, that starts to look
24 more and more like a dedicated system from this side of the
25 room.

1 Would you agree with that?

2 MR. DAVID HAWK: Yes.

3 MR. DON READING: Yes.

4 MR. BOB PETERS: And it would be -- it would
5 be just one -- one (1) customer class with one (1) customer
6 in its specific infrastructure designed by the Utility to
7 serve it.

8 MR. DAVID HAWK: That's correct. Similar to
9 Manitoba Hydro's peaking unit.

10 MR. DON READING: And -- and I might add, you
11 know, we're -- we're investigating it could be on a -- a
12 short term basis to determine what the -- or a shorter term,
13 you know, what's temporary, to investigate, you know, what
14 the potential is without losing and again I'm stepping on
15 dangerous ground of engineering.

16 But, you know, the security of a loop system
17 and the ability to have backups and all of that kind of stuff
18 that are important to a gas distribution system.

19 MR. DAVID HAWK: And -- and I might add as
20 one other thing that I think has been overlooked a little
21 bit. If you take the first 55 percent that Ms. Derksen and
22 Mr. Barnlund visited with us about earlier today and then you
23 take the other 45 percent which follows a line of intuition
24 and good judgement I think.

25 But the point is that maybe that is the place

1 where you apply some of the numbers that Dr. Reading has
2 accumulated and some of the comparisons that we've made. And
3 you do that on a customer class basis. Because they do have
4 expenditures per customer class I'm sure relegated on an
5 accounting format, spreadsheet somewhere by customer class.

6 So consequently I think there's room there for
7 visiting further without adding another meter, even.
8 Although that -- that certainly's our preference. And if in
9 fact other meters mean we'd pay more then we pay more.

10 MR. BOB PETERS: Do you agree that the fact
11 that you are a single customer with relatively close
12 proximity to the main line from TCPL puts you in a different
13 position relative to other customer classes and -- and their
14 specific members on this issue?

15 MR. DAVE HAWK: Yes.

16 MR. BOB PETERS: And if the other customer
17 classes wanted the same -- the same dispensation you're
18 requesting, should it be afforded them?

19 MR. DAVID HAWK: If those calculations can be
20 made for the other customer classes, in particular I would
21 think of the main line large industrials and the high volume
22 firm type customers, if that can be done, then I think an
23 analysis should be made. The more information you can find,
24 the more cost that you can assign, cost-causers should pay.

25 And those who don't, shouldn't. We don't have

1 a problem with that.

2 MR. BOB PETERS: Mr. Hawk, before I leave it,
3 you threw out a comment before that you thought you were
4 being treated the same in your gas supply as was, I think you
5 said Peaking Station. Did I hear you correctly?

6 MR. DAVID HAWK: No. No, I think -- I think
7 they have been treated as an individual class and that's what
8 I meant when -- when you were saying, I thought you were
9 saying: Are we the only class customer off that lateral.

10 MR. BOB PETERS: I heard in the evidence this
11 afternoon that there's a ten (10) year contract in place
12 between Simplot and the Utility; did I hear that correctly?

13 MR. DAVID HAWK: Yes.

14 MR. BOB PETERS: And that expires in one (1)
15 year?

16 MR. DAVID HAWK: Subject to check January 1,
17 or December 31st at midnight, 2005; is that correct?

18 MR. HANI RIAD: Yes.

19 MR. BOB PETERS: Mr. Reid's answering your
20 question, so I'll take that as --

21 MR. DAVID HAWK: Well, if we have it here I
22 can check, but ...

23 MR. BOB PETERS: All right. And just explain
24 to the Board briefly, what is the nature of that contractual
25 arrangement?

1 MR. DAVID HAWK: Well, I haven't reviewed it
2 for quite awhile, but it was the -- it was -- it was the
3 contract we entered into that allowed, apparently, Centra to
4 go forward and expand their system by looping it, if you
5 will, and giving us more of a dedicated line than what we
6 previously had -- there were some issues previously, and also
7 we did need additional capacity and this allowed them to do
8 that.

9 We went from a peak day of twenty-one (21)
10 million cubic, or twenty-one thousand (21,000) GJs a day, to
11 approximately fifty-five thousand (55,000) GJs a day, and so
12 this had to do with extra capacity, and their ability to
13 serve us.

14 MR. BOB PETERS: Can you tell the Board if --
15 if there's a renegotiation of that contract planned, or where
16 -- where that sits?

17 MR. DAVID HAWK: Well, let me say this, the
18 GR Simplot Company, both gas and electricity-wise, and I want
19 to make sure I run everything through my mind, we've never
20 bypassed anyone, we have used some of our own electricity
21 that we've generated in-house at some of our facilities
22 through co-generation, but we've never bypassed anyone, and
23 yes, we do intend to sit down at some time in 2005, with
24 Centra, and we're going to ask them to come to a southern
25 climate in the middle of December and we think we'll get them

1 there or something. Actually they always make us come over
2 here so, that's why -- we'll meet at Brandon; how's that?

3 MR. BOB PETERS: All right. You just raised
4 one other area I wanted to talk to you about, and that was on
5 the bypass equivalent rates. Is -- is your methodology
6 designed to get to a bypass equivalent rate?

7 MR. DAVID HAWK: No, not necessarily, no, not
8 at all. That's just one measure of the complexity of the
9 system, we believe.

10 MR. BOB PETERS: And with respect to the
11 other allocations, you've indicated in the evidence that
12 that's a matter that you still want to address, but that
13 would probably be in a different forum, such as the General
14 Rate Application?

15 MR. DON READING: You're talking about those
16 cost-of-service issues?

17 MR. BOB PETERS: I was.

18 MR. DON READING: Yes, yes, in a general rate
19 application, and also, you know, discussions with the Company
20 so that we can better understand what they are and -- and
21 whether from our position we think they're -- they're fair
22 and equitable.

23 MR. DAVID HAWK: We have -- we have
24 traditionally had a relationship, I think, Mr. Peters, with
25 utilities and we believe that we have one with Manitoba Hydro

1 hopefully, and certainly with Centra, whereby we can sit down
2 and visit about issues that are in rate cases, to some extent
3 before they come up, so that we can understand them and then
4 we can jointly either agree or disagree and go our own ways
5 on those things.

6 And we appreciate the -- the mutual respect
7 that we have with Idaho Power, InterMountain Gas and Grand
8 Forks, and Northern States Power, that allows us to do those
9 kinds of negotiations, or understanding, and then
10 respectfully go our own ways.

11 MR. BOB PETERS: Thank you. In the summary
12 of the Centra unaccounted-for gas study, that was found at
13 Tab 16 of the Book of Documents that have been circulated and
14 marked as PUB Exhibit No. 8, the measurement or metering
15 accuracy was -- is the largest source of UFG that the Utility
16 is attributing to Simplot, correct?

17 MR. DON READING: Correct. And -- and all
18 other classes as a group, also.

19 MR. BOB PETERS: And, Dr. Reading, is it your
20 understanding that that -- that number was calculated, based
21 on an accuracy level of plus or minus .2 percent?

22 MR. DON READING: Yes.

23 MR. BOB PETERS: And, do I correctly
24 understand from your evidence that you feel that the accuracy
25 is more in the area of .1 percent of these actual meters?

1 MR. DON READING: That's our suspicion, yes.

2

3

(BRIEF PAUSE)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BOB PETERS: Mr. Chairman, I'd like to thank Mr. Riad, Dr. Reading and Mr. Hawk for their answers to my questions, also appreciate their attendance here this afternoon on behalf of the other parties.

Those conclude my questions and I -- I trust they'll have a good evening as Mr. Riad takes them on a tour of their facilities in Portage la Prairie and maybe over to Brandon, again. So, thank you.

THE CHAIRPERSON: Thank you again, Mr. Peters. Mr. Gretener, do you have any re-direct...?

MR. NICK GRETENER: I'd be very reluctant to detain the room at this time of day, Mr. Chairman, but I do understand -- I think Dr. Reading has just a follow-up to elaborate on an answer he gave Mr. Roberts.

MR. DON READING: Just -- just one follow up on -- on what Mr. Hawk said about co-operative -- co-operation of the company.

It may look adversarial here, but in the throws of trying to put this case together when somebody called him from Idaho and bothered him, I got my phone calls returned quite promptly and either the question answered or

1 we'll get back to you and lo and behold, they did get back to
2 me.

3 So, I want to make sure the record shows that
4 that -- that a lot of co-operation from the Company.

5 MR. BOB PETERS: And I -- in closing, Mr.
6 Chairman, I'd also like to again reiterate our thanks for
7 streamlining the process, being able to come in and out on
8 one day is -- is exceptional and we do appreciate it.

9 THE CHAIRPERSON: I'm sure we're all happy to
10 oblige. I hope you enjoy your stay, and thank you everyone.
11 We'll see you tomorrow.

12

13 (PANEL RETIRES)

14

15 --- Upon adjourning at 4:25 p.m.

16

17

18 Certified Correct

19

20

21

22

Carol Wilkinson

23

24

25

