

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE
 2010 GENERAL RATE APPLICATION

Before Board Panel:

- Graham Lane - Board Chairman
- Eric Jorgensen - Board Member
- Len Evans - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
October 26th, 2009

Pages 1182 to 1384

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

Walter Saranchuk, Q.C.) Board Counsel
Candace Everard)
Kathy Kalinowsky) Manitoba Public Insurance
Raymond Oakes) CMMG
Byron Williams) CAC/MSOS
Nick Roberts (np)) MUCDA
Donna Wankling (np)) CAA
Jerry Kruk)
Robert Dawson (np)) CBA/MBA

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	1185
4	Undertakings	1186
5		
6	MPI PANEL 1 RESUMED:	
7	MARILYN MCLAREN, Resumed	
8	DONALD PALMER, Resumed	
9	OTTMAR KRAMER, Resumed	
10	Continued Cross-examination by Mr. Byron Williams	1191
11		
12	Certificate of Transcript	1384
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	NO.	DESCRIPTION	PAGE NO.
3	CAC/MSOS-5	Book of documents	1189
4	MPI-23	Response to Undertaking 10	1289
5	MPI-24	Response to Undertaking 16	1289
6	MPI-25	Response to Undertaking 18	1289
7	MPI-26	Response to Undertaking 19	1290
8	MPI-27	Response to Undertaking 20	1290
9	MPI-28	Response to Undertaking 21	1290
10	MPI-29	Response to Undertaking 22	1290
11	MPI-30	Response to Undertaking 24	1291
12	MPI-31	Response to Undertaking 25	1291
13	MPI-32	Response to Undertaking 26	1291
14	MPI-33	Response to Undertaking 30	1291
15	MPI-34	Response to Undertaking 32	1292
16	MPI-35	Response to Undertaking 34	1292
17			
18			
19			
20			
21			
22			
23			
24			
25			

	UNDERTAKINGS		
	No.	Description	Page No.
1			
2			
3	35	To determine the exact date that the DCAT	
4		methodology was adopted by the Board of	
5		Directors of MPI	1216
6	36	To indicate whether they're using a one	
7		(1) tail or two (2) tail test	1285
8	37	To provide the results of the analysis done	
9		by the Corporation in 2005 and/or 2006	
10		relating to the correlation between net	
11		income from operations and investment	
12		income risk as measured by VaR	1309
13	38	To provide the breakdown of the three	
14		hundred and thirty three thousand dollars	
15		(\$333,000) of occupant safety education	
16		strategies	1341
17	39	To advise if Transport Canada is continuing	
18		to conduct and publish the results of its	
19		rural and urban surveys, and, if not, the	
20		reasons why	1349
21			
22			
23			
24			
25			

1	UNDERTAKINGS (Con't)		
2	No.	Description	Page No.
3	40	To indicate the number of fatal vehicle collisions for 2008 to get the full year and the comparative number; outline the number of fatal collisions; the consequences for drivers and passengers, in terms of who died; indication of whether these were single vehicle or multi-vehicle accidents; and for each incident involving a fatality, an indication whether the failure to use seatbelts, wear a helmet, unsafe speed, or the use of drugs and alcohol was identified.	
14		Also to include the urban/rural split	1358
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:08 a.m.

2

3 THE CHAIRPERSON: Okay, good morning,
4 everyone. Ms. Kalinowsky, do you have anything for us?

5 MS. KATHY KALINOWSKY: No, we don't
6 actually. I've got a number of photocopies sitting in
7 the back room. Other than myself, I was the only person
8 at the office last week as different people were -- or
9 Friday, sorry, Friday afternoon -- other people were away
10 nego -- renegotiating and negotiating reinsurance
11 treaties. So they just have to be approved by various
12 people, but we expect to be -- the lunch hour hopefully,
13 filing a large number of documents at that point, sir.

14 THE CHAIRPERSON: Thank you. Mr.
15 Williams...?

16 MR. BYRON WILLIAMS: Yes, thank you, Mr.
17 Chairman, and good morning. I have, to assist in the
18 cross-examination, a -- a book of documents that --
19 subject -- I just want to make -- subject to any comments
20 by MPI, I would like to distribute to the Board.

21 We've shared the materials with MPI so my
22 understanding is that they don't have an objection to it
23 being introduced as an exhibit. But I just asked Ms.
24 Kalinowsky to confirm that, if she could.

25 MS. KATHY KALINOWSKY: Yes, I can confirm

1 that Mr. Williams shared a number of exhibits with us the
2 past weeks, so we're in accordance with this being
3 marked.

4 THE CHAIRPERSON: Very good, thank you.

5 MR. BYRON WILLIAMS: Mr. Chair, I would
6 recommend that it be marked as CAC/MSOS Number 5.

7 THE CHAIRPERSON: Okay, subject to check.
8 And that's correct.

9

10 --- EXHIBIT NO. CAC/MSOS-5: Book of documents

11

12 MR. BYRON WILLIAMS: And, Mr. Chair,
13 before embarking upon the cross, I think just to assist,
14 certainly Board counsel and the Board, in -- in terms of
15 what is actually in this book of documents because there
16 are a number of documents that were not on the record
17 prior to the introduction of this exhibit.

18 So I would just like to -- I -- I'll
19 certainly go through them in my cross-examination but I --
20 -- I thought it might be helpful for Board counsel, at
21 least, if I highlighted them.

22 Mr. Chairman, there's a -- a table of
23 contents, I think a couple pages in, and you can see that
24 the -- the book of documents is divided into three (3)
25 headings: Road Safety, Cost Control and Risk Analysis

1 Rate Stabilization Reserve.

2 All three (3) entries, being Tabs 1, 2,
3 and 3 under "Road Safety," are new documents that -- that
4 have not previously been on the record and those have
5 been shared with MPI.

6 Under 'B', Cost Control, Tabs 7, 8, and 9
7 are -- are new documents. They're based in part on
8 calculations, CPI calculations from the Bank of Canada,
9 and part from calculations of documents on the record.

10 But those are new to the Proceeding and
11 they have been shared with MPI.

12 Tabs -- under "Risk Analysis Rate
13 Stabilization Reserve," Tabs 14 to 18 are old excerpts
14 from the -- the misty past of the Risk Analysis which we
15 -- we put in to assist in refreshing our memories. Tab
16 21 and Tab 22 are new documents. They're -- they're
17 based on information on the record but there are new
18 calculations that have been shared with MPI. And Tab 20
19 is just a -- a very simplistic hypothetical with pretty
20 coloured dice and things like that just for -- to assist
21 the -- the discussion.

22

23 MPI PANEL 1 RESUMED:

24 MARILYN MCLAREN, Resumed

25 DONALD PALMER, Resumed

1 OTTMAR KRAMER, Resumed

2

3 CONTINUED CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

4 MR. BYRON WILLIAMS: And Mr. -- Mr.
5 Palmer, I'm probably going to be starting with you and on
6 the subject of the risk analysis. Ms. McLaren, you can
7 always feel to chip -- chip in whenever you would like.
8 And it may be helpful to the -- to you, Mr. Palmer to
9 have near at hand both the CAC book of documents, as well
10 as the AI.18 series, being AI.18.1 through 4. We may get
11 to all of them right away but we will within the next
12 hour or two (2).

13 MR. DONALD PALMER: It's --

14 MR. BYRON WILLIAMS: Do you have those,
15 Mr. Palmer?

16 MR. DONALD PALMER: They're all close at
17 hand, thank you.

18 MR. BYRON WILLIAMS: Who says we can't
19 cooperate, eh, Mr. Palmer?

20 MR. DONALD PALMER: Certainly not me.

21 MR. BYRON WILLIAMS: Mr. Palmer, I don't
22 want to call you old, but you've been working for this
23 Corporation since the late 1980's, would that be right?

24 MR. DONALD PALMER: December 4th, 1989.

25 MR. BYRON WILLIAMS: The very late 1980s.

1 And since that time you've regularly attended PUB
2 Proceedings, fair enough?

3 MR. DONALD PALMER: I have, yes.

4 MR. BYRON WILLIAMS: And in your roles
5 originally as Actuary and now as VP Finance and all-
6 around Grand Poobah you've had the opportunity to
7 participate in and review the debates before the Public
8 Utilities Board regarding the RSR target range and the
9 treatment of surcharges and dividends.

10 Would that be fair, sir?

11 MR. DONALD PALMER: I have, yes.

12 MR. BYRON WILLIAMS: And of course you've
13 studied with great, almost religious fervour the PUD --
14 PUB decisions over these many long years relating to the
15 RSR target range and the treatment of surcharges and
16 dividends.

17 Would that be fair?

18 MR. DONALD PALMER: I have.

19 MR. BYRON WILLIAMS: Just for a very
20 quick second I'd ask you to turn to AI.18.2, page 4. AI
21 -- AI.18.2 is of course the 2009 report on DCAT, Dynamic
22 Capital Adequacy Testing.

23 MR. DONALD PALMER: I have it.

24 MR. BYRON WILLIAMS: Mr. Palmer, I just
25 want to direct your attention to the top of this page and

1 you'll see two (2) tables, one (1) a base scenario
2 results and then a base scenario with a 2 percent
3 decrease in 2010/'11.

4 Do you see that, sir?

5 MR. DONALD PALMER: Yes, I see it.

6 MR. BYRON WILLIAMS: And just to go to
7 the -- the dialogue in the first paragraph under "base
8 scenario results in millions," you'll see the -- the --
9 the suggestion that a zero percent rate change in 2010
10 provided for higher net income than would otherwise be
11 realized with, in quotation marks, "break even rates."

12 Do you see that, Mr. Palmer?

13 MR. DONALD PALMER: Yes, I do.

14 MR. BYRON WILLIAMS: And if I compare the
15 two (2) tables, specifically the 2010/'11 year and the
16 2011/'12 year, what it essentially illustrates is that
17 with a 2 percent rate de -- decrease, earned revenues would
18 decrease from the base scenario of 770 million in
19 2010/'11 to 762 in the alternative scenario, so a -- an
20 \$8 million difference.

21 Is that right, sir?

22 MR. DONALD PALMER: That's correct.

23 MR. BYRON WILLIAMS: And rolled out an
24 extra year to allow for staggered renewals, I would see
25 between the base scenario of earned revenues of 794

1 million versus the base scenario with the 2 percent rate
2 decrease earned revenues of 778 million or a \$16 million
3 difference.

4 Would that be fair, sir?

5 MR. DONALD PALMER: Yes. One -- 1
6 percent is approximately \$8 million so 2 percent being
7 the sixteen (16) is bang on.

8 MR. BYRON WILLIAMS: And going back to
9 that -- to that first paragraph, you'll see about the --
10 the -- the fourth and fifth line in, essentially MPI is
11 making the point here that the additional premium
12 collected from this rate, in quotation marks, "load," end
13 quotation marks, is essentially an RSR rebuilding
14 surcharge.

15 Is that correct, sir?

16 MR. DONALD PALMER: That's correct, yes.

17 MR. BYRON WILLIAMS: And, Mr. Chairman, I
18 should just note that Ms. Desorcy is here, and -- and if
19 you could allow me two (2) seconds, I'd -- I'll be very
20 quick.

21

22 (BRIEF PAUSE)

23

24 CONTINUED BY MR. BYRON WILLIAMS:

25 MR. BYRON WILLIAMS: Mr. Palmer, and you

1 can turn there if you want, it's in the transcript at
2 page 1167 or you can just accept my -- my word on it.

3 So on -- on the topic of this rebuilding
4 surcharge built into the rates, in our conversation at
5 page 1167 on Wednesday, October 15th you confirmed at the
6 time that there was an -- at the time of the Application
7 there was an implicit RSR surcharge build in in the range
8 of 2 percent.

9 Do you recall that, sir?

10 MR. DONALD PALMER: Yes, I do.

11 MR. BYRON WILLIAMS: And I'm not going to
12 worry about percentages, Ms. McLaren, but a bit later on
13 that day at page 1169 you also indicated that we -- we do
14 have at line 20 an implicit 1 to 1 1/2 percent RSR
15 rebuilding surcharge in the Rate Application.

16 Do you recall that, Ms. McLaren?

17 MS. MARILYN MCLAREN: Yes.

18 MR. BYRON WILLIAMS: And it's the word
19 "implicit" that, on behalf of my clients, I -- I want to
20 focus on. And I'd like to direct your appli -- your
21 attention to the Application itself, which you can find
22 in the CAC book of documents at Tab 10, Mr. Palmer.
23 That's CAC Exhibit number 5. Tab 10, Mr. Palmer.

24 MR. DONALD PALMER: Yes. I have it.

25 MR. BYRON WILLIAMS: If I look to the

1 Application, Mr. Palmer, I'd be correct in suggesting to
2 you that there would be no mention there of an RSR
3 surcharge, would there, sir?

4 MR. DONALD PALMER: That's correct. This
5 Application deals directly with -- or this description
6 deals directly with the rate changes, so there is no
7 overall rate change, so that's reflected in this.

8 MR. BYRON WILLIAMS: And if I turned to
9 Tab 11 to the public notice, Mr. Palmer, again you'd
10 agree with me that I'd see no reference to a RSR
11 surcharge amounting to somewhere between \$8 and \$16
12 million, sir?

13 MR. DONALD PALMER: And again, this
14 specifically talks about rate changes and their -- the
15 overall rate change was basically zero, so that, again
16 that's what's reflected in this.

17 MR. BYRON WILLIAMS: So you'll agree with
18 me that in the -- both the Application and the notice
19 there is no reference to the fact that built into the
20 rates for 2010/'11 is an implicit surcharge that will
21 amount to consumers paying \$8 million more in 2010/'11
22 and \$16 more than they otherwise would in 2011/'12, all
23 other things being equal?

24 MR. DONALD PALMER: If we had applied for
25 a break even -- the comparison between what we're

1 applying for and break even, I would agree with that.

2 Yes.

3 MR. BYRON WILLIAMS: Excuse me. Just
4 flipping over again to Tab 12, which is the statement of
5 operations, TI.13. There would be no reference -- if I
6 were the diligent, but time stressed consumer, I wouldn't
7 see a separate line referencing the incremental revenue
8 pro -- projected to be generated by the RSR surcharge,
9 would I, Mr. Palmer?

10 MR. DONALD PALMER: Well, you would
11 because there's a positive bottom line of \$8.5 million,
12 so that's the implicit amount that would be put into the
13 RSR.

14 MR. BYRON WILLIAMS: There's no express
15 reference to an RSR surcharge on this page, sir.

16 MR. DONALD PALMER: Not in those terms.
17 No.

18 MR. BYRON WILLIAMS: And again, turning
19 to TI.14, the statement of retained earnings, there's no
20 expressed reference to a RSR surcharge or the incremental
21 revenue flowing therefrom, is there, Mr. Palmer?

22 MR. DONALD PALMER: Again, for each of
23 the '10 and '11 and '11/'12 years there is a neg -- net
24 income which shows as a -- as a deposit, if you will, to
25 the RSR, so it's specifically in there that there is a

1 contribution to the RSR.

2 MR. BYRON WILLIAMS: If I were looking
3 for a separate line referencing the incremental revenue
4 projected to be generated by the RSR surcharge and
5 identifying to that, I would not find it, correct?

6 MR. DONALD PALMER: It's identified as
7 the net income.

8 MR. BYRON WILLIAMS: I wonder if you'd
9 agree with me that the -- the lack of expressed
10 disclosure of a multimillion dollar RSR surcharge in the
11 Application or the public notice is a break with the past
12 practice of MPI, in this regard?

13 MR. DONALD PALMER: No, I would not agree
14 with that. We have al -- always disclosed net income.
15 Some years it's on -- on the two (2) years that --
16 whatever rate application that we're talking about
17 because of the affect of the stagger.

18 We have talked about maybe a little
19 negative in the first year and a positive in the second
20 year, which averages to zero. So always the net income
21 is disclosed, and that is the -- the bottom line that's
22 the deposit into the retained earnings, so I wouldn't say
23 that that's a break, so to speak.

24 MR. BYRON WILLIAMS: We'll come to that
25 point in just one (1) second, but -- but you'll agree

1 with me that one (1) of the justifications for this not
2 charging a break even rate in the application was an
3 implicit RSR surcharge, sir?

4 MR. DONALD PALMER: Yes, I would agree
5 with that.

6 MR. BYRON WILLIAMS: Turn, if you would,
7 to Tab 15, which is an excerpt from PUB order 116/96.
8 And if you'd turn to the last page of that excerpt you'll
9 see an appendix 'A', 'B', in the Application.

10 MR. DONALD PALMER: Yes.

11 MR. BYRON WILLIAMS: And, Mr. Palmer,
12 there you'll see that this expressly sets out a RSR
13 reserve increase and it expressly identifies that 2
14 percent increase -- 2 percent is being increased -- the 2
15 percent increase is being assessed on all rates to help
16 fund the rate stabilization reserve, do you see that,
17 sir?

18 MR. DONALD PALMER: I see that, and that
19 was ex -- an explicit RSR surcharge because the rates
20 actually went up 2 percent because of that.

21 MR. BYRON WILLIAMS: Well let's turn to
22 an example where the ra -- rates didn't go up, Mr.
23 Palmer. Let's go to an example where they stayed the
24 same. Turn, if you would, to Tab 16, which is an excerpt
25 from PUB Order 154/08 (sic). And, again, I would direct

1 your attention to the -- the last page, Mr. Palmer.

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: And you'll see on
4 the Application there, that expressly set out, again, is
5 the reality that it's a con -- a continuation of an
6 existing minus 5 percent adjustment to fund the -- the
7 Rate Stabilization Reserve.

8 Do you see that, sir?

9 MR. DONALD PALMER: I -- I see it, and I
10 don't know that it was minus 5, but it was probably plus
11 5, but I see it, yes.

12 MR. BYRON WILLIAMS: So -- and,
13 certainly, in the past, certainly with regard to the GRA
14 leading up to rates for 1999/2000, even when no express
15 rate increase was sought, MPI, clearly and separately,
16 designated that a surcharge was being put on rates to
17 help fund the Rate Stabilization Reserve.

18 Is that correct, sir?

19 MR. DONALD PALMER: That would result in
20 a positive bottom line in the Application years, yes.

21 MR. BYRON WILLIAMS: And would you agree
22 with me that, from the consumer perspective, it's
23 important to know that they're paying rates over and
24 above a break even rate for the purposes of rebuilding
25 the RSR?

1 MS. MARILYN MCLAREN: Thanks for the
2 invitation to chip in whenever I felt the need, I think
3 I'll do that now. I'm a little concerned about the
4 context of this line of questioning, Mr. Williams,
5 because clearly we've begun today talking about implicit
6 RSR rebuilding revenue.

7 It's not, in any way, shape, or form,
8 explicitly a surcharge, so I think we really need to
9 understand the context. And from the consumer's
10 perspective maybe the parties to these Proceedings want
11 to think a little bit about that for the future. Maybe,
12 you know, the Board and the Corporation would think about
13 different approaches to public notices.

14 But with respect to the consumer's
15 interest for information, I think this really does come
16 down to the public notice. And if in fact, it was deemed
17 to be appropriate that somehow the PUB, in signing and
18 publishing that notice, the Corporation, in preparing a
19 draft of that notice, thought it would be important to
20 draw the attention to the important matters to be
21 discussed at the upcoming Proceedings beyond rates.

22 You know, that -- that might be something
23 that we would do in the future. Clearly everyone is on
24 record, I think in these Proceedings, is that the key
25 issue -- one (1) of the key issues, one (1) of only two

1 (2) key issues in the minds of the Board itself, are
2 resolving the issue with respect to RSR.

3 The Corporation has not buried the fact
4 that we are applying for rates that will generate
5 additional revenue. It's almost front and centre in my
6 pre-filed testimony.

7 It is in all the financials in the context
8 of previous Board orders, it is -- our Application is
9 consistent with the previous Board order with respect to
10 trying to resolve that issue.

11 And it's also consistent with direction
12 from the Board in the DSR hearing proceedings where they
13 declined to reduce rates by the equivalent of a further
14 \$10 million because there was uncertainty about RSR
15 targets, uncertainty about potential IFRS impact and --
16 and other cost allocation.

17 They listed a number of things that
18 created the situation where it did not seem appropriate
19 to reduce rates as the Corporation had proposed. All of
20 that is context. So in terms of consumers who are
21 interested in understanding the context of these
22 Proceedings, the orders, the Application, the
23 transcripts, have been fully transparent and forthcoming
24 in that regard.

25 The matter, to be perhaps looked at with

1 20/20 hindsight now, is the extent to which we talked
2 about the context of the revenue that will be generated
3 and the issue to be determined with respect to an RSR
4 target.

5 That's why we have extra money flowing to
6 the bottom line through this Application because of the
7 question with respect to the RSR target.

8 MR. BYRON WILLIAMS: Thank you for that,
9 Ms. McLaren. Simple question. Does the Corporation
10 agree that from the consumer perspective, the fact that
11 it's expressly -- excuse me, that it's seeking to rebuild
12 the rates, to build up the RSR and so is charging more
13 than a breakeven rate, should be included in its
14 Application and its notice? Simple question.

15 MS. MARILYN MCLAREN: It was not included
16 in the public notice. I would certainly consider that
17 perhaps it should have been. You're asking for a
18 definitive, was it or was it not? Absolutely it was not
19 included in the notice.

20 MR. BYRON WILLIAMS: I -- I'm not asking
21 you to -- or criticizing you for past actions. We're
22 talking about rebuilding an RSR. Let's talk about future
23 actions.

24 Should, going forward, the Corporation
25 provide notice to the consumers expressly, in its

1 Application and in its public notice, that it is seeking
2 to charge more than a breakeven rate to rebuild the
3 reserves?

4 MS. MARILYN MCLAREN: As a general
5 principle, yes. And if we have an agreed committed RSR
6 target, that would certainly be the Corporation's
7 practice.

8 So if in fact, you know, play that out a
9 little bit I guess. If in fact, this Board accept the
10 \$185 million, if in fact the rates remain -- the rate
11 levels remain as proposed in this Application and if in
12 fact our financials showed that a year from now we could
13 have a 1 percent rate decrease, other than wanting to
14 continue to work towards \$185 million, I would expect the
15 Corporation would draw that to the consumer's attention
16 in the next public notice.

17 MR. BYRON WILLIAMS: The -- and we can
18 turn there if -- if you want, but again going back to
19 older history, you recall, as well, that the -- the
20 Public Utilities Board in -- in older decisions directed
21 MPI to expressly identify the entire incremental revenue
22 generated as a result of RSR rate adjustments -- excuse
23 me -- in the -- in the -- in the early filing for example
24 in TI.13 or in TI.14. Do you recall that at a -- at a
25 general point? I can refresh your memory if you need to,

1 Mr. Palmer.

2 MR. DONALD PALMER: Yes, and always the
3 bottom line net income is the contribution to the RSR.

4 MR. BYRON WILLIAMS: That's correct, Mr.
5 Palmer. But you'll recall in the 1990s, the -- the Board
6 expressly directed MPI to set out and expressly
7 identified the RSR surcharge as a separate line item.

8 Do you recall that Mr. Palmer? Again, I
9 can refresh your memories, if you don't.

10 MR. DONALD PALMER: I don't know if it
11 was the exact words, but sure, I -- I'll take your word
12 for that.

13 MR. BYRON WILLIAMS: And again, going
14 forward, in the event that there are future RSR
15 surcharges, does the Corporation agree that expressly
16 setting out the incremental revenue in the -- the basic
17 filing documents, whether those are TI.13 or TI.14, would
18 be appropriate.

19 MR. DONALD PALMER: And as you've
20 expressly pointed out in TI.14 with the line being net
21 income that increases the RSR I think we've done that,
22 but if there is an extra note or saying this amount is --
23 goes into the RSR, then sure, I don't have any problem
24 with that.

25 MR. BYRON WILLIAMS: Thanks, Mr. Palmer.

1 Just moving -- moving back in time for a little while
2 still, you'll recall -- it seems so long ago now, Mr.
3 Palmer, that you had a brief discussion with My Friend
4 Mr. Saranchuk about the -- the gen -- genesis of the risk
5 analysis.

6 Do you recall that vaguely, sir?

7 MR. DONALD PALMER: I do.

8 MR. BYRON WILLIAMS: And I -- I have to
9 tell you that my recollection was a little -- a little
10 bit hazy, as well, and so to assist both my clients and
11 hopefully the Board I -- I'm going to ask you to assist
12 in refreshing the memory of the Board by turning back to
13 some of those Board Orders in the early days when the
14 risk analysis was being developed, Mr. Palmer.

15 And I put them in there merely to refresh
16 your memory. I -- I suspect you won't need it much, but
17 just as a -- as a guide.

18 You're prepared to do that, Mr. Palmer?

19 MR. DONALD PALMER: Well, you already
20 called me old once in this Hearing, so refreshing my
21 memory probably doesn't hurt.

22 MR. BYRON WILLIAMS: I -- I hate to say
23 this, but I think Mr. Saranchuk, yourself, and I are the
24 veterans in this room now, Mr. Palmer, and Mr. Kruk.
25 Turn, if you would, to Board Order 154/98, which is at

1 Tab 16 of the CAC book. And expres -- expressly I'd ask
2 you to turn to page 50 of that document, Mr. Palmer.

3 MR. DONALD PALMER: I have it.

4 MR. BYRON WILLIAMS: And again, you can
5 certainly refer to pages 50 and 51 if you feel the need
6 the refresh your memory, but I'm going to suggest to you
7 that it was in that proceeding that the Corporation first
8 prepared an internal risk review using the statistical
9 variance approach relating to the variability of four (4)
10 separate risk factors.

11 Do you recall that, Mr. Palmer?

12 MR. DONALD PALMER: Yes, I recall that.

13 MR. BYRON WILLIAMS: And those factors
14 were the same as four (4) of the five (5) that we speak
15 of today, being premium revenue, claims' costs, claims'
16 expenses, and operating expenses, correct, sir?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: Just, if you want,
19 again to help you follow along, flip to the next page.
20 At that point in time investment risk was not part of --
21 of the -- of the analysis, would that be fair, sir?

22 MR. DONALD PALMER: Not in that risk
23 review, no.

24 MR. BYRON WILLIAMS: And you'll also
25 recall that, at the time, an underlying assumption of the

1 Corporation's analysis was that the four (4) risk factors
2 identified were perfectly correlated?

3 That's your recollection?

4 MR. DONALD PALMER: Yes. That -- that's
5 correct. And also, in that paragraph when it says
6 investment risk was excluded and then there is a
7 reference with regard to investment policy which was then
8 changing to include equities and more variability would
9 be introduced, so that's in there.

10 MR. BYRON WILLIAMS: And I'm certainly
11 not criticizing the Corporation, Mr. Palmer. I'm just
12 trying to put the bricks back together. Just to, to
13 again assist the Board, if you turn to page 58 for just
14 one (1) second of Board Order 154-98 -- /98.

15 MR. DONALD PALMER: Yes.

16 MR. BYRON WILLIAMS: And, again,
17 directing your attention to the -- the bottom part of the
18 -- the page, you'll agree, or you'll recollect that the
19 Board, at that time, disagreed that the four (4) risk
20 components were perfectly correlated.

21 Is that correct?

22 MR. DONALD PALMER: I recall that.

23 MR. BYRON WILLIAMS: And, again, it's
24 suggested that some correlation analysis should be
25 conducted.

1 Would that be fair?

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: And it also directed
4 that investment risk should be considered.

5 Would that be accurate?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: Turn, if you would,
8 Mr. Palmer, again, to assist your recollection, to Board
9 Order 177/99, and, specifically, page 29, please.

10 MR. DONALD PALMER: I have it.

11 MR. BYRON WILLIAMS: You'll agree that
12 the Corporation provided a revised risk analysis for the
13 purposes of this Proceeding, correct?

14 MR. DONALD PALMER: Yes.

15 MR. BYRON WILLIAMS: And one (1) of the
16 new intriguing elements of this analysis was a proposal -
17 - proposal to measure the impact of the investment risk,
18 called value at risk.

19 Is that correct, sir?

20 MR. DONALD PALMER: Yes.

21 MR. BYRON WILLIAMS: And the Corporation
22 suggested that VaR was becoming a dominant methodology
23 for certain institutions to determine their investment
24 risk and expressed the view that it was a useful tool.

25 Would that be fair?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: Now, at that time,
3 the in -- the consultants for the Corporation were
4 suggesting a time horizon of three (3) years.

5 Would that be accurate, sir?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: Okay. And, of
8 course, at the three (3) year time horizon, given the
9 relatively conservative nature of the investments at that
10 time, the investment risk was -- was zero.

11 Would that be fair?

12 MR. DONALD PALMER: Yes.

13 MR. BYRON WILLIAMS: Okay. Just, if you
14 will, Mr. Palmer, turn on -- turn a few more pages on to
15 pages 36 of the Board's decision. And you'll see at page
16 36, and we don't need to dwell on it, but there's a
17 debate between the Corporation and the Public Utilities
18 Board into whether or not operating expenses should be
19 included in the analysis, and that really hinged on the -
20 - the question of whether those expenses were
21 controllable.

22 Would that be fair?

23 MR. DONALD PALMER: Yes, I recall that.

24 MR. BYRON WILLIAMS: And, again, there's
25 also a de -- debate about what data to use in terms of

1 the loss cost analysis and whether or not PIPP data
2 should be used exclusively or not.

3 Would that be fair?

4 MR. DONALD PALMER: Yes. And -- and,
5 certainly, at that time, when we only had probably four
6 (4) years of PIPP data, I do recall that, but there would
7 be real variability in that, not -- not only from the
8 fact that you have very few years, but on those first few
9 years, as we were kind of understanding the program,
10 there was great volatility.

11 MR. BYRON WILLIAMS: Thank you. And just
12 -- you can turn there if you want, to page 39, but I just
13 ask you to recollect as well, that the Board was asking
14 MPI to come forward with a plan in terms of -- in the
15 very last line of that -- the last few lines of that page
16 39, Mr. Palmer, if you're looking, the Board was coming
17 forward and asking MPI at the time to come forward with a
18 plan how to deal with the RSR when its levels exceeded or
19 fell short of the Board -- bard -- Board's target, is --
20 is that your recollection as well?

21 MR. DONALD PALMER: Yes. And, again,
22 that -- that's coming off some year -- I think '90 -- the
23 '94/'96 fiscal period, when, at the end of that, we were
24 in a fairly large deficit situation, so that's kind of
25 the un -- context of that too.

1 MR. BYRON WILLIAMS: And the -- the other
2 part of that context, and I thank you for pointing that
3 out, was, at this point in time, the Board -- actually,
4 the -- the RSR was approaching -- was approaching
5 relatively healthy levels again and the Board was
6 starting to address its mind to what to do in terms of,
7 if it exceeded the target range, you'll agree with that?

8 MR. DONALD PALMER: Yes, that was prior
9 to any talk of any -- that was prior to any rebates, yes.

10 MR. BYRON WILLIAMS: And it would be your
11 recollection that, indeed, for the next general rate
12 application the Board -- or the Manitoba Public Insurance
13 brought forward a plan to address both RSR target range
14 shortfalls and surpluses.

15 Is that correct, sir?

16 MR. DONALD PALMER: The next after this
17 Board Order in 77/99? Yes.

18 MR. BYRON WILLIAMS: Okay. Turn if you
19 would to Tab 18 which is an excerpt from Board Order
20 151/00, page 45 would probably be a good place to -- to
21 turn.

22 And I'll -- I'll direct your attention,
23 again, MPI presented an Updated Operation Risk Analysis
24 and VaR in this Proceeding, Mr. Palmer?

25 MR. DONALD PALMER: Yes.

1 MR. BYRON WILLIAMS: And I thought you'd
2 get a kick out of this. Directing your attention to page
3 45, the -- the last paragraph:

4 "The Board is expressing a desire to
5 bring some closure to the debate about
6 the methodology."

7 Do you see that, Mr. Palmer?

8 MR. DONALD PALMER: I see it, yes.

9 MR. BYRON WILLIAMS: We are getting old,
10 aren't we? The -- turning your attention to page 46, I
11 wonder in broad strokes, you'll see that the Board in
12 this decision essentially set out the elements of the
13 Risk Analysis as it -- as it is performed today.

14 Would you agree with that, Mr. Palmer?

15 MR. DONALD PALMER: Yes, I would agree
16 with that.

17 MR. BYRON WILLIAMS: And we see reference
18 to the '95 percent confidence level about including and
19 excluding operating expenses and as well at '97 including
20 and excluding.

21 Do you see that, Mr. Palmer?

22 MR. DONALD PALMER: Yes, I see it.

23 MR. BYRON WILLIAMS: Ultimately, the
24 Board by this time is suggesting include only PIPP data.

25 Do you see that, Mr. Palmer?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: And using a Value at
3 Risk analysis assuming a 25 percent equity component and
4 a time horizon of between two (2) and three (3) years.

5 Is that correct?

6 MR. DONALD PALMER: Yes, and I think we
7 explicitly made that two and a half (2 1/2) years in our
8 analysis going forward.

9 MR. BYRON WILLIAMS: Just under the
10 bullets there, you'll see the Board's rationale, Mr.
11 Palmer, for moving to that 25 percent equity component.

12 And I wonder if you'll agree with me that
13 the Board's expresses rationale was that:

14 "The movement to a 25 percent equity
15 component was appropriate since the
16 Corporation's plans for its investment
17 portfolio were expected to take it to
18 this level over the next two (2)
19 years."

20 Do you see that, sir?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: Thank you, Mr.
23 Palmer. I'm going to jump around for the next few
24 minutes and this answer's probably on the record
25 somewhere.

1 But I wonder if you could indicate when
2 exactly the Corporation adopted the DCAT methodology for
3 setting the RSR?

4 MR. DONALD PALMER: That would have been
5 this year. It was adopted by the Board of Directors and
6 I'm not sure the exact date of that meeting, but it was
7 during 2009.

8 MR. BYRON WILLIAMS: Would it have been
9 prior to February 28th, 2009 or after February 28th,
10 2009?

11 MR. DONALD PALMER: It would have been
12 after year end. It is -- we've got the minute somewhere
13 in the -- in the evidence.

14 MR. BYRON WILLIAMS: Okay.

15 MR. DONALD PALMER: Yeah, we'll -- we'll
16 go through the exact timing. We would have adopted the
17 explicit target of the one eighty five (185) after all
18 the DCAT's were run utilizing the year end data.

19 We may have adopted the DCAT as the
20 methodology before the actual target of the one eighty-
21 five (185) was set.

22 MR. BYRON WILLIAMS: Thank you. So
23 you've -- you've anticipated my next question. So just
24 so I understand, the -- the actual target of one eighty-
25 five (185) would have definitely been adopted after

1 February 28th, 2009?

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: And you're
4 undertaking to check when the exact date that the DCAT
5 methodology was adopted by the Board of Directors of MPI?

6 And you can do that verbally, Mr. Palmer.

7 MR. DONALD PALMER: Yes. We're -- we do
8 have it as -- as an Information Request I recall and
9 we'll get the exact number for you.

10

11 --- UNDERTAKING NO. 35: To determine the exact date
12 that the DCAT methodology was
13 adopted by the Board of
14 Directors of MPI

15

16 CONTINUED BY MR. BYRON WILLIAMS:

17 MR. BYRON WILLIAMS: Moving back a year,
18 when would the target figure for the 2009/'10 year of 107
19 million to 214 million have been approved?

20 MR. DONALD PALMER: One o seven (107) to
21 two fourteen (214) was the then MCT target, I'm thinking
22 around three (3) years ago but, again, I can get the
23 exact date for you.

24 MR. BYRON WILLIAMS: I'm not in -- th --
25 that's fine, Mr. Palmer. So my -- my question was really

1 directed at the fact that the -- the target prior to --
2 to this year would have been set -- or, excuse me, the
3 target for the 2009/'10 year would have been set a year
4 or two (2) previous to that, is -- or would it -- or
5 would it have been set in the 2009/'10 year, th -- that's
6 my question.

7 MR. DONALD PALMER: No, the original
8 target was prior to that. And -- and then has been since
9 revised to the one eighty-five (185).

10 MR. BYRON WILLIAMS: Am I right in
11 suggesting to you that the Corporation has never taken
12 other comprehensive income into account in considering --
13 in considering whether its Basic retained earnings are
14 consistent with the RSR target?

15 Is that correct, sir?

16 MR. DONALD PALMER: Other comprehensive
17 income is not included specifically in our retained
18 earnings target, I would agree with that. Other
19 comprehensive income is indirectly included in the MCT
20 calculation.

21 So from that standpoint when we were using
22 MCT as a -- as a target, then again, indirectly there is
23 some -- some use of that in the calculation of the MCT.
24 But specifically RSR is always stated before any addition
25 or subtraction from the AOCI.

1 MR. BYRON WILLIAMS: Just turning to --
2 to the MCT, in the Corporation's view is it consistent
3 with generally accepted actuarial principles, I don't
4 know the fancy word for that, Mr. Palmer, to exclude --
5 would it be consistent to exclude AOCI from the MCT
6 calculation?

7 MR. DONALD PALMER: There is no accepted
8 actuary principle or standard of practice with regard to
9 that.

10

11 (BRIEF PAUSE)

12

13 MR. BYRON WILLIAMS: In the Corporation's
14 view would it be appropriate to conduct the MCT analysis
15 without taking into account AOCI?

16 MR. DONALD PALMER: No, the MCT is a
17 specific calculation that's set out by the Office of the
18 Superintendent of Financial Institutions, so that
19 includes unrealized capital gains as part of the
20 calculation. The MCT was actually put in prior to the
21 CICA standard 88-73, which is the one that talked about
22 AOCI. So, in fact, the MCT's test itself doesn't talk
23 about AOCI but it talks about unrealized capital gains
24 and losses.

25 MR. BYRON WILLIAMS: And just a few more

1 questions about the MCT. Going back to 2005, that's when
2 the Corporation adopted the policy to base the RSR on the
3 mim -- minimum capital test, that's right, sir?

4 MR. DONALD PALMER: Sorry, could you
5 repeat that?

6 MR. BYRON WILLIAMS: It was in 2005 that
7 the Corporation adopted a policy to base the RSR on the
8 minimum capital test, correct?

9 MR. DONALD PALMER: Yes, that sounds
10 about right.

11 MR. BYRON WILLIAMS: And more precisely -
12 - it's in your evidence, Mr. Palmer -- more precisely, it
13 set a target range for the Basic RSR that would be the
14 equivalent of an MCT of between 50 and 100 percent,
15 correct?

16 MR. DONALD PALMER: Yes.

17 MR. BYRON WILLIAMS: And currently, as I
18 understand it, your sister Crown Corporations use the M -
19 - MCT for the purpose of setting their retained earning
20 targets.

21 Would that be fair?

22 MR. DONALD PALMER: Yes.

23 MR. BYRON WILLIAMS: We'll come to the
24 DCAT in a few minutes, but in terms of the MCT I have a
25 few more questions.

1 Did the Corporation prod -- I'm trying to
2 get a sense of, on an annual basis, how often, if at all,
3 the MCT was performed for the Corporation between 2005
4 and 2009.

5 Would it be performed annually, monthly,
6 quarterly? I'm trying to get a sense of that, Mr.
7 Palmer.

8 MR. DONALD PALMER: It would have been
9 done annually.

10 MR. BYRON WILLIAMS: And would it be done
11 subsequent to year end?

12 MR. DONALD PALMER: Yes, the year end
13 figures are those that are used in -- and used in the
14 calculation of the MCT ratio.

15 MR. BYRON WILLIAMS: So in the early
16 spring of the -- after the year end, approximately, would
17 that be when it was calculated?

18 MR. DONALD PALMER: Maybe later than
19 early spring. We probably didn't have it calculated at
20 the time that we had the annual report, which is usually
21 ready for the end of April. It would have been done
22 subsequently -- subsequent to that, sometime between that
23 and the time we file the Rate Application, which is mid
24 June, so some -- somewhere in that sort of late April to
25 mid June time period.

1 MR. BYRON WILLIAMS: Going forward,
2 referring to the DCAT, how often does the Corporation
3 anticipate conducting that, on an -- annually? Some
4 insight, please.

5 MR. DONALD PALMER: I guess the formal
6 report will be done on an annual basis. The -- any
7 adverse scenarios could be run more than that if we were
8 doing some analysis to a change in some risk variables
9 that -- where we could run adverse scenarios at that
10 time.

11 Even in this Hearing we did publish the --
12 the DCAT -- the DCAT like report in our Rate Application.
13 We have run several adverse scenarios since that point in
14 time, so I would call it kind of a dynamic -- more of a
15 dynamic process than -- than just doing it once, putting
16 it in a closet and forgetting about it.

17 I -- I think that's probably closer to
18 what we used to do with the DCAT. Now it's really a part
19 of our ongoing risk management protocol, so I would say
20 that it's -- the model itself is dynamic and ongoing.
21 Formal published report would be annually.

22 MR. BYRON WILLIAMS: Thank you. And --
23 and just a few last questions on the MCT, and perhaps you
24 could turn to AI.18.4, please. Mr. Chairman, if I could
25 be excused for just one (1) second.

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: Now, Mr. Palmer, Mr.
4 Saranchuk has gone through AI.18.4, the one (1) page
5 minimum capital test, Mr. Palmer.

6 MR. DONALD PALMER: I have it.

7 MR. BYRON WILLIAMS: The -- Mr. Saranchuk
8 -- my friend, Mr. Saranchuk, has gone through this in
9 some detail, so I don't plan to spend too much time on
10 it, but I -- I want to -- to turn to the -- to -- to the
11 calculation, first of all, for the prior year.

12 And I presume that the prior year is the
13 '07/'08 year, is that right, Mr. Palmer?

14 MR. DONALD PALMER: It would have been as
15 at February 28th of '08, yes, February 29th, of '08.

16 MR. BYRON WILLIAMS: And -- and,
17 essentially, at a high level, the Corporation's analysis
18 involves looking at the total capital available dividing
19 it up by the minimum capital required and that gives some
20 sense in terms of the adequacy of its capital.

21 Is that fair?

22 MR. DONALD PALMER: You say the
23 Corporation describes or calculates. This -- this is a
24 prescribed form as per the Office of the Superintendent
25 of Financial Institutions, so it's their calculations.

1 We have -- we have adopted those and -- and performed
2 them as prescribed in the MCT test.

3 MR. BYRON WILLIAMS: That's the logic of
4 the analysis, though, Mr. Palmer. You take the total
5 capital available, divide it by the minimum capital
6 required, and you get some sense of the adequacy of the
7 capital, correct?

8 MR. DONALD PALMER: That's correct.

9 MR. BYRON WILLIAMS: And I certainly
10 apologize for suggesting it's the Corporation's process.
11 Now, just looking at the year ended February 28th, '08.

12 In that year the Corporation had a total
13 capital available of 158.696 million, correct?

14 MR. DONALD PALMER: Yes.

15 MR. BYRON WILLIAMS: And that was about
16 71 percent of the minimum capital required under this
17 analysis.

18 Is that right?

19 MR. DONALD PALMER: Yes.

20 MR. BYRON WILLIAMS: Now, moving to the -
21 - to the fiscal year end '08/'09, we see the Corporation
22 has a total capital available of about 16.6 million.

23 Would that be correct, sir?

24 MR. DONALD PALMER: Yes.

25 MR. BYRON WILLIAMS: With -- and with the

1 minimum capital required of 228.8 million that would've
2 been a bit over 7 percent of the minimum capital
3 requirement under this -- this test?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: Looking at the
6 '08/'09 year, the year ended February 28th, '09 and the
7 figure of total capital available of 16.6 million, would
8 I be right in suggesting to you that to get to even 50
9 percent of the minimum capital required, the Corporation
10 would've needed to have total capital available under
11 this analysis of about 115 million.

12 Would that be fair, sir?

13 MR. DONALD PALMER: It's close. Sure.

14 MR. BYRON WILLIAMS: So it would've
15 required an additional, approximately, perhaps a bit less
16 than 100 million in additional capital pursuant to this
17 analysis?

18 MR. DONALD PALMER: Yes.

19 MR. BYRON WILLIAMS: So in this one (1)
20 year the Corporation went from 70 percent -- or 71
21 percent of the MCT required to about 7.3 percent under
22 this analysis?

23 MR. DONALD PALMER: Yes. As a result of
24 the market meltdown, and we haven't done the MCT score
25 for the end of the second quarter, but it would probably

1 be back up to close to that 70 percent mark.

2 MR. BYRON WILLIAMS: And it was really as
3 a result of a -- a material variance in the availy --
4 available capital variable, would that be fair?

5 MR. DONALD PALMER: I can go one (1) step
6 further. It was a direct result of the unrealized
7 capital loss in equities and in debts. The minus \$92
8 million and the minus 9.2 million, so specifically on the
9 unrealized capital losses.

10 MR. BYRON WILLIAMS: And just the point I
11 want to get at, Mr. Palmer, it wasn't -- there was not a
12 -- a material change, I would suggest to you betw -- in
13 the minimum capital required. It was in the -- it was
14 instead in material change in the total capital available
15 for the reasons you stated?

16 MR. DONALD PALMER: Yes.

17 MR. BYRON WILLIAMS: Is that a robust
18 result, Mr. Palmer?

19 MR. DONALD PALMER: I don't know that I
20 would necessarily use that term, but certainly there is
21 variability in that number, yes.

22 MR. BYRON WILLIAMS: And to a certain
23 degree it might give the Corporation pause in applying
24 the -- using the MCT due to that variability?

25 MR. DONALD PALMER: Yes, I would agree

1 with that.

2 MR. BYRON WILLIAMS: Mr. Chairman, I -- I
3 have a -- a nice small section to go through, which would
4 take us conveniently probably to ten (10) after, quarter
5 after. Then I have some longer sec -- sections, so I'm
6 proposing, subject to your wishes, that we could go for
7 about ten (10) minutes on this subject, take a quick
8 break, and then be right back at her, if that's
9 appropriate.

10 Ms. McLaren, I've been ignoring you this
11 morning. I apologize for that. You'll like this
12 question. Over the past decade it's fair to say that
13 it's been quite rare for the Corporation to seek an
14 overall rate increase, would that be fair?

15 MS. MARILYN MCLAREN: Once since 1998.

16 MR. BYRON WILLIAMS: So in -- and --- and
17 you say that in your annual report. In ten (10) of the
18 last years it hasn't held the line or reduced rates, fair
19 enough?

20 MS. MARILYN MCLAREN: Yes.

21 MR. BYRON WILLIAMS: And, again, no
22 overall rate adjustment's been sought for the 2010/'11
23 year as well, correct?

24 MS. MARILYN MCLAREN: Yes.

25 MR. BYRON WILLIAMS: And when you and Mr.

1 Palmer have been using the words, in quotation marks,
2 "Stability, stability," end quoma -- quotation marks,
3 throughout this Hearing, you have been referring, at
4 least in part, to the fact that it has been quite rare
5 for the Corporation to seek an overall rate increase.

6 Would that be fair?

7 MS. MARILYN MCLAREN: Yes.

8 MR. BYRON WILLIAMS: Over the past
9 decade?

10 MS. MARILYN MCLAREN: Yes, in part.

11 MR. BYRON WILLIAMS: And, Ms. McLaren,
12 just to assist my clients, you use these words,
13 "Stability, stability," define them.

14 What -- what do you mean by that?

15 MS. MARILYN MCLAREN: We know that it's
16 very important that Manitobans can rely on reasonably
17 small rate changes from year to year.

18 MR. BYRON WILLIAMS: Would it be fair to
19 say that, while there's been no overall rate increase,
20 individual vehicle owners owning the same vehicle may
21 experience changes in the -- in the rates they pay for a
22 particular vehicle?

23 MS. MARILYN MCLAREN: Absolutely. That's
24 a fundamental aspect of the rate making methodology.
25 There's a significant difference between overall rate

1 changes and individual rate changes.

2 For the most part, somewhere in the
3 neighbourhood of 40 to 60 percent of passenger vehicles
4 go up or down a little bit, almost always less than
5 twenty dollars (\$20) a year.

6 MR. BYRON WILLIAMS: And we'll ge --
7 we'll get to those figures in just one (1) second, but
8 the individual rate changes experienced by various
9 consumers, some of them may flow due to changes in the --
10 in the loss experience of the -- the rate group to which
11 they belong, as published in the -- the relative loss
12 indices of -- of CLEAR.

13 Would that be fair?

14 MS. MARILYN MCLAREN: In -- within the
15 rate making methodology, in the ten (10) years where
16 there was no overall rate increase, what we're able to
17 say to people, actually, is that it comes down to not
18 only the rate group, but rate group and insurance use
19 territory combinations.

20 So if somebody has -- and -- and for the
21 most part, let's take it a step further, the stability
22 that we have had in the rates for the largest rating
23 territory, which is the all-purpose insurance use in
24 Winnipeg, we've been able to say to people with a vehicle
25 of a particular rate group, insured as all-purpose in

1 Winnipeg, if their rate went up, it's because their
2 particular vehicle has higher claims costs than we
3 anticipated it would and in relation to the all the other
4 vehicles in Territory 1 in the all-purpose use.

5 So we can really isolate it in that
6 fashion, for people, so that they really understand it's
7 specifically their vehicle that has had a higher claims
8 cost than other vehicles in that same rating cell.

9 MR. BYRON WILLIAMS: And just to follow
10 along that point, even in the circumstances of no overall
11 rate increase, consumers are experiencing -- certain
12 consumers -- many consumers are experiencing some
13 volatility due to changes in their -- in their rate
14 group, correct?

15 MS. MARILYN MCLAREN: I -- I think, in
16 these Proceedings, a word like "volatility" is sometimes
17 a loaded word. They're rate changes for sure, but it's
18 often very minor changes overall.

19 MR. BYRON WILLIAMS: And another major
20 driver would be the -- the -- well let me back up a
21 second. Would it be also fair to say that the
22 Corporation has indicated in its evidence that the way
23 that accident benefit rate groups are calculated will
24 result in significant dislocation of vehicles in
25 comparison to the prior AB rate groups?

1 Would that be fair?

2 MR. DONALD PALMER: I don't think --

3 MR. BYRON WILLIAMS: Page AI.16 -- AI.16,
4 page 2, Mr. Palmer.

5 MR. DONALD PALMER: Is there a specific
6 line on this page that you're referring to?

7 MR. BYRON WILLIAMS: I don't have it
8 right in front of me, Mr. Palmer. You'll agree subject
9 to check that that's been the Corporation's evidence?

10 MR. DONALD PALMER: The evidence would be
11 that if we installed or implemented the new IBC rate
12 groups, that there would be volatility.

13 As any change that the Corporation has
14 ever meant -- made with respect to implementing a new
15 methodology when we went to an actuarial methodology, to
16 back in the mid '90s in terms of insurance use territory
17 relativities, there was some dislocation. We phased that
18 in over several years. When we went to clearer rate
19 groups, we phased that in over several years. This would
20 be no different than that. So in -- there could be
21 dislocation if we just immediately went to the new
22 accident benefit rate groups.

23 We're not going to do that. We'll phase
24 them in over a longer period of time.

25 MR. BYRON WILLIAMS: Are you withdrawing

1 the word "significant dislocation", Mr. Palmer, or not?

2

3

(BRIEF PAUSE)

4

5

MR. DONALD PALMER: There would be
6 significant dislocation in rate group if implemented all
7 at once. There will be no significant dislocation or
8 change in a specific rate in one (1) year.

9

MR. BYRON WILLIAMS: Okay, I'll ponder
10 that answer. We've talked about individual rate groups.
11 It's fair to say that an equally important factor and
12 how, in terms of changes in -- in rates may be the -- is
13 how rate groups relate to each other?

14

Would that be fair? Rate group
15 relativities?

16

MR. DONALD PALMER: Yes, that's our rate
17 line calculations, yes.

18

MR. BYRON WILLIAMS: And so to use Ms.
19 McLaren's word, revisions in the relationship between
20 rates and rate groups may induce some rate changes for
21 particular vehicles even though the Corporation is not
22 seeking an overall rate increase, correct?

23

MR. DONALD PALMER: I'm sorry, could you
24 repeat that?

25

MR. BYRON WILLIAMS: Actually I can.

1 Revisions in the relationship between rates and rate
2 groups may induce some rate changes for particular
3 vehicle owners even though the Corporation is not seeking
4 an overall rate increase, correct?

5 MR. DONALD PALMER: Yes, that's correct.

6 MR. BYRON WILLIAMS: And if you want just
7 to -- my last few questions, if you're looking for a
8 reference to -- to -- in case you don't trust me, you can
9 turn to SM.6 at page 7 for this.

10 MR. DONALD PALMER: Yes, I recall those
11 words.

12 MR. BYRON WILLIAMS: Yeah. Well I'm --
13 I'm going to be just putting a few questions to you from
14 that -- that reference, Mr. Palmer, if you -- if you
15 require it.

16 MR. DONALD PALMER: And just as I'm
17 turning to that, the reference to the word "significant
18 dislocation" that we had in AI.16.1, the last line in
19 that where it says:

20 "The change in the way AB rate groups
21 are calculated by IBC will result in a
22 significant dislocation of vehicles in
23 comparison to their prior AB rate
24 groups."

25 That's specifically with regard to the IBC

1 rate groups, not the MPI rate groups. So I just wanted
2 to clarify that so --

3 MR. BYRON WILLIAMS: And I appreciate
4 that.

5 MR. DONALD PALMER: -- the significant --
6 the significant dislocation would be their rate groups,
7 not ours.

8 MR. BYRON WILLIAMS: Just last point on
9 that. Now, we'll -- we'll go to -- we talked about the -
10 - the fact that there can be -- while no overall rate
11 increase signif -- excuse me, movement among individual
12 ratepayers, and just for example, in this year, you'll
13 agree with me that based upon the Corporation's best
14 estimate at the time it filed the Application, about 51
15 percent of vehicles would be experiencing a rate decrease
16 and about 45 percent a rate increase despite no overall
17 rate increase.

18 Would that be fair, sir?

19 MR. DONALD PALMER: That sounds right,
20 yes.

21 MR. BYRON WILLIAMS: And would it be fair
22 to say that about sixty-five thousand (65,000) vehicles
23 will be seeing rates rise by more than 5 percent but less
24 than 10 percent, sir?

25 It's right there, Mr. Palmer.

1 MR. DONALD PALMER: That sounds right,
2 yes.

3 MR. BYRON WILLIAMS: And about fifteen
4 thousand (15,000) vehicles will see rate increases
5 between 10 and 15 percent, correct?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: And over three
8 thousand (3,000) vehicles will see increases between 15
9 and 20 percent.

10 Will that be right, sir?

11 MR. DONALD PALMER: Yes.

12 MR. BYRON WILLIAMS: Mr. Chairman, that
13 would be a -- just convenient time to break.

14 THE CHAIRPERSON: Okay, very good. We'll
15 come back in fifteen (15) minutes.

16

17 --- Upon recessing at 10:12 a.m.

18 --- Upon resuming at 10:39 a.m.

19

20 CONTINUED BY MR. BYRON WILLIAMS:

21 MR. BYRON WILLIAMS: Thank you, Mr.
22 Chairman. Mr. Palmer, we're going to stick on the RSR --
23 oops, go ahead.

24 MR. DONALD PALMER: Before we -- we go
25 there, you were asking me previously the Information

1 Request that dealt with when the Board approved the DCAT.
2 And that was specifically CAC/MSOS/MPI-2-6.

3 MR. BYRON WILLIAMS: Thank you, Mr.
4 Palmer. We're going to stay on the Risk Analysis issues
5 probably for the bulk of the morning and probably a bit
6 into the afternoon.

7 And again, I'm not trying to step on where
8 My Friend, Mr. Saranchuk, has gone but there's -- there
9 will be a bit of overlap.

10 Mr. Palmer, at a high level I'm going to
11 take you through in the next few minutes, I just will
12 want to confirm my understanding of the Corporation's
13 position with regard to various aspects of the RSR
14 target, the process for setting it, its purpose of the
15 RSR and the approach to be used in -- in rate settings.

16 So I'm going to take you through a number
17 of those areas, okay?

18 MR. DONALD PALMER: That's fine.

19 MR. BYRON WILLIAMS: And -- and it's fair
20 to say that the -- for the 2010/'11 year, the
21 Corporation's RSR target is 185 million and that was set
22 after consideration of the results of the Dynamic Capital
23 Adequacy Testing, correct?

24 MR. DONALD PALMER: That's correct.

25 MR. BYRON WILLIAMS: And, Mr. Palmer, you

1 can -- you can do this at the break if you wish, but in
2 terms of the actual DCAT report, you don't need to turn
3 there now, but is there an -- an express reference where
4 it sets out the derivation of the 185 million figure?

5

6 (BRIEF PAUSE)

7

8 MR. DONALD PALMER: Yes, it's -- it's in
9 there. It's -- it's the level with the -- under one (1)
10 of the adverse scenarios that takes us to zero RSR
11 balance essentially.

12 MR. BYRON WILLIAMS: And again, we can
13 probably get that from you off line. It's fair to say
14 that the -- the RSR -- or the DCAT analysis is undertaken
15 by the DCAT Committee of Manitoba Public Insurance?

16 MR. DONALD PALMER: The assumptions
17 underlying the adverse scenarios, yes.

18 MR. BYRON WILLIAMS: And in developing
19 the assumptions underlying the adverse scenarios, it's
20 fair to say and -- and again, if you're looking for a
21 reference, the reference would be CAC-2-13, that the DCAT
22 Committee considered all forty (40) of the risk profiles
23 submitted to the Corporation's audit committee.

24 Would that be fair?

25 MR. DONALD PALMER: That amongst other

1 things, yes.

2 MR. BYRON WILLIAMS: And it'll also be
3 fair to say that only those risk factors that in -- in
4 the opinion of the DCAT Committee would have had a
5 significant effect on retained earnings, were considered
6 in the DCAT analysis.

7 Would that be fair?

8 MR. DONALD PALMER: Yes. The whole
9 purpose of the DCAT is to stress test the financial pro
10 forma financial statements. So from that standpoint, we
11 considered many things. There's these forty (40) that
12 you have outlined that are specifically in our risk
13 profiles.

14 There's a number of scenarios that are
15 specified within the DCAT standard of practice, so we
16 would have taken a look at all of those and specifically
17 reported on the ones that had the most significant
18 adverse effect.

19 MR. BYRON WILLIAMS: And on that point,
20 it's fair to say that, from the Corporation's
21 perspective, the adverse scenarios in the DCAT represent
22 the most significant financial risk faced by the
23 Corporation, correct?

24 MR. DONALD PALMER: I'll add one (1) word
25 to that, most significant plausible risks. And

1 plausibility is as defined in the DCAT standard of
2 practice.

3 MR. BYRON WILLIAMS: And, again, Mr.
4 Palmer, if you're looking for a reference for -- for the
5 -- the next few questions, it's -- it would be PUB 1-68,
6 which is in -- in the -- the Board's ex -- book of
7 documents, Tab 30.

8 There's probably not a need to go there,
9 but if -- if people are trying to follow along.

10 MR. DONALD PALMER: Okay.

11 MR. BYRON WILLIAMS: In -- in terms of
12 the...

13

14 (BRIEF PAUSE)

15

16 MR. BYRON WILLIAMS: Tab 30, Mr. Palmer.

17 And from --

18 MR. DONALD PALMER: Thank you.

19 MR. BYRON WILLIAMS: -- for your aid, Mr.
20 Kramer, Part 'C' and 'B' of PUB-1-68, please.

21

22 (BRIEF PAUSE)

23

24 MR. BYRON WILLIAMS: And in terms of the
25 -- the report DCAT presented as AI.18.2, it's fair to say

1 that the Corporation's external actu -- actuary was not
2 directly involved in the preparation of the -- of the
3 report.

4 Would that be fair?

5 MR. DONALD PALMER: That's correct.

6 MR. BYRON WILLIAMS: And it would also be
7 fair to say that the report prepared by the Corporation
8 differs from others filed in the past with regard to DCAT
9 in that it does not contain an opinion signed by the
10 external actuary.

11 Would that be fair?

12 MR. DONALD PALMER: That's correct. And
13 that was outlined in this particular response, yes. And
14 -- and the opinion specifically is with regard to the
15 satisfactory or unsatisfactory condition of the
16 Corporation.

17 MR. BYRON WILLIAMS: Thank you for that
18 elaboration, Mr. Palmer. It's a bit trite to say this,
19 but in terms of the purpose of the RSR, the Corporation
20 still takes the position that it's to protect motorists
21 from rate increases made necessary by unexpected events
22 and losses arising from nonrecurring events or factors.

23 Would that be fair?

24 MR. DONALD PALMER: It's bang on, Mr.
25 Williams.

1 MR. BYRON WILLIAMS: Rare, isn't it, Mr.
2 Palmer? In terms of whether the RSR should be expressed
3 as a range, the Corporation's recommendation to the PUB
4 is that the -- the RSR no longer be expressed as a range,
5 but as a minimum limit, would that be fair? I'm going
6 from your evidence, page 8.

7 MR. DONALD PALMER: It's -- it's a
8 target, yes.

9 MR. BYRON WILLIAMS: Your advice is that
10 it -- it no longer be expressed as a range, but as a
11 minimum limit.

12 Would that be fair?

13 MR. DONALD PALMER: Could I get the
14 reference, please?

15

16 (BRIEF PAUSE)

17

18 MR. BYRON WILLIAMS: I'm looking for --
19 I'm looking to page 8, Mr. Palmer, of your pre-filed
20 testimony. If you're looking in the CAC book of
21 documents, that would be Exhibit -- or Tab 19.

22

23 (BRIEF PAUSE)

24

25 MR. BYRON WILLIAMS: The reference to the

1 minimum limit is in the first sentence. The reference to
2 not saying a range is in the last sentence of the -- the
3 -- the large paragraph on that page, sir.

4 MR. DONALD PALMER: We haven't
5 specifically said in this, as I read it, that the RSR
6 target is a minimum. It says that:

7 "This is the minimum level that
8 satisfies the requirement that a
9 negative RSR will not occur."

10 So -- but it's the target. I wouldn't
11 say a minimum target. I would say the target.

12 MR. BYRON WILLIAMS: And I apologize for
13 the adjective. It is fair to say that your
14 recommendation is that rather than set a range is
15 recommended that the specific financial circumstances
16 dictate remedial action at any given time, was that
17 right?

18 MR. DONALD PALMER: That's correct.

19 MR. BYRON WILLIAMS: So in -- in essence,
20 this would require an alteration from past practice where
21 a range was set if -- if we were below a range, a
22 surcharge would be triggered and if we were above the
23 range a rebate would be triggered.

24 Would that be fair?

25 MR. DONALD PALMER: That -- that's

1 correct. And I think the perfect example of that is what
2 we saw with the MCT target as at the end of February of
3 this year. With that MCT having 7 percent that obviously
4 would've necessr -- necessitated a RSR rebuilding
5 strategy.

6 We're six (6) months later and we no
7 longer have that, so I -- I think you definitely have to
8 look at the circumstances that got you to the level and
9 then based on those circumstances you can come up with a
10 strategy of rebuilding the RSR.

11 MR. BYRON WILLIAMS: That's certainly not
12 why you changed from the MCT to the DCAT, though, Mr.
13 Palmer?

14 MR. DONALD PALMER: No. And -- and let
15 me also say that the -- as I had discussed with Mr.
16 Saranchuk earlier in these Proceedings that the MCT and
17 DCAT are not necessarily mutually exclusive. The MCT
18 target is a measurement as at a given point of -- in
19 time.

20 A DCAT is a stress test analysis over a
21 protracted period of time. So they're -- they can be
22 complimentary.

23 MS. MARILYN MCLAREN: Sorry, Mr.
24 Williams, if I could? With respect to your character --
25 characterization of the range whereby surcharges would be

1 activated or rebates would be activated, that -- that was
2 in fact not the practice, that was the policy. And it's
3 an important difference between those. And I think it
4 speaks to the -- the discussion and consideration on the
5 part of the Corporation in moving away from a range to a
6 target.

7 And some of this consideration is also in,
8 you know, the -- the context of the conversation that Mr.
9 Palmer had with Mr. Saranchuk, as well, with respect to
10 there would circumstances where you can see that all else
11 being equal the RSR will return to the target in a
12 reasonable period of time without any action.

13 So a hard fixed range is not appropriate.
14 It speaks to other, you know, leading management
15 practices in this day and age that are situational. They
16 are not hard and fixed rule based approaches. And that's
17 really what we're trying to do in establishing the
18 target.

19 We can see that we could be well under the
20 one eighty-five (185) and not be coming forward to apply
21 for a surcharge. And then --

22 MR. BYRON WILLIAMS: I didn't mean to
23 interrupt, Ms. McLaren. You're looking for a situational
24 based response rather than what you've characterized as a
25 rule-based response, fair?

1 MS. MARILYN MCLAREN: Yes.

2 MR. BYRON WILLIAMS: I think I have your
3 point on transfers, but just to make sure I do, with
4 regard to transfers from other lines of business, would
5 it be safe to assume that short of a -- a dramatic
6 shortfall and Basic retained earnings, the Corp --
7 Corporation does not anticipate further transfers from
8 Extension to the Basic RSR?

9 MS. MARILYN MCLAREN: Yes. That's fair.

10 MR. BYRON WILLIAMS: And it's safe to say
11 that -- and I'm going to use the adjective routine, but
12 there certainly will not be any kind of transfers as of
13 routine from Extension to --

14 MS. MARILYN MCLAREN: Yes.

15 MR. BYRON WILLIAMS: -- to Basic?

16 MS. MARILYN MCLAREN: Correct.

17

18 (BRIEF PAUSE)

19

20 MR. BYRON WILLIAMS: Just going back to
21 the Corporation's DCAT Committee, and that's how I'm
22 going to describe it, would it be fair to say that apart
23 from any discussions with the external actuary it would
24 be accurate to say that in developing and preparing the
25 various plausible scenarios set out in part AI.18.2, the

1 Corporation did not seek independent external advice from
2 an expert in corporate finance or an expert in economics.

3 Would that be fair?
4

5 (BRIEF PAUSE)
6

7 MR. DONALD PALMER: In terms of external
8 -- no, we had no external input. We didn't have our
9 internal experts on corporate finance on the committee.
10 In terms of an economist, she was not specifically on the
11 committee but she did have input through other members of
12 the committee.

13 MR. BYRON WILLIAMS: And thank you for
14 that, because that short-circuits a -- a future question.
15 But in terms of -- it's fair to say that there was not
16 independent external advice sought with regard to the
17 various plausible scenarios set out in section AI.18.2.

18 Would that be correct?

19 MR. DONALD PALMER: That's correct.

20 MR. BYRON WILLIAMS: Again, just a few
21 clean-up questions here. In terms of the purpose of the
22 Rate Stabilization Reserve, and I got it bang on in terms
23 of the express purpose, you'll recall in our discussion,
24 well, perhaps you will, from so long ago, Wednesday,
25 October 14th, and the reference is page 1170, if you're

1 looking, Mr. Palmer, but you'll recall we had a
2 discussion regarding the appropriation from the Basic
3 retained earnings to fund the Immobilizer Incentive Fund,
4 do you recall that discussion, sir?

5 MR. DONALD PALMER: I recall that, yes.

6 MR. BYRON WILLIAMS: And in response to
7 an inelegant question by me asking whether further
8 appropriations were planned, you indicated that no
9 additional appropriations were planned but the
10 Corporation indicated that you were not going to shut the
11 door on that possibility.

12 Do you recall that discussion?

13 MR. DONALD PALMER: Yeah, I think the
14 context of -- of that was if we were faced with a
15 opportunity similar to that of the Immobilizer where we
16 had a -- almost a guaranteed solution to save the policy
17 holders significant amount of money with, also making the
18 roads safer, that that was a possibility. We don't see
19 any of those particular opportunities presenting at this
20 point in time.

21 MR. BYRON WILLIAMS: And thank you, Mr.
22 Palmer. The question which follows from -- from your
23 response and our discussion from the 15th is whether or
24 not the Corporation believes that the -- the purpose --
25 the express purpose behind the RSR should be modified to

1 -- to any degree to -- to, again, still capture the
2 objective of protecting motorists from un -- unforeseen
3 events, but also to provide the Corporation with
4 accessible capital to the -- invest in certain cost-
5 effective initiatives?

6 MR. DONALD PALMER: No, I -- I wouldn't
7 agree with that. The reason that we had an appropriation
8 of the RSR was because there was excess from the -- the
9 targets that were set by the Public Utilities Board. So
10 we took that appropriation to still have the balance that
11 satisfied, at least in the PUB's opinion, this specific
12 use or purpose of the RSR.

13 MR. BYRON WILLIAMS: Just to go back to
14 the issue of transfers for -- for just a second, you'll
15 agree that as of February 28th, 2009, whether one used
16 the MCT analysis or the Corporation's DCAT analysis, the
17 Basic retained earnings of Manitoba Public Insurance were
18 below where the Corporation believed they should -- they
19 should be.

20 Would that be fair?

21 MR. DONALD PALMER: I would -- I would
22 agree with that below the target. So there was
23 requirements for additional funds to flow into the RSR,
24 yes.

25 MR. BYRON WILLIAMS: Was consideration

1 given to holding off on transfers or future -- further
2 transfers to the Extension Development Fund until the
3 Basic insurance reserve was in a better position from the
4 Corporation's perspective?

5 MR. DONALD PALMER: No.

6 MR. BYRON WILLIAMS: At a high level -
7 and I'm not looking for a financial exactitude here, Mr.
8 Palmer - would it be fair to say that the Corporation's
9 investment in terms of staff hours to prepare the Risk
10 Analysis, leaving aside the VaR, was less than a hundred
11 thousand dollars?

12

13 (BRIEF PAUSE)

14

15 MR. DONALD PALMER: It's less than a
16 hundred thousand dollars, yes.

17 MR. BYRON WILLIAMS: A lot less?

18 MR. DONALD PALMER: Yes.

19 MR. BYRON WILLIAMS: Along those same
20 lines, Mr. Palmer, would it be fair -- be fair to say
21 that the Corporation's investment in preparing the VaR
22 would be materially less than a hundred thousand dollars?

23 MR. DONALD PALMER: Yes.

24 MR. BYRON WILLIAMS: And in terms of the
25 DCAT, would it be fair to say that it was less than one

1 hundred thousand dollars (\$100,000)?

2 And I see you pausing there, Mr. Palmer.

3 MR. DONALD PALMER: For the Basic DCAT it
4 would be less than a hundred thousand dollars. Probably
5 about -- and because they're internal costs, it's hard
6 for me to -- to come up with an exact figure.

7 The external costs for the appointed
8 actuary when -- when he did the DCAT was less than a
9 hundred thousand dollars.

10 MR. BYRON WILLIAMS: Thank you for that.
11 And likewise in terms of the MCT, it would be fair to say
12 that the -- the costs in terms of preparing it would be
13 less than a hundred thousand dollars?

14 MR. DONALD PALMER: Yes.

15 MR. BYRON WILLIAMS: Regardless of the
16 outcome of the proceeding in terms of the PUB approved
17 methodology for setting the RSR for rate setting
18 purposes, would it be fair to say that the Corporation
19 will continue to perform and file its internal DCAT, Mr.
20 Palmer?

21 MR. DONALD PALMER: Absolutely. The DCAT
22 has now been accepted by the Corporation as a very useful
23 risk management tool to really link the risk profile of
24 the Corporation and -- and quantify that.

25 So it certainly will be done by the -- by

1 the Corporation and, certainly, I would have no reason
2 not to file it.

3 MR. BYRON WILLIAMS: Going forward, does
4 the Corporation expect to retain the external actuary to
5 perform and file a DCAT?

6 MR. DONALD PALMER: No. I -- I think
7 it's better served by the Corporation to still do the
8 work internally. I think we get a much better result in
9 terms of the DCAT committee, in terms of really linking
10 the risk profiles with the quantification of that.

11 I would likely say that in the future, we
12 would probably have a peer review of that DCAT done in
13 terms of we, in some instances, didn't comply exactly
14 with the standards of practice.

15 Those items are listed in the Information
16 Request, I think PUB-1-68. So I would say that in the
17 future we would get a peer review opinion done on -- on
18 the DCAT and to conform more explicitly with the
19 standards in terms of explicitly talking about standards
20 and materiality, explicitly having an opinion signed by
21 the internal actuary, this -- in this case, Mr. Johnston.

22 And, also, within the -- the standards to
23 be more explicit in the completeness and outline all of
24 those adverse scenarios that are explicitly stated in the
25 standard of practice, we -- we did not have that because

1 they weren't material to our -- to our calculations.

2 So there are some minor areas that we will
3 have further work on our DCAT, and in order to fully
4 match the standards to have that peer review, so we would
5 do that in the future.

6 MR. BYRON WILLIAMS: In terms of the MCT,
7 is it the Corporation's intention to continue to perform
8 and -- and file that analysis, Mr. Palmer, with regard to
9 the Basic program?

10 MR. DONALD PALMER: Yes.

11 MR. BYRON WILLIAMS: And how about the
12 VaR, or value at risk? Is it the Corporation's intention
13 to continue to perform and file that analysis?

14 MR. DONALD PALMER: Currently, it would
15 not be our intention to perform and file that, but that
16 would be subject to the orders of the Public Utilities
17 Board.

18 MR. BYRON WILLIAMS: And the -- the next
19 area I -- I wanted to chat about a little bit are areas
20 of principle or concept as we consider the Rate
21 Stabilization Reserve. And, certainly, Mr. Palmer,
22 you're a principled conceptual guy, you can answer them.

23 Ms. McLaren, again, if there's some where
24 you -- you feel the need or the desire to pop in, feel
25 free, but I'm going to start with Mr. Palmer.

1 And from your many years of involvement
2 with rate regulation, you're familiar with the concept of
3 inter-generational equity, correct?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: And you'll agree
6 that, at the heart of that concept is the idea that, to
7 the degree possible, today's ratepayers should pay
8 today's ratepayer's costs because it would be unfair to
9 defer those costs to future generations.

10 Would that be fair?

11 MR. DONALD PALMER: That's fair, although
12 within the monopoly environment, they're likely the same
13 policyholders. So, yes, I would agree in principle with
14 -- with what you've said, but there -- it is softened a
15 bit in a mon -- monopoly situation.

16 MR. BYRON WILLIAMS: You're not saying
17 the concept of inter-generational inequity is unimportant
18 to the regulation of a basic monopoly in an insure --
19 public insurance?

20 MR. DONALD PALMER: No, I'm not saying
21 that, no.

22 MR. BYRON WILLIAMS: You'll agree as
23 well, just following along the concept, to the same
24 effect, it would be unfair to load the expected future
25 costs of future rate -- ratepayers on today's ratepayers.

1 That would be correct?

2 MR. DONALD PALMER: That's correct.

3 MR. BYRON WILLIAMS: So in deference to
4 the -- what we consider to be the legitimate value of the
5 concept of en -- inter-generational equity, we try, on
6 the regulatory process, to the extent possible, to assure
7 -- to ensure that today's ratepayers pay today's
8 ratepayer's costs, fair enough?

9 MR. DONALD PALMER: And that's right in
10 the definition of a rate because we're talking about a
11 finite policy year, and they're set with that policy year
12 in mind, yes.

13 MR. BYRON WILLIAMS: This may be a harder
14 reach for you, Mr. Palmer, and -- and if you're not
15 familiar with this concept, you can -- you can let me
16 know.

17 But from your many years of involvement
18 in -- in the rate regulation of the public insurance
19 monopoly, are you familiar with the economic model known
20 as the Averch, A-V-E-R-C-H, hyphen, Johnson, J-O-H-N-S-O-
21 N Effect?

22 MR. DONALD PALMER: I am not.

23 MR. BYRON WILLIAMS: So you're not
24 familiar with the models suggesting that certain forms of
25 public regulation created an incentive for firms to over

1 invest in -- in tangible assets?

2 MR. DONALD PALMER: No.

3 MR. BYRON WILLIAMS: Okay. Here's a
4 concept I think you are familiar with, Mr. Palmer. At a
5 high level, you're familiar with the concept of moral
6 hazard, are you not, sir?

7 MR. DONALD PALMER: Yes, I am.

8 MR. BYRON WILLIAMS: And I'm going to
9 suggest to you that the definition of that is -- one (1)
10 workable definition, in any event, is:

11 "It's an empirical phenomena that a
12 group of persons who are insured
13 against a certain risk tend to be more
14 victimized by that risk more often or
15 more severely than a comparable group
16 of not insured."

17 MR. DONALD PALMER: I -- I wouldn't
18 characterize it quite in that way. You talk about being
19 victimized more, but I think it's the ability to man --
20 manipulate the insurance system or the insurance
21 classifications to better take advantage of that
22 victimization, if you will. Do you have a -- a reference
23 for that definition?

24 MR. BYRON WILLIAMS: If you'll excuse me
25 just one (1) second, Mr. Chairman?

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: We may be using
4 different words, Mr. Palmer, but we're -- you'll agree
5 we're talking the same concept?

6 MR. DONALD PALMER: Sure. And I -- and I
7 was taking one (1) step beyond that quote and the reason
8 that they are victimized, but I think that's moot, at
9 this point.

10 MR. BYRON WILLIAMS: Moving just a step
11 outside the concept of individual insured under an
12 insurance program, you're -- you're aware as well that
13 the concept of moral hazard is -- is sometimes employed
14 in the context of government support to certain
15 businesses in distress with the concern being that
16 offering relief for a firm or industry that is engaged in
17 risky behaviour may encourage the prospect of that firm
18 engaging in future risky behaviour.

19 Would that be fair?

20 MR. DONALD PALMER: Yes. And I -- and I
21 did get a quick update on definition of moral hazard ver
22 -- very close to what you had said where:

23 "Moral hazard is when exciss --
24 excessive risks are taken by a group
25 due to the lack of consequences that

1 could be caused by that form of
2 insurance."

3 So specifically you could possibly use the
4 example of US banks behaving recklessly because they knew
5 they were quote "too big to fail," so to speak. So we're
6 talking the same concept. Yes.

7 MR. BYRON WILLIAMS: The idea that if you
8 subsidize risky behaviour you create a -- a potential
9 incentive for risky behaviour in the future, would that
10 be fair?

11 MR. DONALD PALMER: Yes.

12 MR. BYRON WILLIAMS: We'll -- we'll come
13 back to that a bit later. I want to confirm my
14 understanding that the regul -- regulatory principals as
15 they apply to the RSR -- and a bit of this is a rehash,
16 Mr. Palmer, so I apologize for that, but it's your
17 understanding that the PUB approves the Rate
18 Stabilization Reserve for rate setting purposes, correct?

19 MR. DONALD PALMER: Yes.

20 MR. BYRON WILLIAMS: And in effect, what
21 that means is that when considering the appropriate rate
22 one (1) factor the PUB may consider is whether the rate
23 stabilization reserve is in adequate shape, from its
24 perspective, fair?

25 MR. DONALD PALMER: That's fair, yes.

1 MR. BYRON WILLIAMS: And if the reserve
2 is too low it's a legitimate element of rate sating --
3 setting to increase rates above the break even level for
4 the purpose of replenishing the -- the reserve, fair
5 enough?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: And I have a -- a
8 modest hypothetical to -- to share with you. Let's --
9 let's assume that the -- the Public Utilities Board for
10 the 2010/'11 year accepts MPI's recommendation of a 185
11 million target for the Basic RSR reserve.

12 MR. DONALD PALMER: I'm very happy to
13 accept that assumption.

14 MR. BYRON WILLIAMS: Well, I want to make
15 you even happier, Mr. Palmer. Let's assume that at
16 fiscal year end February 28, 2011, the Basic reserve is
17 at 225 million, leaving MPI 45 million above the targe
18 range.

19 Are you prepared to accept that?

20 MR. DONALD PALMER: Yes.

21 MR. BYRON WILLIAMS: Would it be fair to
22 say that, subject certainly to any limitations provided
23 by the -- the MPI Board, the approval of the regulator,
24 the Public Utilities Board, would not be required if MPI
25 seeks to spend, let's say, 40 million in retained

1 earnings on a specific project?

2 Would that be fair?

3 MR. DONALD PALMER: I -- I certainly
4 think that we would be -- we would understand that the
5 PUB may have an opinion on the appropriateness of that
6 and they may take rate action as a result of that
7 appropriation.

8 MR. BYRON WILLIAMS: And if I'm asking
9 you to go beyond where you're comfortable, Mr. Palmer,
10 I'll -- I'll understand that. It would be your
11 understanding that if the Corporation chose to draw down
12 the reserves to \$186 million shortly after February 28th,
13 2011, that decision would not be -- would not require the
14 approval of the Public Utilities Board?

15 MS. MARILYN MCLAREN: That -- that's
16 true.

17 MR. BYRON WILLIAMS: Ms. McLaren, again,
18 this may be better for you or it may be for Mr. Palmer,
19 so just staying -- staying on -- away from methodology
20 and more to principles and concepts for a minute -- a few
21 minutes.

22 I take it, you'd accept that, as we debate
23 issues around the RSR such as an appropriate target and
24 what to do if -- what to do if we're below or above
25 target, one (1) important policy consideration you would

1 recommend that the Board keep in -- in mind is the
2 concept of stability, as you defined it.

3 Would that be fair?

4 MS. MARILYN MCLAREN: Yes.

5 MR. BYRON WILLIAMS: And by -- by that I
6 mean the idea that an objective of -- that there's some
7 value in insuring that overall rate increases do not
8 exceed a certain amount in any particular year as a
9 consequence of unforeseen non-recurring ac -- actions.

10 Would that be fair?

11 MS. MARILYN MCLAREN: Yes. But again,
12 you know, within a -- the context of situational
13 appropriateness.

14 MR. BYRON WILLIAMS: And I believe you
15 clarified this earlier, but when we're talking about
16 stability we're talking about overall rate increases,
17 we're not talking about actuarially-indicated rate
18 changes for individual ratepayers as a -- as a
19 consequence of clear or rate-group relativities.

20 Fair enough?

21 MS. MARILYN MCLAREN: Yes, except that
22 within the rate-making methodology there is consideration
23 to temper extreme changes in actuarial-indicated rates at
24 an individual ratings cell level as well. So, we
25 certainly carry it to an individual level but the overall

1 concept that we're talking about is year-over-year
2 predictability for the most part.

3 MR. BYRON WILLIAMS: We're not going to
4 draw down the RSR to protect individual ratepayers from
5 actuarially-indicated rate changes?

6 MS. MARILYN MCLAREN: No, that's right.
7 Overall the Corporation needs to be in a reasonable
8 financial position even if that means some cells
9 subsidizing other cells.

10 MR. BYRON WILLIAMS: And looking at,
11 again, kind of core concepts as -- as we look at setting
12 -- the methodology for setting the RSR and also how to
13 deal with surcharges or et cetera, you'll agree,
14 especially in terms of methodology, that whatever
15 mechanism is employed, consumers, the regulator and the
16 company should be able to trust that it is credible and
17 that it is analytically principled and not results
18 driven.

19 You'd agree with that?

20 MS. MARILYN MCLAREN: Yes.

21 MR. BYRON WILLIAMS: I wonder if you'd go
22 one (1) step further and agree as a general statement,
23 that a methodology might be considered less likely to be
24 results driven if it was prepared by sources external to
25 an independent of any particular party to this

1 Proceeding?

2 MS. MARILYN MCLAREN: No, I'm not sure I
3 would be willing to go that extra step.

4 MR. BYRON WILLIAMS: I didn't think you
5 would, Ms. McLaren. You did not disappoint me. Again,
6 looking at these general broad principles, I wonder if
7 you'd agree that a third important principle in
8 considering the process for both determining an
9 appropriate target and setting rates is transparency?

10 And by that, I mean from a consumer's
11 perspective, they should have the right to understand how
12 the rate -- the reserve target is calculated, the impact
13 that the reserve is having on their rates and also the
14 purpose to which Rate Stabilization Reserves are being
15 used.

16 Would that be fair?

17 MS. MARILYN MCLAREN: I think that's
18 fair. And -- you know, with reference to the DCAT, I
19 think it's particularly helpful to be able to talk to
20 Manitobans about the specific risks that their insurance
21 fund faces and how we've actually dealt with that in the
22 methodology.

23 It-- it's helpful to be able to talk to
24 people about what would be the impact on our reserves if
25 a Dauphin size hailstorm hit Winnipeg, for example.

1 MR. BYRON WILLIAMS: And likewise, it's
2 your evidence that it would be helpful to explain to
3 consumers that they're receiving an increase in their
4 rates due to a concern that equities may trough like they
5 did in the middle of the Great Depression?

6 MS. MARILYN MCLAREN: Whatever the
7 cumulative basis for the target is, would be an
8 appropriate thing to communicate to Manitobans.

9
10 (BRIEF PAUSE)

11
12 MR. BYRON WILLIAMS: We'll come back to
13 that. I wonder if you'd agree when we look at the Rate
14 Stabilization Reserve that another important concept is
15 inter-generational equity, in that we don't want today's
16 consumers to be unduly -- unduly assuming future costs?

17 MS. MARILYN MCLAREN: Yes.

18 MR. BYRON WILLIAMS: This might be
19 another one (1) you choose to disagree with, Ms. McLaren.
20 I wonder if you would agree that a fifth concept or
21 principle to take into account is moral hazard.

22 And by that I'm -- I'm going to suggest to
23 you, the concept that the reserve should not be set so
24 high as to encourage unduly risky behaviour by the
25 Corporation or excessive expenditures in the confidence

1 that excessably risky behaviour would be backstopped by
2 high reserves.

3

4 (BRIEF PAUSE)

5

6 MS. MARILYN MCLAREN: Conceptually and
7 off the top of my head, I -- I would not disagree with
8 that. I -- you need an overall context absolutely.

9 And with respect to overly risky
10 investments, you know, it's -- it's critically important
11 for this Corporation to continue to come forward with an
12 investment policy statement and get feedback from
13 Intervenors and this Board on that investment policy
14 statement.

15 If we were to abandon the one (1) we have
16 now in favour of something that was far higher risk and
17 therefore lobby for a higher RSR, that would not be
18 appropriate.

19 MR. BYRON WILLIAMS: And -- and I thank
20 you for that thoughtful answer, Ms. McLaren. And I
21 guess, another example might be reinsurance in that one
22 would not want to set a RSR so high that it would
23 encourage the Corporation to offload all of its
24 reinsurance insurance.

25 MS. MARILYN MCLAREN: To have a suff --

1 sufficiently high RSR so that we stop purchasing
2 reinsurance, that would fall into the category of not
3 appropriate. If in fact, at some point in the
4 Corporation's future it is deemed advisable to stop
5 purchasing reinsurance, which is some possible
6 likelihood, to my understanding the SAAQ does not
7 purchase reinsurance, the Quebec no-fault automobile
8 injury compensation system, but that would certainly be
9 worthy of significant analysis and conversation in this
10 forum.

11 MR. BYRON WILLIAMS: Thank you for that.
12 I -- I want to turn, if I might, to the risk analysis,
13 which I believe appears at -- at AI.18.3. And, Mr.
14 Chairman, if I might have two (2) seconds, please?

15

16 (BRIEF PAUSE)

17

18 MR. DONALD PALMER: I'm at 18.3.

19 MR. BYRON WILLIAMS: I -- I misspoke, Mr.
20 Palmer. It's AI.18.3.

21 MR. DONALD PALMER: I think that's what I
22 said, but we'll let the transcripts figure that one out.

23 MR. BYRON WILLIAMS: I might have heard
24 AP.3, but -- I don't have a specific reference for you,
25 but there's a couple of terms, Mr. Palmer, that before we

1 get too deeply into this section I want to clarify for
2 you. The first one (1) I -- I want to addr -- address is
3 the term "standard deviation," and you'll agree with me
4 that amongst your evidence in AI.18.3 there's reference
5 to the term "standard deviation"?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: And it's a
8 statistical measure of the spread in distribution, would
9 that be fair?

10 MR. DONALD PALMER: Yes.

11 MR. BYRON WILLIAMS: And assuming that
12 lovely bell curve normal distribution, would it be fair
13 to say that any -- in any sample that is normally
14 distributed about two-thirds or 65.87 percent of the
15 sample observations will be within one (1) standard
16 deviation, sir, of the mean?

17 MR. DONALD PALMER: Assuming a normal
18 distribution, yes, I would agree.

19 MR. BYRON WILLIAMS: And again, assuming
20 a normal distribution, nineteen (19) out of twenty (20)
21 of the data point -- points will be within two (2)
22 standard deviations of the average or expected value.

23 Would that be fair?

24 MR. DONALD PALMER: With a normal sample,
25 yes.

1 MR. BYRON WILLIAMS: I just want to -- to
2 -- certainly to assist my client, illustrate how that
3 concept is considered and again a very modest
4 hypothetical of two (2) --two (2) communities, Mr.
5 Palmer. Let's assume that in Community 1 the average
6 height of adult females is 5 feet with the actual heights
7 of adult females varying between 4.75 feet and 5.25 feet.

8 You're not going to need to do math on
9 this, Mr. Palmer. You are prepared to make that
10 assumption, though?

11 MR. DONALD PALMER: Yes.

12 MR. BYRON WILLIAMS: Community 2, let's
13 assume again we have the same average height of -- of
14 adult females being 5 feet with the actual heights of
15 adult females varying from 4 1/2 feet to 5 1/2 feet,
16 you'll make that assumption?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: And what we'll
19 conclude -- I'm going to suggest to you we might conclude
20 from this is that while the average or mean height is the
21 same for both, there is more spread in the height
22 distribution in Community 2.

23 Would that be fair?

24 MR. BYRON WILLIAMS: In -- that would be
25 -- could be the observation, yes. It may be because of a

1 difference in the size of the communities that they're --
2 and your particular sample and sample size, but, sure,
3 I'll -- I'll -- I'll --

4 MR. BYRON WILLIAMS: Assuming two (2)
5 communities the same -- same size, Mr. Palmer, the
6 difference would be there's more spread in the height
7 distribution of Community 2?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: And so the standard
10 deviation would be higher for Community 2 than it is for
11 Community 1.

12 Would that be fair?

13 MR. DONALD PALMER: That's -- that's
14 fair.

15 MR. BYRON WILLIAMS: You made a reference
16 to sample size, and perhaps anticipating where I'm going,
17 Mr. Palmer, would you agree with me that it's standard
18 practice when samples are smaller than twenty-five (25)
19 or so are available and distributions are normal to use
20 the 'T' distribution to get confidence levels?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: And, as I
23 understand, the "T" distribution, it looks like a normal
24 bell curve, but it just has wider tails.

25 Would that be fair, sir?

1 MR. DONALD PALMER: You're -- you're
2 testing my memory of statistics about thirty-five (35)
3 years ago, but Mr. Johnston's is significantly less than
4 thirty-five (35) years ago, and he's nodding, "yes," so
5 we're good.

6 MR. BYRON WILLIAMS: And that allows for
7 a greater range, fair enough?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: Now, the word
10 "correlation" also appears extensively in your risk
11 analysis, fair enough?

12 MR. DONALD PALMER: More than I care to
13 remember in terms of some of the past hearings, but, yes,
14 it's there.

15 MR. BYRON WILLIAMS: And we won't spend
16 long on it, Mr. Palmer, but that's a statistical term,
17 correct?

18 MR. DONALD PALMER: Yes.

19 MR. BYRON WILLIAMS: And when two (2)
20 variables are positively correlated, they tend to move up
21 and down together, fair enough?

22 MR. DONALD PALMER: Yes.

23 MR. BYRON WILLIAMS: When they're
24 negatively correlated, when one (1) increases, the other
25 tends to increase, and vice versa?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: And if two (2)
3 variables are perfectly, positively correlated, when one
4 (1) increases, the other always increases, correct?

5 MR. DONALD PALMER: Yes.

6 MR. BYRON WILLIAMS: Their correlation
7 coefficient would be one (1)?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: And if two (2)
10 variables are uncorrelated, their corre -- co --
11 correlation coefficient would be zero, correct?

12 MR. DONALD PALMER: Yes, they would move
13 independently in your example.

14 MR. BYRON WILLIAMS: An example of zero
15 correlation would be success of coin toss or dice rolls,
16 would that be fair?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: Mr. Palmer, turn
19 with -- with me, if you would, to Tab 20 of the CAC book.
20 And I just want to follow along the concepts of zero
21 correlation and perfect correlation for a couple minutes.
22 That's Tab 20, Mr. Palmer.

23 MR. DONALD PALMER: I have it, yes.

24 MR. BYRON WILLIAMS: Do you like the
25 colours?

1 MR. DONALD PALMER: Not particularly.

2 MR. BYRON WILLIAMS: Mr. Palmer, I'm
3 going to suggest to you and I'm going to ask you to
4 assume-- we've got two (2) lovely colours, a red die,
5 which represents adverse outcomes of operational risk,
6 and a yellow die, representing adverse outcomes of
7 investment risk, do you see that? Will you accept that,
8 sir?

9 MR. DONALD PALMER: That's what it
10 indicates, yes.

11 MR. BYRON WILLIAMS: And focussing on the
12 red die for a second, I'm going to ask you to asse --
13 accept that the adverse outcome in terms of millions of
14 dollars will be a reflection of the -- the die roll.

15 For example, a \$2 million die roll leads
16 to a negative \$2 million result, will you accept that,
17 subject to -- Mr. Palmer?

18 MR. DONALD PALMER: Sure.

19 MR. BYRON WILLIAMS: So if a two (2) is -
20 - is rolled, the net income will be \$2 million below
21 forecast, fair enough, in this assumption?

22 MR. DONALD PALMER: Okay.

23 MR. BYRON WILLIAMS: And if a six (6) is
24 rolled and it's the red die, the actual net income will
25 be 6 million below forecast.

1 Okay, Mr. Palmer, you're prepared to
2 assume that?

3 MR. DONALD PALMER: I can assume that,
4 yes.

5 MR. BYRON WILLIAMS: Based on this
6 hypothetical, Mr. Palmer, you'll agree with me that in
7 terms of operational risks the worst possible outcome
8 will be a -- a six (6) -- yielding a negative 6 million,
9 would that be fair?

10 MR. DONALD PALMER: That would be fair.

11 MR. BYRON WILLIAMS: And if only that
12 were the case for Manitoba Public Insurance.

13 The probability, looking exclusively at
14 the red die of that negative outcome is one (1) in six
15 (6), correct?

16 MR. DONALD PALMER: That's correct.

17 MR. BYRON WILLIAMS: So at a confidence
18 level of 83.3 percent, i.e., five (5) and six (6), your
19 net income will be within 5 million of forecasts looking
20 solely at operational risks, correct?

21 MR. DONALD PALMER: On a one (1) year
22 period, yes.

23 MR. BYRON WILLIAMS: Just moving to the
24 yellow die for a second, Mr. Palmer, again you're
25 prepared to assume that the number rolled on the die

1 results in an -- the corresponding negative outcome in
2 terms of millions of dollar in terms of investment risk,
3 would that be fair?

4 MR. DONALD PALMER: That's your
5 assumption, yes.

6 MR. BYRON WILLIAMS: And you're prepared
7 to make that assumption?

8 MR. DONALD PALMER: I am.

9 MR. BYRON WILLIAMS: So again a roll of
10 two (2) yields you a negative 2 million, a roll of six
11 (6) would yield you a negative 6 million.

12 Would that be fair?

13 MR. DONALD PALMER: Yes.

14 MR. BYRON WILLIAMS: So at a confidence
15 level of five (5) out of six (6), given the time horizon
16 selected, a loss of more than 5 million in terms of
17 investment risk would occur with a probability of one (1)
18 in six (6)?

19 Let me -- the probability of a -- of a
20 negative result of more than 5 million is one (1) in six
21 (6).

22 Would that be fair?

23 MR. DONALD PALMER: Yes, wi -- with these
24 dice you're always assuming that there will be a loss, so
25 that's a -- an a -- a prio -- priority assumption.

1 MR. BYRON WILLIAMS: And that's an
2 important part -- point, Mr. Palmer. This is a
3 simplified example and -- and you'll understand that
4 we're only looking at adverse outcomes. You're prepared
5 to make that assumption?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: And if we are
8 looking at the worst possible assumption or the -- excuse
9 me, the worst possible outcome in this simplistic
10 example, the worst possible outcome would be a -- a
11 negative 6 million flowing from a die roll of red six (6)
12 and a negative 6 million roll flowing from the investment
13 risk totalling 12 million.

14 Would that be fair?

15 MR. DONALD PALMER: Yes.

16 MR. BYRON WILLIAMS: Now, Mr. Palmer,
17 just again assume that I want to calculate my risk of
18 total losses greater than -- than \$10 million, you're
19 okay, sir, you're prepared to do that?

20 MR. DONALD PALMER: Yes.

21 MR. BYRON WILLIAMS: Let's assume for a
22 moment that every time I get the worst possible result
23 with operational risk I also get the worst possible
24 result with investment risk, will you make that
25 assumption, Mr. Palmer?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: In other words, when
3 you roll a six (6) with one (1) die, the other die also
4 comes up as a six (6), would that be fair?

5 MR. DONALD PALMER: It sounds like you're
6 describing perfect correlation.

7 MR. BYRON WILLIAMS: I am indeed, Mr.
8 Palmer.

9 If it was perfect correlation you would
10 have a one (1) in six (6) chance of having total losses
11 exceeding \$10 million, correct?

12

13 (BRIEF PAUSE)

14

15 MR. DONALD PALMER: I think it's a one
16 (1) in three (3) chance, because you would roll -- or --
17 or you're saying more than ten (10) or ten (10) or more?

18 MR. BYRON WILLIAMS: Exc -- exceeding 10
19 million, Mr. Palmer.

20 MR. DONALD PALMER: Then I'll accept your
21 one (1) in six (6), yes.

22 MR. BYRON WILLIAMS: Okay.

23

24 (BRIEF PAUSE)

25

1 MR. BYRON WILLIAMS: Thank you. Now I
2 just want to direct your attention to the -- the grid
3 that's at the bottom of the table.

4 And I'm going to ask you to assume now,
5 Mr. Palmer, that the - the red die -- the role of the red
6 die and the role of the yellow die are now uncorrelated?

7 You'll make that assumption, sir?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: And by that I mean
10 the probability of one (1) die coming up a six (6) is
11 unaffected by what the other die shows.

12 You'll make that assumption?

13 MR. DONALD PALMER: Yes.

14 MR. BYRON WILLIAMS: Under that
15 assumption, you'll agree with me that there would be --
16 within the limits of this hypothetical, thirty-six (36)
17 different possible outcomes of the role of the dice.

18 You might get a one (1) on the red die and
19 a one (1) on the yellow die or you might get a -- et
20 cetera, you'll agree that there's thirty-six (36)
21 possible outcomes, Mr. Palmer?

22 MR. DONALD PALMER: Yes.

23 MR. BYRON WILLIAMS: Now again, if I'm
24 looking at outcomes that would yield a loss greater than
25 \$10 million, referring you again to the grid , one (1)

1 possible outcome would be a red die five (5) and a yellow
2 die six (6), Mr. Palmer, yielding \$11 million, correct?

3 MR. DONALD PALMER: Yes.

4 MR. BYRON WILLIAMS: So that's the second
5 last corner on the grid. And another possible outcome
6 would be a red die six (6) and a yellow die five (5),
7 correct, sir?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: And a third possible
10 outcome would be a yellow six (6) and a red six (6), fair
11 enough?

12 MR. DONALD PALMER: Yes.

13 MR. BYRON WILLIAMS: So assuming the risk
14 is uncorrelated, three (3) possible outcomes out of the
15 thirty-six (36) could yield a loss of more than \$10
16 million, sir?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: Again, under the
19 assumption of uncorrelated, the -- my risk of having
20 combined operational losses and combined investment
21 losses, totalling more than 10 million would be three (3)
22 and thirty (36) or one (1) in twelve (12), correct?

23 MR. DONALD PALMER: Yes.

24 MR. BYRON WILLIAMS: That would be about
25 half as likely as the perfect correlation assumption?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: And the chance of
3 actually having a loss of \$12 million, the worse case
4 under this scenario, would be about one (1) in thirty-six
5 (36) or less than 3 percent.

6 Correct?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: So assuming there's
9 not a perfect correlation between the red die
10 representing operating risk and the yellow die
11 representing investment risk, I would be overstating the
12 probability of a loss greater than 10 million if I said
13 it was a one (1) in six (6) risk.

14 MR. DONALD PALMER: Yes.

15 MR. BYRON WILLIAMS: Turn if you will,
16 Mr. Palmer, to AI.18.3, page 4. At a high level, Mr.
17 Palmer, you'll agree that the currently approved
18 methodology for say in the RSR, involves considering
19 operational risk and investment risk separately than
20 combining the separate components under various
21 assumptions to come up with a target range.

22 Would that be fair?

23 MR. DONALD PALMER: Yes.

24 MR. BYRON WILLIAMS: And we've gone over
25 Board order 151/2000 before. Basically the analysis are

1 to be provided at the 95 percent and 97.5 percent
2 confidence levels.

3 Correct?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: And it's fair to say
6 that the reported risk in -- in dollars will be higher at
7 the 97.5 percent confidence level than the 95 as
8 illustrated by Table 1?

9 MR. DONALD PALMER: Yes.

10 MR. BYRON WILLIAMS: To be more confident
11 in your estimate, you have to widen the range.

12 Correct?

13 MR. DONALD PALMER: Absolutely, yes.

14 MR. BYRON WILLIAMS: And conceivably if
15 we were incredibly masochistic we could do this at the 99
16 percent confidence level as well.

17 Correct?

18 MR. DONALD PALMER: We could, yes.

19 MR. BYRON WILLIAMS: Looking at Table 1
20 for just a second and you'll see under the -- the column
21 at a 95 percent confidence limit, the -- the figure of
22 \$66 million for operational risk, Mr. Palmer, do you see
23 that?

24 You might be working on the older version,
25 Mr. Palmer. Just one (1) second.

1 Mr. Chairman, I'm using the updated
2 version and I apologize for that. That should be the
3 results of PUB-1-64, Mr. Palmer. And I'll -- I apologize
4 for that. I'll allow you to gather that.

5

6 (BRIEF PAUSE)

7

8 MR. DONALD PALMER: I'm there.

9 MR. BYRON WILLIAMS: Thank you. And if
10 anyone in the room is still looking, if one goes to the
11 PUB book of documents Tab 29, these results are there and
12 it's a fair ways in, it's the section towards the middle
13 or end of that particular response.

14 Mr. Palmer, just in terms of -- you -- you
15 now see that under the column 95 percent confidence
16 level, there's a reference to operational risk including
17 operating expenses of 66 million.

18 Do you see that?

19 MR. DONALD PALMER: I see it, yes.

20 MR. BYRON WILLIAMS: And I apologize for
21 the confusion. In colloquial terms, when I look at the
22 figure of sixty-six (66), would I be correct in saying
23 that the probability is 95 percent of the time we expect
24 the actual net income from operations will be above
25 forecast, equal to forecast or not more than 66 million

1 below forecast?

2 Would you accept that?

3 MR. DONALD PALMER: Above or below sixty-
4 six (66), yes, I'll agree with that. I think that's what
5 you said.

6 MR. BYRON WILLIAMS: Let me try that
7 again. In colloquial terms we'd say that the probability
8 is 95 percent of the time we expect the actual net income
9 from operations will be above forecast, equal to forecast
10 or not more than 66 million below forecast.

11 Would that be fair?

12 MR. DONALD PALMER: No. I wouldn't agree
13 with that. It would be 66 mill -- 95 percent of the time
14 you'll be within \$66 million, plus or minus.

15 MR. BYRON WILLIAMS: That'll work for me,
16 Mr. Palmer. Perhaps more techno termin -- excuse me,
17 more correct in terms of the technical language, we could
18 also state that -- that 95 percent of the times we do
19 this type of analysis, the outcome will be no worse than
20 this number?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: In terms of
23 operational risk, you'll -- excuse me, in terms of
24 operational risk you'll agree that the analysis, it would
25 be performed twice, with operating cost included and with

1 operating cost excluded.

2 Fair enough?

3 MR. DONALD PALMER: Yes.

4 MR. BYRON WILLIAMS: And the results
5 excluding operating -- operating expenses as shown in
6 Table 1 are -- are somewhat lower.

7 Correct?

8 MR. DONALD PALMER: A little bit lower,
9 yes.

10 MR. BYRON WILLIAMS: In Table 2 on page
11 4, you show the standard deviations for the cost and
12 revenue components of operating net income.

13 Correct, Mr. Palmer?

14 MR. DONALD PALMER: Yes.

15 MR. BYRON WILLIAMS: And again, we've
16 discussed that standard deviation is a measure of spread,
17 correct?

18 MR. DONALD PALMER: Yes.

19 MR. BYRON WILLIAMS: You'll agree that
20 the higher the standard deviation of a component, the
21 more likely it is that it may vary widely from the
22 expected costs -- expected value or average, correct?

23 MR. DONALD PALMER: That's correct.

24 MR. BYRON WILLIAMS: You'll see, looking
25 at this -- the column under standard deviation, the

1 middle column, that the standard deviation associated
2 with loss costs is 40.7 million, while the standard
3 deviation associated with claims costs is around 3.5
4 million, sir -- claims expenses, excuse me?

5 MR. DONALD PALMER: Claims expenses, yes,
6 I agree.

7 MR. BYRON WILLIAMS: Based on these
8 figures, you'll agree it -- it's far more likely that
9 loss costs will be 10 million above forecast than it is
10 that claims expenses will be 10 million above forecast.

11 That's fair?

12 MR. DONALD PALMER: Yes.

13 MR. BYRON WILLIAMS: And these standard
14 deviations are calculated using the standard statistical
15 formula based on -- on actual data, sir?

16 MR. DONALD PALMER: Yes.

17

18 (BRIEF PAUSE)

19

20 MR. DONALD PALMER: Again, calculation of
21 these confidence intervals on the assumption that your
22 distribution is normal. Right now, we don't have great
23 confidence that our distribution of operating losses or
24 gains is in fact normal.

25 MR. BYRON WILLIAMS: We'll come back to

1 that, Mr. Palmer. And you -- you actually corrected me
2 on this point earlier, so -- but I just want to confirm
3 it. When you do the -- the operational risk analysis
4 you're only looking at the possibilities of bad or
5 adverse outcomes, would that be correct?

6 MR. DONALD PALMER: No, that's not
7 correct.

8

9 (BRIEF PAUSE)

10

11 MR. BYRON WILLIAMS: You're not worrying
12 about the low probability that net income will be 66
13 million or more above forecast, are you?

14 MR. DONALD PALMER: We're not worried
15 about that, but that's not how the risk analysis is done,
16 so we are doing our confidence intervals on both sides of
17 the distribution.

18 MR. BYRON WILLIAMS: I guess that's my
19 question, Mr. Palmer. Are you performing a kind of one
20 (1) tailed testing proce -- procedure?

21 MR. DONALD PALMER: No, it's a two-tailed
22 test.

23 MR. BYRON WILLIAMS: And just to follow
24 up this point for a second, Mr. Palmer, and you can
25 certainly turn there, if I (sic) want, if I went to page

1 1 of Exhibit 1 of Appendix C, you -- I'll see that the
2 'Z' statistic at 95 percent is one point six four five
3 (1.645). It's page 1 of Exhibit 1 of Appendix C, Mr.
4 Palmer.

5

6 (BRIEF PAUSE)

7

8 MR. BYRON WILLIAMS: Do you have that,
9 Mr. Palmer?

10

11 (BRIEF PAUSE)

12

13 MR. DONALD PALMER: I have it.

14 MR. BYRON WILLIAMS: And I'll see there
15 that the Z statistic at 95 percent is one point six four
16 five (1.645), correct?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: And at 97.5 per --
19 percent, the confidence interval, it's one point nine six
20 (1.96).

21 Is that correct?

22 MR. DONALD PALMER: Yes.

23 MR. BYRON WILLIAMS: Does that suggest
24 that you are using a one (1) tailed test and assuming a
25 normal distribution, sir?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(BRIEF PAUSE)

MR. DONALD PALMER: We'll -- we'll double check on -- on whether it's one (1) tail or two (2) tail.

--- UNDERTAKING NO. 36: To indicate whether they're using a one (1) tail or two (2) tail test

CONTINUED BY MR. BYRON WILLIAMS:

MR. BYRON WILLIAMS: So you -- I'm going to suggest to you, Mr. Palmer, that you're using a one (1) tailed test and assuming a normal distribution.

MR. DONALD PALMER: Subject to check, I'll -- I'll accept that.

MR. BYRON WILLIAMS: Let's go back to Table 2 on page 4, Mr. Palmer.

MR. DONALD PALMER: I have it.

MR. BYRON WILLIAMS: And you've accepted, subject to check, that you're using a one (1) tailed test and assuming a normal distribution, correct?

MR. DONALD PALMER: Yes.

MR. BYRON WILLIAMS: And looking -- let's, for a second, look at loss costs, that line

1 exclusively, with the standard deviation of 40.7 million,
2 do you see that, Mr. Palmer?

3 MR. DONALD PALMER: Yes.

4 MR. BYRON WILLIAMS: Using my handy-dandy
5 'Z' statistic chart that I've shared with you, Mr. Palmer
6 -- you don't need to refer to it, Mr. Palmer, unless
7 you're -- as long as you're prepared to accept these
8 calculations subject to check.

9 MR. DONALD PALMER: Sure.

10 MR. BYRON WILLIAMS: Using my handy-dandy
11 'Z' statistic charch -- chart, the standard normal table,
12 would I be correct in suggesting to you that 84.13
13 percent of the time, the results would differ adversely
14 from expected by no more than one (1) standard deviation?

15 MR. DONALD PALMER: Yes, I can accept
16 that.

17 MR. BYRON WILLIAMS: Can I suggest to you
18 as well that 97.72 percent of the time, the results would
19 differ adversely from expected by no more than two (2)
20 standard deviations?

21 MR. DONALD PALMER: Yes, I can accept
22 that.

23 MR. BYRON WILLIAMS: So that would be
24 loss costs are, at most, 81.4 million above forecast?

25 MR. DONALD PALMER: Yes.

1 MR. BYRON WILLIAMS: And could I suggest
2 to you that 99.87 percent of the time, the results would
3 differ adversely from expected by no more than three (3)
4 standard deviations?

5 MR. DONALD PALMER: Yes.

6 MR. BYRON WILLIAMS: That would be that
7 loss costs are, at most, 122.1 million above forecast,
8 correct?

9 MR. DONALD PALMER: Yes.

10 MR. BYRON WILLIAMS: At the bottom of
11 this table you give the total standard deviation of \$40.1
12 million, do you see that, Mr. Palmer?

13 MR. DONALD PALMER: I do, yes.

14 MR. BYRON WILLIAMS: And that's taking
15 into account actual correlations and recognizing the
16 directional impact on net income?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: And it's a bit less,
19 actually, than the -- than the loss costs figures above,
20 is that correct, sir?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: Assuming a one (1)
23 tailed test in normal distribution, can we interpret this
24 figure as indicating that 84.13 percent of the time it
25 will differ adversely by no more than 40.1 million?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: And that 97.72
3 percent of the time, the results will differ adversely
4 from expected by no more than 80.2 million?

5 MR. DONALD PALMER: Yes.

6 MR. BYRON WILLIAMS: So that would be one
7 (1) in forty-four (44) years, sir?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: I'm just moving to a
10 new area, Mr. Palmer -- or, excuse -- excuse me, Mr.
11 Chairman. Probably an appropriate time for a break.

12 THE CHAIRPERSON: Okay, we'll see
13 everybody back at 1:15. Thank you.

14

15 --- Upon recessing at 11:57 a.m.

16 --- Upon resuming at 1:22 p.m.

17

18 THE CHAIRPERSON: Okay, welcome back
19 everyone. Mr. Williams, whenever you're ready.

20 MR. BYRON WILLIAMS: I believe My Friend,
21 Ms. Kalinowsky may have some comments.

22 THE CHAIRPERSON: Sorry. I forgot that
23 you were going to file a bunch of material which I see
24 you have.

25 MS. KATHY KALINOWSKY: Yes, we have

1 answers to thirteen (13) different undertakings here.
2 It's not all of the undertakings but most of them will be
3 completed now. There's still a few outstanding. If I
4 could just run through these quickly. I've already had
5 Mr. Gaudreau assist in passing them out.

6 But I would suggest that MPI Exhibit
7 Number 23 is Undertaking Number 10, which is the
8 improvement in AOCI.

9

10 --- EXHIBIT NO. MPI-23: Response to Undertaking 10

11

12 MS. KATHY KALINOWSKY: Undertaking Number
13 16 which is the increase in the Driver's Ed -- Education
14 Program, would be MPI Exhibit Number 24.

15

16 --- EXHIBIT NO. MPI-24: Response to Undertaking 16

17

18 MS. KATHY KALINOWSKY: Undertaking Number
19 18 will be the net rent for Cityplace and that will be
20 Manitoba Public Insurance Exhibit Number 25.

21

22 --- EXHIBIT NO. MPI-25: Response to Undertaking 18

23

24 MS. KATHY KALINOWSKY: Undertaking 19
25 would be the net present value analysis of Cityplace

1 lease costs and that would be Exhibit Number 26.

2

3 --- EXHIBIT NO. MPI-26: Response to Undertaking 19

4

5 MS. KATHY KALINOWSKY: Undertaking Number
6 20 would be the net present value analysis of foregone
7 investment income, which would be marked as Exhibit
8 Number 27.

9

10 --- EXHIBIT NO. MPI-27: Response to Undertaking 20

11

12 MS. KATHY KALINOWSKY: Undertaking Number
13 21 is the leasing costs per square foot for Cityplace.
14 That would be Exhibit Number 28.

15

16 --- EXHIBIT NO. MPI-28: Response to Undertaking 21

17

18 MS. KATHY KALINOWSKY: Undertaking Number
19 22 would be the skywalk construction costs, and that's
20 Exhibit Number 29.

21

22 --- EXHIBIT NO. MPI-29: Response to Undertaking 22

23

24 MS. KATHY KALINOWSKY: Undertaking Number
25 24 is the cyclist injury claims data and that would be

1 marked as Manitoba Public Insurance Exhibit Number 30.

2

3 --- EXHIBIT NO. MPI-30: Response to Undertaking 24

4

5 MS. KATHY KALINOWSKY: Undertaking Number
6 25 is the forecast to actual difference between the
7 rebates and that would be Number 31.

8

9 --- EXHIBIT NO. MPI-31: Response to Undertaking 25

10

11 MS. KATHY KALINOWSKY: Undertaking Number
12 26 is the AOCI and the fluctuation -- fluctuating
13 interest rates and that would be Exhibit Number 32.

14

15 --- EXHIBIT NO. MPI-32: Response to Undertaking 26

16

17 MS. KATHY KALINOWSKY: Undertaking Number
18 30 is the PIPP infrastructure cost breakdown, and that
19 would be Manitoba Public Insurance Exhibit Number 33.

20

21 --- EXHIBIT NO. MPI-33: Response to Undertaking 30

22

23 MS. KATHY KALINOWSKY: Undertaking Number
24 32 are the invoices from service providers data and that
25 would be Manitoba Public Insurance Exhibit Number 34.

1 --- EXHIBIT NO. MPI-34: Response to Undertaking 32

2

3 MS. KATHY KALINOWSKY: And finally for
4 today, the retained earnings as per August 31st, 2009,
5 Undertaking 34 will be marked as MPI Exhibit Number 35.

6

7 --- EXHIBIT NO. MPI-35: Response to Undertaking 34

8

9 THE CHAIRPERSON: Thanks very much.

10

11 (BRIEF PAUSE)

12

13 CONTINUED BY MR. BYRON WILLIAMS:

14 MR. BYRON WILLIAMS: Thank you and good
15 afternoon, Mr. Chairman and Members of the Board. Mr.
16 Palmer, just one (1) simple followup from this morning.
17 We're agreed now that it was a one-tailed test?

18 MR. DONALD PALMER: Yes, we are.

19 MR. BYRON WILLIAMS: We're still on
20 AI.18.3 and I'm referring you to -- on page 4 this is the
21 revised response as found in PUB-1-64 Investment Risk.

22 And again, at the risk of treading over
23 where Mr. Saranchuk has gone before, for investment risk,
24 a Value at Risk analysis is undertaken, correct?

25 MR. DONALD PALMER: Yes.

1 MR. BYRON WILLIAMS: And the VaR analysis
2 on a given portfolio is defined by two (2) parameters, a
3 probability and a holding period.

4 Would that be fair?

5 MR. DONALD PALMER: Yes.

6 MR. BYRON WILLIAMS: For example, just
7 looking at Table 3 on -- on page 4 of AI.18.3, as
8 reproduced, and PUB-1-64, the figure of 64 -- when MPI
9 states that the VaR at the 95 percent level of confidence
10 is 64.6 million, with the two point five (2.5) year
11 horizon, it means the portfolio will lose no more than
12 64.6 million over the next two point five (2.5) years
13 with 95 percent probability.

14 Fair enough?

15 MR. DONALD PALMER: Yes.

16 MR. BYRON WILLIAMS: And the assumed
17 equity in this calculation is 25 percent, correct?

18 MR. DONALD PALMER: The weight in the
19 asset mix -- is 25 percent of equity.

20 MR. BYRON WILLIAMS: Thank you for that
21 precision. Just flipping to the next page, having
22 calculated operational and risks and investment risks
23 separately at two (2) levels of confidence, the task
24 confronting MPI is then to combine them somehow to
25 determine a target range under this methodology.

1 Correct?

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: And if we look at
4 page 5 and 6 of this revised response -- or information,
5 it's set out -- out here, at least in broad strokes.

6 Fair enough?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: And turning to table
9 4, and the top, right-hand corner you'll see the -- under
10 the 97.5 confidence, combined 231.6 million, you'll see
11 that reference, Mr. Palmer? That's Table 4, top right-
12 hand.

13 MR. DONALD PALMER: Yes, that's -- that's
14 correct.

15 MR. BYRON WILLIAMS: And this would be
16 the -- the worst possible case considered by MPI in this
17 analysis, i.e., the 97.5 percent confidence level, where
18 operational risks and investment risks are considered to
19 be perfectly correlated.

20 Fair enough?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: And it also includes
23 operating expenses.

24 Would that be fair?

25 MR. DONALD PALMER: Yes.

1 MR. BYRON WILLIAMS: Now, so I want to
2 then turn to the -- the best case considered by MPI.
3 That would be in Table 5, under 95 percent confidence
4 level, you'll see the figure combined, ninety-one point
5 three (91.3), Mr. Palmer.

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: And, basically, this
8 is a scenario where operating risk and investment risks
9 are considered to be not correlated at all and it's
10 excluding operating expenses.

11 Would that be fair?

12 MR. DONALD PALMER: That's correct.

13 MR. BYRON WILLIAMS: And, essentially, to
14 the -- the final step to get your RSR range of -- if you
15 were looking at PUB-1-64, the range of 97 million to 246
16 million is simply a -- a scale it up to reflect the
17 expected growth in written premiums.

18 Is that correct, sir?

19 MR. DONALD PALMER: Yes, and that was
20 based on one of the recent PUB rulings to index by that
21 growth in earned premium.

22 MR. BYRON WILLIAMS: Thanks. And I have
23 a few questions for you regarding the value at risk
24 analysis. I -- I don't think they're particularly
25 technical, but -- so I'm not sure whether Mr. Johnston

1 needs to leave or not, but in -- in your analysis -- and
2 if you're looking for a reference, Mr. Palmer, it's
3 Appendix B to the AI.18.3.

4

5

(BRIEF PAUSE)

6

7

MR. DONALD PALMER: Okay, go ahead.

8

We'll get it.

9

MR. BYRON WILLIAMS: In your discussion
10 of VaR methodology at page 4 you cite the work of U of M
11 finance professor, Gady Jacoby, G-A-D-Y, and last word,
12 J-A-C-O-B-Y.

13

Is that fair?

14

MR. DONALD PALMER: Yes.

15

MR. BYRON WILLIAMS: And you reference
16 material that's found on his website.

17

Is that correct?

18

MR. DONALD PALMER: Yes.

19

MR. BYRON WILLIAMS: Based on -- on the
20 material from his website, would -- would I be correct in
21 suggesting to you that there are a number of different
22 estimating methods for the VaR distribution?

23

Would that be fair?

24

MR. DONALD PALMER: That's fair.

25

MR. BYRON WILLIAMS: And I don't think

1 I'm going to catch them all, but these -- one -- one of
2 these would be the delta normal, or parametric model.

3 Would that be fair?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: Another would be the
6 historical pattern or method.

7 Correct?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: And one of my
10 favourites is the -- the Monte car -- Carlo simulation
11 method. That's another method.

12 MR. DONALD PALMER: One of my favourites
13 too.

14 MR. BYRON WILLIAMS: The analysis the
15 Corporation used in -- in its approach in this Proceeding
16 was, of course, the historical simulation method.

17 Correct?

18 MR. DONALD PALMER: That's correct.

19 MR. BYRON WILLIAMS: You'll agree that
20 the results of the VaR method are sensitive to the choice
21 of VaR distribution estimate method?

22 MR. DONALD PALMER: Yes.

23 MR. BYRON WILLIAMS: And just in terms of
24 your analysis for the purposes of this Proceeding, would
25 I be correct in suggesting that you -- you did a bit of -

1 - that -- that you used the other methods to -- to just
2 test the reasonableness of your historical analysis?

3 MR. DONALD PALMER: We did not do that
4 this year. We did it in previous years.

5 MR. BYRON WILLIAMS: You've done that in
6 previous years but not this year?

7 MR. DONALD PALMER: That's correct.

8 MR. BYRON WILLIAMS: Mr. Palmer, if you
9 can turn to CAC book of documents, Tab 21, please?

10 MR. DONALD PALMER: I have it.

11 MR. BYRON WILLIAMS: Just a couple of
12 preamble questions, Mr. Palmer. The assumptions that MPI
13 has used in -- in developing its risk analysis are -- of
14 course are pursuant to prior Board directives, including
15 those flowing from Order 151/'00.

16 Correct?

17 MR. DONALD PALMER: And -- and again,
18 just -- I don't know that I would call this MPI's risk
19 analysis, it's the risk analysis we did based on the
20 rules that were set by the Public Utilities Board.

21 MR. BYRON WILLIAMS: Fair enough, Mr.
22 Palmer. And -- and along tho -- tho -- that line of
23 thinking, MPI was directed to perform a -- a VaR
24 calculation using a two point five (2.5) year time
25 horizon and assuming twenty fer -- 25 percent equity

1 weighting.

2 Is that fair?

3 MR. DONALD PALMER: That's fair.

4 MR. BYRON WILLIAMS: And without
5 elaborating, I don't think we need to get into a debate
6 about this, but it's fair to say that the Corporation
7 does not agree with the two point five (2.5) year time
8 horizon for VaR.

9 Would that be fair?

10 MR. DONALD PALMER: We would prefer a
11 shorter period of time, yes.

12 MR. BYRON WILLIAMS: Indeed at page 10,
13 and again I don't think you need to turn there but
14 AI.18.1, you suggested a one (1) year time horizon would
15 be more logical from the Corporation's perspective.

16 Correct?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: And you've had this
19 discussion with Mr. Saranchuk an -- and again, if
20 anyone's interested in looking at the Information
21 Requests regarding this, you would find them at the PUB
22 book of documents, Tab 15, but you -- you had a
23 discussion with Mr. Saranchuk with regard to the fact
24 that the Corporation did not hold the -- a 25 percent
25 equity as of February 28th, '09.

1 Is that correct?

2 MR. DONALD PALMER: That's correct. With
3 the decrease in market value it dipped below 25 percent.

4 MR. BYRON WILLIAMS: And it would be fair
5 to say as of the end of '08/'09 it was probably just a
6 bit above 13.4 percent, or 13 percent? Mr. Palmer, and
7 if you're looking for a reference, the response to
8 PUB/MPI-2-5, the attachment.

9 MR. DONALD PALMER: Yes, I -- subject to
10 check, I'll confirm that.

11 MR. BYRON WILLIAMS: And with the vast
12 majority of the remainder being in cash or -- or debt at
13 that point in time.

14 Correct?

15 MR. DONALD PALMER: That's correct.

16 MR. BYRON WILLIAMS: And likewise, and
17 again using PUB-2-5, the attachment as the source, the
18 projection for 2009/'10 is that MPI will -- will hold
19 about 79 percent of investment portfolio in debt with
20 another 3 percent in cash, roughly.

21 Would that be fair, sir?

22 MR. DONALD PALMER: It sounds about
23 right, yes.

24 MR. BYRON WILLIAMS: So again, in -- in
25 the current year it's not expecting to be at 25 percent

1 in terms of equity?

2 MR. DONALD PALMER: That's correct.

3 MR. BYRON WILLIAMS: Now I just want to
4 addre -- direct your attention now to the -- the material
5 found at Tab 21 of the CAC book of documents, being
6 CAC/MSOS exhibit book number 5, and just by way of
7 preamble, Mr. Palmer, your -- the bright analytical minds
8 on the MPI team have had an opportunity to review this
9 material, both the numbers, the source numbers and the
10 methodology.

11 That's correct?

12 MR. DONALD PALMER: That's correct.

13 MR. BYRON WILLIAMS: And you'll agree
14 that it's essentially replicated the MPI risk analysis
15 methodology, except for, it substitutes actual equity as
16 of February 28th, '09, for the deemed 25 percent equity,
17 and it also ta -- uses a one (1) year as opposed to a two
18 point five (2.5) year time horizon.

19 Would that be fair?

20 MR. DONALD PALMER: Yes.

21 MR. BYRON WILLIAMS: And focussing on --
22 on page 1 of this analysis, we'll -- we see the results
23 of the calculation using actual equity at a 95 percent
24 confidence level assuming zero correlation and excluding
25 operating expenses.

1 Do you see that, Mr. Palmer?

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: That's kind of the -
4 - the best case scenario, and -- correct?

5 MR. DONALD PALMER: Yes.

6 MR. BYRON WILLIAMS: And the results,
7 you'll agree, are about 98 million after allowing for a 6
8 percent increase in gross writtens premium -- gross
9 written premiums?

10 MR. DONALD PALMER: Yes.

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: And turning to the
15 second page, you'll see the results of assuming 95 --
16 97.5 percent confidence intervals, perfect correlation,
17 and including operating expenses.

18 Mr. Palmer, is that your understanding?

19 MR. DONALD PALMER: That's correct.

20 MR. BYRON WILLIAMS: And that yields a
21 figure of about 196 million, assuming actual equity as of
22 February 28th, '09 and a one (1) year time horizon.

23 Correct?

24 MR. DONALD PALMER: I'll agree with that.

25 MR. BYRON WILLIAMS: So, just using these

1 assumptions, an RSR range using actual equity as of
2 February 28th, '09 and assuming a one (1) year time, a
3 VaR time horizon would yield a range of 98 million to
4 about 196 million.

5 Fair enough?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: And would you agree
8 that the midpoint of that would be in the range of 147 to
9 150 million?

10 MR. DONALD PALMER: Yes.

11 MR. BYRON WILLIAMS: Mr. Palmer, if you
12 could flip over one (1) more tab, you'll see a table
13 titled "RSR Target Ranges - Variations on PUB
14 Methodology," which is found at Tab 22 of CAC/MOS Exhibit
15 Number 5.

16 MR. DONALD PALMER: Yes, I see it.

17 MR. BYRON WILLIAMS: And, again, you've
18 had the opportunity both to check the numbers and the --
19 and the calculations here, Mr. Palmer?

20 MR. DONALD PALMER: I have.

21 MR. BYRON WILLIAMS: And you'll agree
22 that it's calculated using the same approach as set out
23 in the -- in the previous tab, being Tab 21?

24 MR. DONALD PALMER: Yes.

25 MR. BYRON WILLIAMS: Okay. So the

1 Corporation doesn't take issue with the mathematical
2 results that flow from those calculations.

3 Correct?

4 MR. DONALD PALMER: We do not.

5 MR. BYRON WILLIAMS: So just to run
6 through these -- these lines sequentially, the first line
7 we'll see is actually the results that we just discussed,
8 actual equity at February 2009 with the VaR time horizon
9 of one (1) year.

10 Correct, sir?

11 MR. DONALD PALMER: That's correct.

12 MR. BYRON WILLIAMS: The second line
13 shows actu -- actual equity at February 2009 with a VaR
14 horizon of two point five (2.5) years, sir, is that
15 right, your understanding?

16 MR. DONALD PALMER: Yes.

17 MR. BYRON WILLIAMS: And the RSR target
18 range flowing from that is 68 million to 139 million.

19 Would that be fair, sir?

20 MR. DONALD PALMER: That's correct.

21 MR. BYRON WILLIAMS: Flowing down the
22 next list -- line item is the assumption of 25 percent
23 equity at February 2009 and a one (1) year VaR period.

24 Correct, sir?

25 MR. DONALD PALMER: Yes.

1 MR. BYRON WILLIAMS: And that range is,
2 of course, substantially larger, being from a -- higher,
3 being from 141 million to 266 million.

4 Correct?

5 MR. DONALD PALMER: That's correct.

6 MR. BYRON WILLIAMS: And the -- the next
7 line is actually the -- the results that were presented
8 in -- in this Proceeding, although the -- the final
9 number might -- maybe should be 246 million, but it's
10 essentially what was presented in the risk analysis of
11 the Corporation.

12 MR. DONALD PALMER: Yes.

13 MR. BYRON WILLIAMS: And finally, the --
14 the last two (2) lines -- the second last line shows
15 actual equity at July 2009 with a VaR period of two point
16 five (2.5) years.

17 You'll agree with that, sir?

18 MR. DONALD PALMER: Yes.

19 MR. BYRON WILLIAMS: And the final line
20 shows 25 percent equity at assumption of 25 percent
21 equity at July 2009 with a VaR period of two point five
22 (2.5) years.

23 Fair enough?

24 MR. DONALD PALMER: That's correct, too.

25

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: And, Mr. Palmer,
4 just a housekeeping item on this table. You'll agree
5 based upon the results from 2-27 -- PUB Information
6 Request 2-27A and 'B', you don't probably need to turn
7 there, but those responses did not contain one (1) year
8 VaR data?

9 MR. DONALD PALMER: We likely did them
10 with two and a half (2 1/2) years. Yes.

11 MR. BYRON WILLIAMS: And I simply point
12 that out to explain why that calculation hasn't been --
13 been done with regards to the equity as at July 2009.
14 Thank you, Mr. Palmer.

15

16 (BRIEF PAUSE)

17

18 MR. BYRON WILLIAMS: If you wish to turn
19 there, Mr. Palmer, sticking with a Appendix B, it's
20 AI.18.3, you might turn to page 5, sir. It might be in
21 the main text, Mr. Palmer, but there's some confusion, I
22 guess, because we're going between -- between the two
23 (2).

24 MR. DONALD PALMER: Yes. That's from the
25 original eight point (8.) -- eighteen point three (18.3).

1 MR. BYRON WILLIAMS: You'll see a
2 statement that:

3 "VaR is an intuitive and useful number
4 that summarizes a portfolios risk is
5 widely used by institutional investors
6 to measure the risk inherent in their
7 portfolios and provides a signal number
8 which can be compared across asset
9 classes and between managers. In the
10 wake of several high profile losses in
11 the investment inder -- industry, risk
12 management practices have come under
13 intense scrutiny. The result has been
14 that VaR has become an increasingly
15 valuable tool in understanding and
16 measuring these risks or as a best
17 practice within the ins --
18 institutional investment industry."

19 Do you see that, Mr. Palmer?

20 MR. DONALD PALMER: Yes, I see it, and I
21 agree with what's in there.

22 MR. BYRON WILLIAMS: And the Corporation
23 agrees with that statement?

24 MR. DONALD PALMER: Yes.

25 MR. BYRON WILLIAMS: Would I correct in

1 suggesting that the Corporation has not tested for the
2 correlation between net income from operations and
3 investment income, as represented in the VaR?

4

5 (BRIEF PAUSE)

6

7 MR. DONALD PALMER: Again, we -- we've
8 done it in the past. We haven't done it this year.

9 MR. BYRON WILLIAMS: What was the most
10 recent year it was tested, Mr. Palmer?

11

12 (BRIEF PAUSE)

13

14 MR. DONALD PALMER: It would've been done
15 I'm -- either 2005 or 2006. The last time that we did
16 major overhaul with the RSR.

17 MR. BYRON WILLIAMS: At that point in
18 time, the Corporation would've had what, seven (7) --
19 seven (7) or so years of VaR data to -- to perform that
20 analysis.

21 Would that be about right?

22 MR. DONALD PALMER: It's probably less
23 than that but if we're talking ranges, that would be the
24 upper range.

25 MR. BYRON WILLIAMS: Mr. Palmer, would it

1 be much bother to file the results of that -- that
2 analysis?

3 MR. DONALD PALMER: That we did in '05 or
4 '06? We could get that, yes.

5 MR. BYRON WILLIAMS: So you'll undertake
6 to provide the -- for the benefit of the court reporter,
7 the results of the analysis done by the Corporation in
8 2005 and/or 2006 relating to the correlation between net
9 income from operations and investment income risk as --
10 as measured by VaR?

11 MR. DONALD PALMER: Yes.

12

13 --- UNDERTAKING NO. 37: To provide the results of the
14 analysis done by the
15 Corporation in 2005 and/or
16 2006 relating to the
17 correlation between net
18 income from operations and
19 investment income risk as
20 measured by VaR

21

22 CONTINUED BY MR. BYRON WILLIAMS:

23 MR. BYRON WILLIAMS: We're going to come
24 to the DCAT in -- in just a few minutes, Mr. Palmer. But
25 I do want to talk to you for just a couple of minutes

1 about consensus.

2 And you recall in last year's Board order,
3 you don't need to turn there I'm sure, but the Public
4 Utilities Board expressed a desire to bring about
5 consensus in terms of the RSR range, correct?

6 MR. DONALD PALMER: I recall that, yes.

7 MR. BYRON WILLIAMS: And I think the word
8 "consensus" appears a couple of times in -- and it's used
9 in the context of the RSR range or consensus as how to
10 set and amend the RSR.

11 You recall that, sir?

12 MR. DONALD PALMER: It appeared in the
13 PUB Order, it also appeared in our annual report of our
14 desire to also achieve consensus on those two (2) items.

15 MR. BYRON WILLIAMS: So that anticipated
16 my next question, Mr. Palmer. And certainly you'll agree
17 that from the Corporation's perspective, consensus should
18 not be just limited to the PUB and -- and the Corporation
19 to the extent possible you're looking for buy-in from
20 interested parties as well.

21 Correct?

22

23 (BRIEF PAUSE)

24

25 MR. DONALD PALMER: Through this process,

1 yes, I would agree with that.

2 MR. BYRON WILLIAMS: Now consensus has
3 been used by the PUB in the context of the RSR range or
4 in terms of setting and amending the RSR range, we've
5 agreed on that, Mr. Palmer?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: And I'll give you
8 some specific examples in a second. But I wonder if you
9 would agree with me that when we were looking at issues
10 related to the RSR, there are a number of other issues
11 apart from the methodology by which the range or target
12 is set and amended.

13 Would that be fair? I'll give you the
14 examples, Mr. Palmer, if you feel more comfortable.

15 MR. DONALD PALMER: Please, Mr. Williams.

16 MR. BYRON WILLIAMS: One (1) issue might
17 be the purpose of the RSR, correct?

18 MR. DONALD PALMER: The purpose of the
19 RSR has been stated and has been unchanged for many
20 years.

21 MR. BYRON WILLIAMS: Well, one (1) issue
22 might be the appropriate reaction when reserves are below
23 or above target and whether the reaction -- the response
24 should be rules based or situational.

25 Correct?

1 MR. DONALD PALMER: Sure.

2 MR. BYRON WILLIAMS: And another issue
3 might relate to the -- whether or not there should be the
4 potential of transfers from lines of business such as
5 Basic -- or Extension which are integrally related to the
6 Basic RSR.

7 MR. DONALD PALMER: I would not agree
8 with that. I -- these Hearings are based on its Basic
9 Autopac line of business and do not entail the other
10 lines of business.

11 MR. BYRON WILLIAMS: So you -- you
12 believe that the existence of the potential for transfers
13 is irrelevant to this discussion?

14 MR. DONALD PALMER: Yes, I do.

15 MR. BYRON WILLIAMS: And finally,
16 although this ultimately goes to the -- to methodology.
17 There are issues related to the type of risk we wish to
18 protect against and -- and the tolerance for those risks
19 as well.

20 Would that be fair?

21 MR. DONALD PALMER: Certainly, it's all
22 those risks that have to be measured, and -- and tested.
23 So if you -- if you missed some, I suppose you wouldn't -
24 - might get different results.

25 MR. BYRON WILLIAMS: And also the -- the

1 degree of tolerance we have for risk, that's another
2 issue, sir.

3 MR. DONALD PALMER: Yes.

4 MR. BYRON WILLIAMS: Going back to the
5 stated objective both of the Corporation, and the Board,
6 to achieve consensus, would you agree that the
7 cornerstone of consensus is credibility?

8 Would you like me to elaborate, Mr. Pal -
9 - Palmer?

10 MR. DONALD PALMER: Please.

11 MR. BYRON WILLIAMS: Would you agree that
12 it's difficult to build a consensus around a methodology
13 unless the -- the process by which it is achieved is
14 credible, and the resp -- the results are seen to be as
15 credible?

16 MR. DONALD PALMER: Yes, I -- I would
17 agree with that.

18 MR. BYRON WILLIAMS: I want to turn to a
19 discussion of the DCAT, or Dynamic Capital Adequacy
20 Testing, and so you may wish to have at hand AI.18.2, and
21 also the Corporation's rebuttal evidence, which was filed
22 on September 28th, 2009. And Mr. Palmer, just to assist
23 you, that's found in the CAC/MSOS book of documents at
24 Tab 23.

25 MR. DONALD PALMER: I have them both.

1

2

(BRIEF PAUSE)

3

4

5

6

7

8

9

10

(BRIEF PAUSE)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BYRON WILLIAMS: Let's -- let's start with the hardest question first, Mr. Palmer. Would you agree that if one (1) did a rigorous time series analysis of stock returns and bond returns over an extended period of time, you would find a strongly negative correlation?

MR. DONALD PALMER: We'd say negatively correlated. I don't know if I'd use the term strongly negatively correlated.

MR. BYRON WILLIAMS: You would go so far as to accept a negative correlation?

MR. DONALD PALMER: Yes, I would.

MR. BYRON WILLIAMS: And you'd agree, as well, that there is a direct inverse relationship between interest rate changes and bond prices and returns?

MR. DONALD PALMER: That I will absolutely agree with.

MR. BYRON WILLIAMS: Turn to the rebuttal evidence of MPI, Mr. Palmer, if you would, at page 5.

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: Do you have that,
4 Mr. Palmer?

5 MR. DONALD PALMER: I do.

6 MR. BYRON WILLIAMS: And I -- and I wish
7 to direct your attention to a sentence that caught my
8 issue towards the bottom of the page, the last paragraph,
9 and it's about one (1), two (2), three (3) -- seven (7)
10 lines down. It's the sentence starting, "The adverse
11 scenarios..."

12 Do you see that, Mr. Palmer?

13 MR. DONALD PALMER: Just above your
14 circle. Yes, I see it.

15 MR. BYRON WILLIAMS: Yeah, I should be
16 careful about marking up my documents. The statement is:

17 "The adverse scenarios were selected
18 based up -- based on the assumed
19 distribution of possible outcomes [e.g.
20 equity values, interest rates, hail
21 storms]."

22 Is that right, sir?

23 MR. DONALD PALMER: Yes.

24 MR. BYRON WILLIAMS: Focussing on your
25 use of the word, "distribution" in this context, Mr.

1 Palmer, does the word "distribution" mean a probability
2 distribution?

3

4 (BRIEF PAUSE)

5

6 MR. DONALD PALMER: Well, we were able to
7 come up with some kind of a probability distribution like
8 a hundred years of equity returns, for instance. Then we
9 would use the actual distribution of those. For things
10 like hail storms where we don't have that much data, we
11 don't have a hundred years of hail data or a hundred of
12 specific hail storm data, we had to make some assumptions
13 on the -- on the distribution.

14 MR. BYRON WILLIAMS: We don't need to do
15 it in -- in the context of -- of the oral conversation,
16 Mr. Palmer, but in terms of the distributions for which
17 assumptions had to be made instead of using probability
18 distributions, would you be prepared to provide those so
19 my clients can have them out of certainty, sir?

20

21 (BRIEF PAUSE)

22

23 MR. DONALD PALMER: Where we have those
24 kind of assumptions it is in the documentation that we
25 filed.

1 MR. BYRON WILLIAMS: So you've used words
2 like judgmental, for example?

3 MR. DONALD PALMER: Yes.

4 MR. BYRON WILLIAMS: Okay. Let's turn to
5 the -- thank you, Mr. Palmer. Then that -- that's
6 sufficient. I -- I appreciate that. Now, you mentioned
7 that in terms of equity returns, for example, you had
8 done a probability distribution, Mr. Palmer?

9 MR. DONALD PALMER: We looked at the
10 actual distribution, the actual historical distribution,
11 yes, and got probabilities from that actual distribution.

12 MR. BYRON WILLIAMS: Then we would expect
13 that that distribution would have a parametric form, Mr.
14 Palmer?

15

16 (BRIEF PAUSE)

17

18 MR. DONALD PALMER: We would use
19 empirical data not parametric, so we haven't tried to
20 define the specific probability distribution.

21 MR. BYRON WILLIAMS: Mr. Palmer, turn if
22 you would to page 8 of your rebuttal evidence. I
23 probably circled this one, as well, Mr. Palmer. You'll
24 see in the middle of the page the statement that each
25 DCAT scenario provides an estimated probability of

1 occurrence.

2 Do you see that, Mr. Palmer?

3 MR. DONALD PALMER: Yes.

4 MR. BYRON WILLIAMS: Focussing on the
5 integrated scenario presented at Section 4.6 of your
6 evidence at page 32, I wonder if you could turn there,
7 for a second?

8 MR. DONALD PALMER: That's the integrated
9 scenario on low interest rates and decline in equity
10 markets.

11 MR. BYRON WILLIAMS: Thank you, Mr.
12 Palmer. Is it your evidence that prior to filing AI.18.2
13 you had calculated the joint probability distribution of
14 the sustained low interest rate and -- and a decline in
15 equity market scenario?

16

17 (BRIEF PAUSE)

18

19 MR. DONALD PALMER: On the next page we
20 describe that we judgmentally chose that, and then in an
21 Information Request that followed that up, we did
22 identify one (1) particular period that the description
23 here has happened in history.

24 MR. BYRON WILLIAMS: And -- and we'll
25 come to that in just one (1) second. So -- just so I'm

1 clear, though, at the time you filed the DCAT analysis
2 you had not conducted a joint probability distribution.

3 Would that be fair?

4 MR. DONALD PALMER: That's correct.

5 MR. BYRON WILLIAMS: These numbers were
6 judgmentally adjusted, correct?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: And if -- certainly
9 if you want to turn there you -- you can. Does the
10 Corporation -- and -- and just to back up -- we'll come
11 to the calculation that you did in a second, but does the
12 Corporation recall responding in its response to PUB-1-
13 69A that it was impossible to calculate an exact
14 probability of the low interest rate decline in equity
15 market scenario?

16 MR. DONALD PALMER: All of those
17 probabilities are estimates, so an exact calculation
18 wouldn't be possible.

19 MR. BYRON WILLIAMS: I'm just trying to
20 understand your -- your reference. And of course, Mr.
21 Palmer, the PUB did ask you in -- and you can turn there
22 -- an Information Request 2-33 to -- to provide an
23 analysis of the estimated compound probability of the
24 interest rate steady state and the decline in equity's
25 adverse scenario as filed.

1 Do you recall that, sir?

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: And as I understand
4 your analysis, you -- you had some challenges going back
5 beyond 1936.

6 Would that be fair, sir?

7 MR. DONALD PALMER: That was the earliest
8 data we had for a ten (10) year bond date specifically.

9 MR. BYRON WILLIAMS: And in the
10 calculation you -- you were able to perform in terms of
11 the compound probability of the seventy-two (72) periods
12 in -- in question, you identified one (1) four (4) year
13 period where interest rates remained at that sustained
14 low rate and equities declined by more than 20 percent.

15 Is that correct, sir?

16 MR. DONALD PALMER: That's correct.

17 MR. BYRON WILLIAMS: So that would be one
18 (1) out of seventy-two (72) or a bit less than 2 percent,
19 sir?

20 MR. DONALD PALMER: Yes.

21 MR. BYRON WILLIAMS: And the period in
22 question was of course from 1937 to 1940, was it not?

23 MR. DONALD PALMER: It was.

24 MR. BYRON WILLIAMS: So that would be in
25 the Great Depression and then trickling into the Second

1 World War, sir?

2 MR. DONALD PALMER: That's correct.

3 MR. BYRON WILLIAMS: And that would've
4 been a time when some countries were under the gold
5 standard and some -- some were not? Would that be your
6 understanding, sir? And if not, if you can't answer
7 that, Mr. Palmer, no worries.

8 MR. DONALD PALMER: Yeah. I can't
9 confirm that.

10

11 (BRIEF PAUSE)

12

13 MR. BYRON WILLIAMS: The one (1) period
14 you are able to identify in terms of this scenario was in
15 the prewar Great Depression period.

16 Fair enough?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: I wonder if you can
19 turn, in your evidence, to Section 4.4, decline in
20 equity's market at page 24, please, Mr. Palmer. Again,
21 that's AI.18.2.

22 MR. DONALD PALMER: I have it.

23 MR. BYRON WILLIAMS: And, Mr. Palmer,
24 just to -- to assist, you might also want to grab -- or
25 to -- to retrieve the response of the Corporation, the

1 CAC/MSOS-1-7. It's not in the materials.

2 MR. DONALD PALMER: We have it.

3

4 (BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: Looking to the
7 Corporation, first of all, to it's description of its
8 analysis, you conducted a historical analysis of the
9 cumulative four (4) years returns on the TSX from 1919 to
10 present.

11 Correct?

12 MR. DONALD PALMER: We did.

13 MR. BYRON WILLIAMS: And the fifth
14 percentile event or alternatively the observation that
15 was worse than 95 percent of the observations was
16 negative 44.19 percent.

17 Is that correct, sir?

18 MR. DONALD PALMER: Yes.

19 MR. BYRON WILLIAMS: And would I be
20 correct in suggesting to you that that calcula -- that
21 event took place in the four (4) year period ending on
22 March 31st, 1935, sir?

23 MR. DONALD PALMER: Yes, that's correct.

24 MR. BYRON WILLIAMS: And would that be in
25 the middle of the Great Depression?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: And if I look to the
3 post-depression, post World War 2 ev -- material, would I
4 be correct in suggesting to you that the comparative
5 cumulative return at the fifth percentile event would be
6 minus 14.3 percent?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: So that would be
9 minus 14.3 percent, as compared to minus 44.19 percent?

10 MR. DONALD PALMER: Yes.

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: I apologize for the
15 page flipping, Mr. Palmer, but if you could turn to sec -
16 - back to section 4.6 of your evidence, page 32.

17

18

19 (BRIEF PAUSE)

20

21 MR. BYRON WILLIAMS: Again, Mr. Palmer,
22 you'll see that this is the sustained low interest rate
23 and decline in equi -- equity's market scenario, sir.

24 MR. DONALD PALMER: Yes.

25 MR. BYRON WILLIAMS: And just focussing

1 on the first two (2) lines of the scenario description,
2 the assumption is that interest rates in 2010/'11 and
3 2011/'12 remain at the same level forecasted in 2009/'10
4 and the Corporation's equity assets declined by 20
5 percent in 2010/'11.

6 Do you see that, sir?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: Would it be
9 conceivable that the equity assets might decline by 25
10 percent in 2010/'11, but interest rates are slightly
11 higher in 2010/'11 and 2011 and '12 than contemplated in
12 this scenario?

13 MR. DONALD PALMER: Sure. This is an
14 assumption of a scenario. It could be worse, it could be
15 better.

16 MR. BYRON WILLIAMS: And if I were going
17 to look at your DCAT analysis as it is today, would you
18 be able to tell me the probability of that?

19 MR. DONALD PALMER: We could give you
20 empirical probability based on the actual data, yes.

21 MR. BYRON WILLIAMS: You haven't done
22 that analysis to date?

23 MR. DONALD PALMER: No, we have not.

24

25 (BRIEF PAUSE)

1 MR. BYRON WILLIAMS: I want to spend the
2 last little while in terms of the DCAT looking at your
3 large hailstorm and a decline in equity's market
4 scenario, which can be found at AI.18.2, pages 35 through
5 37, please.

6 MR. DONALD PALMER: I have it.

7 MR. BYRON WILLIAMS: If you're looking at
8 -- for a reference, Mr. Palmer, it's on the next page,
9 but the large hailstorm and decline in equity market was
10 judgmentally assumed to -- to be a one (1) in one hundred
11 (100) year event.

12 Was that right, sir?

13 MR. DONALD PALMER: Yes.

14 MR. BYRON WILLIAMS: And I just want to
15 look at how you came about this calculation. We can
16 probably start under scenario justification on page 35.
17 Would it be fair to say that you start by noting that MPI
18 has experienced three (3) major hailstorms in the last
19 fifteen (15) years, which has resulted -- which results
20 in a estimate of a 20 percent change of a major hailstorm
21 in any given year.

22 Would that be fair?

23 MR. DONALD PALMER: Well, since this was
24 written, we had a fourth, so there's been, in fact, four
25 (4) in fifteen (15) years.

1 MR. BYRON WILLIAMS: Yeah, Mr. Palmer,
2 I'm asking you how you calculated this scenario. So...

3 MR. DONALD PALMER: Yes.

4 MR. BYRON WILLIAMS: And then what you
5 did, as I understand it, Mr. Palmer, is you looked at the
6 T -- TSX da -- data, it's on the next page, if you're
7 looking, going back to 1919 and found that the tenth
8 percentile of the cumulative four (4) re -- four (4) year
9 returns on the TSX is approximately negative 20 percent.

10 Would that be right?

11 MR. DONALD PALMER: Yes.

12 MR. BYRON WILLIAMS: So, as I understand
13 it, you took all possible four (4) year periods in that
14 period, and determined that in 90 percent of the cases,
15 the four (4) year TSX cumulative return was minus 20
16 percent or better?

17 That's what the debt percentile means?

18 MR. DONALD PALMER: Yes, that's correct.

19 MR. BYRON WILLIAMS: And I'm assuming
20 from there, Mr. Palmer, that on the assumption that a
21 hailstorm, a Manitoba hailstorm and the TSX returns are
22 independent, zero correlation, you multiplied the 20
23 percent probability of a major hailstorm by the 10
24 percent figure we just talked about to get a 2 percent
25 probability.

1 Would that be right?

2 MR. DONALD PALMER: Yes, that's correct.

3 MR. BYRON WILLIAMS: And then to get all
4 the way to one (1) and one hundred (100), the inclusion
5 of a re-insured default was judgmentally assumed to be --
6 to bring this to a one (1) and one hundred (100) year
7 event.

8 Fair enough?

9 MR. DONALD PALMER: Yes.

10 MR. BYRON WILLIAMS: And it would be fair
11 to say that you -- you didn't look at the -- any -- or
12 attempt to do any correlation co-efficiency between re-
13 insured default than large hailstorms or re-insured
14 default and protract the decline in the equity market?

15 MR. DONALD PALMER: We did not. I -- I
16 suspect that there is a correlation between drop in
17 equity markets and re-insure default but we didn't
18 specifically do that.

19 MR. BYRON WILLIAMS: Okay. And, Mr.
20 Palmer, I -- I accept your point that there's been a -- a
21 fourth hailstorm subsequent to your analysis. But in
22 terms of how you calculated your estimate in terms of the
23 probability of a major hailstorm, would I be correct in
24 suggesting to you that your analysis at that time was
25 based on a -- a sample of fifteen (15) data points.

1 Would that be correct?

2 MR. DONALD PALMER: That's correct.

3 MR. BYRON WILLIAMS: And of those, three
4 (3) of those data points were events where major
5 hailstorm observations took place.

6 Correct?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: And so twelve (12)
9 of these data points would be observations where no major
10 hailstorm observations took place.

11 Would that be correct?

12 MR. DONALD PALMER: That's correct too.

13 MR. BYRON WILLIAMS: In terms of the TSX
14 data, you'd used data again, I think we've confirmed that
15 started in 1919, correct?

16 MR. DONALD PALMER: Yes.

17 MR. BYRON WILLIAMS: And that would be
18 just after World War 1 ended?

19 MR. DONALD PALMER: Yes.

20 MR. BYRON WILLIAMS: Just before the
21 roaring '20s?

22 MR. DONALD PALMER: That's correct.

23 MR. BYRON WILLIAMS: The '20s boom and
24 the stock market that only Mr. Kruk remembers in this
25 room?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: You're not
3 suggesting that the equity results from the Great
4 Depression are representative of the future expectations
5 or expectations of the present era, Mr. Palmer?

6 MR. DONALD PALMER: They're not
7 expectations by -- as none of the adverse scenarios could
8 be labelled as expectations. They are adverse scenarios,
9 things that could happen and -- and items that we're
10 protecting ourself against with our Rate Stabilization
11 Reserve.

12 To say that they're expectations, any of
13 these adverse scenarios wouldn't be our expected results
14 but they are plausible adverse scenarios.

15 MR. BYRON WILLIAMS: I -- I think I know
16 the answer to this, Mr. Palmer, but you didn't give less
17 weight to the results in the Great Depression era than
18 the post-war era.

19 Would that be fair?

20 MR. DONALD PALMER: We did not.

21 MR. BYRON WILLIAMS: And we've confirmed
22 this already as well, I believe, but your decision to use
23 ninety (90) years of TSX data was not con -- reviewed
24 with an independent expert in finance or an independent
25 expert in economics working outside the Corporation?

1 MR. DONALD PALMER: No.

2

3 (BRIEF PAUSE)

4

5 MR. BYRON WILLIAMS: Would you accept the
6 possibility that a ninety (90) year historical sample of
7 TSX returns might not reflect today's expectation of
8 future equity returns given, that's changes, such as the
9 move off the gold standard, Mr. Palmer?

10 MR. DONALD PALMER: There are many
11 factors which would -- could change possible
12 distributions of equity returns. The -- the move from
13 the go -- gold standard could be one (1) of them. I'm
14 not an expert in -- to fully be able to comment on that.

15 MR. BYRON WILLIAMS: Another one might be
16 changes in the treatments of dividends and capital gains,
17 correct?

18 MR. DONALD PALMER: Yes.

19 MR. BYRON WILLIAMS: Another one might be
20 changes in fiscal and monetary policy, correct?

21 MR. DONALD PALMER: Yes. It could also
22 include changes in regulatory environment.

23 MR. BYRON WILLIAMS: OPEC.

24 MR. DONALD PALMER: Yes.

25 MR. BYRON WILLIAMS: We're going to move

1 just for a few minutes, and then we can probably aim
2 towards our -- our break, Mr. -- Mr. Chair, with the
3 Board's permission, to the pre-filed evidence of the
4 Corporation, and I believe it's at the bottom of page
5 AI.18.1.

6 And, Mr. Palmer, I apologize, I'm not sure
7 if the page numbering will be changed a little bit with --
8 -- in terms of PUB-1-64 or not. And, Mr. Chairman, just
9 with your permission, so that there's not confusion, I'll
10 -- I'll show Mr. Palmer the reference that I'm directing
11 him to.

12

13 (BRIEF PAUSE)

14

15 MR. BYRON WILLIAMS: Excuse me. I am
16 interested in -- I'm going to refer you to a statement,
17 and -- and I'm interested in getting at the math behind
18 the statement.

19 You make -- the Corporation makes a
20 statement that:

21 "During any fifteen (15) year period, a
22 one (1) in one hundred (100) event
23 would only be expected to occur about
24 14 percent of the time, while a one (1)
25 in forty (40) year event would only be

1 expected to occur about 32 percent of
2 the time."

3 Do you see that statement?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: In terms of the
6 calculation of the 14 percent, I'm assuming that MPI
7 started with the probably zero point zero one (0.01), or
8 one (1) in a hundred (100), and assumed that the
9 occurrence of the event in any year was independent of
10 whether it had occurred in a previous year.

11 Would that be fair?

12 MR. DONALD PALMER: That's correct.

13 MR. BYRON WILLIAMS: So the probability
14 of it occurring in any particular year is zero point zero
15 one (0.01), correct?

16 MR. DONALD PALMER: Yes.

17 MR. BYRON WILLIAMS: And then I'm
18 assuming that you say the probability of it not occurring
19 in any year is thus -- is thus 0.99 percent of that
20 hundred year period, correct?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: And, Mr. Palmer,
23 don't worry, I'm not -- I'm not suggesting your math is
24 wrong, I just want to make sure I understand it. So the
25 probability of it not occurring in any fifteen (15) year

1 period is zero point nine nine (0.99) times zero point
2 nine nine (0.99) fifteen (15) times, or --

3 MR. DONALD PALMER: That's correct.

4 MR. BYRON WILLIAMS: Yeah. Thank you.

5 In other words, it's zero point nine nine (0.99) raised
6 to the fifteenth power, correct?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: And this of course
9 gives you a zero point eight six (0.86) or 86 percent
10 chance that the one (1) in one hundred (100) year event
11 does not occur in the fifteen (15) years, correct?

12 MR. DONALD PALMER: That's correct.

13 MR. BYRON WILLIAMS: You performed a
14 similar calculation for the one (1) in forty (40) year
15 event, correct?

16 MR. DONALD PALMER: Yes.

17 MR. BYRON WILLIAMS: And just on that
18 point, I'm -- I'm going to ask you to accept, subject to
19 check, that my math is right and I'm going to put a few
20 more probabilities to you, Mr. Palmer.

21 Will you -- will you accept that?

22 MR. DONALD PALMER: Sure.

23 MR. BYRON WILLIAMS: And again, Mr.

24 Palmer, probably, you know, certainly you can accept
25 these subject to check. And suppose we have a one (1) in

1 one (1) ten (10) year event, in -- I wonder if you'll
2 accept, assuming that these are independent, that's there
3 -- that the probability of this event not occurring in
4 any given ten (10) year period is 34.87 percent, subject
5 to check?

6 MR. DONALD PALMER: Thirty-four point
7 nine (34.9), yes.

8 MR. BYRON WILLIAMS: And the probability
9 that it would not occur in twenty (20) year period is
10 12.16 percent, correct?

11 MR. DONALD PALMER: Yes.

12 MR. BYRON WILLIAMS: Let's take a one (1)
13 in one hundred (100) year event, you'll accept, subject
14 to check, that the probability of the event not occurring
15 in any given hundred year period is 36.6 percent?

16 MR. DONALD PALMER: I can confirm that.

17 MR. BYRON WILLIAMS: Mr. Chairman, this
18 might be a good -- good time to have a break.

19 THE CHAIRPERSON: That's fine then.
20 We'll be back in fifteen (15) minutes.

21

22 --- Upon recessing at 2:24 p.m.

23 --- Upon resuming at 2:52 p.m.

24

25 THE CHAIRPERSON: Any time you're ready,

1 Mr. Williams.

2

3 CONTINUED BY MR. BYRON WILLIAMS:

4 MR. BYRON WILLIAMS: Yes. And just to
5 advise the Board, and as well MPI, of my estimated time
6 of arrival or schedule. Generally, I -- I think I can
7 say that, on behalf of my clients, that they're largely
8 done the risk analysis, RSR area. There's one (1)
9 undertaking we're just pondering asking.

10 I'm quite confident -- I'm going to
11 propose that we reinject the human element into this by
12 looking at road safety for the -- the bulk of the
13 remainder of the afternoon. And I -- there will be some
14 carryover to the next hearing, in terms of cost control,
15 and -- but I don't expect that it will be a whole morning
16 or anything like that. Just to assist the Board.

17 Ms. McLaren, I'm assuming you're the --
18 the road safety person, am I -- am I right on that?

19 MS. MARILYN MCLAREN: I am.

20 MR. BYRON WILLIAMS: And just to -- in --
21 in terms of the references that I may be referring to,
22 certainly Tab A of the CAC book of documents, there's the
23 three (3) documents there. And you also may want to have
24 nearby the PUB book of documents, Tab 39. That's the
25 last one.

1 Ms. McLaren, I think we also preface our
2 discussions about road safety in this way: We can agree
3 that while MPI may be part of the solution to issues of
4 safety in Manitoba, it's only part of the solution.

5 Would that be fair?

6 MS. MARILYN MCLAREN: Yes.

7 MR. BYRON WILLIAMS: And you'll
8 understand, as we discuss statistics and results related
9 to road safety, you'll understand that my clients are --
10 are not suggesting that the whole brunt of responsibility
11 for -- for the relative state of statistics lies on MPI.

12 You understand that as well?

13 MS. MARILYN MCLAREN: Yeah, I accept
14 that.

15 MR. BYRON WILLIAMS: If you could, Ms.
16 McLaren, the PUB book of documents, Tab 39, contains the
17 Corporation's response to CAC-1-105, and I'll refer you
18 specifically to the attachment, please.

19 MS. MARILYN MCLAREN: Yes, I have it.

20 MR. BYRON WILLIAMS: And you had a
21 discussion with My Friend, Ms. Everard, on -- on this,
22 but I do want to take a quick look at line 4 which out --
23 sets out, you'll agree with me, Basic's share of the road
24 safety expenses associated with occupant safety education
25 strategies?

1 Do you see that, Ms. McLaren?

2 MS. MARILYN MCLAREN: Yes, that's right.

3 MR. BYRON WILLIAMS: And occupant safety
4 or seatbelt use as -- has been a long standing top three
5 (3) priority, in terms of road safety on the part of
6 Manitoba Public Insurance.

7 Would that be fair?

8 MS. MARILYN MCLAREN: Yes.

9 MR. BYRON WILLIAMS: And its significance
10 in that role has indeed only been reinforced by the
11 costing studies that the Corporation has done, whether on
12 -- on issues such as occupant's safety.

13 Is that fair?

14 MS. MARILYN MCLAREN: Sure, that's fair.

15 MR. BYRON WILLIAMS: And, Ms. McLaren,
16 there's no need to do an undertaking or -- but -- but
17 there was, you'll agree, an order of magnitude estimate
18 of the direct costs of the Corporation related to non-use
19 of occupant restraint that was conducted in the past?

20 Do you recall that?

21 MS. MARILYN MCLAREN: Yes, I recall that.

22 MR. BYRON WILLIAMS: And, again, would --
23 would I be safe in saying that -- that the flow -- the
24 estimate that flowed from that of the annual costs of
25 non-occupant restraint usage was well in excess of \$20

1 million?

2 Would I be safe in saying that, subject to
3 check?

4 MS. MARILYN MCLAREN: Subject to check,
5 I'll accept that.

6 MR. BYRON WILLIAMS: I'm going off of
7 memory as well, Ms. McLaren, so if -- if you're -- it's
8 rare but you'll check that and if I'm in error -- you'll
9 check that.

10 And apart from obviously the economic cost
11 there's a tremendous social cost as well, fair enough?

12 MS. MARILYN MCLAREN: Yes, definitely.

13 MR. BYRON WILLIAMS: Now the attachment
14 to CAS/MSOS/MPI-1-105, covers the seven (7) years of
15 occupant safety education strategy expenditures running
16 from the actual year of 2003/'04 through the projected
17 year of 2010/'11.

18 Would that be fair?

19 MS. MARILYN MCLAREN: Yes.

20 MR. BYRON WILLIAMS: And if we start back
21 in 2003/'04 looking at the actuals, we see the
22 Corporation's actuals in that year were about three
23 hundred and eight thousand (308,000), in terms of
24 occupant safety education strategies.

25 Fair enough?

1 MS. MARILYN MCLAREN: Yes.

2 MR. BYRON WILLIAMS: Seven (7) years
3 later, we -- we would see that they're projected to be
4 about forty-six thousand dollars (\$46,000) higher at
5 three hundred and fifty four (354,000).

6 Would that be accurate?

7 MS. MARILYN MCLAREN: Yes.

8 MR. BYRON WILLIAMS: On this one, I am
9 confident of my -- my math, Ms. McLaren. You'll agree
10 that over the seven (7) years the line item has grown a
11 bit less than 15 percent, correct?

12 MS. MARILYN MCLAREN: Yes, that's
13 correct.

14 MR. BYRON WILLIAMS: Not allowing for
15 compounding, simplistically about 2 percent a year?

16 MS. MARILYN MCLAREN: Sure.

17 MR. BYRON WILLIAMS: Ms. McLaren, when
18 one looks at the small pace of growth in expenditures,
19 would I be wrong in concluding that the Corporation has
20 essentially concluded that it cannot play a meaningful
21 role in promoting occupant restraint strategies?

22 MS. MARILYN MCLAREN: I think that would
23 be an incorrect assumption. I think what this
24 demonstrates is that the Corporation has not identified
25 and -- and, therefore, has not chosen an increased

1 commitment to this area. We have not found legitimate
2 opportunities for us to expand our role, with respect to
3 occupant restraint.

4 MR. BYRON WILLIAMS: Thank you for that,
5 and -- and I'll come back to that, perhaps. I take it
6 the Corporation has not yet prepared a budget for
7 occupant safety education strategies for 2010/'11.

8 Would that be fair?

9 MS. MARILYN MCLAREN: That's right, not a
10 detailed budget for the next year, yes.

11 MR. BYRON WILLIAMS: You do have the
12 2009/'10 budget, would that be accurate?

13 MS. MARILYN MCLAREN: Yes.

14 MR. BYRON WILLIAMS: In spe -- speaking
15 specifically of occupant safety education strategies, are
16 -- are you prepared to provide the detailed budget for
17 the 2009/'10 year, Ms. McLaren?

18 MS. MARILYN MCLAREN: The breakdown of
19 the three hundred and thirty three thousand dollars
20 (\$333,000)?

21 MR. BYRON WILLIAMS: Yes.

22 MS. MARILYN MCLAREN: Sure.

23

24 ---UNDERTAKING NO. 38: To provide the breakdown of
25 the three hundred and thirty

1 three thousand dollars
2 (\$333,000) of occupant safety
3 education strategies
4

5 CONTINUED BY MR. BYRON WILLIAMS:

6 MR. BYRON WILLIAMS: Ms. McLaren, you may
7 want to turn to Tab 3 of the -- the CAC/MSOS book of
8 documents.
9

10 (BRIEF PAUSE)
11

12 MR. BYRON WILLIAMS: And I -- I'm quite
13 confident, Ms. McLaren, that you don't need to -- to turn
14 to this Information Request, but you may recall that in
15 CAC/MSOS-1-107 the Corporation was asked to provide an
16 intra-jurisdictional comparison for casualty rates and
17 updated one, and its response was that Transport Canada
18 has not yet published casualty rates information for 2007
19 and 2008.

20 Do you recall that, Ms. McLaren?

21 MS. MARILYN MCLAREN: Yes, I do.

22 MR. BYRON WILLIAMS: And -- and, to your
23 knowledge, Transport Canada has still not published the
24 2007 and 2008 data --

25 MS. MARILYN MCLAREN: That's -- that's --

1 MR. BYRON WILLIAMS: -- data, would that
2 be fair?

3 MS. MARILYN MCLAREN: Yes, that's right,
4 to my knowledge.

5 MR. BYRON WILLIAMS: So -- so that leaves
6 us with the 2006 data as the most recent publically
7 available intra-jurisdictional comparison, would that be
8 cor -- correct?

9 MS. MARILYN MCLAREN: Yes.

10 MR. BYRON WILLIAMS: We'll turn to that
11 in just a second. But it's fair to say that, from time
12 to time, the Corporation makes use of this Transport
13 Canada data relating to motor vehicle related con --
14 collisions.

15 Would that be fair?

16 MS. MARILYN MCLAREN: Sure, that's fair.

17 MR. BYRON WILLIAMS: And it -- it's --
18 its considers it to be a credible and reliable source of
19 intra-jurisdictional comparisons?

20 MS. MARILYN MCLAREN: Yes, I believe so.
21 A little bit of hesitation there because I'm -- I'm not
22 completely sure that it's an apples to apples comparison
23 in all cases.

24 MR. BYRON WILLIAMS: It's pro -- you'll
25 agree that it's probably the best available comparison,

1 Ms. McLaren?

2 MS. MARILYN MCLAREN: Yes, definitely.

3 MR. BYRON WILLIAMS: Going to the -- the
4 fact that Transport Canada has not yet published the 2007
5 results, you'll agree that it's -- would you agree that
6 it's unusual for it not to publish the 2007 data by this
7 time?

8 MS. MARILYN MCLAREN: I believe so, but I
9 don't think it's the first time that there's been some
10 extended delays in -- in the publishing of the data.

11 MR. BYRON WILLIAMS: Okay, well, let's go
12 to the -- the most recent we have, which is the 2006
13 data. And we're going to make our way fairly rapidly to
14 page 4, but as we kind of leaf our way through, Ms.
15 McLaren, without asking you to comment, you'll see that
16 on the -- the first page after the cover page there's a
17 summary of collisions and casualties from 1987 through
18 2006, do you see that, top of the -- the first page, Ms.
19 McLaren. Top of the second page.

20 MS. MARILYN MCLAREN: Yes.

21 MR. BYRON WILLIAMS: And going onto the
22 next page at the top, there's fatalities by the road user
23 class from 2002 to 2006.

24 You see that?

25 MS. MARILYN MCLAREN: Yes.

1 MR. BYRON WILLIAMS: And onto the next
2 page, I just want to draw your attention to -- to the
3 table marked "casual -- casualty rates."

4 Do you see that, Ms. McLaren?

5 MS. MARILYN MCLAREN: Yes, I do.

6 MR. BYRON WILLIAMS: And at a high level,
7 this table looks at the Canadian average, and then the
8 results from various provinces in terms of fatalities and
9 injuries, using three (3) different comparators, those
10 being per one hundred thousand (100,000) population per
11 billion vehicle kilometres and per one hundred thousand
12 (100,000) licenced drivers.

13 Would that be fair?

14 MS. MARILYN MCLAREN: Yes.

15 MR. BYRON WILLIAMS: And if we look at
16 the -- the per one hundred thousand (100,000) population,
17 we'll see the Canadian average at about eight point nine
18 (8.9) fatalities.

19 Is that correct?

20 MS. MARILYN MCLAREN: Yes, it is.

21 MR. BYRON WILLIAMS: Moving down about
22 halfway down that column, we'll see Manitoba at ten point
23 one (10.01).

24 Would that be fair?

25 MS. MARILYN MCLAREN: Yes.

1 MR. BYRON WILLIAMS: And with injuries,
2 as well, we would see the -- the Manitoba numbers at
3 seven forty-one point two (741.2) per one hundred
4 thousand (100,000) pop being somewhat above the Canadian
5 average for injuries of six hundred and four (604).

6 Would that be fair?

7 MS. MARILYN MCLAREN: Yes.

8 MR. BYRON WILLIAMS: And without going
9 through the actual specific numbers, you'll agree, as
10 well, that if we were to compare the Manitoba average to
11 the Canadian average either in per billion vehicle
12 kilometres, or per hundred thousand licensed drivers,
13 Manitoba would tend to be somewhat above the Canadian
14 average.

15 Would that be fair?

16 MS. MARILYN MCLAREN: Yes.

17 MR. BYRON WILLIAMS: Ms. McLaren, just
18 looking below to the table entitled, "Percentage of
19 Fatally Injured Drivers Tested and Found to Have Been
20 Drinking," would you share the conclusion with me that in
21 the 2005 year over 30 percent of the drivers, fatally
22 injured drivers tested were found to have been drinking?

23 Is that -- is that the conclusion you
24 would draw from that table, as well?

25 MS. MARILYN MCLAREN: Yes, I believe so.

1 MR. BYRON WILLIAMS: If you just flip to
2 the next page, Ms. McLaren, you'll see a table
3 "Percentage of Drivers and Passenger Fatalities and
4 Serious Injuries Where Victims Were Not Using Seatbelts,
5 2002 to 2006."

6 Do you see that?

7 MS. MARILYN MCLAREN: Yes.

8 MR. BYRON WILLIAMS: And looking to the
9 last column, and again these are national results, not
10 Manitoba, but you'll see the -- that 36.9 percent of
11 driver fatalities were in circumstances where the victims
12 were not using seatbelts.

13 Do you see that, Ms. McLaren?

14 MS. MARILYN MCLAREN: Yes, I do.

15 MR. BYRON WILLIAMS: And 38 percent --
16 excuse me, 38.7 percent of passenger fatalities occurred
17 where -- in circumstances where the victims were not
18 using seatbelts.

19 Would that be accurate?

20 MS. MARILYN MCLAREN: Yes.

21 MR. BYRON WILLIAMS: Certainly that
22 doesn't say the failure to use seatbelts was the causal
23 factor, but there's obviously a strong relationship.

24 You'll agree with that, Ms. McLaren?

25 MS. MARILYN MCLAREN: Yes.

1 MR. BYRON WILLIAMS: I wonder if you can
2 turn back one (1) tab in the CAC book of exhibits to a
3 document entitled "Results of Transport Canada Rural and
4 Urban Surveys of Seatbelt Use in Canada, 2006 top 2007."

5 Do you have that?

6 MS. MARILYN MCLAREN: I have that.

7

8 (BRIEF PAUSE)

9

10 MR. BYRON WILLIAMS: Ms. McLaren, again,
11 and this has nothing to do with MPI, but usually around
12 this time of the year we would be examining the results
13 of a -- the most recent report of Transport Canada
14 regarding rural and urban seatbelt usage updating us to
15 the 2008 year.

16 Would you agree with that?

17 MS. MARILYN MCLAREN: I believe so, yes.

18 MR. BYRON WILLIAMS: And to your
19 knowledge would it be correct to say that there's no
20 publicly available report more recent than January 2008,
21 which is this document?

22 MS. MARILYN MCLAREN: I believe that's
23 true.

24 MR. BYRON WILLIAMS: And MPI is not aware
25 of any publicly available results from Transport Canada

1 more recent than this material?

2 MS. MARILYN MCLAREN: No, I'm not.

3 MR. BYRON WILLIAMS: And again, subject
4 to your apples and oranges comparison, you'll agree that
5 the Corporation has made use of this seatbelt data from
6 the Transport Canada survey in the past?

7 MS. MARILYN MCLAREN: Yes.

8 MR. BYRON WILLIAMS: And it considers it
9 relevant and credible?

10 MS. MARILYN MCLAREN: Yes.

11 MR. BYRON WILLIAMS: To your knowledge is
12 Transport Canada still conducting these surveys?

13 MS. MARILYN MCLAREN: I can't be sure,
14 but we could check on that.

15 MR. BYRON WILLIAMS: Would you undertake,
16 Ms. McLaren, to make enquiries as to whether Transport
17 Canada is continuing to conduct and publish the results
18 of its rural and urban surveys, and if it's publically
19 available, if it's not doing so, if -- if you could
20 undertake to -- the reasons why it's not.

21 MS. MARILYN MCLAREN: We will undertake
22 to do that, yes.

23

24 --- UNDERTAKING NO. 39: To advise if Transport Canada
25 is continuing to conduct and

1 publish the results of its
2 rural and urban surveys, and,
3 if not, the reasons why
4

5 CONTINUED BY MR. BYRON WILLIAMS:

6 MR. BYRON WILLIAMS: Looking to the
7 2006/'07 results and acknowledging, Ms. McLaren, that --
8 that they're a couple years out of date, you'll see on
9 the first paragraph, under "Background" -- if you could,
10 that's page 1 of the document, Ms. McLaren. There's --
11 in the first paragraph, there's a stated objection of the
12 National Occupant Restraint Program to achieve a minimum
13 95 percent for national seatbelt use and the proper use
14 of child restraints by all motor vehicle occupants.

15 Is that correct?

16 MS. MARILYN MCLAREN: Yes, that's right.

17 MR. BYRON WILLIAMS: And that was part of
18 the road safety vision 2010, correct?

19 MS. MARILYN MCLAREN: Yes.

20 MR. BYRON WILLIAMS: The objective then
21 being to achieve this target by 2010.

22 Would that be accurate?

23 MS. MARILYN MCLAREN: Yes.

24 MR. BYRON WILLIAMS: Is Canada going to
25 reach that objective, Ms. McLaren?

1 MS. MARILYN MCLAREN: Can't tell from
2 this data.

3 MR. BYRON WILLIAMS: How about Manitoba?

4 MS. MARILYN MCLAREN: Again, we rely on
5 the Transport Canada data, so it is somewhat out of date
6 what we have here in front of us.

7 MR. BYRON WILLIAMS: Just in terms of the
8 Transport Canada methodology, and that's on the third
9 paragraph of this first page, it's your understanding
10 that, at least up until September 2007, Transport Canada
11 has done annual seatbelt usage surveys, with a survey
12 running in rural Canada in one (1) year, and sequentially
13 followed by a survey in urban Canada the subsequent year.

14 Is that correct?

15 MS. MARILYN MCLAREN: Yes, that's right.

16 MR. BYRON WILLIAMS: And by rural Canada,
17 we are looking at towns with a population of fewer than
18 ten thousand (10,000) but -- but more than a thousand
19 (1,000).

20 Is that correct?

21 MS. MARILYN MCLAREN: Yes.

22 MR. BYRON WILLIAMS: It catches my town
23 of Souris. Urban -- urban Canada communities are those
24 with a population of over ten thousand (10,000).

25 Fair enough?

1 MS. MARILYN MCLAREN: Yes.

2

3 (BRIEF PAUSE)

4

5 MR. BYRON WILLIAMS: Moving to page --
6 the third page in, Ms. McLaren, in your document, you'll
7 see a chart titled "Rural Canada Seatbelt Use, All
8 Occupants of Light-duty Vehicles by Province or Territory
9 2006."

10 Do you see that?

11 MS. MARILYN MCLAREN: Yes.

12 MR. BYRON WILLIAMS: And you'll see the
13 results for 2006 show the Canadian average at the bottom
14 at eighty-eight point three (88.3), with the Manitoba
15 average of eighty-six point four (86.4) appearing in the
16 middle of the page.

17 MS. MARILYN MCLAREN: Yes.

18 MR. BYRON WILLIAMS: So Manitoba would be
19 somewhat below the -- the Canadian average, correct?

20 MS. MARILYN MCLAREN: That's -- that's
21 correct, yes.

22 MR. BYRON WILLIAMS: Moving to Chart 2 on
23 the next page, titled "Urban Canada Seatbelt Use, All
24 Occupants of Light-duty Vehicles by Province or Territory
25 2007," you'll see at the bottom the Canadian average of

1 93.1 percent, Ms. McLaren?

2 MS. MARILYN MCLAREN: Yes, that's right.

3 MR. BYRON WILLIAMS: In the middle of the
4 page, just under Manitoba, you'll see our neighbours to
5 the west, Saskatchewan, being at 95.4 percent, correct?

6 MS. MARILYN MCLAREN: Yes.

7 MR. BYRON WILLIAMS: And Manitoba is just
8 above that at eighty-nine point seven (89.7), would that
9 be accurate?

10 MS. MARILYN MCLAREN: Yes.

11 MR. BYRON WILLIAMS: Again, Manitoba
12 would be below the urban Canada seatbelt use average
13 based on this result?

14 MS. MARILYN MCLAREN: Yes, it is.

15 MR. BYRON WILLIAMS: Ms. McLaren, if you
16 -- if you would, if you could turn to Tab 1 of the CAC
17 book of -- CAC/MSOS book of documents, and there you'll
18 see a garish headline in the Winnipeg -- from the
19 Winnipeg Free Press, "Spike in driving fatalities this
20 year," do you see that, Ms. McLaren?

21 MS. MARILYN MCLAREN: Yes.

22 MR. BYRON WILLIAMS: And I'm not sure if
23 you'll recall this, Ms. McLaren, after so many -- so many
24 days ago, but in your evidence on October 14th, Ms.
25 McLaren, again, you -- you mentioned referencing reports

1 in the media related to matters related to MPI. It
2 wasn't on this specifically, but you talked about media
3 reports relating to MPI.

4 Do you recall that?

5 MS. MARILYN MCLAREN: The one I recall is
6 related to auto theft, I believe.

7 MR. BYRON WILLIAMS: Okay. Part of the
8 role of MPI and the Corporation is to monitor and at
9 times comment upon media stories relating to matters
10 within the purview of MPI.

11 Would that be fair?

12 MS. MARILYN MCLAREN: That's fair.

13 MR. BYRON WILLIAMS: And certainly I -- I
14 provided this story to your counsel a couple weeks ago,
15 but I'm presuming that you were aware of this media
16 report prior to me providing it to you.

17 Would that be fair?

18 MS. MARILYN MCLAREN: Yes, I was.

19 MR. BYRON WILLIAMS: And indeed the media
20 relations person of MPI is -- is quoted in -- in this
21 story.

22 Would that be fair?

23 MS. MARILYN MCLAREN: Yes, he is.

24 MR. BYRON WILLIAMS: And, Ms. -- Ms.
25 McLaren, certainly I'm not holding you to the accuracy of

1 anything in this story. I want to run through it with
2 you, and we'll do that in a second. But you'll agree
3 based upon your many years of experience in the auto
4 insurance industry that the frequency or severity of
5 automobile injuries can be expected to vary materially on
6 a year-to -- to-year basis?

7 Would that be fair?

8 MS. MARILYN MCLAREN: Yes, particularly
9 in Manitoba with a million plus people, the frequency and
10 severity of serious injuries and fatalities swings around
11 a lot.

12 MR. BYRON WILLIAMS: And so I think
13 that's an important context. When we -- we look at this
14 story, one (1) year does not a trend make.

15 Is that fair?

16 MS. MARILYN MCLAREN: Yes.

17 MR. BYRON WILLIAMS: Directing your
18 attention to the first two (2) paragraphs of that -- this
19 story, you'll see the suggestion that after a few years
20 of reduced fatalities in terms of motor vehicle deaths,
21 results in -- in 2009 to date are disappointing.

22 Do you see that, Ms. McLaren?

23 MS. MARILYN MCLAREN: I do.

24 MR. BYRON WILLIAMS: And my question to
25 you is based on the Corporation's knowledge. Do you

1 agree with the general statement that the 2009 results to
2 date in terms of motor vehicle fatalities are less
3 positive as compared to resulted from the past few years?
4

5 (BRIEF PAUSE)
6

7 MS. MARILYN MCLAREN: Yeah, we would
8 agree that fatalities are up this year. Serious injuries
9 are too.

10 MR. BYRON WILLIAMS: Ms. McLaren, what
11 would be helpful from my clients' perspective, and if
12 you're able to assist, that -- that would be great, they
13 would appreciate the Corporation, if this data is
14 available to it, providing the number of fatal vehicle
15 collisions to date in 2009, and they'd appreciate the
16 Corporation being able to outline the number of fatal
17 collisions, the consequences for drivers and passengers
18 in -- in terms of who died, and indication of whether
19 these were single vehicle or multi-vehicle accidents, and
20 for each incident involving a -- a fatality, an
21 indication whether the failure to use seatbelts, wear a
22 helmet, unsafe speed, or the use of drugs and alcohol was
23 identified.

24 Does the Corporation have that
25 information?

1 MS. MARILYN MCLAREN: The contributing
2 factors about drugs and alcohol, seatbelt use, and so on
3 is one (1) of the -- likely unable to provide unequivocal
4 information on that, but most of the other factors that
5 you identified we should be able to pull together.

6 MR. BYRON WILLIAMS: The other thing I
7 neglected to add was urban/rural split. Would you be
8 able to do that, as well?

9
10 (BRIEF PAUSE)

11
12 MS. MARILYN MCLAREN: We should be able
13 to give you something on that. We'll identify what it
14 is.

15 MR. BYRON WILLIAMS: And certainly my
16 clients would appreciate for 2009 to date and also for
17 2008. Would that be possible without too much labour?

18 MS. MARILYN MCLAREN: Do you want the
19 2008 up to the end of September or October or the full
20 year?

21 MR. BYRON WILLIAMS: I think the full
22 year, Ms. McLaren.

23 MS. MARILYN MCLAREN: Okay.

24 THE CHAIRPERSON: Mr. Williams, if you
25 get the data for the prior year, for the full year and

1 the data for 2009 just till now, you won't have a
2 comparison.

3 MR. BYRON WILLIAMS: I'm glad I've got
4 you checking up on me, Mr. Chairman.

5

6 CONTINUED BY MR. BYRON WILLIAMS:

7 MR. BYRON WILLIAMS: Ms. McLaren, would it
8 be possible for 2008 to get the full year and the
9 comparative number?

10 MS. MARILYN MCLAREN: Yes.

11 MR. BYRON WILLIAMS: Thank you, Mr.
12 Chairman.

13

14 --- UNDERTAKING NO. 40: To indicate the number of
15 fatal vehicle collisions for
16 2008 to get the full year and
17 the comparative number;
18 outline the number of fatal
19 collisions; the consequences
20 for drivers and passengers,
21 in terms of who died;
22 indication of whether these
23 were single vehicle or multi-
24 vehicle accidents; and for
25 each incident involving a

1 fatality, an indication
2 whether the failure to use
3 seatbelts, wear a helmet,
4 unsafe speed, or the use of
5 drugs and alcohol was
6 identified. Also to include
7 the urban/rural split
8

9 CONTINUED BY MR. BYRON WILLIAMS:

10 MR. BYRON WILLIAMS: Ms. McLaren, back to
11 the -- the Free Press story, In paragraph 4, you'll see
12 reference to the RCMP undertaking a targeted seatbelt
13 enforcement campaign in October.

14 Do you see that?

15 MS. MARILYN MCLAREN: Yes, I do.

16 MR. BYRON WILLIAMS: To your knowledge
17 did such a campaign take place?

18 MS. MARILYN MCLAREN: I can't tell you
19 that right now. I suspect that -- I imagine there's no
20 reason to think that it didn't.

21 MR. BYRON WILLIAMS: Just so I understand
22 the -- the relationship between police service providers
23 and the RCMP, would it be ordinary for the -- the police
24 to consult with MPI or advise you that -- that a targeted
25 campaign is -- enforcement campaign is taking place?

1 MS. MARILYN MCLAREN: Most likely in the
2 planning stages. So clearly, we would have been informed
3 that it was going to just like this media report talks
4 about.

5 I don't necessarily expect that in every
6 case they would come back to us and say, okay, it started
7 this morning and is going to be -- and come back and tell
8 us when it finished.

9 However, there are circumstances where we
10 do initiatives like this jointly, so we are very much a
11 part of it, a collaborative process.

12 In this particular case, we know they were
13 planning to and -- and I have no updated information as
14 to whether, in fact, it started, exactly what day it
15 started and how long it was intended to continue.

16 MR. BYRON WILLIAMS: In this particular
17 campaign, would MPI be playing any role via financial
18 contributions?

19 MS. MARILYN MCLAREN: No, I don't believe
20 that we were contributing to this particular blitz, so to
21 speak, with -- with a financial contribution, but this
22 month we did start our own occupant restraint media
23 campaign, advertising, bus boards, billboards, all about
24 occupant restraint, the focus being, you know, no matter
25 whether your trip is a long one or a short one, the

1 distance between you and the windshield is the same if
2 you don't wear a seatbelt.

3 So clearly, there's some synergy there and
4 we expect things like that to work much more effectively
5 when they're done together than if they're done apart.

6 MR. BYRON WILLIAMS: That's where I'm
7 going, Ms. McLaren. Is -- is it -- is it generally the
8 case that these targeted enforcement campaigns are co-
9 ordinated with the Corporation in terms of the
10 Corporation's targeted media campaigns, and specifically
11 both to the RCMP and the City of Winnipeg Police?

12 MS. MARILYN MCLAREN: Yes, that would be
13 the intention. We are in conversation, consultation with
14 them. We would not expect the traffic -- the individuals
15 responsible for traffic enforcement at the WPS and the
16 RCMP to be surprised when they see our commercial on TV.

17 We expect there to be that kind of co-
18 operation and discussion. It does not always happen in
19 every case that -- that we actually do something in a co-
20 ordinated fashion each and every time, but they certainly
21 are aware of what we're doing and we work as closely as
22 we can.

23

24

(BRIEF PAUSE)

25

1 MR. BYRON WILLIAMS: Is the Corporation
2 aware of any empirical evidence suggesting enforcement
3 campaigns of either a short or long-term effect on
4 seatbelt usage?

5 MS. MARILYN MCLAREN: This may not
6 qualify as empirical evidence. I think we can point to
7 information that's been discussed and -- and filed as
8 part of these proceedings years ago.

9 You'll remember a number of years ago when
10 the fines were increased and demerits were added -- no, I
11 think both.

12 I think the risk of -- the perceived risk
13 of being caught failing to comply with seatbelt
14 legislation I think can be demonstrated to have had an
15 impact on the increase in seatbelt wearing that Manitoba
16 had a few years back when the fines were increased and
17 demerits were added. I think we've talked about that
18 here before.

19 MR. BYRON WILLIAMS: Has the Corporation
20 made any recent inquiries of the Province of Saskatchewan
21 in terms of their approach to occupant restraint as
22 compared to -- to Manitoba's?

23 MS. MARILYN MCLAREN: No, not -- not
24 recently, no.

25

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: Going back to the
4 story in paragraph 6, the -- the media relations
5 coordinator for the Corporation is referring to data
6 relating to drops in seatbelt usage. Presumably, that's
7 the Transport Canada information that -- that we went
8 through?

9 MS. MARILYN MCLAREN: I believe that's
10 right. It -- it references this year, but I think really
11 what it is talking about is exactly the same Transport
12 Canada data we looked at earlier.

13 MR. BYRON WILLIAMS: So there's no
14 surveys out there that -- that we've missed, to your
15 knowledge?

16 MS. MARILYN MCLAREN: Exactly.

17 MR. BYRON WILLIAMS: Turning to the --
18 the very last paragraph of this story, Ms. McLaren, or
19 the -- the last section, you'll see a reference to motor
20 vehicle accidents in the -- the last three (3) years,
21 seventy-four (74) fatalities, including twenty-nine (29)
22 not wearing seatbelts; eighty-two (82) fatalities,
23 including 31 not buckled up; a hundred (100) fatalities
24 in 2006, including thirty-seven (37) who weren't wearing
25 seatbelts.

1 Does the Corporation take issue with these
2 numbers?

3 MS. MARILYN MCLAREN: No. Ours will be a
4 little different because we -- we do count things
5 differently, but -- but directionally, that's exactly
6 what we had. And I -- I think we may never have had, you
7 know, a couple of years as low as they were in '07 and
8 '08.

9 MR. BYRON WILLIAMS: I'm going to -- to
10 flip to the area of cost control. We will not finish it
11 today, Mr. Chairman, but Mr. -- Mr. Kramer, is that you?

12 MR. OTTMAR KRAMER: That may be.

13 THE CHAIRPERSON: Mr. Williams, just a
14 question that comes to mind on this, and I think I know
15 the answer, but just to confirm it. In cases where
16 people are not wearing their seatbelts and they get badly
17 injured or death, it doesn't affect the payout at all,
18 does it?

19 MS. MARILYN MCLAREN: No, not at all.

20 THE CHAIRPERSON: Thank you.

21

22 (BRIEF PAUSE)

23

24 THE CHAIRPERSON: What if you've been
25 drinking, you were impaired and you were injured, is

1 there any financial penalty that's assessed to that?

2 MS. MARILYN MCLAREN: We'll have to check
3 on whether or not your permanent impairment payment would
4 be jeopardized, but the one (1) I'm -- I'm very clear on
5 is, if you're convicted of drinking and driving, your IRI
6 would be eliminated for a maximum of one (1) year.

7 THE CHAIRPERSON: Thank you.

8 MS. MARILYN MCLAREN: And anyone who's
9 incarcerated also is prevented from receiving IRI.

10

11 CONTINUED BY MR. BYRON WILLIAMS:

12 MR. BYRON WILLIAMS: The -- you may want
13 to have at hand TI.5, which appears in the -- in the CAC
14 book of documents at Tab 6, and also the Corporation's
15 response, which is not in the book, to PUB-1-26 and PUB-
16 2-12, please.

17

18 (BRIEF PAUSE)

19

20 MR. BYRON WILLIAMS: I know that's a lot
21 of paper to ask you to shuffle, Mr. Kramer. In specific
22 -- specifically with regard to TI.5, I'm asking you to
23 turn your attention to page 3.

24 MR. OTTMAR KRAMER: I've got it.

25 MR. BYRON WILLIAMS: And I'd like to chat

1 with you at a -- at a high level about possible metrics
2 or ways for the regulator and -- and Intervenors to look
3 at the productivity of MPI, especially with regard to the
4 -- the basic program.

5 Okay, Mr. Kramer?

6 MR. OTTMAR KRAMER: Okay.

7 MR. BYRON WILLIAMS: On the claims side,
8 one possible measure would be the ratio of claims
9 expenses to claims, which I -- I think as indicated are
10 six (6) year.

11 You'll agree -- you'll agree with that?

12 MR. OTTMAR KRAMER: Yes.

13 MR. BYRON WILLIAMS: And one, at least
14 conceivably, might use that to track the inflation in
15 costs per claim, would that be fair? I'm not suggesting
16 you're doing that now, Mr. -- Mr. Kramer, but that's one
17 (1) way you could use it to -- to look at the
18 productivity of the Corporation.

19 MR. OTTMAR KRAMER: It -- it is one (1),
20 but I think there's numerous others, too.

21 MR. BYRON WILLIAMS: You're agreed that
22 it's one (1) way that you could look at this?

23 MR. OTTMAR KRAMER: Yes, subject to
24 looking at variations and explanation as to why numbers
25 would move around.

1 MR. BYRON WILLIAMS: Another possible
2 indicator in terms of looking at metric for productivity
3 would be claims expense per claims employee, which is, I
4 think, your Indicator Number 8.

5 Would that be fair?

6 MR. OTTMAR KRAMER: Yes.

7 MR. BYRON WILLIAMS: And you might use
8 that to provide -- to analyze the growth and cost per
9 employee in the claims department? That would be a
10 potential use that it could be used for, correct?

11 MR. OTTMAR KRAMER: Yes.

12

13 (BRIEF PAUSE)

14

15 MR. OTTMAR KRAMER: Did you say claims
16 per claims employee or claims costs per claims employee?

17 MR. BYRON WILLIAMS: I was going to get to
18 claims per claims employee in just a second, Mr. -- Mr.
19 Kramer. So I was suggesting you -- to you that one
20 metrics that you might use is claims expense per claims
21 employee, and that you might use it to provide for the
22 growth in costs per employee in the claims department,
23 correct?

24 MR. OTTMAR KRAMER: Yes. The -- the --
25 however, to this -- looking at this page 3 of TI.5 is --

1 it's done on a corporate basis not on a Basic basis, and
2 -- and henceforth the assumption of DVL operations has --
3 has made some of these comparatives uncomparable.

4 MR. BYRON WILLIAMS: And we're going to
5 get to that in just a second, Mr. Kramer, and I accept
6 that. I'm looking at a theoretical basis on some certain
7 ways that one can look at metrics for measuring the
8 productivity of -- of the Corporation.

9 You understand that?

10 MR. OTTMAR KRAMER: Yes.

11 MR. BYRON WILLIAMS: A third possible
12 measure in terms of claims productivity might be claims
13 per claims employee, correct?

14 MR. OTTMAR KRAMER: Yes.

15 MR. BYRON WILLIAMS: And that would be a
16 direct measure of productivity in that -- in that group,
17 correct?

18 MR. OTTMAR KRAMER: Yes. Consider -- as
19 long as you've got pure data, yes.

20 MR. BYRON WILLIAMS: And that's probably
21 a useful segue to the Corporation's response to PUB-1-
22 26A. If you could turn there for a second?

23

24

(BRIEF PAUSE)

25

1 MR. BYRON WILLIAMS: If I wanted to look
2 at these metrics or indicators for the basic program and
3 by these I mean claims expense per claims, claims expense
4 per claims employee, and claims per claims employee, I
5 would have to know, Mr Kramer, three (3) things I'm going
6 to suggest to you, the Basic claims expense, the Basic
7 claims FTEs, and the Basic -- and the number of Basic
8 claims.

9 Would that be fair?

10 MR. OTTMAR KRAMER: Yes.

11 MR. BYRON WILLIAMS: And Basic -- Basic
12 claims expense is available to us, that information, sir?

13 MR. OTTMAR KRAMER: Yes, it is.

14 MR. BYRON WILLIAMS: It would be fair to
15 say though that currently the Corporation is unable to
16 calculate Basic claims FTEs.

17 Would that be accurate?

18 MR. OTTMAR KRAMER: Yes.

19 MR. DONALD PALMER: We can -- we can do
20 an allocation of claims, employee salary, I suppose, in
21 terms of an assignment. And we've talked in the cost
22 allocation of assignment versus allocation. We don't
23 specifically do an allocation of FTEs, we do an
24 allocation of costs, so I think that's where the
25 difficulty arises.

1 make some assumptions on -- on that equivalent but, yeah,
2 it's possible.

3

4 (BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: In terms of the
7 number of Basic claims, is -- am I correct in suggesting
8 that MPI is not currently in a position to provide an
9 estimate on the number of Basic only claims.

10 Would that be fair?

11 MR. DONALD PALMER: I think the difficult
12 would be Basic only claims. We could probably do claims
13 that have a Basic cost component in them. That's
14 probably doable.

15

16 (BRIEF PAUSE)

17

18 MR. BYRON WILLIAMS: The -- the reason
19 you're seeing some hesitation on my part, Mr. Palmer, is
20 in PUB-1-26, the Corporation was -- was asked to do some
21 calculations, such as claims per claims employee, claims
22 expense per claims, and -- and its response was that this
23 information on -- for the Basic program was not
24 available.

25 Do you recall that response?

1 MR. DONALD PALMER: Yes, I do. And --
2 and as it has been sort of defined here, it's not. But
3 making some assumptions and approximations, you could
4 probably get there with -- if you had defined
5 assumptions.

6 MR. BYRON WILLIAMS: So what you're
7 telling me is that, for future proceedings, a proxy could
8 be developed for Basic claims and Basic claims FTEs.

9 Is that fair?

10 MR. DONALD PALMER: Yes.

11 MR. BYRON WILLIAMS: I'll ponder that.
12 Also in the Corporation's response to PUB/MPI-1-26A it
13 was also not able to provide the -- a -- it was also not
14 able to provide the calculation of Basic policies per
15 Basic support employees.

16 Is that correct?

17 MR. DONALD PALMER: And that would be
18 based on the same logic. We don't have Basic employees
19 but you could probably do a -- some sort of an allocation
20 or a proxy.

21 MR. BYRON WILLIAMS: So for future
22 proceedings, that's something that -- that could be done?

23 MR. DONALD PALMER: Yes.

24

25 (BRIEF PAUSE)

1

2 MR. BYRON WILLIAMS: This may go to Mr.
3 Kramer or it may go to Mr. Palmer.

4 I would like to talk for a -- if you could
5 turn to CAC -- the CAC book Tab 7, I'd like to talk about
6 inflation for a couple of minutes.

7 It's more likely you, Mr. Palmer, I'm
8 guessing, but...

9 MR. DONALD PALMER: Sure, I'll take it.

10 MR. BYRON WILLIAMS: Without asking you
11 to elaborate too much, I think this one's a gimme. But
12 you'll agree that inflation forecasts are central both to
13 the revenue and cost forecast of the Corporation,
14 correct?

15 MR. DONALD PALMER: Yes.

16 MR. BYRON WILLIAMS: And again, without
17 commenting upon the directional impact, you'll agree that
18 a sustained bout of relatively high inflation could be
19 expected to have a material effect on a variety of
20 Corporate endeavours including investments, discounted
21 policy liabilities, claims and operating expenses,
22 pension expenses.

23 That would be fair?

24 MR. DONALD PALMER: Claims cost too, so
25 yes, I would agree with all of those.

1 target has been extended a number of times, fair enough?

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: And in November of
4 2006, you'll accept subject to check, that the agreement
5 was renewed for a period of five (5) years to the end of
6 2011?

7 Would that be fair, subject to check?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: And the terms of
10 this agreement provide that the Bank will continue to
11 conduct monetary policy aimed at keeping total CPI
12 inflation at 2 percent with a control range of 1 to 3
13 percent.

14 Would that be fair?

15 MR. DONALD PALMER: Yes.

16 MR. BYRON WILLIAMS: And the Bank in
17 Canada indeed has been targeting an inflation rate of 2
18 percent, the mid point of 1 to 3 percent, the 1 to 3
19 percent control range since 1995, correct?

20 MR. DONALD PALMER: Yes.

21 MR. BYRON WILLIAMS: Mr. Palmer, I just
22 want to look at how the Bank of Canada has done and
23 there's a number of sources for this on the record but
24 I'll ask you to turn to the CAC book of exhibits Tab 7
25 which I believe you have in front of you, sir.

1 MR. DONALD PALMER: I do.

2 MR. BYRON WILLIAMS: And you'll agree
3 that we shared this document with you previously, along
4 with the source CPI numbers from the Bank of Canada
5 website?

6 Would that be fair?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: And you've had the
9 opportunity to review the figures and the calculations,
10 correct?

11 MR. DONALD PALMER: Yes, they look fine.

12 MR. BYRON WILLIAMS: And you'll agree
13 with me that basically what this table tracks is the
14 relative trend in CPI levels from August of 1995 through
15 August of 2009?

16 Would that be fair?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: And at August 1995
19 the CPI was eighty-seven point seven (87.7).

20 Is that correct?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: And August 2009 it's
23 a hundred and fourteen point seven (114.7), correct?

24 MR. DONALD PALMER: That's correct.

25 MR. BYRON WILLIAMS: And you'll agree,

1 subject to check, that the increase from August 1995 to
2 August 2009 is what would've been experienced had the CPI
3 increased by 1.94 percent per year.

4 Would that be fair?

5 MR. DONALD PALMER: Yes.

6 MR. BYRON WILLIAMS: So in -- in
7 targeting at 2 percent and achieving 1.9.4 percent over
8 the fourteen (14) year period, you'd agree that the --
9 the Bank of Canada seems to have a relatively good handle
10 on this issue, sir?

11 MR. DONALD PALMER: For the last fourteen
12 (14) years, yes, I would agree with that.

13 MR. BYRON WILLIAMS: Mr. Chairman, I've
14 got one (1) section that'll probably take about eight/ten
15 (8/10) minutes and then I'm heading into a longer one
16 (1), so I propose to finish that, and then perhaps aim
17 for a -- a break or a -- the close of business, if that's
18 acceptable? Back to you, Mr. Kramer, I believe and if
19 you can turn to Tab 5 of the CAC book of documents, which
20 is from the app -- the TI.78.

21 You have that, sir?

22 MR. OTTMAR KRAMER: Yes.

23 MR. BYRON WILLIAMS: And again, you --
24 you took -- you canvassed some of these issues with Ms.
25 Everard, so I -- I'm anxious not to trample on her turf.

1 Focussing on the 2010/'11 year, the projected year, Mr. -
2 - Mr. Kramer, you'll agree that the four (4) largest
3 factors affecting expenses relate to compensation and
4 staffing, data processing, building expenses, and
5 amortization for the 2010/'11 year, sir?

6 MR. OTTMAR KRAMER: Yes. That's correct.

7 MR. BYRON WILLIAMS: And as we look at
8 the projected expenses for that year of a -- Basic
9 expenses for that year we see -- you'll agree that the
10 projection is for 158.36 million.

11 Is that correct, sir?

12 MR. OTTMAR KRAMER: Yes. That's correct.

13 MR. BYRON WILLIAMS: And would you agree
14 subject to check that the compensation figure of 92.59
15 million accounts for about 58 percent, sir?

16 MR. OTTMAR KRAMER: What did you say?

17 MR. BYRON WILLIAMS: Fifty-eight percent?

18 MR. OTTMAR KRAMER: Yes. That's correct.

19 MR. BYRON WILLIAMS: And subject to check
20 that the data processing of 11.3 amounts to just a bit
21 over 7 percent, sir?

22 MR. OTTMAR KRAMER: Yes.

23 MR. BYRON WILLIAMS: And that 9.2 million
24 related to building expenses accounts for about 6
25 percent.

1 Fair enough?

2 MR. OTTMAR KRAMER: Yes.

3 MR. BYRON WILLIAMS: And the fourteen
4 point three (14.3) related to amortization amounts to
5 about 9.2 percent of the total.

6 Would that be fair?

7 MR. OTTMAR KRAMER: I've got 9 percent.
8 It's close.

9 MR. BYRON WILLIAMS: Collectively, you'll
10 agree that these -- the big four (4) in this year account
11 for 80 percent of the total.

12 Would that be fair?

13 MR. OTTMAR KRAMER: Subject to check,
14 yes.

15 MR. BYRON WILLIAMS: I wonder if you
16 could turn to CAC-1-37, which appears at Tab 4 of the
17 materials of the CAC exhibit book?

18 Do you have that, Mr. Kramer?

19 MR. OTTMAR KRAMER: Yes, I do.

20 MR. BYRON WILLIAMS: And you'll agree
21 with me that the attachment details -- one (1) element of
22 what it details is Basic share of the actual corporate
23 expenditures for the year 2005/'06 through 2008/'09 in --
24 in terms of the corporate budget, Mr. Kramer.

25 Would that be fair?

1 MR. OTTMAR KRAMER: Yes, that's correct.

2 MR. BYRON WILLIAMS: And it also includes
3 the approved budgets for 2005/'06 through to one (1)
4 additional year out, which would be 2009/'10. It's at
5 page 2, I think, of the attachment, if you're looking for
6 it, Mr. Kramer.

7 MR. OTTMAR KRAMER: Yes.

8 MR. BYRON WILLIAMS: Turning your
9 attention, first of all, to page 2, not of the answer,
10 but of the attachment, you'll see the Basic share of the
11 2009/'10 approved expense budget.

12 Would that be fair?

13 MR. OTTMAR KRAMER: Yes.

14 MR. BYRON WILLIAMS: Speaking exclusively
15 of the approved budget, would it be fair to say that the
16 approved budget for 2009/'10 anticipates somewhat lower
17 costs for the Immobilizer Program in 2009/'10, than in
18 2008 -- or 2007/'08, which appears on the previous -- the
19 -- the actuals for -- excuse me, than the actuals for
20 2008/'09, which appear on the previous page?

21 MR. OTTMAR KRAMER: Yes, that's correct.

22 MR. BYRON WILLIAMS: And if I were to
23 compare the approved safety and loss prevention budget
24 for 2009/'10 of 12.163 million, and then looked to the
25 actuals for '08/'09 of 18.176 million, there's about a \$6

1 million difference?

2 MR. OTTMAR KRAMER: Yes, that's correct.

3 MR. BYRON WILLIAMS: So about 6 million
4 less in -- in -- budgeted in '09/'10 for immobilizer than
5 in the previous year.

6 Would that be fair?

7 MR. OTTMAR KRAMER: Yes.

8 MR. BYRON WILLIAMS: Turning to page 3 of
9 the attachment, you'll see the actual expenditures in the
10 middle column for the '05/'06 year, sir, do you see that?

11 MR. OTTMAR KRAMER: Yes, I do.

12 MR. BYRON WILLIAMS: And actual
13 expenditures for that year were about 118.4 million,
14 correct?

15 MR. OTTMAR KRAMER: Yes, that's correct.

16 MR. BYRON WILLIAMS: Excuse me. Flipping
17 back to page 1 of the attachment you'll see the actual
18 expenditure for 2008/'09.

19 Mr. Kramer, do you see that?

20 MR. OTTMAR KRAMER: Yes, I do.

21 MR. BYRON WILLIAMS: And you'll agree
22 that four (4) years later the actual expenders --
23 expenditures attributed to Basic were some 29.1 million
24 more than in the Basic share of the Corporate budget in -
25 - four (4) years previously, '05/'06.

1 Would that be right?

2 MR. OTTMAR KRAMER: Yes, that's correct.

3 MR. BYRON WILLIAMS: And I could hear
4 your calculator whirling. Would you agree that that --
5 subject to check, that that would be about 24.5 percent
6 higher in terms of actual expenditures between those four
7 (4) years?

8 MR. OTTMAR KRAMER: Yes, that's correct.

9 MR. BYRON WILLIAMS: Mr. Kramer, I want
10 to look at approved budgets, a four (4) year comparison
11 as well, so I wonder if you would turn to page 4, and
12 you'll see the expense budget -- approved expense budget
13 for 2006/'07 in the first column, sir, page 4.

14 MR. OTTMAR KRAMER: Yes, I have it.

15 MR. BYRON WILLIAMS: And you'll see that
16 the -- the approved expense budget for 2006/'07 Basic
17 share of the Corporate total was 123.3 million
18 approximately, sir?

19 MR. OTTMAR KRAMER: Yes.

20 MR. BYRON WILLIAMS: Just to flip back to
21 page 2, we -- you'll see the 2009/'10 approved budget
22 with a figure of 158.2 million approximately, sir?

23 MR. OTTMAR KRAMER: Yes.

24 MR. BYRON WILLIAMS: Would you agree,
25 subject to check, that four (4) years later the approved

1 expenditure for 2009/'10 is about 35 million higher,
2 let's say 34.9 because I know you're precise, as compared
3 to the 2006/'07 approved budget in terms of basic share
4 of the Corporate budget, sir?

5 MR. OTTMAR KRAMER: Yes, that is correct,
6 due to numerous factors, including immobilizer spending.

7 MR. BYRON WILLIAMS: It would be about
8 28.3 percent higher in -- in four (4) years, sir?

9 MR. OTTMAR KRAMER: Yes.

10 MR. BYRON WILLIAMS: And the approved
11 budget for 2009/'10 also shows a material reduction in
12 immobilizer costs as compared to the actuals for '08/'09
13 of \$6 million.

14 Is that right?

15 MR. OTTMAR KRAMER: Yes, a reduction from
16 '08/'09, but an increase from '06/'07, which you've
17 previously asked me to compare.

18 MR. BYRON WILLIAMS: Fair enough. Mr.
19 Chairman, that's a convenient place to break. I
20 probably, for the Board's information, have thirty (30)
21 to forty (40) minutes on operating costs, a few questions
22 about forecasting, and just a little follow-up from
23 October 15th, so I'm relatively confident I could do it
24 in about an hour on -- when we next sit.

25

1 (MPI PANEL NO. 1 WITNESSES RETIRE)

2

3 THE CHAIRPERSON: Very good, Mr.
4 Williams. Okay, so we'll see you back, Ms. Everard, do
5 you want to remind us when we next come back together?
6 Is it January or February?

7 MS. CANDACE EVERARD: It's in one (1)
8 week, Mr. Chairman, on Monday November 2nd.

9 THE CHAIRPERSON: Thank you.

10

11 --- Upon adjourning at 3:54 p.m.

12

13

14

15

16 Certified correct,

17

18

19

20

21 _____
Cheryl Lavigne, Ms.

22

23

24

25