

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE COMPANY (MPI)
GENERAL RATE APPLICATION
FOR 2012/13 INSURANCE YEAR

Before Board Panel:

- Susan Proven - Board Chairman
- Len Evans - Board Member
- Regis Gosselin - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
October 13, 2011
Pages 848 to 1046

APPEARANCES

1
2 Candace Grammond) Board Counsel
3 Nicole Hamilton (np))
4
5 Kathy Kalinowsky) MPI
6
7 Raymond Oakes) CMMG
8
9 Byron Williams) CAC/MSOS (MPI) Manitoba
10
11 Nick Roberts (np)) MUCDA
12
13 Liz Peters) CAA Manitoba
14 Jerry Kruk)
15
16 Dave Schioler (np)) IBAM
17
18
19
20
21
22
23
24
25

TABLE OF CONTENTS

1		
2		Page No.
3	List of Exhibits	851
4	List of Undertakings	852
5		
6	MPI PANEL, Resumed:	
7	MARILYN MCLAREN, Resumed	
8	DONALD PALMER, Resumed	
9		
10	Continued Cross-examination by Ms. Candace Grammond	853
11	Cross-examination by Mr. Byron Williams	869
12		
13	Certificate of Transcript	1046
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS		
2	NO.	DESCRIPTION	PAGE NO.
3	CAC-6	Excerpt from the record	868
4	CAC-7	Excerpt from the appointed actuary's	
5		report as at October 31st, 2010	
6		(cheat sheets)	869
7	CAC-8	Excerpt from the appointed actuary's	
8		report as at October 31st, 2005	919
9	CAC-9	Excerpt from appointed actuary's report	
10		as at October 31, 2010, pages 11	
11		through 14	919
12	MPI-18	Gartner group PowerPoint, "Service	
13		management and service delivery at	
14		MPI is immature"	1003
15	MPI-19	Response to Undertaking 13	1003
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

	LIST OF UNDERTAKINGS		
	NO.	DESCRIPTION	PAGE NO.
1			
2			
3	13	MPI to provide a schedule of pieces of	
4		the IT optimization project that have	
5		already been executed, and show how	
6		they were acquired, what HP received,	
7		and how much went to other companies	856
8	14	MPI to provide a copy of retainer letter	
9		or contract between MPI and Gartner	858
10	15	MPI to provide a written explanation,	
11		with calculations, of the derivation	
12		of the zero point nine nine five	
13		(0.995) figure	925
14	16	MPI to advise if it has any interest	
15		in a technical conference involving	
16		Manitoba Hydro, the Public Utilities	
17		Board, and interested Intervenors,	
18		focussing on emerging issues relating	
19		to stochastic modelling	
20		(Under Advisement)	964
21	17	MPI to provide an annual sustainability	
22		report	1046
23			
24			
25			

1 --- Upon commencing at 9:31 a.m.

2

3 THE CHAIRPERSON: Good morning. Well, we
4 broke yesterday in sort of midstream on your question, so
5 we'll go back, finish those, and then carry on.

6 MS. CANDACE GRAMMOND: Yes, thank you,
7 Madam Chair. I have a few more questions for the panel
8 with respect to the IT optimization project.

9

10 MPI PANEL:

11 DONALD PALMER, Resumed

12 MARILYN MCLAREN, Resumed

13

14 CONTINUED CROSS-EXAMINATION BY MS. CANDACE GRAMMOND:

15 MS. CANDACE GRAMMOND: Yesterday, we were
16 looking at Tab 22 of the Board's book of documents, so
17 I'm going to go there again. This is a collection of
18 several IR responses dealing with this topic.

19 I'm going to ask you to turn to PUB/MPI-1-
20 62, Attachment A. So that's within Tab 22 of the book of
21 documents. It's the first IR that appears there. And
22 Attachment A to 1-62 is the HP presentation that appears
23 on a series of slides. So I'm going to page 15, and the
24 page numbers are in the bottom left-hand corner.

25 So there are two slides on page 15. The

1 top one's called, "IT Optimization Road Map," and the
2 second one's called, "Recommended Initiatives." Does
3 everyone have that? Okay.

4 Okay. So we spoke yesterday with respect
5 to the initial \$77 million budget provided by HP to the
6 Corporation, and then some adjustments that were made,
7 and the ultimate budget for the one (1) time expenditures
8 was about 71 million as approved by the Corporation's
9 Board.

10 MS. MARILYN MCLAREN: Yes, that's right.

11 MS. CANDACE GRAMMOND: So if we look at
12 this bottom slide on page 15, we see that there are one
13 (1) time charges listed, but there are also recurring
14 charges listed. And at the very bottom row of the table
15 we see the heading, "Total Recurring," and then several
16 dollar amounts to a total of about 29 million.

17 Are those expenditures going to be, or
18 expected to be, incurred in the years indicated?

19 MS. MARILYN MCLAREN: Yes, they are. And
20 they are in the financial information, the budgets and
21 the forecasts going forward in this application.

22 MS. CANDACE GRAMMOND: And we see from
23 this document a breakdown with respect to applications
24 recurring, infrastructure recurring, and so on.

25 These sums are to be paid through HP, or

1 in -- in some instances will the Corporation make payment
2 directly to other providers of the -- the items listed?

3 MS. MARILYN MCLAREN: Absolutely payments
4 to other providers. And, you know, thinking about this
5 last night, the conversation yesterday with respect to
6 trying to explain the concept of our master agreement
7 with HP, if I can speak to this point in a little bit
8 greater context with respect to the conversation
9 yesterday.

10 The master agreement that we have with HP
11 is really for their role with us as a systems integrator,
12 which means sometimes they help us build custom software.
13 Often -- more often these days they help us configure and
14 -- and bring in other off-the-shelf software and bring it
15 into our environment. They were part of the team, a
16 smaller part but a part of the team, that worked on the
17 FINEOS bodily injury initiative.

18 So they provide that kind of oversight
19 programming services, project management services. They
20 help organizations. This -- the branch of HP that we
21 have our master services agreement with is for systems
22 integration functions which helps us change and maintain
23 the applications that serve our customers.

24 So again, because most -- a -- a good
25 piece of the IT optimization budgeted amounts are for

1 hardware it's very unlikely that any significant amount
2 would go to them.

3 Earlier -- since we met yesterday, I have
4 asked staff back at the office if they can put together a
5 schedule of pieces of the IT optimization project that
6 have already been executed, the RFPs that we've issued,
7 the items that we've bought, and schedule that and show
8 you how -- how did we acquire it, what, if any, did HP
9 get, how much went to others.

10 And we'll -- we'll bring that forward and
11 -- and show you because it's important that the -- the
12 Board understand that this is not a -- in any way, shape,
13 or form a \$75 million initiative that HP came up with and
14 HP will receive. It -- it's not how it works and I will
15 continue to find better ways to articulate but I think if
16 I can show you when we've spent so far that will help put
17 -- put that into context.

18 MS. CANDACE GRAMMOND: Thank you. We'll
19 take that undertaking.

20

21 --- UNDERTAKING NO. 13: MPI to provide a schedule of
22 pieces of the IT optimization
23 project that have already
24 been executed, and show how
25 they were acquired, what HP

1 received, and how much went
2 to other companies
3

4 CONTINUED BY MS. CANDACE GRAMMOND:

5 MS. CANDACE GRAMMOND: Okay. With
6 respect to the \$29 million forecast that's contained on
7 page 15 for the -- the five (5) year period, does the
8 Corporation have an indication of what, if any, cost
9 there will be beyond 2015 into 2016 and onward?

10 MS. MARILYN MCLAREN: No, not
11 specifically. We know there will be some recurring costs
12 moving forward. This is not dissimilar to things we've
13 had in our IT budget for -- for many years, you know, it
14 would be licensing and so on. But this also doesn't show
15 -- it doesn't show the net effect of any other licences
16 we may get rid of and things like that as well. So no,
17 we have not run it out beyond 2015 but it -- it would not
18 be dissimilar to this and it would not be dissimilar to
19 what we've had probably for the last couple of decades.

20 MS. CANDACE GRAMMOND: Okay. We spoke
21 yesterday about the chronology and the -- the internal
22 review that the Corporation had done and then the HP
23 report that was presented to the Corporation's Board.
24 And we spoke about the fact that Gartner was retained in
25 July of this year to provide its services. I -- I

1 gather, though, that the -- the Board approval for the
2 project came before Gartner was retained in July?

3 MS. MARILYN MCLAREN: Yes, that's right.

4 MS. CANDACE GRAMMOND: Now let's talk a
5 little bit about the costs with Gartner. There is
6 reference in the -- the material that Gartner provided
7 that the cost for its services will be about \$2.8 million
8 over the next five (5) years?

9 MS. MARILYN MCLAREN: Yes, that's right.

10 MS. CANDACE GRAMMOND: And is there a
11 contract or a retainer letter or anything of that nature
12 with respect to the Corporation's engagement of Gartner?

13 MS. MARILYN MCLAREN: I believe so but
14 we'd have to go back and check.

15 MS. CANDACE GRAMMOND: Would you
16 undertake to do that?

17 MS. MARILYN MCLAREN: We will.

18

19 --- UNDERTAKING NO. 14: MPI to provide a copy of
20 retainer letter or contract
21 between MPI and Gartner

22

23 CONTINUED BY MS. CANDACE GRAMMOND:

24 MS. CANDACE GRAMMOND: And the costs that
25 will be paid to Gartner, how will those be allocated

1 among the lines of business? Is it on the same basis as
2 the whole of the project?

3 MR. DONALD PALMER: Yes, based on the
4 approved cost allocation methodologies.

5 MS. CANDACE GRAMMOND: We talked earlier
6 in the hearing when we looked at the retained earnings
7 schedule about the piece of -- of retained earnings that
8 the Corporation has set aside for this and we -- we sort
9 of went through that schedule. Did the Corporation
10 consider alternative approaches to funding the IT
11 optimization projects, for example, from operations
12 rather than from retained earnings?

13 MR. DONALD PALMER: Yes, there are many
14 ways of considering that in terms of -- of funding if
15 there are ongoing costs that have to be undertaken, so we
16 would have looked at variant options on that.

17 MS. CANDACE GRAMMOND: And why did the
18 Corporation conclude that -- that this project should be
19 funded from retained earnings rather than operations, as,
20 for example, the BPR was?

21 MS. MARILYN MCLAREN: A couple of
22 reasons. First of all, part of the explanation as to why
23 the state of the IT infrastructure, I -- I think it's
24 fair to use the word "deteriorated," over the last few
25 years, was not maintained, was not kept up because the IT

1 budget had -- had generally for the last several years
2 been underspent.

3 Funds were approved and then not spent.
4 So if you think about it in that context some of the
5 excess retained earnings came from not spending the
6 approved IT budget. That's not quite a pure accounting
7 treatment, remembering I'm not an accountant, but that's
8 the way I think about it. And, also, because this is not
9 only -- we are really re-platforming the organization's
10 IT for the future, which will have significant benefit
11 beyond the actual expenditures themselves.

12 So it -- it is like a capital investment,
13 so I think for those two (2) reasons because, you know,
14 we -- we did not do what we should have done in the last
15 few years and underspent the budget because we didn't do
16 it, and because this is really going to have a long-term
17 positive effect for the organization and those customers
18 it seemed appropriate to us.

19 And we, you know, discussed it with
20 auditors and so on and it seemed like a fair approach to
21 do it. We -- cer -- certainly we could have done it
22 through operations, but thought, given the context of the
23 recent past and the long-term future, this seemed like an
24 appropriate approach.

25 MS. CANDACE GRAMMOND: Okay. In terms of

1 next steps, and -- and I appreciate the undertaking with
2 respect to what's been done and -- and what's on the go
3 at the moment, the Corporation filed in AI-11, and we
4 don't necessarily need to go there, although you can if
5 you want to, but for the purposes of the record it's AI-
6 11, page 2, where the Corporation lists a bulleted list
7 of the items that are the deliverables under this project
8 by 2015. That's right?

9 MS. MARILYN MCLAREN: Yes.

10 MS. CANDACE GRAMMOND: And that includes,
11 I'll -- I'll paraphrase, a risk framework, improved
12 network infrastructure, revised business continuity plan,
13 revised disaster recovery plan, a new green data centre,
14 a more robust infrastructure, and an ability for the IT
15 to stay current?

16 MS. MARILYN MCLAREN: Yes. And if I can
17 just for a moment tie that back to the discussion we had
18 yesterday as well about cost-benefit. And if we can
19 again just for a minute or two go back to PUB-1-62,
20 Attachment A, and this time, page 17 through to 19,
21 you'll see there are five (5) slides there titled, "Cost-
22 benefit of the Recommended Initiatives."

23 And you can see that -- that it is a very
24 discrete level. There are -- there are initiatives in
25 here for, when it comes to disaster recovery, \$15

1 million. There's an initiative in the top slide for
2 three thousand dollars (\$3,000). So it -- it's at a very
3 discrete level of projects all tied back to the large
4 categories of applications, disaster recovery,
5 infrastructure, networks. So clearly it's not like the
6 issue of costs and benefit were not on our mind.

7 And as I said yesterday, as we go forward
8 with charters and more specific discrete initiatives the
9 expected benefits will clearly be articulated for the
10 more significant projects, but this was part of the very
11 first look we had, clearly, a description of the benefits
12 were for each of those discrete small and large project
13 expenses.

14 MS. CANDACE GRAMMOND: Okay. So these
15 slides reflect sort of an allocated or a specific cost
16 estimate to each of the benefits listed, but it doesn't,
17 at least at this stage, attach a dollar amount on the
18 benefit side?

19 MS. MARILYN MCLAREN: No financial
20 benefit, that's right, at this stage.

21

22 (BRIEF PAUSE)

23

24 MS. CANDACE GRAMMOND: While we're on
25 this piece of the presentation, Ms. McLaren, the -- the

1 five (5) schedules -- or the five (5) slides that we've
2 just looked at with the -- the specific dollar amounts,
3 if -- if one added those together it would total the \$77
4 million budget proposed by HP?

5 MS. MARILYN MCLAREN: I believe so, yes.

6 MS. CANDACE GRAMMOND: And the two (2)
7 applications that were removed, and we spoke about that
8 yesterday, those are which two (2)? The -- the AOL
9 financial and AOL modular -- modularization --

10 MS. MARILYN MCLAREN: Yes.

11 MS. CANDACE GRAMMOND: -- which are in
12 the first slide?

13 MS. MARILYN MCLAREN: Those are the two
14 (2) on the first slide, APPS-6 and APPS-7.

15 MS. CANDACE GRAMMOND: Okay. Thank you.
16 Okay. Madam Chair, those are the questions that I have
17 with respect to the IT optimization, and I see Board
18 member Gosselin has a question.

19 I'll just state for the record, that with
20 respect to whatever undertakings arose from this line of
21 questioning, we may have questions when we get those.
22 And the other thing I wanted to -- to confirm for the
23 record with respect to actuarial matters is that our
24 cross in the main is done, but there were some filings
25 provided yesterday. And so Mr. Pelly is working on that

1 and we will have some questions on that. But -- but
2 we'll put those on the record before the end of the day
3 today. So I just wanted everyone to be clear about that.

4 THE CHAIRPERSON: Thank you.

5 MR. REGIS GOSSELIN: My question is about
6 how you have decided to fund this particular optimization
7 project from -- from reserves. In other words, you --
8 you allocated \$75 million to -- to fund the opt -- IT
9 optimization initiative. I guess what I'd like to know
10 is -- is how you funded the previous significant
11 initiative to optimize IT in the past.

12 In other words, did you -- had you
13 allocated a certain amount of money in your reserves to
14 pay for that IT optimization project that's been
15 completed?

16 MS. MARILYN MCLAREN: The -- we -- we've
17 never done something like this in the past where it's
18 really about -- through the IT environment, the
19 footprint. Everything else we've done through time has
20 certainly had a large IT component, but it has been
21 business driven, more specifically business improvements,
22 whether it is a new driver rating system, streamlined
23 renewals, anything that we've talked about under the BPR,
24 or even historically moving -- 1995 moving to the
25 Autopac-Online system what we wanted -- what the business

1 wanted was an online real-time processing system in
2 broker's offices where renewals were spread throughout
3 the year.

4 And -- you know, so it was -- it was based
5 on some of those very specific business initiatives. So
6 we've never really re-platformed the en -- the IT, like
7 is necessary now. And so the issue of how did we fund
8 it, it -- it didn't give us the same pause for
9 consideration. We did it as a business going forward,
10 changing for the future, and it was funded on the going-
11 forward capital initiatives that were amortized down the
12 road.

13 Within our sister automobile insurance
14 Crown corporations there's -- there is a model for this.
15 Insurance corporation of British Columbia has embarked
16 on, I think it's about, a \$500 million initiative to
17 revamp all of its IT business systems, IT platform, much
18 like this plus what we did with the BPR and they've done
19 that from -- from retained earnings.

20 Saskatchewan did that a few years ago when
21 they did a -- a similar more scalable, much like this is,
22 given the size of our organization compared to ICBC, but
23 -- but they did it as well from retained earnings.

24 So there -- there's that model that we --
25 we thought about when we considered this, but it's the

1 first time we would have done it.

2

3

(BRIEF PAUSE)

4

5 THE CHAIRPERSON: Thank you. I think now
6 we're turning to Mr. Williams, Byron, for cross-
7 examination.

8 MR. BYRON WILLIAMS: Yes, and good
9 morning, Madam Chair and Board member Evans, Board member
10 Gosselin. Just a couple of introductions.

11 Perhaps, for the first time in history I
12 have my own back row today. Ms. Desorcy, who's the
13 executive director of the Consumers' Association, I --
14 her level of trust in me has diminished so she wants to
15 move a little closer, so she can keep an eye on -- on
16 me. For the reporter, that's D-E-S-O-R-C-Y. She was
17 here yesterday, as well, live --listening with rapt
18 attention to a discussion of IT optimization.

19 I have an additional back row today,
20 persons that you don't normally see in the hearing room.
21 Two (2) of my colleagues, Ms. Suzanne Knowles, K-N-O-W-L-
22 E-S, and Ms. Amanda Houllind, H-O-U-L-I-N-D. We're not
23 billing for their time, so the -- the Board shouldn't
24 worry about that.

25 Just to assist the Board, for the next sec

1 --the first section of my cross, there will be three (3)
2 references. I'll ask the Board secretary to hand out two
3 (2) of them. And also you'll want to pull out what I'm
4 told by My Learned Friend Ms. Grammond -- Grammond is the
5 -- Volume III, Part 2, the fat one (1), which -- which
6 should have AI-13(a) in it.

7

8

(BRIEF PAUSE)

9

10 MR. BYRON WILLIAMS: It should be -- my
11 understanding is Volume III, Part 2, and it should have
12 AI-13(a) and (b) in it, if you're looking at the -- the
13 tabs. And we'll only be making a brief reference to
14 that.

15

16

(BRIEF PAUSE)

17

18

19

20

21

22

(BRIEF PAUSE)

23

24

25

MR. BYRON WILLIAMS: And, Madam Chair, I
-- I'm hoping to minimize the shuffling between --

1 between the documents, so once this section of my cross
2 is done I have a couple of additional exhibits, but I
3 won't hand them out until that point in time, just to
4 minimize the -- the paper that's -- that's going on your
5 desk.

6 And I have consulted with My Learned
7 Friends from MPI. I -- I don't anticipate any objections
8 to the exhibits I present.

9 The first one (1) you'll see, it -- it
10 should have a long sheet included with it. And it is an
11 -- the cover page should -- should say, "AI-13(a)," being
12 the -- and -- and it'll -- it'll say -- indicate in a
13 point, "Actu -- Actuary's report as at October 31st,
14 2010." And essentially what this is, Madam Chair, and --
15 and Board members, is a very small excerpt from -- from
16 the record. We've blown up the second page so it's a
17 little easier to read, but these are -- are simply pulled
18 -- pulled right from the document.

19 And I would suggest that this be marked --
20 marked as CAC/Manitoba Exhibit number 6.

21

22 --- EXHIBIT NO. CAC-6: Excerpt from the record

23

24 MR. BYRON WILLIAMS: And secondly, Madam
25 Chair, you should have a document titled, "Excerpt from

1 the appoint -- from the appointed actuary's report at
2 October 31st, 2010," in bracket, "Cheat sheets."

3 And I just want to assure the Board that
4 these again are taken directly from AI-13(a), and because
5 there's so much -- there's so many numbers, so much
6 material, what we've attempted to do with these cheat
7 sheets is draw together some of the information in -- in
8 one (1) package.

9 So our -- our hope is that the Board and
10 other persons in the room can -- can follow it more
11 closely. And we'd suggest that be marked as CAC/Manitoba
12 Exhibit number 7.

13

14 --- EXHIBIT NO. CAC-7: Excerpt from the appointed
15 actuary's report as at
16 October 31st, 2010 (cheat
17 sheets)

18

19 MR. BYRON WILLIAMS: And, Madam Chair, I
20 -- I'm ready to proceed. Is the Board?

21 THE CHAIRPERSON: Yes, we are ready.

22

23 CROSS-EXAMINATION BY MR. BYRON WILLIAMS:

24 MR. BYRON WILLIAMS: And good morning,
25 Mr. Palmer and Ms. McLaren. And Mr. Johnston's in the

1 front row as well. So good morning to you.

2 MR. DONALD PALMER: Good morning.

3 MR. BYRON WILLIAMS: Again, just by way
4 of preamble, Madam Chair, my preambles are sometimes
5 longer than my questions, but my -- My Learned Friend Ms.
6 Grammond had an extensive discussion on actuarial issues
7 on Tuesday, we -- on behalf of our clients we will be
8 going back to some of the similar areas. We are anxious
9 certainly to minimize duplication but we're going over
10 the same material but with a slightly different tact.

11 And our experience with this material,
12 because it is fairly complicated, is that there's some
13 value in going over it a couple of times to assist. So
14 that's -- that's our purpose.

15 Mr. -- Mr. Palmer, you talked about this
16 in your discussion with Ms. Grammond on -- My Learned
17 Friend Ms. Grammond on -- on Tuesday, but in terms of the
18 reports of the appointed actuary of Manitoba Public
19 Insurance filed in their totality on -- on this record,
20 in the AI-13 section there would be two (2) I will
21 suggest to you. First of all the appointed actuary's
22 report as at 31 October, 2010, and secondly, the report
23 as at February 28, 2010.

24 Would that be fair?

25 MR. DONALD PALMER: Yes, that's correct

1 and the reason for two (2), and I think we discussed it,
2 is somewhat is there -- is a full analysis of all the
3 factors. Aft -- as you've alluded to these are very
4 thick documents, there's a lot of numbers, there's a lot
5 of analysis especially...

6 MR. BYRON WILLIAMS: I may have
7 misspoken. I may have said 28th of 2010 when I meant to
8 say 28th of 2011, so I'll interrupt you just to correct
9 my statement, sir.

10 MR. DONALD PALMER: Yes. And -- and the
11 analysis that is done and -- and especially this year
12 with some of the changes that we were observing in the
13 underlying data and the releases that were indicated
14 certainly there is -- have to ta -- be very careful, not
15 that we're not careful every year, but -- but certainly
16 with that amount of -- of release it took a little extra
17 time. And then we simply don't have the time to do that
18 same extensive analysis at the end of February. So the
19 February report essentially is an update from the October
20 just filling in with the rest of the year data.

21 MR. BYRON WILLIAMS: And -- and I
22 certainly didn't mean to invite a -- a lengthy
23 explanation but I appreciate it, Mr. Palmer.

24 And the point that we can agree on is that
25 this report as of October 31st, 2010, the appointed

1 actuary's report, while it only relates to eight (8)
2 months of information is the report in which a lot of the
3 heavy analytical lifting is done for the purposes of the
4 estimates of ultimate incurred, would that be fa -- or
5 ulti -- ultimate claims, sir.

6 Would that be fair?

7 MR. DONALD PALMER: Yes, that's correct.

8 MR. BYRON WILLIAMS: And generally the
9 assumptions that we find there find their way into the
10 appor -- appointed actuary's report as of February 28th,
11 2011 as well.

12 Would that be accurate, sir?

13 MR. DONALD PALMER: With the update to
14 the year-end data. But, yes, that would be correct.

15 MR. BYRON WILLIAMS: Mr. Palmer, I'm
16 going to ask you to turn to CAC/Manitoba exhibit number
17 6, and in particular to the lengthy sheet, the long
18 sheet, which is the second page of that exhibit. And
19 first of all, Mr. Palmer, you'll agree with me that this
20 -- this appears to be a page simply drawn from Appendix E
21 to the report of the appointed actuary, pages 4 and 5?

22 You'll agree with me, sir?

23 MR. DONALD PALMER: Yes, that's correct.

24 MR. BYRON WILLIAMS: And what this --
25 we'll get into the details of the table so I'm not

1 looking for a lengthy explanation now. But what this
2 deals with at a very high level is -- is the -- it deals
3 with accident benefits, weekly indemnity, incurred losses
4 and -- and this is an im -- an important page in the
5 ultimate development of the IBNR calculation with regard
6 to in -- weekly indemnity using the incurred methodology.
7 Would that be fair, sir?

8 MR. DONALD PALMER: It's one (1) of the
9 important pages, yes, I will -- or two (2) of the
10 important pages, yes.

11 MR. BYRON WILLIAMS: And we're going to
12 go into this -- this table -- or the -- these two (2)
13 pages in -- in detail in a second, but I -- I just want
14 to make sure, Mr. Palmer, that we're agreed on a couple
15 of definitions. And, first of all, in terms of paid
16 claims, Mr. Palmer.

17 I -- I would suggest to you that paid
18 claims are the amount of -- just as a working definition,
19 are the amount of claims that have been paid out for each
20 insurance year at points in time since the beginning of
21 each insurance year, taking into account any recoveries.
22 Would that be fair, sir?

23 MR. DONALD PALMER: And just expanding on
24 that, when you say, "insurance year," that would be the
25 period of time from March 1 to February 1 of -- or

1 February 28th of each year. And in this particular
2 triangulation, as you have described, it would be
3 accidents that occurred in that twelve (12) month period.

4 MR. BYRON WILLIAMS: And I thank you for
5 that, Mr. Palmer. And I just do want to, with that
6 amendment or clarification, you're confirming that the
7 definition I presented to you was a fair definition?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: One we can work
10 with?

11 MR. DONALD PALMER: Yes.

12 MR. BYRON WILLIAMS: And in terms of a
13 working definition of incurred claims, I would suggest to
14 you that incurred claims are the amount of claims that
15 have been paid out plus the amount of case reserves that
16 have been set for each insurance year at points in time
17 since the beginning of each insurance year, taking into
18 account any changes in reserves as well as recoveries.
19 Would that be fair, sir?

20 MR. DONALD PALMER: Yes, that would be
21 fair.

22 MR. BYRON WILLIAMS: Now turning you to
23 pages 4 and 5, Mr. Palmer, there's a lot of numbers,
24 there's a lot of information on this -- this page. So
25 what I'm going to suggest to you, Mr. Palmer, and -- and

1 you for that. So we'll label that "observed development
2 factors." And for under those observed development
3 factors I'm going to suggest, Mr. Palmer, that last bit
4 of the page starting with, "La -- Latest nine (9) volume
5 weighted," we label as "average and selected development
6 factors." Does work for you, sir?

7 MR. DONALD PALMER: That's fine, yes.

8 MR. BYRON WILLIAMS: And just for those
9 following along, we're calling that "average and selected
10 development factors." Just taking you back to the top of
11 page 4 and 5, Mr. Palmer, to those famous loss triangles
12 of which we've heard so much, on the extreme left of page
13 4, simply what we've got there is the -- the insurance
14 year that is set out there. Is -- is that correct, sir?

15 MR. DONALD PALMER: Yes, that's correct.

16 MR. BYRON WILLIAMS: And running along
17 the top we see a heading, "Evaluation in Months." And I
18 would suggest to you that what is set out in -- along the
19 top are columns showing the development period, for
20 example, development at eight (8) months, twelve (12)
21 months, out to two hundred and twenty-four (224) months.

22 Would that be fair, sir?

23 MR. DONALD PALMER: Yes, that's correct.

24 MR. BYRON WILLIAMS: And I want to focus
25 you, sir, on the '94/'95 insurance year. And I want to

1 take you way across that to the page 5 under one hundred
2 and forty (140). Do you see that, sir, the -- the figure
3 sixty-seven one seven two (67,172) on the -- towards the
4 right-hand side of page 5 at the top?

5 MR. DONALD PALMER: Yes, I have it.

6 MR. BYRON WILLIAMS: And would I be
7 correct in suggesting to you, sir, that the number sixty-
8 seven one seven two (67,172) is a representation of the
9 amount of incurred claims for ni -- the '94/'95 insurance
10 year after one hundred and forty (140) months have passed
11 since the beginning of '94/'95.

12 Would that be correct, sir?

13 MR. DONALD PALMER: Yes, that would be
14 correct.

15 MR. BYRON WILLIAMS: So I want to go one
16 (1) column to the right, Mr. Palmer. And do you see the
17 number five nine nine three six (59,936)? Sorry, does --
18 does Mr. Johnston want to talk? Just teasing.

19 MR. DONALD PALMER: Fifty-nine nine three
20 six (59,936) would be the correct number.

21 MR. BYRON WILLIAMS: And I'm sorry, I
22 wasn't suggesting Mr. Johnston wanted to talk, I -- I
23 didn't want to interrupt his conversation with you, Mr.
24 Palmer, so I apologize.

25 And that number, that fifty-nine nine

1 three six (59,936) I'll suggest to you is the --
2 represents the amount of incurred claims for 1994/'95
3 after a hundred and fifty-two (152) months have passed
4 since the beginning of the '94/'95 insurance year, fair
5 enough?

6 MR. DONALD PALMER: That's correct, yes.

7 MR. BYRON WILLIAMS: And one (1) thing
8 we'll note when we compare that sixty-seven thousand
9 (67,000), excuse me, that sixty-seven one seven two
10 (67,172) to the fifty-nine nine three six (59,936) is
11 that the fifty-nine nine three six (59,936) is less. Do
12 you see that, Mr. Palmer?

13 MR. DONALD PALMER: Yes, fifty (50) --
14 and these -- it's probably in the ori -- original -- one
15 (1) of the earlier pages, but these are all depicted in
16 thousands of dollars, so we're talking \$67.2 million
17 going down to \$59.9 million.

18 MR. BYRON WILLIAMS: That's why I
19 corrected myself, Mr. Palmer. We're -- we're talking
20 pretty big numbers here, correct, sir?

21 MR. DONALD PALMER: Yes, these are big
22 numbers.

23 MR. BYRON WILLIAMS: The point I wanted
24 to make to you and I'll ask you to confirm is that at one
25 hundred and fifty-two (152) months of development the

1 figure is less than at one hundred and forty (140).

2 Is that correct, sir?

3

4 (BRIEF PAUSE)

5

6 MR. DONALD PALMER: Yes, that is a
7 decrease. And we have talked in some length over the
8 past five (5) or six (6) years about the implementation
9 of a reserving calculator, which from a case reserve
10 perspective basically took two (2) years of im --
11 implementation.

12 So you had talked about the decrease from
13 sixty-seven (67) to fifty-nine (59), there had also been
14 an increase -- or decrease the year before from seventy-
15 seven (77) to sixty-seven (67). So that whole period of
16 time would be the implementation of the reserving
17 calculator.

18 MR. BYRON WILLIAMS: And, Mr. Palmer, I
19 don't want to be critical about you, I just -- we're
20 agreeing that there's a negative development portrayed
21 there, sir?

22 MR. DONALD PALMER: Yes, that's correct.

23 MR. BYRON WILLIAMS: And I just want to
24 talk for a moment about what the concept of negative
25 development is, Mr. Palmer. Would I be correct in

1 suggesting to you that negative development occurs where
2 a development period shows, whether it's paid or
3 incurred, an amount for a particular accident year and
4 development period that is less than the paid or incurred
5 am -- amount for the same accident year at the prior
6 development period? Would that be correct, sir?

7 MR. DONALD PALMER: That would be
8 correct. I think another way on an incurred development
9 triangle that would occur if you had a decrease in the
10 total case reserves, or in the case of a paid triangle
11 that you had a recovery amount -- an -- an amount that
12 would be recovered either through subrogation from a
13 third party, or from a claimant, yes.

14 MR. BYRON WILLIAMS: And I thank you for
15 that. And I -- I just want to follow up on that point
16 just so that we can understand. And let's focus -- first
17 of all, this is not a paid page, but let's focus on page
18 -- on paid claims.

19 And what you're telling me, or what you're
20 telling the Board -- you don't have to tell me anything -
21 - what you're telling the Board is that for paid claims
22 there could be a negative development when there, for
23 example, have been a salvage recovery.

24 Would that be fair, sir?

25 MR. DONALD PALMER: That is one (1) case.

1 I -- I think salvage recovery would be very difficult in
2 an injury claim as we're talking about. We claim
3 indemnity but in physical damage claims that would
4 certainly be true.

5 MR. BYRON WILLIAMS: And in -- and the
6 example was poorly chosen, Mr. -- Mr. Palmer. In terms
7 of paid and -- and a negative development on a -- on a
8 physical dam -- weekly indemnity type, what -- what might
9 result in a negative development in that area?

10 MR. DONALD PALMER: Two (2) that come to
11 mind. If there was some sort of overpayment to a
12 claimant and that was recovered, or if there was a
13 subrogation amount by a third party responsible that paid
14 back some of the claim.

15 MR. BYRON WILLIAMS: Okay, and I thank
16 you for that.

17 MR. DONALD PALMER: That would be
18 specifically from an out of province insured.

19 MR. BYRON WILLIAMS: And I thank you for
20 that, and I apologize for interrupting you. In terms of
21 incurred develop -- in -- incurred and -- and negative
22 developments, I think you've indicated already one (1)
23 example might be when case reserves were perhaps higher
24 than considered necessary later on, and were -- were
25 taken down.

1 That might be one (1) example where there
2 might be...

3 MR. DONALD PALMER: I just want to
4 clarify what you mean by, "greater than necessary."

5 When new information comes about then new
6 case reserves will be set, which could be decreased. The
7 -- the case reserves at each point of time would be set
8 using all the data and information at that point in time.
9 So to say that "if necessary," I -- I just wanted to make
10 sure that that's not a correction of a mistake, it's new
11 information coming to -- to bear.

12 MR. BYRON WILLIAMS: My words lack
13 precision, Mr. Palmer. I apologize for that.

14 What you're telling us is that one (1)
15 factor that might drive a negative development on the
16 incurred side would be based upon new information, the
17 case reserves were lowered, correct?

18 MR. DONALD PALMER: Yes, that's accurate.

19 MR. BYRON WILLIAMS: And because
20 incurred, the calculation also takes into account paid,
21 the same factors that might drive -- on the incurred
22 side, if paid were lower for -- for whatever reason,
23 perhaps subrogation, again that might drive a negative
24 development on the incurred side, correct?

25 MR. DONALD PALMER: Yes, that's correct.

1 MR. BYRON WILLIAMS: So on the incurred
2 side, Mr. Palmer, if either the paid or the case reserves
3 go down this could result in a negative development,
4 correct?

5 MR. DONALD PALMER: It could, yes.

6
7 (BRIEF PAUSE)

8
9 MR. BYRON WILLIAMS: No one's falling
10 asleep yet, Mr. Palmer, so we're -- we're making -- we're
11 making good progress.

12 I want to move from the top of the page
13 being loss triangles to the middle of the page, "Observed
14 development factor." And development factors, as we've
15 agreed we're going to call that -- that particular
16 section.

17 And I do want to stay, Mr. Palmer, with
18 that -- that '94/'95 year, and that one hundred and forty
19 (140) to a hundred and fifty-two (152) period at -- in
20 terms of development.

21 So, Mr. Palmer, do you see the figure on
22 the right-hand side of page 5 in -- under one-forty (140)
23 backslash -- or hyphen one fifty-two (152) being zero
24 point eight nine two three (0.8923).

25 Do you see that, Mr. Palmer?

1 MR. DONALD PALMER: Yes, I have it.

2 MR. BYRON WILLIAMS: And I'm just hoping
3 the Board sees it -- has it as -- as well. I'm -- I'm
4 seeing heads nodding.

5 And, Mr. Palmer, I'm going to suggest to
6 you that that factor is calculated by -- if -- if we go
7 up to the loss triangle for a second, by dividing the
8 figure fifty-nine nine three six (59,936) at one (1) --
9 one hundred and fifty-two (152) weeks -- one hundred and
10 fifty-two (152) months of development, by the figure of
11 si -- sixty-seven one seven two (67,172) at one hundred
12 and forty (140) months of development.

13 Would that be fair, sir?

14 MR. DONALD PALMER: That would be fair
15 and correct.

16 MR. BYRON WILLIAMS: That is so rare for
17 me, I appreciate that -- that concession Mr. -- Mr.
18 Palmer. Just teasing you.

19 So -- and -- and just to -- to reinforce
20 what -- what is going on here. If we go down one (1)
21 line under the "Observed development factor," still in
22 that one forty (140) to one fifty-two (152) period, we
23 see the figure, I'll suggest to you, of zero period nine
24 nine eight two (0.9982).

25 Do you see that, Mr. Palmer?

1 MR. DONALD PALMER: Yes, I do.

2 MR. BYRON WILLIAMS: And if I were trying
3 to figure out how that was calculated -- if I was trying
4 to figure out how that was calculated I'd go back up to
5 the loss triangle for the '95/'96 year and I would take
6 the one hundred and fifty-two (152) months of
7 development, sixty-eight comma eight-o-one (68,801), and
8 divide that by the one hundred and forty (140) months of
9 development, sixty-eight comma nine-two-five (68,925),
10 and that would yield that result, correct, sir?

11 MR. DONALD PALMER: Yes, that's correct.

12 MR. BYRON WILLIAMS: We're going to --
13 just very quickly and then we'll come back to it, but
14 move down to the third part of the page which we've label
15 -- labelled -- which we've labelled "averages and
16 selections." And again, Mr. Palmer, without going in to
17 any details at this point in time, on the left-hand side
18 of this part of the table we'll see rows such as "Latest
19 nine (9) volume weighted," "Simple average of middle four
20 (4) of last six -- six (6)," and "Selected factors."
21 These are some of the -- the labels that appear on the
22 rows on the left-hand side, sir, correct?

23 MR. DONALD PALMER: Yes, that's correct.

24 MR. BYRON WILLIAMS: And the theory --
25 Mr. Palmer, I'm going to suggest to you that the theory

1 behind the calculation of certain development factors
2 using averages and -- let me back up, I'm gonna try this
3 again.

4 The theory behind the calculations of --
5 of development factors, whether they're averages or
6 observed, is that they show us how losses for a
7 particular coverage have historically developed over
8 time.

9 Would that be fair, sir?

10 MR. DONALD PALMER: That would be fair in
11 terms of a specific year and a specific development
12 period. That would be the observation, yes.

13 MR. BYRON WILLIAMS: And making sure I
14 make the caveat that if nothing significant has changed
15 with the coverage, the historical development can be used
16 to -- to a certain degree to predict what the development
17 pattern of claims will be in the future, correct?

18 MR. DONALD PALMER: Given that there have
19 been no other significant changes in case management
20 protocols, reserving protocols, then that -- that's true.
21 It's not only dependent on no change in coverage, it
22 would be dependent on no change in underlying processes.

23 MR. BYRON WILLIAMS: Fair enough. And
24 again, when we go down to the bottom third of the page
25 and look at certain averages, whether latest nine (9)

1 volume weighted or latest three (3) volume weighted, it
2 would be accurate to say, sir, that generally for each
3 development period several types of averages are
4 calculated using the observed historic loss development
5 factors.

6 Would that be fair, sir?

7 MR. DONALD PALMER: That's fair, again,
8 when that in fact is possible. So for this particular
9 development period, this one-forty (140) to one fifty-two
10 (152), when you look at the latest nine (9) volume
11 weighted or the latest six (6) volume weighted. In fact,
12 it's not possible to calculate the latest nine (9)
13 because we simply don't have nine (9) years of data.

14 So when we have limited data those labels
15 would only be correct to the extent that we have that
16 much data. So you'll notice that the latest six (6) and
17 the latest nine (9) are in fact the same, and the reason
18 for that is -- is that's probably in fact the latest five
19 (5) for -- for both of those because that's all of the
20 data that we have.

21 MR. BYRON WILLIAMS: And that's helpful,
22 Mr. Palmer. For -- for example though, for that
23 particular time period the latest three (3) volume
24 weighted, the complete data would be available for that,
25 correct, sir?

1 MR. DONALD PALMER: Sorry, could you
2 repeat that.

3 MR. BYRON WILLIAMS: Yes. And I
4 certainly didn't want to interrupt any of your
5 conversations. For the -- you see the -- the row,
6 "Latest three (3) volume weighted," and all that data
7 would be available for that in the one-forty (140) to one
8 fifty-two (152) period, correct?

9 MR. DONALD PALMER: Yes, that's correct.

10 MR. BYRON WILLIAMS: And if we go down a
11 couple more to the simple -- simple average of middle
12 three (3) of last five (5), again the information needed
13 for that calculation is there in its totality, correct?

14 MR. DONALD PALMER: Yes, that's correct.

15 MR. BYRON WILLIAMS: And what you're
16 telling me in terms of latest nine (9) volume weighted
17 and la -- latest six (6) volume weighted is because
18 there's not that number of observations. The number that
19 is produced is most likely the average of the latest five
20 (5).

21 Would that be fair, sir?

22 MR. DONALD PALMER: Yes, that's -- that's
23 fair.

24 MR. BYRON WILLIAMS: I do appreciate that
25 clarification. When -- we're going to get to ultimates

1 in a moment, but I'm going to ask you to agree that these
2 averages, along with a review of all of the observed
3 historical development factors and actuarial judgment,
4 allow the actuary to select a loss development factor for
5 each development period which is used in the calculation
6 of projected ultimate losses for each accident year.

7 MR. DONALD PALMER: To a point I will
8 agree with that, Mr. Williams. The difficulty in terms
9 of going to those observed averages is simply the volume
10 of data that we're -- we're looking at.

11 These injury claims going out that are
12 still open after ten (10), twelve (12), fifteen (15)
13 years is a very small number. So it's not just the
14 observed development-to-development that we look at.
15 It's looking at the whole payment stream, not each
16 factor, but -- but how that fits in together.

17 We do have an expectation that over many -
18 - many, many observations of injury claims data, and this
19 would be not just Manitoba Public Insurance data, but
20 would -- would be injury claims overall, that generally
21 case reserves are flat or go up.

22 There are changing things over -- over
23 time that new information comes. We have cases not so
24 much in -- in weekly indemnity, but in personal care
25 instances, where we have children who are getting

1 personal care that the parents are looking after
2 children, and then after maybe a fifteen (15) or twenty
3 (20) period are no longer able and -- and personal care
4 costs will go up, so there will be an escalation in the
5 amount that's paid to -- and the amount that would be
6 reserved to there.

7 So you've -- you've picked a column that
8 all of the observed numbers are less than one (1). And I
9 think the way that that integrates with the other columns
10 over a period of time certainly affects the selection of
11 a given factor, knowing that all of the data can't
12 necessarily be looked at development period by
13 development period in isolation, but has to be looked as
14 a -- as an entire continuum.

15 MR. BYRON WILLIAMS: Thank you, Mr. Pal -
16 - Palmer.

17

18 (BRIEF PAUSE)

19

20 MR. DONALD PALMER: And I guess just to -
21 - to emphasize the point that I was just making, in terms
22 of the -- the no-fault accident scheme is still young in
23 terms of development. I mentioned before that we're
24 talking about having a -- a forecast of sixty (60) years
25 of development using sixteen (16) years of data.

1 And certainly over the first ten (10)
2 years of that time we were very much learning about the
3 new program. We had -- I -- I've been at these
4 proceedings long enough to remember back in the
5 proceedings in '94/'95 when the Board was asking, you
6 know, You've got a new program, when will you fully
7 understand how -- or -- or the behaviour of -- of the
8 claimants and -- and the claims and under -- fully
9 understand the data.

10 We at that time said without hesitation,
11 It'll take us at least ten (10) years as we learned about
12 reserving protocols, as we learned about individual
13 mortality and more -- morbidity, specifically for the
14 Manitoba experience.

15 We instituted a new reserving protocol
16 five (5) years ago now. We're still learning about that
17 protocol going forward. We have a new wealth of
18 information that will be available to us in FINEOS BI3
19 over the next little while. The fact that we have seen
20 some minimal negative development over the last number of
21 years, that's unique in -- in terms of any other injury
22 claims that we've -- we've seen.

23 One (1) of the reasons why we retain an
24 external actuary is -- is experience with other -- other
25 similar programs. That negative development or -- or

1 development with factors under one (1) really is -- is
2 very unusual. And -- and we wouldn't expect that to
3 continue out in the tail of the distribution.

4 MR. BYRON WILLIAMS: Mr. Palmer, it was -
5 - and I certainly understand how you're trying to be
6 helpful to the Board. So it -- it was a lengthy answer
7 to -- to -- to my question, but I think at the start of
8 that -- that response, you indicated that you agreed to a
9 degree that these averages, along with a review of the
10 observed historical development factors and actual -- act
11 -- actuarial judgment allow -- are some of the inputs
12 that allow an actuary to select a loss development factor
13 for each development period which can be used in the
14 calculation of the projected ultimate, correct?

15 MR. DONALD PALMER: The observe -- the
16 observations in -- in the observed loss -- loss
17 development track are one (1) of the inputs. And the
18 other inputs that I've mentioned are as important or more
19 important in some cases, the actuarial judgment. And --
20 and that encompasses the knowledge of the industry, the
21 knowledge of the claims protocols.

22 So, they're all pieces of information that
23 really have to be amalgamated into the final judgment of
24 the appointed actuary.

25 MR. BYRON WILLIAMS: Mr. Palmer, let's

1 get down to brass tacks. In now way or form are you
2 suggesting that the calculation of the averages is an
3 academic exercise.

4 It is an important input into the
5 development and judgment in terms of the selected
6 factors, and the selected ultimate, correct?

7 MR. DONALD PALMER: It is an input into
8 the -- into the -- yes. I -- as you get further out in
9 the tail with less and less data, it probably becomes
10 less an important input.

11 MR. BYRON WILLIAMS: Mr. Palmer, I'm
12 going to press you a little bit on this. You will not
13 deny that these averages are an important input in an --
14 in actuarial judgment.

15 MR. DONALD PALMER: In the earlier
16 development, absolutely. From when we have the nine (9)
17 or even six (6) years of -- of data, absolutely an
18 important factor into the calculation. Later on into the
19 tail, when you have one (1) or two (2) observed
20 observations with a limited number of -- of claimants,
21 they become less important.

22 So -- so in terms of -- and we use the
23 terms credibility of -- of the data. As you have less
24 and less data points, that would become less an important
25 consideration.

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: Mr. Palmer, I'm
4 going to just move on from this point in one (1) second,
5 but I'm going to suggest to you that a professional
6 actuary with -- with the information provided from five
7 (5) observations, would place a significant weight on
8 averages flowing from those observations.

9 MR. DONALD PALMER: Dep -- depending on
10 the volume of -- of data that they're looking at,
11 depending on the length of time if there's other
12 underlying factors. The data tells a story, and you have
13 to understand the particular differences and nuances
14 underlying those numbers before you can have any
15 significant importance to those numbers.

16 So -- so to say that you have five (5)
17 observations that they're very important, important, a
18 little bit important, or not important at all, really
19 depends on the context that you're looking at the data,
20 and the underlying story of that data.

21 So -- so, to say that there's a rule of
22 thumb that five (5) data points is an important input, I
23 can't make that comment.

24 MR. BYRON WILLIAMS: I'll reflect upon
25 that, Mr. Palmer. I want to -- staying with the bottom

1 third of the table, and I want to on page 5 direct your
2 attention to, "Selected factors."

3 And on the -- pretty close to the extreme
4 right-hand side there, Mr. Fal -- Mr. Palmer, under two
5 twelve (212) you'll see a figure, one point zero five
6 four seven (1.0547).

7 Do you see that, sir?

8 MR. DONALD PALMER: Yes, I see it.

9 MR. BYRON WILLIAMS: And just for the
10 Board, there are a lot of one point zero five four seven
11 (1.0547), so I'm -- Mr. Palmer, I just want you to -- to
12 reiterate, we're looking at -- at, "Selected factors,"
13 the second -- so that's the second line from the bottom.
14 And the second last number under two twelve (212) is one
15 point zero five four seven (1.0547).

16 That's -- you have that, sir?

17 MR. DONALD PALMER: Yes. And -- and that
18 -- although it's in the lay -- column of two hundred and
19 twelve (212) to two twenty-four (224), that would be in
20 fact a two (2) -- two twelve (212) to ultimate
21 development factor. So again, two hundred and twelve
22 (212) quickly is about seventeen (17) years. So that
23 would be the entire development that we would expect from
24 the 17th year to the 60th year.

25 MR. BYRON WILLIAMS: And I thank you for

1 that, Mr. Palmer.

2 And we're not going to get into the
3 formula by which it is calculated just yet, but just I'll
4 ask you to confirm at the very bottom of this page, the
5 formula by which that -- that factor is calculated is --
6 is set out there. Just on the left-hand side.

7 Is that correct, Mr. Palmer?

8 MR. DONALD PALMER: Yes, that's correct.

9 MR. BYRON WILLIAMS: And for those
10 following along, if you want to circle that we will come
11 back to it in a few moments.

12 Now, Mr. -- Mr. Palmer, I -- I know your
13 profession is a -- an art, and one (1) of the terms that
14 I often hear associated with -- with that art is the word
15 "tail factor."

16 Are you familiar with that term?

17 MR. DONALD PALMER: Yes, I am.

18 MR. BYRON WILLIAMS: I thought you might
19 be. That one point zero five four seven (1.0547) of which
20 we spoke, can we call that the tail factor?

21 MR. DONALD PALMER: We can call that the
22 tail factor, yes.

23 MR. BYRON WILLIAMS: And I'm going to
24 suggest an answer to you, Mr. Palmer, feel free to
25 translate this into English to the extent you can. I'll

1 suggest to you that the tail factor is the expected
2 development of claims that is expected after actual
3 experiences available to determine loss development
4 factors. If you can do better I -- I'll accept that, Mr.
5 Palmer.

6 MR. DONALD PALMER: I would -- pretty
7 close. I think a tail factor can -- can be any factor
8 from a period usually well beyond the -- the time of the
9 accident. Even if you have some observed data it's not
10 necessarily that there's no data, there could be some
11 data. There could be data external to the Corporation
12 that would be used for the -- the calculation. So we
13 could talk about the tail factor from a hundred and forty
14 (140) months to ultimate. It's not necessarily that's
15 the end of the observed data but for these purposes
16 that's -- that's the way it's been pro -- portrayed and I
17 would accept that.

18 MR. BYRON WILLIAMS: Thank you for that.
19 And just a couple of definitions or terms of art while
20 we're -- while we're on this -- the discussion. I wonder
21 if you can help my clients and perhaps the Board
22 understand the distinction between long tail claims and
23 short tail claims, and feel free to use weekly indemnity
24 and collision if that -- if that assists you, Mr. Palmer.

25 MR. DONALD PALMER: In general a long

1 collision claim or a comprehensive claim, a hail claim,
2 phone the adjuster, come in in a period of probably
3 within a week to have that -- your claim estimated, take
4 it to a body shop. It gets fixed in a period of,
5 depending on available -- availability of parts, but
6 usually within a couple of weeks. And at the end of three
7 (3) months that claim is done, finished, settled. It's
8 not going to ha -- there's not going to be any recurring
9 payments on it. That would be what I would category --
10 categorize as a very short tail claim.

11 So there's any number of -- of categories
12 of claims in-between those into medium tail claims and --
13 and the like. A claim that -- or a claim coverage that -
14 -

15 MR. BYRON WILLIAMS: Mr. Palmer, I'm
16 going to interrupt you there unless the Board would like
17 to go on on medium tails because I just want to -- to
18 assist them a little. And certainly I don't want to
19 interrupt your -- your train of thought, but I -- I'm
20 mindful of -- of the time. So I'll -- again, if you feel
21 that -- that I've interrupted an important thought,
22 continue, but otherwise I'm going to interrupt you.

23 MR. DONALD PALMER: I guess the -- the
24 point that I'd just like to make is -- is that it's not a
25 definitive definition of long tail or -- or short tail.

1 There -- there is a long continuum in -- in-between.

2 MR. BYRON WILLIAMS: And I -- I certainly
3 apologize for the -- the interruption. I want to stay on
4 -- on the page that is before you, but if you want to
5 pull out your cheat sheet and go to the -- the second --
6 second page as -- as well.

7 And, Madam Chair, if the Board is looking
8 for a break.

9 THE CHAIRPERSON: This might be a good
10 time to take a break, if we're moving to something
11 different. Are we going onto --

12 MR. BYRON WILLIAMS: We're -- we're going
13 to be in this general area, Madam Chair, for another
14 forty-five (45) minutes --

15 THE CHAIRPERSON: Well.

16 MR. BYRON WILLIAMS: -- still. But I
17 think --

18 THE CHAIRPERSON: I think we should take
19 a break, yeah. And thank you very much. So we'll be
20 back around 11:00.

21

22 --- Upon recessing at 10:43 a.m.

23 --- Upon resuming at 10:59 a.m.

24

25 THE CHAIRPERSON: I think we're all back

1 now, so proceed, Mr. Williams.

2

3 CONTINUED BY MR. BYRON WILLIAMS:

4 MR. BYRON WILLIAMS: Yes. And -- and,
5 Madam Chair, when we left off, and, Mr. Palmer, we were
6 at the extreme right-hand side of this page, up one (1)
7 line, the one point zero five (1.05) se -- one point zero
8 five four seven (1.0547), which is the -- the tail
9 factor.

10 And, Mr. Palmer, I'm going to pose some
11 questions to you, but just to let you know where I'm
12 going, I want to explore how that tail factor feeds into
13 the selected ultimates for various periods of
14 development.

15 And so, Mr. Palmer, under the two hundred
16 (200) months of development at the very bottom line, so
17 this is -- I'm still looking at the broad -- the bi --
18 the big sheet, but the cheat sheet will come in useful in
19 just a second.

20 Mr. Palmer, without elaborating, I'll ask
21 you to confirm that the selected ultimate at two hundred
22 (200) months of development is one point zero five four
23 seven (1.0547). Do you agree, sir?

24 MR. DONALD PALMER: That's the selected
25 two hundred (200) to ultimate, not -- not the period-to-

1 period, but to ultimate.

2 MR. BYRON WILLIAMS: Yes, the --

3 MR. DONALD PALMER: And I would agree.

4 MR. BYRON WILLIAMS: The selected two
5 hundred (200) to ultimate is -- is that figure. And, Mr.
6 Palmer, I'm going to suggest to you that that figure is
7 calculated by moving -- first of all, moving up one (1)
8 line and choosing se -- the selected factor of one point
9 zero (1.0) and -- and then multiplying that by the tail
10 factor, correct?

11 MR. DONALD PALMER: Yes, that's correct.

12 MR. REGIS GOSSELIN: Could you repeat
13 that, please?

14

15 CONTINUED BY MR. BYRON WILLIAMS:

16 MR. BYRON WILLIAMS: I'll do my best,
17 Board member Gosselin. I'm going to suggest to you, Mr.
18 Palmer, that the calculation of the one point zero five
19 four seven (1.0547) two hundred (200) to ultimate
20 selected figure is a product of -- by going up one (1)
21 line to the selected factor of one point zero (1.0) and
22 then multiplying it by the tail factor of one point zero
23 five four seven (1.0547), correct?

24 MR. DONALD PALMER: Yes, that's correct.

25 MR. BYRON WILLIAMS: And, Mr. Palmer,

1 without -- without much elaboration, if we move along the
2 -- the left of the selected ultimate line you'll see that
3 from thirty-six (36) to ultimate and then all the way out
4 to two hundred (200) -- two twelve (212) to ultimate, we
5 see the -- the same figure of selected ultimate of one
6 point zero five four seven (1.0547), correct?

7 MR. DONALD PALMER: Yes, and -- and the
8 reason for that is the period to period factors are all
9 one (1) for that period of time. And -- and again, this
10 -- this relates back to that -- sort of the observations
11 in the -- the continuum that I -- that I talked about
12 previously, that after about five (5) years or so these
13 weekly income claims are all lifetime.

14 If we have a weekly income claimant for
15 five (5) years, really, we're going to have them for --
16 for life, generally. And as we -- and I had talked about
17 looking at the factors in isolation and saying that
18 that's probably not the correct way to do it, because if
19 you look at the last two (2) observed period -- period
20 factors beyond sixty-eight (68) months, so there's
21 twenty-one (21) of them, there -- there's eleven (11)
22 that are below one (1) and there's ten (10) that are
23 above one (1).

24 So for all intents and purposes when you
25 look at that continuum, they're one (1). And -- and

1 that's really why the selection of one (1) going back
2 from the sixty-eight (68) months into the -- the two
3 hundred (200) months essentially is all the same.

4 MR. BYRON WILLIAMS: Mr. Palmer, you --
5 you misunderstood the intent of my question. I just want
6 to assist the Board in understanding the methodology by
7 which the selected ultimate is calculated. And I want to
8 direct your attention to -- under the evaluation of
9 months, of thirty-two (32) months. You'll see at the
10 selected ultimate the figure of one point one two eight
11 five (1.1285). Do you see that, sir?

12 MR. DONALD PALMER: Yes, I see it.

13 MR. BYRON WILLIAMS: And if I was trying
14 to back out the calculation for that, Mr. Palmer, just to
15 reenforce this point, how I would achieve that is -- is
16 taking the selected factor up on line for thirty-two (32)
17 months of one point zero seven (1.07) and multiplying
18 that by the tail factor of one point zero five four seven
19 (1.0547). Would that be correct, sir?

20

21 (BRIEF PAUSE)

22

23 MR. DONALD PALMER: Yes, that's correct.

24 MR. BYRON WILLIAMS: Mr. Palmer, I -- I --
25 - hopefully you just have the cheat sheet at hand. The

1 second page in, there's a -- a title -- so there's the
2 cover page and then the second page in there's a -- a
3 really lovely title, "Selected factor to ultimate and
4 corresponding insurance year."

5 And, Mr. Palmer, just -- just for -- to
6 assist the Board, essentially I'll suggest to you that
7 what we've done is -- is replicate the results from
8 Appendix E, page 4 and 5, starting with the development
9 period on the left-hand side, the selected loss
10 development period corresponding to that development
11 period in the second column, and the selected factor to
12 ultimate in the third column.

13 Do you see that, sir?

14 MR. DONALD PALMER: Yes, and -- and I
15 would agree that it was -- this looks okay.

16 MR. BYRON WILLIAMS: And -- and again,
17 not that we're going to go through any calculations, but
18 if one wants to get from selected loss development
19 factors to -- to the selected factor to ultimate, one
20 would simply multiply the loss development factor by the
21 tail factors, correct?

22 MR. DONALD PALMER: Yes, that's correct.

23 MR. BYRON WILLIAMS: Mr. Palm -- Mr.
24 Palmer, I -- I want to kind of tie this together in terms
25 of how these -- the selected ultimates turn into the

1 calculation of ultimate losses.

2 So I'm going to ask you and the Board to -
3 - to go to the -- stay on the same -- same page of the --
4 the long sheet, but up to the loss triangle at the top.
5 So, Mr. Palmer, I'd ask you to, on the same long sheet,
6 the loss triangle at the top, and take the '08/'09 year,
7 Mr. Palmer, and take it out to the thirty-two (32) month
8 period.

9 So what -- again just to repeat, Mr.
10 Palmer, we're taking the '08/'09 year, taking it out to
11 the thirty-two (32) -- two (2) month per -- column, and
12 you'll see the figure of thirty-eight comma nine six one
13 (38,961).

14 Do you see that, sir?

15 MR. DONALD PALMER: Yes, I see that.

16 MR. BYRON WILLIAMS: And if I wanted to
17 get to the ultimate losses estimated by this methodology
18 for this particular year, Mr. Palmer, I would multiply
19 that thirty-eight nine six one (38,961) by the
20 corresponding selected ultimate for the thirty-two (32)
21 month period being one point one two eight five (1.1285),
22 correct?

23 MR. DONALD PALMER: You've described the
24 correct methodology for the incurred loss development
25 method. So that's -- and to -- to say that that's how

1 you calculated the IBNR would be incorrect, because
2 there's a number of other methodologies that are -- are
3 looked at.

4 But for this particular incurred loss
5 development method, then I would agree with you. Yes,
6 that's how the methodology is -- is utilized.

7 MR. BYRON WILLIAMS: And -- and we're
8 going to go to the page that confirms the calculation,
9 Mr. Palmer, but you could accept subject to check that
10 that -- that that number would be forty-three nine six
11 nine (43,969), subject to check?

12 MR. DONALD PALMER: Yes, that's -- that's
13 correct.

14 MR. BYRON WILLIAMS: Okay.

15

16

17 (BRIEF PAUSE)

18

19 MR. DONALD PALMER: That -- that would be
20 the ultimate loss.

21 MR. BYRON WILLIAMS: And I'd ask you, Mr.
22 Palmer, as well as the Board, to turn to the -- the last
23 page of the exhibit with the long sheet. The last page
24 should in the top right-hand corner say, Appendix E, Page
25 8.

1 And if you want -- and if you -- the Board
2 wanted to also flip one (1) page over on your cheat sheet
3 -- or my cheat sheet, I wouldn't accuse the Board of
4 cheating, that -- that might -- might be of assistance,
5 as well.

6

7

(BRIEF PAUSE)

8

9 MR. BYRON WILLIAMS: And, Mr. Palmer, you
10 quite -- quite correctly cautioned me that this is just
11 one (1) particular methodology to achieve ultimate
12 losses, and -- and in -- incur.

13 But if we -- if we take Appendix E, page
14 8, and again go down to the '08/'09 year, in column 4
15 we'll see again that -- that figure of thirty-eight nine
16 six one (38,961), correct, sir?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: And the next column
19 over we will see the one point one two eight five
20 (1.1285), correct?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: And in the -- the
23 ultimate losses column number 6, we'll see the product of
24 multiplying column 4 by column 5, being forty-three nine
25 six nine (43,969), correct, sir?

1 MR. DONALD PALMER: Yes, that's correct.

2 MR. BYRON WILLIAMS: And just referring
3 you to the cheat sheet for future reference, Mr. Palmer.
4 Essentially, for this particular methodology looking at
5 accident benefits weekly and indemnity, what the -- the
6 page titled "Accident Benefits Weekly Indemnity Ultimate
7 Losses" does is sets out the insurance year, the -- the --
8 - the reported loss, the del -- development factor to
9 ultimate, and the product of that calculation being
10 ultimate losses for each insurance year.

11 Would that be a fair statement, sir?

12 MR. DONALD PALMER: Yes, that's what it
13 shows.

14 MR. BYRON WILLIAMS: Now, Mr. Palmer, in
15 terms of how the IBNR flows from the calculation of
16 ultimate losses -- and again on Appendix E, page 8, I'm
17 referring you to the '08/'09 year. And going down to
18 column 7 labelled "IBNR," you'll see an IBNR figure
19 estimate for that particular year under this methodology
20 of five comma zero zero eight (5,008), correct, sir?

21 MR. DONALD PALMER: Yes. And again,
22 using this methodology that IBNR, incurred but not
23 reported, is the difference between the ultimate value
24 and the restated report to date, which is column 4.

25 MR. BYRON WILLIAMS: So essentially, I'll

1 just ask you to confirm that we're -- for this -- for
2 this particular calculation, we're calculating the IBNR
3 by taking the ultimate losses in column 6 for that
4 particular insurance year and subtracting it from the
5 reported or in -- incurred loss, an ALE, in column 4,
6 correct?

7 MR. DONALD PALMER: Yes, that's correct.

8 MR. BYRON WILLIAMS: And there's a total
9 figure under IBNR and Mr. -- Mr. Palmer, you see that
10 total figure of seventy comma nine three eight (70,938),
11 correct, sir?

12 MR. DONALD PALMER: Yes.

13 MR. BYRON WILLIAMS: And that is the sum
14 of the IBNR estimated under this particular methodology
15 for the respective insurance years set out above,
16 correct?

17 MR. DONALD PALMER: And -- yes, and
18 specifically since PIPP started in 1994/'95, again, with
19 the same provisos that you had said this would be the
20 total IBNR under this method for weekly income since the
21 start of PIPP.

22 MR. BYRON WILLIAMS: Thank you for that.
23 And I -- I note in our cheat sheet, I think that the --
24 the -- the next page over. Mr. Palmer, I'll -- I'll ask
25 you to confirm, this essentially just sets out the IBNR

1 calculation for each -- each insurance year that -- that
2 appears on Appendix E, page 8, correct?

3 MR. DONALD PALMER: Yes.

4

5 (BRIEF PAUSE)

6

7 MR. BYRON WILLIAMS: Now, Mr. Palmer, in
8 terms of the -- the cheat sheet, if you can go to the
9 very last page you'll see a title "Excerpts: accident
10 benefits weekly indem -- demnity -- excerpt from -- from
11 the appointed actuary's report."

12 And I don't really think we need to go
13 back to Appendix E of page 5 -- maybe -- maybe we'd
14 better, just out of an abundance of caution. Perhaps
15 just return as well on the long sheet -- to that -- that
16 long sheet, Mr. Palmer, in Exhibit 6.

17 Do you have those, sir?

18 MR. DONALD PALMER: Yes, I do.

19 MR. BYRON WILLIAMS: And focussing not on
20 the long sheet but on the -- the cheat sheet, tha -- that
21 last page. Mr. Palmer, I'm suggesting to you that for
22 the -- the development period one forty (140) to one
23 fifty-two (152), what we -- we have repo -- produced here
24 are simply excerpts from Appendix E, page 5, for this
25 particular development period.

1 Do you see that, Mr. Palmer?

2 MR. DONALD PALMER: It is a straight
3 excerpt, yes. And -- and again, understanding the -- the
4 factors and the underlying data of those is very
5 important because you'll see '94/'95 being a factor that
6 is significant lower than the others because that was one
7 (1) of the years that the case reserving protocols and
8 methodologies and a new reserve calculator was -- was
9 introduced.

10 So from a overall future selection, that
11 one you can basically throw away because we know what --
12 what the underlying cause is of that and not in --
13 expected to -- to repeat in the future. So -- so again,
14 in -- in terms of -- of taking specific observations and
15 saying that's what that shows is somewhat dangerous
16 unless you know the entire context of that.

17 MR. BYRON WILLIAMS: And no doubt, Mr.
18 Palmer. And -- and I do want to do with this -- the
19 cheat sheet, just a bit of the re-labelling that we did
20 verbally before. So just in terms of under the averages,
21 which are -- you see a heading, "Latest nine (9) volume
22 weighted," what that properly should -- should say, Mr.
23 Palmer, you're -- you suggested to me previously is
24 "Latest five (5) volume weighted," correct, sir?

25 MR. DONALD PALMER: Yes.

1 MR. BYRON WILLIAMS: And under, "Latest
2 six (6) volume weighted," it -- we might put in "Latest
3 five (5) volume weighted as well, sir, correct?"

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: And if we went down
6 to the "Simple average of middle four (4) of last six
7 (6)," we should really say "Simple average of middle
8 three (3) of last five (5)." Would that be fair, sir?

9 MR. DONALD PALMER: Yes.

10 MR. BYRON WILLIAMS: And you mentioned --
11 you suggested certainly that '94/'95 you -- you'd like to
12 throw that out. Well, we may differ on that, but I --
13 just in terms of the latest three (3) volume weighted,
14 the zero point nine seven four seven (0.9747)
15 calculation, that would not include the '94 and '95 year,
16 correct, sir?

17 MR. DONALD PALMER: That would be
18 correct, and that would be based on a very limited number
19 of claimants, yes.

20 MR. BYRON WILLIAMS: And the simple
21 average of middle three (3) of last five (5), again,
22 would not -- would not include the -- the '94/'95 year,
23 correct?

24 MR. DONALD PALMER: That would be
25 correct, yes.

1 (BRIEF PAUSE)

2

3

4 MR. BYRON WILLIAMS: Now I know that I'm
5 going to -- the -- I know that Mr. -- Mr. Johnston is --
6 is very quick with his calculator, Mr. -- Mr. Palmer.
7 Let me back up a second.

8 If we looked at how the -- excuse me for
9 this. Under this particular methodology, we've confirmed
10 in our previous discussion that the estimated IBNR based
11 for weekly indemnity was seventy nine three eight
12 (70,938), correct, sir? 70 million -- almost 71 million,
13 sir?

14 It's just on the page afterwards, Mr.
15 Palmer.

16 MR. DONALD PALMER: Yes, that's correct.

17 MR. BYRON WILLIAMS: And that would be
18 based on a selected factor of one (1) in terms of this
19 development and a selected ultimate of one point zero
20 five four seven (1.0547), correct, sir?

21 MR. DONALD PALMER: A selected tail
22 factor, yes, that's correct.

23 MR. BYRON WILLIAMS: I apologize for
24 that. And -- and if you have to -- to do an undertaking
25 on this, sir, I'll understand. But I -- if I suggested

1 to you that if instead of using the selected factor of
2 one (1), one used the late -- the select -- the latest
3 three (3) volume weighted of zero point nine seven four
4 seven (0.9747), the resulting estimate of IBNR for all
5 insurance years would be 54 million, approximately.
6 Would you accept that subject to check or would you like
7 to -- to undertake to do the calculation, sir?

8

9

(BRIEF PAUSE)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. DONALD PALMER: I -- I don't necessarily dispute that number in terms of -- in terms of that assumption and -- and without deeper analysis taking the observed factors and the observed averages as you have outlined the -- the number that the result will be different. I can accept that. And -- and in terms of -- of blindly applying numerical averages to come up with a different number, I certainly can't dispute that that's -- that it was done correctly.

Again, that's somewhat the danger of taking a look at these averages and -- and applying too much weight, especially out in further years. That's -- it's -- it's that actuarial judgment. It's -- it's the -- one (1) of the reasons that we utilize the -- the services of an external appointed actuary with much more

1 experience than -- than I have.

2 You know, it's -- it's a collaborative
3 effort to -- to be able to -- to look at the -- all of
4 the data in totality, to have someone of Mr. Christie's
5 credentials to assist with the analysis of the -- the
6 data. His -- his credentials being one (1) of the
7 leading property casualty actuaries in Canada, who is now
8 president of the Canadian Institute of Actuaries. So
9 certainly the rest of the pote -- the profession has
10 recognized his credentials as well.

11 So in terms of -- of having a -- a number
12 straight average that comes out with a different answer
13 than what was ultimately selected, I can accept that,
14 sure.

15 MR. BYRON WILLIAMS: Just to confirm,
16 you'll accept that number subject to check?

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: And --

19 MR. DONALD PALMER: And -- and again the
20 number -- the final number was?

21 MR. BYRON WILLIAMS: We came up with 54 -
22 - 54,127,000, being a reduction of about 16.8 million.
23 Mr. Palmer, you can come back if -- if you disagree with
24 -- with that number.

25 MR. DONALD PALMER: And -- and that's

1 very similar just to CAC Exhibit 3, Pre-ask 1, and I'm
2 just looking at the revised straight average of all years
3 being 56 million. So that -- that's close. I -- I know
4 the numbers are slightly different, but...

5 MR. BYRON WILLIAMS: Madam Chair, I'm --
6 I'm continuing, but I want to move to a bit more detailed
7 discussion of tail factor -- tail factors -- tail factor,
8 and I do have a -- a couple of additional exhibits. And
9 I should have distributed them at the -- the break. I
10 apologize for that. So I -- I wonder if I could stand
11 down for five (5) minutes to -- to do so?

12 THE CHAIRPERSON: Sure. We'll take a
13 five (5) minute break. Before we take the break, while
14 it's on your mind.

15 MR. REGIS GOSSELIN: I'm sorry, just --
16 how did you arrive at the 50 million -- 50-plus million?
17

18 CONTINUED BY MR. BYRON WILLIAMS:

19 MR. BYRON WILLIAMS: I'll ask it -- Mr.
20 Gosselin, I -- I can't give evidence so I'll ask it in
21 the -- in -- in the form of a question. Mr. Palmer will
22 help me with -- with his answer.

23 Mr. Palmer, I'm going to suggest to -- to
24 you that if -- if I replaced the -- the selected factor
25 of one point zero (1.0), and employed instead the latest

1 three (3) volume weighted of zero point nine seven four
2 seven (0.9747), the IBNR estimate for weekly indemnity
3 would be -- under this particular methodology it would be
4 fifty-four million one hundred and twenty-seven thousand
5 (54,127,000), a reduction of 16.8 million from the
6 methodology using the selected factor of one (1),
7 correct?

8 MR. DONALD PALMER: And using that
9 methodology, subject to check, I would accept that
10 answer, yes.

11 MR. BYRON WILLIAMS: I -- I hope, Board
12 Member Gosselin, that -- that that assists.

13 THE CHAIRPERSON: Okay. So you're going
14 to need about five (5) minutes to get that exhibit to us.
15 We'll take a short break.

16
17 --- Upon recessing at 11:27 a.m.

18 --- Upon resuming at 11:34 a.m.

19

20 THE CHAIRPERSON: So I'm presuming we all
21 have the new materials, Exhibit 9, and -- are those the
22 right numbers --

23 MR. BYRON WILLIAMS: Yes, and --

24 THE CHAIRPERSON: -- 8 and 9?

25 MR. BYRON WILLIAMS: -- yes, and -- and,

1 Madam Chair, I -- I do apologize again. I should have
2 distributed it at the earlier break.

3 I -- I -- my understanding is that there's
4 no objection from MPI to these. What I'm going to
5 suggest be marked as CAC Exhibit 8 is the document with
6 another long sheet, and it is an excerpt from the
7 appointed actuary's report as at October 31st, 2005.
8 It's an oldie but a goodie.

9 And the -- the sheet that's attached to it
10 is Appendix E, page 23, and for -- for -- so Ms. Desorcy
11 can read it, we've blown up the page slightly so that --
12 that she can follow.

13

14 --- EXHIBIT NO. CAC-8: Excerpt from the appointed
15 actuary's report as at
16 October 31st, 2005

17

18 MR. BYRON WILLIAMS: What I would
19 suggest be marked as CAC Exhibit 9 is a short excerpt
20 again from the appointed actuary's report as at 31
21 October, 2010. The pages that should be in it are pages
22 11, 12, 13, and 14.

23

24 --- EXHIBIT NO. CAC-9: Excerpt from appointed
25 actuary's report as at

1 right under the selected factors line, I'll see the --
2 the tail factor of one point zero five four seven
3 (1.0547) in the second-last column. Is that right, sir?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: And we made
6 reference to how that tail factor was calculated, and --
7 and Mr. Palmer, I'm just going to ask you to confirm
8 without getting you to explain yet, that there is a
9 formula set out on Appendix E, page 4, again this long
10 sheet, on -- in the bottom left-hand corner.

11 Do you see that, sir?

12 MR. DONALD PALMER: Yes.

13 MR. BYRON WILLIAMS: And I'm gonna try
14 and turn that formula into English, Mr. Palmer, and you
15 can correct me if I've mistranslated it. But would I be
16 correct in suggesting to you that that tail factor of one
17 point zero five four seven (1.0547) was calculated by
18 multiplying zero point nine nine five (0.995) by one
19 point zero six zero (1.060)?

20 Would that be correct, sir? And we'll go
21 into an explanation in a second, but...

22 MR. DONALD PALMER: Yes, that would be
23 correct.

24 MR. BYRON WILLIAMS: And, Mr. Palmer, I
25 want to trace the source of both numbers. And just to

1 start with I'll ask you to confirm, without elaborating
2 at this point in time, I'll give you a chance to
3 elaborate in a second, that the one point zero six zero
4 (1.060) is a product of a 2005 special analysis conducted
5 by your external actuary, which can be found at Appendix
6 E page 23 from the appointed actuary's report at October
7 31st, 2005.

8 Wi -- will you accept that, Mr. Palmer?

9 MR. DONALD PALMER: Yes.

10 MR. BYRON WILLIAMS: And for the Board's
11 reference, and we'll come to it in a minute, that is the
12 CAC Exhibit 8. And we'll come to it in a second.

13 Mr. -- Mr. Palmer, and -- and if you need
14 assistance on the point zero nine nine five (.0995) (sic)
15 you might want to turn to CAC Exhibit 9, which is the
16 excerpt from the 2011 report, that's -- and page 12
17 specifically, and page 13.

18 Do you have those?

19 MR. DONALD PALMER: Yes. And
20 specifically that page 13, second paragraph, single line
21 is specifically the derivation of the one point-o-five
22 four seven (1.0547) as you have described.

23 MR. BYRON WILLIAMS: Thank you. I
24 appreciate your consideration. And I -- I just want to
25 make sure the Board has that -- that document. And I'm

1 seeing heads nodding.

2 I'm gonna ask you to flip over to page 12.
3 So back a page, Mr. Palmer. And again, correct me if
4 I've misstated this, but my understanding of the
5 derivation of the figure zero point nine nine five
6 (0.995) is that it is a recent analysis prepared by the -
7 - the external -- or the appointed actuary with the
8 assistance of the Corporation which looks at the average
9 ratio of the latest cumulative incurred value to the
10 corresponding value cumulatively incurred at one hundred
11 and sixteen (116) months for older insurance years.

12 Would that be correct, sir?

13 MR. DONALD PALMER: That's correct.

14 MR. BYRON WILLIAMS: And, Mr. Palmer,
15 it's a small note but just to -- to assist the Board. If
16 we go to the second-last paragraph on page 12, line 3,
17 we'll see a similar description but it says at one
18 hundred and twenty (120) months.

19 Do you see that, Mr. Palmer?

20 MR. DONALD PALMER: Yes.

21 MR. BYRON WILLIAMS: And we might want to
22 co -- amend that by putting at one hundred and sixteen
23 (116) months. Would that be appropriate, sir?

24 MR. DONALD PALMER: That's fine. And
25 just the difference between a hundred and sixteen (116)

1 and a hundred and twenty (120) is -- signifies the
2 interim re -- review. A hundred and sixteen (116) months
3 would be October and a hundred and twenty (120) months
4 would be as at February. But this far into development,
5 there's not much difference.

6

7

(BRIEF PAUSE)

8

9 MR. BYRON WILLIAMS: Now in terms of how
10 the zero point nine nine five (0.995) figure was
11 calculated, Mr. Palmer, I wonder if you could first of
12 all provide me with a verbal description of how it was
13 calculated. Alternatively, I am going to ask for a --
14 kind of a written description by way of undertaking. But
15 if you want to take a shot at it, and in tur -- a verbal
16 description, it would be appreciated by my client.

17

18

(BRIEF PAUSE)

19

20 MR. DONALD PALMER: I think the
21 preference at this point would be to take it as an
22 undertaking and -- and provide it immediately after --
23 after lunch.

24

25 MR. BYRON WILLIAMS: And thank you for
that, and that's probably more efficient. So just to

1 confirm, you're undertaking to provide a written
2 explanation, with calculations, of the derivation of the
3 zero point nine nine five (0.995) figure. Would that be
4 accurate, sir?

5 MR. DONALD PALMER: Yes.

6
7 --- UNDERTAKING NO. 15: MPI to provide a written
8 explanation, with
9 calculations, of the
10 derivation of the zero point
11 nine nine five (0.995) figure
12

13 CONTINUED BY MR. BYRON WILLIAMS:

14 MR. BYRON WILLIAMS: Mr. Palmer, just to
15 let you know where we're going in the next stage of the
16 conversation, I -- I want to get a bit of an -- an
17 indication of the sensitivity of your ultimate incurred
18 calculations to the tail factor.

19 And -- and I want to, again, in the
20 context of weekly indemnity, both from -- at this point
21 in time, from the perspective of incurred and -- and
22 paid. And just a housekeeping question which I've
23 already asked three (3) times for which I apologize, but
24 on the incurred side weekly indemnity the -- the tail
25 factor is one point zero five four seven (1.0547),

1 correct?

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: On the paid side I'd
4 ask you to -- to confirm that it is one point three nine
5 nine three (1.3993). Would that be correct, sir? And
6 the material is not before you. I apologize.

7 And, Mr. -- Mr. Palmer, the -- the
8 question is: In terms of the tail factor on -- on paid,
9 would it be one point three nine nine three (1.3993)?

10 MR. DONALD PALMER: I'll accept that
11 subject to check.

12

13 (BRIEF PAUSE)

14

15 MR. DONALD PALMER: And -- and again, to
16 -- for clarity, that's the -- the tail factor as I had
17 outlined before. You really have to define the tail
18 factor from when. So that would be the tail factor from
19 two hundred and thirty-six (236) months to ultimate, and
20 that is one point three nine nine three (1.3993), yes.

21 MR. BYRON WILLIAMS: And I appreciate
22 that clarification. Now, Mr. Palmer, going back to
23 incurred for a moment, I want to explore what would
24 happen if we, instead of using a tail factor of one point
25 zero five four seven (1.0547), took point nine nine (.99)

1 of that. So I'm going to ask you, first of all, to
2 confirm the -- the mathematical calculation, subject to
3 check, that if I took one point zero five four seven
4 (1.0547) and times it -- multiplied it by point nine nine
5 (.99), I would get a result of one point zero four four
6 one five three (1.044153).

7 Will you accept that, sir?

8 MR. DONALD PALMER: Yes, that's correct.

9 MR. BYRON WILLIAMS: And on the paid
10 side, again with the comments that you've su -- supplied
11 previously, if I took that one point three nine nine
12 three (1.3993) and multiplied it by point nine nine (.99)
13 would you accept that I would get a result of one point
14 three eight five three (1.3853)?

15 MR. DONALD PALMER: Yes.

16 MR. BYRON WILLIAMS: And, Mr. Palmer, you
17 can certainly undertake to do this by way of calculation,
18 but if I suggested to you that in terms of this
19 particular methodology, if the tail factor was overstated
20 by 1 percent, the IBNR would be overstated by over \$5
21 million.

22 Would you accept that subject to check?

23

24 (BRIEF PAUSE)

25

1 MR. DONALD PALMER: Yes, that's -- that's
2 the correct answer, about \$5 million. The tail factor,
3 because it applies to each accident year, there is a
4 leveraged effect. This is -- and for the tail factor not
5 having data, and again this is the estimation from the
6 seventeen (17) years to the sixty (60) years. It is
7 sensitive. There's an awful lot of thought and effort
8 goes into that selection.

9 MR. BYRON WILLIAMS: And I appreciate
10 your helpfulness and your -- and your candour. Just to
11 confirm the -- and you have answered the question, but I
12 just want to ask it in a slightly different way.

13 If I reduced the tail factor from one
14 point zero five four seven (1.0547) to one point zero
15 four four two (1.0442), the effect on the IBNR would be
16 in the range of \$5 million for this particular estimate?

17

18 (BRIEF PAUSE)

19

20 MR. DONALD PALMER: Yes, I will agree
21 with that.

22 MR. BYRON WILLIAMS: And it's a bit
23 painful, Mr. Palmer, so I appreciate you a -- assisting
24 me. I want to explore that one (1) step further. If I
25 wanted to take point nine eight (.98) of the incurred

1 tail factor of one point zero five four seven (1.0547),
2 would you accept that the result would be one point zero
3 three three six (1.0336), subject to check, sir?

4 MR. DONALD PALMER: Approximately 2
5 percent less than one five four seven (1547), yes, I
6 would accept that.

7 MR. BYRON WILLIAMS: And using that one
8 point three three six (1.336) figure, replacing the one
9 point zero five four seven (1.0547), that would result in
10 a reduction in the IBNR of about 10 million.

11 Would you accept that, sir?

12 MR. DONALD PALMER: Approximately. I --
13 I would agree that a reduction of that tail factor will --
14 -- will result in a lower IBNR. In terms of an idea of
15 the -- the multiplier effect, I would ask the panel to
16 look at CAC Exhibit 7, that's the appointed actuary's
17 report as at 31 October, 2010, and it's the last page of
18 that exhibit, Appendix E, page 8.

19

20 (BRIEF PAUSE)

21

22 MR. DONALD PALMER: And the --

23 MR. BYRON WILLIAMS: Mr. Palmer, I think
24 you've got the right document, but I -- I think you've
25 described it as Exhibit 7, and I -- you may be referring

1 to Exhibit 8, which has the long sheet -- Exhibit 6,
2 excuse me. You -- you're -- are you referring -- and I
3 don't mean to interrupt, but is it Appendix E, page 8
4 that you're referring me?

5 MR. DONALD PALMER: Yes, and I apologize.
6 Mine is a -- is labelled 7.

7 MR. BYRON WILLIAMS: So it's the -- it's
8 the document with the long sheet and the last page should
9 be Appendix E, page -- page 8. And I apologize for
10 interrupting.

11 MR. DONALD PALMER: And the total
12 restated reported loss and -- and ALAE for all accident
13 years is \$819 million. So any adjustment in the tail
14 that applies to every single one (1) of those years
15 essentially is -- is an effect on that particular number.

16 So in terms of -- of the sensitivity, yes,
17 1 percent of \$800 million, plus or minus because the
18 application changes a little bit, but -- but it is --
19 there is very much a leveraged effect.

20 MR. BYRON WILLIAMS: I thank you for that
21 assistance, Mr. Palmer. I'd like you to turn now, Mr.
22 Palmer, to CAC Exhibit 8, which is the other long sheet,
23 and that's the excerpt from the appointed actuary's
24 report as at October 31st, 2005.

25 Do you have that, sir?

1 MR. DONALD PALMER: Yes, I do.

2 MR. BYRON WILLIAMS: And we've had a bit
3 of a discussion on the zero point nine nine five (0.995).
4 In -- in terms of the one point zero six (1.06), which
5 also figures into the calculation of the tail factor,
6 that one point zero six (1.06) is a result of the act --
7 analysis done in this report, correct?

8 MR. DONALD PALMER: Yes, it is.

9

10 (BRIEF PAUSE)

11

12 MR. BYRON WILLIAMS: And, Mr. Palmer,
13 this was a re -- a report done in 2005 to estimate the
14 tail factor based on ultimates calculated at various
15 points in time from prior valuations adjusted to current
16 2005 benefit levels.

17 Would that be fair, sir?

18 MR. DONALD PALMER: Yes, that's correct.

19 MR. BYRON WILLIAMS: And from this
20 ultimate development triangle, development factors were
21 calculated and the selected factors were -- were chosen,
22 correct?

23 MR. DONALD PALMER: Yes.

24 MR. BYRON WILLIAMS: And I want to draw
25 your attention, Mr. Palmer, to the right-hand side of

1 this calculation under the, "Evaluation in months,"
2 you'll see two twenty-eight (228). There are three (3)
3 years set out under two twenty-eight (228), sir?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: And by two forty
6 (240) there were only two (2) years set out, sir?

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: So it would be fair
9 to say that the last development period with more than
10 two (2) years of history on which to base fact or
11 selection was two hundred and twenty-eight (228) months.

12 Would that be accurate, sir?

13 MR. DONALD PALMER: Yes.

14 MR. BYRON WILLIAMS: And in -- in two (2)
15 -- two twenty-eight (228) months there was only three
16 (3) years.

17 MR. DONALD PALMER: Yes.

18 MR. BYRON WILLIAMS: Now, if we go -- if
19 I could take your attention, sir, to the bottom -- to the
20 bottom right-hand side of this table, and you'll see
21 under sel...

22

23 (BRIEF PAUSE)

24

25 THE CHAIRPERSON: Mr. Williams, while we

1 sit and wait for the response, how much longer do you
2 think you'll be on this particular topic? I'm just
3 wondering when we will take a break.

4 MR. BYRON WILLIAMS: Madam Chair, I think
5 it would -- depending on the -- the nature of the
6 answers, maybe fifty (50) minutes, so a break is quite
7 appropriate here.

8 I -- I don't -- you know, I'd appreciate
9 an answer to the last question, but then a break would be
10 certainly appropriate from my perspective.

11 THE CHAIRPERSON: Okay. Well, maybe
12 we'll, you know, let the Corporation use the noon hour to
13 come up with that answer. Unless Mr. Palmer has it right
14 now and he wants to carry on. I just -- I'm looking to
15 find a break that will work for all of us.

16 MR. BYRON WILLIAMS: And I'm hoping he
17 can recall the question.

18 MR. DONALD PALMER: And I was gonna ask
19 you to repeat the question.

20 THE CHAIRPERSON: On that note, if you
21 repeat the question and then we'll take our noon hour
22 break and that'll give you time to sort of come up with
23 the answer, I'm sure. Thanks.

24 MR. BYRON WILLIAMS: Memory may escape
25 me, Madam Chair, but I'm going to, I think, repeat the

1 last two (2) questions and I think that might assist.

2 THE CHAIRPERSON: Well, this shows that
3 we do need a break --

4 MR. BYRON WILLIAMS: Yes.

5 THE CHAIRPERSON: -- right?
6

7 CONTINUED BY MR. BYRON WILLIAMS:

8 MR. BYRON WILLIAMS: In 2005 the last
9 development period with more than two (2) years of
10 history on which to base factor selection was two (2) --
11 two-twenty-eight (228) months.

12 Is that correct, sir?

13 MR. DONALD PALMER: Yes.

14 MR. BYRON WILLIAMS: And that particular
15 year had three (3) years of history.

16 Would that be correct as well, sir?

17 MR. DONALD PALMER: Yes, that's correct.

18 MR. BYRON WILLIAMS: Thank you. And I
19 think that's where we left off.

20 THE CHAIRPERSON: Okay. So we're going
21 to take again a one (1) hour fifteen (15) minute break so
22 that some people can get some exercise and we'll be back
23 at 1:15. Thank you.

24

25 --- Upon recessing at 11:58 a.m.

1 --- Upon resuming at 1:19 p.m.

2

3 THE CHAIRPERSON: I see we're late
4 getting back, but anyway, apologize for that. You're
5 ready to go ahead?

6 MR. BYRON WILLIAMS: Yes, Madam Chair.
7 Thank you, and good afternoon.

8

9 CONTINUED BY MR. BYRON WILLIAMS:

10 MR. BYRON WILLIAMS: Just -- no doubt you
11 were waiting with baited -- oh, sorry, Mr. Palmer has a--

12 MR. DONALD PALMER: One (1) of the -- I
13 guess it wasn't an undertaking, but unofficial
14 undertakings that we had before lunch was the derivation
15 of the point nine nine five (.995) tail factor.

16 MR. BYRON WILLIAMS: I think that was an
17 undertaking, sir.

18 MR. DONALD PALMER: Okay, well then I
19 will discharge that undertaking now. The -- that
20 particular factor is a judgmental selection by the
21 appointed actuary. So there isn't a specific numerical
22 derivation.

23 Now one (1) -- and -- and essentially it
24 is the estimation of how the incurred development would
25 grow from the one sixteen (116) development period to the

1 -- to the current development. And it gets pretty close
2 if we take the observations of the last three (3). So
3 the one sixteen (116) development to one sixteen (116).
4 So that was --

5 MR. BYRON WILLIAMS: Mr. Palmer, could I
6 -- and I appreciate this answer. I just want to make
7 sure everyone's on the right document, and the -- and the
8 right page.

9 And I assume that you are referring us to
10 CAC/MS -- or CAC Exhibit number 6, Appendix E, page 5.
11 Would I be correct, sir?

12 MR. DONALD PALMER: Yes, that's correct.

13 MR. BYRON WILLIAMS: Sorry to interrupt.

14 MR. DONALD PALMER: And if we look at the
15 last three (3) volume weighted one sixteen (116) to
16 reported to date factor that's shown as point nine nine
17 four eight (.9948). And that is derived by taking the
18 sum of forty-four nine thirty-three (44,933), which is
19 the one sixteen (116) plus the fifty-five seven seven
20 four (55,774), plus the fifty-four nine twenty (54,920),
21 dividing that sum by forty-four nine thirty-three
22 (44,933), fifty-six four eighty-five (56,485), which is
23 the one sixteen (116) development for the next previous
24 year, and the fifty-five-o-twenty-four (55,024).

25 That's the three (3) year weighted average

1 that comes to the nine nine four eight (9948), or nine
2 nine five (995). So that's certainly an indicator. That
3 wasn't the only selection, but in terms of -- of the
4 guidance, it is a judgmentally picked factor, but based
5 on that three (3) year volume weighted.

6 MR. BYRON WILLIAMS: And, Mr. Palmer, I -
7 - I thank you for that. I just want to make sure I -- I
8 have it. I'm not confident I do. But let's go up -- so
9 we're going up to the loss triangle part of the page --

10 MR. DONALD PALMER: Yes.

11 MR. BYRON WILLIAMS: -- and we're
12 starting on the right-hand side of page 5 at one hundred
13 and sixteen (116) months of development, and we're --
14 we're looking at the -- the last year that's portrayed
15 there.

16 So we're starting first of all with that
17 sum of forty-four nine three three (44,933). I'll
18 suggest to you we're going up to the one twenty-eight
19 (128) and adding fifty-five seven seven four (55,774),
20 and going up another line to the right to fifty-four nine
21 two zero (54,920), and that's the -- is that the
22 numerator of that calculation, sir?

23 MR. DONALD PALMER: Yes.

24 MR. BYRON WILLIAMS: And in terms of the
25 denominator of the calculation, I'll suggest to you that

1 it flows from the one sixteen (116) -- one (1) -- excuse
2 me, for the court reporter, one hundred and sixteen
3 (116), eval -- evaluation in months, and the denominator
4 is essentially forty-four nine three three (44,933) going
5 -- and then adding -- going up one (1) line, fifty-six
6 four eight five (56,485). And then going up one (1)
7 line, fifty-five-o-two four (55,024).

8 Is that correct, sir?

9 MR. DONALD PALMER: That's correct.

10 MR. BYRON WILLIAMS: And that yields on
11 the ex -- now going to the bottom the average and
12 selection area on the extreme right-hand side, the latest
13 three (3) volume weighted figure of zero point nine nine
14 four eight (0.9948), correct?

15 MR. DONALD PALMER: Yes.

16 MR. BYRON WILLIAMS: And that essentially
17 -- just to finish the story as I understand it. That
18 wasn't the only factor in the judgmental selection of
19 zero poi -- excuse me, zero point nine nine five zero
20 (0.9950) but it was an important factor, correct?

21 MR. DONALD PALMER: It was a factor. And
22 again, remember that these are the selections of the
23 appointed actuary. So the exact thought process -- that
24 judgment is his and really Mr. Johnston and I aren't in -
25 - we're -- we're not exactly sure at this point what that

1 thought process was, but certainly that's an indicator.
2 And whether it was an important consideration or not an
3 important consideration, I just can't say.

4 MR. BYRON WILLIAMS: I'll accept that,
5 sir. Thank you.

6 MR. REGIS GOSSELIN: Just clarify one (1)
7 -- one (1) thing for me. The first three (3) number --
8 three (3) sets of numbers are the denominator? And the
9 last -- latter three (3) are the numerator?

10 Is that -- did I get that right?

11

12 CONTINUED BY MR. BYRON WILLIAMS:

13 MR. BYRON WILLIAMS: Mr. -- Mr. Palmer,
14 and if I could try that. I -- I'm gonna suggest that the
15 four four nine three three (44,933), the five five seven
16 seven four (55,774) and the five four nine two zero
17 (54,920) were the numerator.

18 Am I correct?

19 MR. DONALD PALMER: Yes, that's correct.

20 MR. BYRON WILLIAMS: And that -- that for
21 the denominator, one rises vertically up the one sixteen
22 (116) -- one hundred and sixteen (116) line adding
23 together forty-four nine three three (44,933), fifty-six
24 four eight five (56,485) and fifty-five o-two four
25 (55,024).

1 Is that correct, sir?

2 MR. DONALD PALMER: That's correct.

3

4 (BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: And thank you very
7 much for that, Mr. Palmer.

8 I do want to go back. What you'll want to
9 have at hand now -- I think we can put the Exhibit 6 away
10 for a moment and go back to CAC Exhibit 8, which is the
11 other long sheet dating from the 2005 actuary's report.
12 And you might also want to have at hand, Mr. Palmer, CAC
13 Exhibit 9, page 13 in the bottom right-hand corner,
14 please.

15

16 (BRIEF PAUSE)

17

18 MR. BYRON WILLIAMS: I'm not referring to
19 the right -- bottom right-hand corner, Mr. Palmer, that's
20 just where the page is. Do you have those documents,
21 sir?

22 MR. DONALD PALMER: Yes, I do.

23 MR. BYRON WILLIAMS: Okay. I apologize
24 for the confusion.

25 An -- and just to remind ourselves, when

1 we look at this CAC Exhibit 8, the second page of that
2 marked as Appendix E, page 23, this is the analysis
3 performed by the Corporation, just to remind everyone, in
4 -- in 2005. And it underlies the figure of one point
5 zero six zero (1.060), which is part of the tail factor
6 calculation that we have been discussing, correct?

7

8

(BRIEF PAUSE)

9

10 MR. DONALD PALMER: And -- and just
11 before we go too far down this -- this road, the
12 derivation of the tail factor is -- this is -- is a
13 derivation that comes from the calculations of the paid
14 methodology, the combination of the paid and the tabular
15 reserving.

16 At that point in time we were exclusively
17 relying on the -- the tabular methodology and the -- and
18 the paid methodology. So the one point zero six (1.06)
19 as a tail factor comes from that analysis and this
20 analysis that is shown is the development from that into
21 the incurred methodology, it's not the other way around.

22 So if you're looking at this as the
23 derivation of the one point zero six (1.06) we won't get
24 there.

25

MR. BYRON WILLIAMS: Mr. Palmer, and I

1 want to walk through this with you and just -- in terms
2 of six point one (6.1) -- in -- in terms of, excuse me,
3 the CAC Exhibit 9, which is the excerpt from this year's
4 report, Mr. Palmer. First in -- turning to page 11 just
5 for one (1) second, sir, you'll see at the bottom of the
6 page si -- "Six point one six (6.16) accident benefits
7 weekly indemnity."

8 Do you see that, sir?

9 MR. DONALD PALMER: No, I'm sorry, Mr.
10 Williams. Could you give me the reference again?

11 MR. BYRON WILLIAMS: It's appen --
12 Exhibit 9. If you go to page 11 of Exhibit 9 you'll see
13 at the bottom a heading, "Six point one six (6.16)
14 accident benefits weekly indemnity."

15 MR. DONALD PALMER: Yes, I have it.

16 MR. BYRON WILLIAMS: Yeah. And I just
17 want to make sure I understand your point. Now, I'm
18 going to ask you to flip along through page 12 onto page
19 13. And you'll agree with me, Mr. Palmer, that we're
20 still in the weekly indemnity calculation section of the
21 -- of the discussion?

22 MR. DONALD PALMER: Yes, we are.

23 MR. BYRON WILLIAMS: So at the top of
24 page 13 under the table there's reference to the 2005
25 special analysis. And in that paragraph you'll see that

1 the -- the ultimate incurred claims being estimated at
2 approximately one-o-six (1.06) of the sum of cumulative
3 payments and tabular reserves.

4 It says here -- okay, and it says here at
5 one hundred and twenty (120) months, whether it's one
6 hundred and twenty (120) or one sixteen (116). So that's
7 the -- where the one-o-six (1.06) figure comes from of
8 which you spoke just recently, sir?

9 MR. DONALD PALMER: Yes. So -- so in
10 terms, we start with the one-o-six (1.06) that comes from
11 the tabular versus the paid, and then use this incurred
12 to split that one-o-six (1.06) up into the period-to-
13 period development factors shown here. So -- so --

14 MR. BYRON WILLIAMS: When you're saying,
15 "shown here," Mr. Palmer, what are you referring to?
16 You're referring to the -- you're referring to the
17 Exhibit 9, the -- the factors that are at the top of that
18 page, or -- or are you referring to the long sheet? I
19 just want to understand what you're referring to, sir.

20 MR. DONALD PALMER: In fact, both. The -
21 - the figures shown on the table on page 13 of Exhibit 9
22 are the same as that derived in the longer sheet from the
23 October, 2005, report. I think that was Exhibit 8.

24 MR. BYRON WILLIAMS: Yes, thank you.
25 Now, going on, Mr. Palmer, and I'm just try -- seeing if

1 we're on the same page or if there's some confusion, no
2 doubt on my part, we have this figure of one point zero
3 (1.0) -- or 106 percent, which is referenced on the top
4 of page 13 in the first paragraph, line 3.

5 And then we go down to the next paragraph,
6 Mr. Palmer, and we see that the incurred tail factor was
7 a product of zero point nine nine five (0.995) times one
8 point zero six zero (1.060) yielding the incurred tail
9 factor of one point zero five four seven (1.0547) which
10 is used for weekly indemnity.

11 Are we on the same page so far, sir?

12 MR. DONALD PALMER: Yes, we are.

13
14 (BRIEF PAUSE)

15
16 MR. BYRON WILLIAMS: And what I would
17 like to do now, Mr. Palmer, is take you back to the long
18 sheet found at CAC Exhibit 8, Appendix E, page 23. Under
19 -- and I want to direct your attention towards the bottom
20 of that page on the extreme right-hand side. And we'll
21 see un -- the second-last line, selected factors, under
22 two hundred and forty (240) months to ultimate, the
23 selected factor chosen was one point zero two two two
24 (1.0222), agreed?

25 MR. DONALD PALMER: Agreed.

1 MR. BYRON WILLIAMS: And would I be
2 correct, sir, in suggesting to you that that one point
3 zero two two two (1.0222) on the extreme right under two
4 forty (240) was judgmentally selected?

5 Would that be correct, sir? And if you're
6 looking for insight, Mr. Palmer, there's a reference to
7 that at the very bottom of the page on the left side.

8 MR. DONALD PALMER: Yes, I -- I would
9 agree with that. Again, the judgment to get to with the
10 reverse multiplication from two fifty-two (252) back to
11 one twenty (120) that we had one point o-six (1.06) that
12 essentially was a predetermined result that came from the
13 other analysis.

14 MR. BYRON WILLIAMS: So I -- I have your
15 point now, Mr. Palmer, in that the one point zero six
16 zero (1.060) flowed from the paid and tabular reserving
17 analysis. You translated those figures with a pre-
18 ordained result being one point zero six zero (1.060) on
19 the incurred side, and then the calculations that we see
20 on this page -- the calculations that we see are backing
21 out from the pre-ordained result.

22 Would that be fair, sir?

23 MR. DONALD PALMER: That's correct, yes.

24

25

(BRIEF PAUSE)

1 MR. BYRON WILLIAMS: So, Mr. Palmer, the
2 2.2 percent is -- the 2.2. percent that runs through this
3 calculation is not the result of the data -- well -- not
4 a result of the data presented here, it is a -- a
5 judgmental determination required to -- to fit into that
6 one point zero six (1.06).

7 Is that right, sir?

8 MR. DONALD PALMER: Yes. And -- and
9 remember, you're going back now to the '84/'85 accident
10 year that was a pre-PIPP year that has different
11 benefits. So that particular ratio may or may not be
12 translatable from the old accident benefits to the new
13 PIPP benefits.

14 MR. BYRON WILLIAMS: Would it be accurate
15 to say, sir, that that judgmental selection adds 2.2
16 percent to the ultimates for every accident year in the
17 analysis?

18

19 (BRIEF PAUSE)

20

21 MR. DONALD PALMER: Utilizing the
22 incurred development methodology, yes, that would be
23 true.

24

25 (BRIEF PAUSE)

1 MR. BYRON WILLIAMS: In terms of the 2005
2 analysis, sir, would it be accurate to say that it relies
3 on the valid -- validity of the ultimate selected in
4 prior evaluations?

5

6 (BRIEF PAUSE)

7

8 MR. DONALD PALMER: Not directly,
9 although the tabular methodology had been developed prior
10 to this. So from the -- it certainly depended on the
11 validity of the tabular methodology that was utilized in
12 previous methods, but I would say that's more true than
13 the question as posed.

14 MR. BYRON WILLIAMS: Your dis -- in terms
15 of your answer, and the -- the question is framed, your
16 distinguishly -- distinguishing between tabular and paid?

17 MR. DONALD PALMER: The -- the selected
18 methodology was in fact a combination of tabular and
19 paid.

20 MR. BYRON WILLIAMS: Would it be accurate
21 to say, Mr. Palmer, that the 2005 analysis does not
22 consider actur -- actual development that has occurred
23 since the time the ultimates were estimated? I'm
24 speaking of the 2005 analysis, sir.

25

1 MR. DONALD PALMER: That in effect is
2 what Mr. Christie is adjusting for with the point nine
3 nine five (.995)

4 MR. BYRON WILLIAMS: And -- and we'll
5 come to that, and I -- I understand your point, Mr.
6 Palmer. So -- but just in terms -- and I understand your
7 point you're going to come to about the -- but my
8 question was in terms of the 2005 analysis in itself does
9 not consider actual development that has occurred since
10 the time the ultimates were estimated, prior to the
11 addition of the multiplication of the zero point nine
12 nine five (0.995)

13 That's not in dispute, sir?

14 MR. DONALD PALMER: And -- and I'm -- and
15 I'm sorry, Mr. Williams, I'm having difficulty
16 understanding the question. In terms of the time that
17 the ultimate figures were derived and -- and I don't know
18 what you mean by that in terms of when that was
19 calculated.

20 MR. BYRON WILLIAMS: Okay. Well, we'll
21 try -- try to -- a bit of a different way, Mr. Palmer.
22 You've made reference to the -- let me back up.

23 Since the 2005 analysis was completed, we
24 have five (5) years of additional experience in
25 development history as demonstrated in the October 2010

1 appointed actuary's report, correct?

2 MR. DONALD PALMER: Yes.

3 MR. BYRON WILLIAMS: And the concession
4 that you have made in terms of -- to the post-2005
5 experience is to reduce the tail factor from 6 percent to
6 5.47 percent. Mathematically, that's what happened.

7 MR. DONALD PALMER: Yes.

8 MR. BYRON WILLIAMS: Half a percentage
9 point, correct?

10 MR. DONALD PALMER: Yes.

11

12 (BRIEF PAUSE)

13

14 MR. BYRON WILLIAMS: Mr. Palmer, I -- I'm
15 going to move on --

16 MR. DONALD PALMER: Again, for the
17 incurred development methodology.

18 MR. BYRON WILLIAMS: Yes, thank you. I'm
19 going to move on very -- to -- this is going to be rare
20 for me today, but a short -- relatively short snappers,
21 but it does involve a bit of page turning.

22 So I -- I'm asking you, Mr. Palmer, and
23 for the Board I think it's that big fat volume you've got
24 hopefully still on your table. AI-13(a), Appendix C,
25 page 3 and 4. So I believe for the Board the -- the

1 document -- the -- it's Volume III, Part 2. If it's a
2 big fat one, it's probably the right -- the right one.

3 THE CHAIRPERSON: Okay. We need that
4 again.

5 MR. BYRON WILLIAMS: Yeah, and I
6 apologize. It may -- we had asked for it to come out
7 this morning so it's still -- it might be on your desk,
8 but Volume III, Part 2, and it's AI-13(a). So it should
9 be at the -- AI-13(a), that's the appointed actuary's
10 report as at Octob -- 31st October, 2010. And then we're
11 turning just for a -- a couple of seconds to Appendix C,
12 pages 3 and 4.

13

14 (BRIEF PAUSE)

15

16 MR. BYRON WILLIAMS: So, Madam Chair,
17 that is Appendix C, pages 3 and 4.

18 THE CHAIRPERSON: I have it.

19

20 CONTINUED BY MR. BYRON WILLIAMS:

21 MR. BYRON WILLIAMS: And, Mr. -- Mr.
22 Palmer, just to locate us in the voluminous material that
23 accompanies the appointed actuary's report we're looking
24 -- what this -- these pages 3 and 4 report on are
25 information relating to Collision, Basic reported loss,

1 and ALAE.

2 Is that right, sir?

3 MR. DONALD PALMER: Yes. And -- and if I
4 may for just a second, Mr. Williams. Collision is one
5 (1) of our -- our major coverage lines in -- in the Basic
6 Autopac program, accounting for about, round numbers, 40
7 percent of our total claims incurred. So it's -- it's a
8 very important line in terms of claims forecast.

9 On the IBNR methodology this would be one
10 (1) of the really short tail lines, and we're talking at
11 the end of the analysis the IBNR selected is \$7 million
12 out of a total unpaid claims reserve of about 1.3
13 billion. So we're talking in this analysis of a IBNR --
14 that the result is about one half (1/2) of 1 percent of
15 the total unpaid claims reserve.

16 MR. BYRON WILLIAMS: So from the
17 Corporation's perspective \$7 million is not significant,
18 sir?

19 MR. DONALD PALMER: No, \$7 million is
20 still \$7 million. The standard of materiality on -- from
21 the auditor's perspective is, I think, \$5.6 million. So
22 in terms of the materiality of it it -- it's right on the
23 cusp of materiality. That is a lot different than
24 importance.

25 MR. BYRON WILLIAMS: So based -- based

1 upon that, Mr. Palmer, I think we'll proceed with our
2 discussion. And what I'd like to do, sir, we're going to
3 ignore the loss triangles at the top of the page and
4 focus on the observed development factors in the middle
5 of the page, sir, just for a second. And it's kind of
6 hard for me to read with my glasses so if I go a little
7 slow you'll -- you'll forgive me.

8 But I -- I want to draw your attention to
9 the nine (9) -- so this is the observed development
10 factors that are in the -- the middle of the page. And I
11 realize for the Board it may be on a front and a back,
12 and I apologize for that.

13 But, Mr. Palmer, if we -- if we followed
14 the '99/'00 insurance year out to forty-five (45) to
15 fifty-six (56) months of development, I'll suggest to you
16 the figure we see there is a zero point nine nine zero
17 (0.990).

18 Do you see that, sir? Mr. Palmer, we're
19 following the '99/2000 insurance year out to -- that
20 should be on page 3, and we're following it out to forty-
21 four (44) to fifty-six (56) months of development, and
22 that's in the -- and I'm going to repeat it because I
23 just think we're having a bit of trouble locating it.

24 So just for the Board's benefit, it's kind
25 of the middle part of the page, I'll suggest to you, Mr.

1 Palmer, on page 3. And we're going to go down to the
2 '99/2000 insurance year and essentially draw a line
3 across to the forty-five (45) to fifty-six (56) months of
4 development.

5 Do you see that, Mr. Palmer?

6 MR. DONALD PALMER: Yes, I do.

7 MR. BYRON WILLIAMS: And we're going to
8 have a figure there of zero point nine nine zero (0.990),
9 agreed?

10 MR. DONALD PALMER: That's the
11 development for the '99/2000 year, yes.

12 MR. BYRON WILLIAMS: And, Mr. Palmer, I -
13 - I just want to follow this line along to the end of
14 page 3 out to eighty (80) months. The figure there is
15 zero point nine nine seven (0.997).

16 Do you see that, sir?

17 MR. DONALD PALMER: To ninety-two (92)
18 months?

19 MR. BYRON WILLIAMS: Yes, to ninety-two
20 (92) months. Thank you, Mr. Palmer.

21 MR. DONALD PALMER: Point nine nine nine
22 seven (.9997), yes.

23 MR. BYRON WILLIAMS: Okay. And if we
24 continue along onto page 4, still on that -- that line,
25 Mr. Palmer. And for those trying to follow along because

1 the -- it's -- if they're working on a backside of a
2 page, we would be going down 1, 2, 3, 4, 5, 6, 7 lines,
3 Mr. Palmer, agreed?

4 MR. DONALD PALMER: I think it's the
5 eighth line.

6 MR. BYRON WILLIAMS: Eighth line. My
7 apology for that. Again you'll see the figure zero point
8 nine nine five (0.995), correct?

9 MR. DONALD PALMER: Nine nine nine five
10 (9995).

11 MR. BYRON WILLIAMS: Thank you for that.
12 And if we follow this out to the one twenty-eight (128)
13 to one forty (140), again we see, albeit slightly
14 negative, a negative number of zero nine nine nine seven
15 (0.9997), correct?

16 MR. DONALD PALMER: And maybe I'm having
17 difficulty with the page turned. I have point nine nine
18 nine five (.9995), but it's pretty close one (1) way or
19 the other.

20 MR. BYRON WILLIAMS: And we won't
21 belabour this point too long, Mr. Palmer, but back to
22 page 3. And -- and I guess the point I'll suggest to
23 you, Mr. Palmer, is all those -- all those figures are --
24 albeit it slight, are negative development, correct?

25 MR. DONALD PALMER: For that particular

1 accident year, yes.

2 MR. BYRON WILLIAMS: And I want you to go
3 back now to page 3 again in the observed development
4 factor in the middle under that forty-four (44) to fifty-
5 six (56). And I'll suggest to you that in that time
6 period, not just from '99 to 2000, the year 1999 to 2000,
7 but all the way down to the 2007/'08 year, all those
8 figures at that particular time of development are
9 negative.

10 Would that be fair, sir?

11 MR. DONALD PALMER: Are less than one
12 (1). The development -- the resulting development would
13 be negative, yes.

14 MR. BYRON WILLIAMS: And if we perhaps
15 drew a line again to the right of the forty-four (44) to
16 fifty-six (56) months of development and below the '99 to
17 thou -- to 2000 year, I'd suggest to you, subject to your
18 review, that every figure in the table would be less than
19 one point zero (1.0) from tha -- from tha -- there on,
20 correct?

21 MR. DONALD PALMER: Marginally less than
22 zero, yes. Marginally less than one (1), sorry.

23 MR. BYRON WILLIAMS: Mr. Palmer, and
24 thank you for that. Members of the Board, I'm almost
25 done the actuarial material, I'm sure you'll be relieved

1 to know. There are the three (3) pre-asks that were
2 asked, which -- which are CAC Exhibit number 3, 4, and 5.
3 And if -- Mr. Palmer, if you could indulge me for a
4 little bit, we'll -- we'll turn to those.

5 And then just in terms of time frame,
6 Madam Chair, I'm gue -- I'm guessing that I have about --
7 this will probably take about -- I'm going to charitably
8 guess thirty-five (35) minutes. I have five (5) minutes
9 of questions on stochastic modelling. And then for Ms.
10 McLaren, on IT optimization, perhaps half an hour, just
11 for the Board's guidance.

12

13 (BRIEF PAUSE)

14

15 MR. BYRON WILLIAMS: And -- and I just
16 see the -- if -- if MPI doesn't wish the stochastic
17 modelling questions today, they've very simple, but Mr.
18 Pelly's here, that was the only reason I was going to --

19 MR. DONALD PALMER: Okay. That's fine.

20 MR. BYRON WILLIAMS: So, Mr. Palmer, if
21 you could turn to the response to CAC Pre-ask number 1,
22 which is marked as Exhibit CAC-3.

23 Do you have that, sir?

24 MR. DONALD PALMER: Yes, I do.

25 MR. BYRON WILLIAMS: And I'm just making

1 sure the Board has it as well, Mr. Palmer. So that's the
2 response to Pre-ask 1, which is CAC-3.

3

4

(BRIEF PAUSE)

5

6 MR. BYRON WILLIAMS: It should -- it
7 should be a two (2) page document. At the top should be
8 the date October 12th, 2011. And then the heading,
9 "CAC/MPI Pre-ask 1." And there should be -- and we'll
10 just give the Board time -- time to find it, and I
11 apologize.

12

13

(BRIEF PAUSE)

14

15 THE CHAIRPERSON: I took it home and
16 never brought it back, because I was going to read it.
17 Okay. So I think we all have it now. Thank you.

18

19

(BRIEF PAUSE)

20

21 MR. DONALD PALMER: Just -- just
22 checking, Mr. Williams, but it looks like possibly in our
23 filings of these pre-asks that we -- we had an original
24 that was a two (2) sided copy and we may have copied only
25 one (1) side. So you may be missing -- at least I'm

1 missing half the answer. We're just double-checking on
2 that.

3 MR. BYRON WILLIAMS: Madam Chair, I
4 wonder if we could -- just to make sure that we're all
5 looking at the same document, I wonder if we could stand
6 down for five (5) minutes. I don't want to create
7 anymore confusion than -- than -- than we already have.
8 If --

9 THE CHAIRPERSON: Yes, we'll take that
10 five (5) minutes because we need to check ours. Thanks.

11

12 --- Upon recessing at 1:58 p.m.

13 --- Upon resuming at 2:03 p.m.

14

15 THE CHAIRPERSON: Go ahead.

16 MR. BYRON WILLIAMS: And, Madam Chair,
17 just in terms of the pre-asks, there's been apparently
18 one (1) page that was inadvertently omitted. So what
19 we're proposing to do is -- I have just a few questions
20 on stochastic modelling and then I have, let's say,
21 around half an hour on IT optimization. And then at that
22 point in time I suggest we take a break. And by that
23 time presumably the -- the revised -- or the completed
24 response, I'll have a chance to review it and hopefully
25 we can proceed after the break on that.

1 CONTINUED BY MR. BYRON WILLIAMS:

2 MR. BYRON WILLIAMS: Mr. Palmer, just
3 while Mr. -- Mr. Pelly is here, I just want to have a few
4 questions on stochastic modelling.

5 And you -- you had an interesting -- do
6 you recall your discussion with Ms. Everard, I forget if
7 it was yesterday or the day before, but do you recall at
8 a high level the potential future uses of stochastic
9 modelling in the rate -- rate setting process?

10 Do you recall that, sir?

11 MR. DONALD PALMER: Yes, I do.

12 MR. BYRON WILLIAMS: And -- just one (1)
13 second, I'm getting a bit of feedback.

14

15 (BRIEF PAUSE)

16

17 MR. BYRON WILLIAMS: I wonder if you can
18 define what -- what the Corporation understands by the
19 term, "stochastic modelling," sir?

20 MR. DONALD PALMER: Stochastic modelling
21 would be using a assumed distribution of results and
22 modelling expected results over a number of different
23 trials. So essentially to give a range of possible
24 values.

25 MR. BYRON WILLIAMS: And...

1 (BRIEF PAUSE)

2

3 MR. BYRON WILLIAMS: Mr. Palmer, I'm not
4 -- I don't think you're going to need to turn to any IRs,
5 but you -- you talked about running a number of trials.
6 You're familiar with the term, "Monte Carlo simulations"?

7 MR. DONALD PALMER: Yes, I am.

8 MR. BYRON WILLIAMS: And without needing
9 to go into much detail, I wonder if you can convey the
10 Corporation's understanding of -- of that term, Monte
11 Carlo simulations.

12

13 (BRIEF PAUSE)

14

15 MR. BYRON WILLIAMS: Is that a "no," Mr.
16 Palmer?

17 MR. DONALD PALMER: Essentially what a
18 Monte Carlo simulation would be -- essentially the same
19 as my definition of the sta -- stochastic model. So
20 using a predetermined probability distribution to run a -
21 - a simulation a number of times with random variables
22 coming from a distribution that would give you a
23 different outcome depending on certain random
24 probabilities. You run that a thousand (1,000) times, or
25 ten thousand (10,000) times, and get a distribution of a

1 final expected value. So you would -- you would get a
2 range of possible outcomes.

3 MR. BYRON WILLIAMS: And again, Mr.
4 Palmer, from the rate setting perspective can you
5 describe what the potential utility of that type of
6 approach might be?

7 MR. DONALD PALMER: There's a -- there's
8 a couple of things. Certainly with a rate setting
9 exercise you have to come up with one (1) result.

10

11 (BRIEF PAUSE)

12

13 MR. DONALD PALMER: So you have to come
14 up with one (1) particular result. So -- and that comes
15 from the -- the claims forecasting approach, the claims
16 forecasting committee. What a stochastic model will --
17 will do essentially is test that result to see that it
18 falls within reasonable estimates of probably around the
19 median of the results of your stochastic model.

20 So really it -- determining it's a
21 reasonability test for the Corporation's best estimates,
22 although not -- not as much from a forecasting
23 perspective. But you can take a look at historical
24 results and see if that -- if they could have reasonably
25 happened by chance or if some of your estimating

1 forecasting parameters were incorrect.

2 So, essentially, test your past forecast
3 and if for some reason the stochastic model says that
4 your result was outside a normal range then maybe there
5 are some assumptions that you should be changing for your
6 next forecast.

7 It can also determine the for -- the
8 source of some forecasting errors. If there was a change
9 in trend, for instance, that may help you pick it up, and
10 really understands all of the key inputs to the
11 forecasting process.

12 MR. BYRON WILLIAMS: And, Mr. Palmer,
13 would it be fair to say that the use of such modelling is
14 a developing tool at the Corporation?

15 MR. DONALD PALMER: Yes, that's fair.

16 MR. BYRON WILLIAMS: Mr. -- Mr. Palmer,
17 I'm not sure if you would describe yourself as a Public
18 Utilities Board junkie or not but, I don't know, have you
19 been following, like some of us have, the -- the
20 discussions between the Public Utilities Board and
21 Manitoba Hydro in terms of how stochastic modelling might
22 be used in that rate setting process to -- for example,
23 to test the appropriate level of reserves and -- and risk
24 tolerances?

25 Have you followed that at -- at a -- at a

1 high level or -- or at all, sir?

2 MR. DONALD PALMER: Very, very
3 peripherally.

4 MR. BYRON WILLIAMS: Are you aware, sir,
5 that at Manitoba Hydro, your sister Crown -- well, I'll -
6 - I'll su -- I'll ask you whether -- are you aware
7 whether or not at Manitoba Hydro stochastic modelling is
8 also an emerging tool being used by the Corporation?

9 MR. DONALD PALMER: I'm not aware of
10 that, no.

11 MR. BYRON WILLIAMS: And so it would be
12 fair to say you've not had any -- this Corporation has
13 not had any discussion with its sister corporation in
14 terms of the use of this emerging tool in the rate
15 setting process.

16 Would that be accurate, sir? To your
17 knowledge?

18 MR. DONALD PALMER: To my knowledge, we
19 have not. And -- and I would say that the -- just the
20 industries would be very different. Although you may
21 have different stochastic models, the actual stochastic
22 modelling approaches could be very different. I'm --
23 just because of the very different industries and the
24 different risks that the industries are subject to.

25 MR. BYRON WILLIAMS: Okay. And -- and,

1 Mr. Palmer, I'm not sure our clients would agree with you
2 on that but I -- I accept that is your -- your -- the
3 Corporation's preliminary views.

4 Our clients were quite taken -- and this
5 is to Ms. McLaren and to yourself. Our clients were --
6 were quite taken with the utility of the technocol --
7 technical conference that was held in the spring on
8 certain rebate issues. And -- and you can certainly take
9 this under advisement, but our clients are curious as to
10 whether Manitoba Public Insurance would have any interest
11 in a technical conference involving its sister Crown, the
12 Public Utilities Board, and interested Intervenors,
13 focussing on -- on issues -- emerging issues relating to
14 stochastic modelling.

15 And if you want to take that under
16 advisement, that's fair, but that's the question my
17 clients are posing.

18 MS. MARILYN MCLAREN: We would take that
19 under advisement.

20

21 --- UNDERTAKING NO. 16: MPI to advise if it has any
22 interest in a technical
23 conference involving Manitoba
24 Hydro, the Public Utilities
25 Board, and interested

1 Intervenors, focussing on
2 emerging issues relating to
3 stochastic modelling (Under
4 Advisement)

5

6 CONTINUED BY MR. BYRON WILLIAMS:

7 MR. BYRON WILLIAMS: Ms. McLaren, and
8 thank you for that. Mr. Palmer, just a few questions and
9 then I'm moving to IT optimization.

10 And I only have one (1) reference for the
11 Board I think for this discussion, it's from the First
12 Round Information Request of CAC. It's 1-200.

13

14 (BRIEF PAUSE)

15

16 THE CHAIRPERSON: Did you say two hundred
17 (200)?

18 MR. BYRON WILLIAMS: Yeah, it's a scary
19 number. It's First Round Information Request of CAC --

20 THE CHAIRPERSON: I think it's in our
21 second binder, if it's two hundred (200).

22 MR. BYRON WILLIAMS: Yeah

23 THE CHAIRPERSON: This one just goes --
24 this one goes to one eighty-one (181). Yeah. Okay.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(BRIEF PAUSE)

THE CHAIRPERSON: We have it now.

CONTINUED BY MR. BYRON WILLIAMS:

MR. BYRON WILLIAMS: Ms. McLaren, this IR, I'm not sure it's necessarily a perfect fit for the IT optimization, but it's kind of where I had designed the question to -- to fall. So, hopefully -- in your -- in your discussion with Board counsel yesterday, and I might have misheard you, Ms. McLaren, but I thought your evidence was that the Corporation was in the -- was reducing its rely -- reliance on external consultants.

Did -- did I hear you correctly yesterday, Ms. McLaren?

MS. MARILYN MCLAREN: Yes, specifically related to an increase in the number of management positions, project managers, senior management positions, which are junior nonunionized positions within the Corporation. We have been able to recruit people on staff, and, therefore, are relying on fewer consultants for that specific piece of work.

MR. BYRON WILLIAMS: Okay. I just -- and I just want to make sure I understand the full picture in terms of consultants. So, in -- in terms of CAC-1-200,

1 just in terms of the question posed, Ms. McLaren, basic -
2 - basically I'll suggest to you our clients were trying
3 to get a picture of external consultants supporting MPI
4 for the fiscal years 2007/'08 through 2010/'11, and then
5 for the fiscal years 2011/'12 through 2014/'15.

6 Is that your understanding of the
7 question, Ms. McLaren? We'll get to the answers in a
8 moment, but...

9 MS. MARILYN MCLAREN: Yes, that appears
10 to be the question.

11 MR. BYRON WILLIAMS: And if we could flip
12 over one (1) page, Ms. McLaren, to -- you'll see an --
13 the attachment to this Information Response, and there'll
14 be a heading, "Consultants Vendor Basic," and then in the
15 middle column there'll be two (2) columns under 2009/'10
16 showing count and annual cost.

17 Do you see that, Ms. McLaren?

18 MS. MARILYN MCLAREN: Yes.

19 MR. BYRON WILLIAMS: And I'm -- and you
20 can accept this number, subject to check, but based upon
21 the response for the 2009/'10 year would there have been
22 about sixty-four point nine (64.9) consultants employed
23 by the Corporation, or contracted with -- from the
24 Corporation in that fiscal year?

25 MS. MARILYN MCLAREN: Subject to check,

1 approximately, at this point in time. And I think that's
2 what the answer goes on to say. You know, there --
3 there's snapshot point in time, and the numbers fluctuate
4 throughout the year and throughout projects, which are
5 multi-year, generally.

6 MR. BYRON WILLIAMS: And fair enough.
7 And if we went to the -- to the next column, the 2010/'11
8 year, in terms of the count, subject to check, eighteen
9 point nine (18.9), would -- would that be -- you'll
10 accept that subject to check, Ms. McLaren?

11 MS. MARILYN MCLAREN: Yes.

12 MR. BYRON WILLIAMS: And I want you to
13 turn back one (1) page to the CAC/MPI-1-200(b), so just
14 back to the original page. Would it be fair to say, Ms.
15 McLaren, that the Corporation expects that Corporate
16 initiatives will require between one hundred (100) to one
17 hundred and twenty (120) contracted resources annually
18 over the next few years?

19 MS. MARILYN MCLAREN: I would expect that
20 that answer means that at any point in time during the
21 next couple of fiscal years we could hit a high of a
22 hundred or a hundred and twenty (120) during those years.
23 Annualized, it would probably be lower than that. But
24 this is really an -- an early estimate based on our
25 understanding of the likely outcome that there will be

1 initiatives developed out of the -- the road safety,
2 physical damage, and service visioning processes that are
3 under way, as well as some other initiatives that we've
4 talked about here briefly, like the human resource
5 management system.

6 MR. BYRON WILLIAMS: So, at this point in
7 time, Ms. McLaren, for the 2012/'13 year, what would be
8 the Corporation's best estimate, in comparable figures,
9 to what you've presented for 2009/'10, 2010/'11? Would
10 it be a hundred?

11 MS. MARILYN MCLAREN: I think -- again,
12 based on timing we may very well hit a hundred when we
13 take the snapshot and report back on what the actuals
14 were at that point.

15 I can say that, generally speaking, multi-
16 year projects take fewer resources at the beginning and
17 then a significant scale-up of requirements and then
18 scaling back down towards the end. '09/'10, and
19 particularly even more so in '10/'11, we were scaling
20 down.

21 So, I think it will be higher than the
22 numbers here in Part A. Whether, it actually hits a
23 hundred and twenty (120) when the snapshot's taken, it's
24 certainly possible. I would -- I would speculate that
25 it'll probably be lower. I'll throw a number of eighty

1 (80) out, but certainly the fact that at some point in
2 time there may be one hundred, or two hundred (200), on
3 projects, is -- is certainly foreseeable.

4 MR. BYRON WILLIAMS: So, it would be fair
5 to say that you're scaling back up in terms of external
6 consultants related to a number of these projects?

7 MS. MARILYN MCLAREN: That's right.

8 MR. BYRON WILLIAMS: And would -- would
9 one expect 2012/'13, Ms. McLaren, to be the peak year, or
10 is the peak year perhaps one (1) or two (2) years down
11 the line?

12 MS. MARILYN MCLAREN: I suspect if
13 '11/'12 proves to be the peak it would hit that peak very
14 late in the year. So, more likely the peak would be,
15 we're talking '12 -- '13/'14.

16 MR. BYRON WILLIAMS: At this point in
17 time would the Corporation have any estimate of the
18 external consultants on a comparable basis for the
19 '13/'14 year?

20 MS. MARILYN MCLAREN: No, the -- the
21 answer here covers off the next two (2) years and that's
22 the best we can do at this point.

23 MR. BYRON WILLIAMS: Thank you for that.
24 I want to make sure, in terms of the IT -- it's getting
25 late in the day, in terms of the IT Optimization Project,

1 I have my timing down appropriately, Ms. McLaren. I'll
2 suggest to you that the special fund for IT Optimization
3 was approved by the Board of M -- Manitoba Public
4 Insurance on or about February of 2011.

5 Is that correct?

6 MS. MARILYN MCLAREN: Yes, that's right.
7 I believe it was in the January meeting.

8 MR. BYRON WILLIAMS: Okay. And we've
9 heard this before, but just for continuity purposes, the
10 contribution from Basic to that special fund would be 65
11 million, correct?

12 MS. MARILYN MCLAREN: Yes.

13 MR. BYRON WILLIAMS: And is -- in terms
14 of the 2010/2011 fiscal year, I would be correct in
15 suggesting to you that there is no draw-down or
16 appropriation from that fund for that year, Ms. McLaren.

17 Would that be correct?

18 MS. MARILYN MCLAREN: That's correct.

19 MR. BYRON WILLIAMS: It is expected that
20 the -- the draw-down from that fund for IT Optimization
21 purposes would begin in the 2011/'12 year, at least
22 looking at TI-14 as a -- you'll accept that, Ms. McLaren?

23 MS. MARILYN MCLAREN: Yes.

24

25

(BRIEF PAUSE)

1 MR. BYRON WILLIAMS: Excuse me. Ms.
2 McLaren, just because you have CAC-1-200 nearby, or I
3 hope you do; you've had some discussion with my Learned
4 friend, Ms. Grammond, in terms of Hewlett Packard, and
5 it's relationship with Manitoba Public Insurance. Would
6 I be correct in suggesting to you that in the '09/'10
7 year, its annual consulting costs associated with that
8 firm were somewhere between 8 1/2 and \$9 million?

9 Would that be right for that particular
10 year?

11 MS. MARILYN MCLAREN: Yes, that's right.
12 That's on the attachment to CAC-1-200.

13 MR. BYRON WILLIAMS: And for 2010/'11,
14 those -- those expenditures associated with Hewlett
15 Packard would have been somewhat lower, in the range of
16 between 4.5 and \$5 million.

17 Would that be fair?

18 MS. MARILYN MCLAREN: Yes, that's right.

19 MR. BYRON WILLIAMS: Now, Ms. McLaren,
20 we're all aware of the economic downturn in the United
21 States, and also a bit of a slow down in Manitoba --
22 excuse me, in Canada, economically, in general terms.

23 You're aware of that?

24 MS. MARILYN MCLAREN: Yes.

25 MR. BYRON WILLIAMS: And my clients are

1 certainly not suggesting that this should be the case for
2 Manitoba Public Insurance, but you would be aware, as
3 well, that as a consequence of the downturn in the Untied
4 States and the slow down in Canada, a number of
5 corporations have -- have gone onto cancel significant
6 information technology projects?

7 You're aware of that?

8 MS. MARILYN MCLAREN: No, not
9 specifically.

10 MR. BYRON WILLIAMS: Ms. McLaren, would
11 it be fair to say -- and perhaps you cannot answer this -
12 - that in the current economic climate it is a buyer's
13 market, in terms of the -- the purchase of services such
14 as those offered by Hewlett Packard?

15 MS. MARILYN MCLAREN: Not in this town.
16 And I can tell you the -- the vast majority of those
17 funds would have been spent on HPA employee -- HP
18 employees working and living here in Winnipeg.

19 MR. BYRON WILLIAMS: So it's not been the
20 experience of this Corporation that in terms of the --
21 the prices it can obtain in the marketplace, that the
22 economic recession, or slow down in Canada, has reduced
23 demand and thereby improved its bargaining position?

24 MS. MARILYN MCLAREN: No, I -- I would
25 say we have not experienced that, absolutely. And I

1 think it is generally recognized that Manitoba's economy
2 has continued to do quite well during the downturn that's
3 hit other communities.

4 The -- clearly the majority of the work
5 that we do is with local management, and local staff, of
6 HP. And generally when we look to contract these kinds
7 of external resources, they -- they're really specific,
8 the kinds of skills we need. And -- and, you know,
9 the other reality is, too, is a lot of these initiatives
10 that are here on this attachment are multi-year
11 initiatives. All of -- everything would have done -- you
12 know, been established with generally speaking with, you
13 know, requests for proposals, with multi-year contracts
14 in place.

15 I can tell you that -- that locally the
16 contract with HP has strict provisions in it with respect
17 to salar -- you know, the -- the cost per hour of the
18 technical resources that we would pay, have to be in --
19 in tight relation to the Manitoba market. So, there's a
20 protection that way.

21 If, for example, IT resources were to
22 become, so to speak, a dime a dozen, and the -- and the
23 costs were to fall, our existing contract would receive
24 the benefit of that.

25 MR. BYRON WILLIAMS: Thank you. You also

1 spoke in your conversation with My Friend, Ms. Grammond,
2 about the long standing role of Gartner Group, with --
3 with Manitoba Public Insurance.

4 You recall that?

5 MS. MARILYN MCLAREN: Yes.

6 MR. BYRON WILLIAMS: And we're going to
7 test whose memory is -- is better than whose. We might
8 have to refer to Mr. Kruk in the back row; he probably
9 remembers better than you or I. But if I recall your
10 testimony you in -- indicated that the Corporation's
11 relationship with Gartner Group went back to the Y2K
12 issue.

13 Do you recall that evidence yesterday?

14 MS. MARILYN MCLAREN: Yes, I believe
15 that's the first time we worked with Gartner.

16 MR. BYRON WILLIAMS: And I'm not gonna
17 press you on this, but I'm -- I'm going to suggest to you
18 that the role of Gartner may go back even further in that
19 they may have been witnesses before the Public Utilities
20 Board on matters repe -- related to Autopac-Online.

21 Do you recall that, Ms. McLaren? And if
22 not I accept --

23 MS. MARILYN MCLAREN: I don't, but I do
24 know they were here very soon after Autopac-Online went
25 live because we started our Y2K work very early. So, it

1 was probably 1997/'98, something like that, that they
2 were here talking about Y2K.

3 MR. BYRON WILLIAMS: And in the course of
4 the Gartner Group's evidence before the Public Utilities
5 Board, do you recall that they provided evidence to -- to
6 the Board on alternative ways to evaluate the benefits
7 and costs of IT projects for -- for public corporations
8 such as the balance scorecard?

9 Do you recall that?

10 MS. MARILYN MCLAREN: I cert -- it's not
11 connecting with me that that was part of Gartner's
12 testimony but I certainly remember the context and the
13 discussion.

14 MR. BYRON WILLIAMS: That's fair enough.
15 And I don't want to test your or mine memory too much at
16 this point in time.

17 Autopac-Online went online on or about the
18 year of 1995, is that right?

19 MS. MARILYN MCLAREN: The first of July.

20 MR. BYRON WILLIAMS: Would I be correct
21 in suggesting to you that it was brought in price-wise in
22 the range of \$30 million?

23 Would that -- does that ring a bell, Ms.
24 McLaren?

25 MS. MARILYN MCLAREN: It's in the bar --

1 ballpark. I -- I -- if I had to guess I'd probably be
2 more in the mid-twenties, but I'll accept that.

3 MR. BYRON WILLIAMS: I'll acc -- well,
4 I'll accept your figure. Let's say mid-twenties. And --
5 and that's when \$25 million was \$25 million, correct?

6 MS. MARILYN MCLAREN: Depending on your
7 perspective. I think it still is.

8 MR. BYRON WILLIAMS: And -- and my
9 clients certainly don't wish to challenge the utility of
10 that program to the Corporation. And without meaning to
11 diminish the Corporation's achievements with regard to
12 AOL -- AOL, would it be your re -- recollection that that
13 particular project came in somewhat above the anticipated
14 cost?

15 MS. MARILYN MCLAREN: It's certainly
16 possible but I don't remember that specifically.

17 MR. BYRON WILLIAMS: And again I don't
18 want to test your memory.

19 In terms of other major information
20 technology projects, and if I'm using the word
21 incorrectly you'll -- you'll correct -- correct me, but
22 would I be correct in suggesting another one (1)
23 undertaken by the Corporation was a project going by the
24 initials C-A-R-S, or CARS?

25 MS. MARILYN MCLAREN: Yes.

1 MR. BYRON WILLIAMS: And what did CARS
2 do?

3 MS. MARILYN MCLAREN: It's -- the acronym
4 stands for Claims And Reporting System. It is the claims
5 handling system. Today it continues to be the physical
6 damage claims handling system. It used to minimally
7 support staff in handling injury claims as well.

8 MR. BYRON WILLIAMS: Subject to check,
9 can you ballpark the cost of CARS, Ms. McLaren?

10 MS. MARILYN MCLAREN: I'm going to
11 suggest it was in the ballpark of Autopac-Online. It
12 could be a little bit less, could have been a little bit
13 more. I don't remember.

14 MR. BYRON WILLIAMS: So, somewhere in the
15 \$20 million to \$30 million range?

16 MS. MARILYN MCLAREN: That's probably
17 fair.

18 MR. BYRON WILLIAMS: Okay.

19 MS. MARILYN MCLAREN: I mean, both of
20 these were well over twenty (20) years ago now.

21 MR. BYRON WILLIAMS: And in your evidence
22 on October 11th, you talked about another major project,
23 being the PIPP infrastructure. And I believe your
24 evidence was that that came in around \$25 million.

25 Does that sound about right, Ms. McLaren?

1 MS. MARILYN MCLAREN: Approximately, yes.

2 MR. BYRON WILLIAMS: And would FINEOS, F-
3 I-N-E-O-S, be another significant project brought in by
4 the Corporation, Ms. McLaren?

5 MS. MARILYN MCLAREN: No, FINEOS is the
6 company who supplies the primary software for the bodily
7 injury PIPP initiative that we talked about coming in for
8 25 million.

9 MR. BYRON WILLIAMS: Fabulous. Thank you
10 for that.

11

12 (BRIEF PAUSE)

13

14 MS. MARILYN MCLAREN: Speaking about the
15 relevance of 25 million and whether it is really still 25
16 million, I think it's important to point out that
17 whatever it cost to build CARS for the dollars in the
18 late 1990s, was significantly more than the total cost of
19 implementing this whole new framework for managing injury
20 claims, largely because we purchased FINEOS' product and
21 did not coat it and built it ourselves as we did with
22 Autopac-Online and -- and CARS.

23 MR. BYRON WILLIAMS: Thank you for that,
24 Ms. McLaren. I appreciate that. In your discussion with
25 Ms. Grammond, our Board counsel, this morning -- I

1 believe it was this morning; it's hard to recall now --
2 you outlined the fact that the costs associated with the
3 IT optimization are not built into the revenue req --
4 requirement.

5 Instead -- excuse me, let me try that
6 again. In terms of the IT optimization project, the
7 money to pay for that project is not coming from the
8 future review requirement of the Corporation. It is
9 being drawn from retained earnings via the IT
10 optimization fund, correct?

11 MS. MARILYN MCLAREN: Correct.

12 MR. BYRON WILLIAMS: And that we've hear
13 -- you've already indicated to me that that \$65 million
14 will start to be drawn down beginning in the 20011/'12
15 fiscal year, correct?

16 MS. MARILYN MCLAREN: Yes.

17 MR. BYRON WILLIAMS: And would it be
18 accurate to say that the \$65 million contribution from
19 Basic retained earnings to the IT optimization fund was
20 accumulated in the time period up to and prior to the end
21 of the 2010/'11 financial year?

22 MS. MARILYN MCLAREN: Yes.

23 MR. BYRON WILLIAMS: So, it would be
24 accurate to say, I'll suggest to you, that while the
25 expenditures for which the IT optimization fund will

1 largely be employed from 2011/'12 going forward, the
2 retained earnings by which the Basic contribution will be
3 funded, date to the period before the 2011/'12 year,
4 correct?

5 MS. MARILYN MCLAREN: Yes.

6 MR. BYRON WILLIAMS: Ms. McLaren, it's
7 been a long day, so I want to maybe lighten the --
8 lighten the mood, perhaps -- I don't know if that's
9 possible -- by presenting a hypothetical to you. It's
10 been -- it's been years since I've talked about Uncle
11 Charlie and Souris, so I'm not going to use Uncle Charlie
12 anymore. But I'm going to present a hypothetical to you,
13 and I'll ask you to assume the facts I present, and then
14 I -- I have three (3) questions at the end that I'll
15 present to you.

16 Ms. McLaren, does that work for you?

17 MS. MARILYN MCLAREN: So far.

18 MR. BYRON WILLIAMS: It's not a -- it's
19 not a hard one.

20 But let's take the scenario of Mrs.
21 Williams of Souris, proud mother of eight (8) children,
22 only one (1) of whom is a lawyer. Phyllis (phonetic) is
23 a widow.

24 From 1996 to 2011 she insured her vehicle
25 with MPI and faithfully paid her rates. For reasons of

1 health, she ceased to drive her vehicle in the winter
2 2010/'11. She did not renew her insurance, and in the
3 summer of 2011 sold her vehicle to a granddaughter who
4 lives in Alberta. She has no plans to drive a vehicle
5 again.

6 Based on these assumptions, and it's a
7 hypothetical, would -- would you agree that Nanny
8 (phonetic) Phyllis, or Phyllis, through her rates between
9 1996 and 2010, contri -- contributed to information
10 technology projects, such as CARS and the PIPP
11 infrastructure project?

12 Would that be a fair statement?

13 MS. MARILYN MCLAREN: CARS, definitely.
14 PIPP infrastructure project, very minimally, because I
15 think it would -- only began to be amortized very, very
16 late in the '10/'11 year.

17 MR. BYRON WILLIAMS: Given the timeframe
18 she -- she -- her payments might have also contributed to
19 Autopac-Online?

20 MS. MARILYN MCLAREN: Yes.

21 MR. BYRON WILLIAMS: Okay. Fair -- fair
22 enough, and a fair answer.

23 Would it also be fair to say, based on
24 that hypothetical, that Mrs. Williams, through the rates
25 she paid from 1996 through 2010, made a contribution to

1 the retained earnings of the Corporation from which the
2 65 million Basic contribution to the IT Optimization Fund
3 is drawing?

4 MS. MARILYN MCLAREN: That's fair, sure.

5 MR. BYRON WILLIAMS: Given the -- the
6 hypothetical, would it be fair to say that Mrs. Williams,
7 as a former MPI ratepayer, will receive relatively little
8 or not benefit from IT Optimization expenditures which
9 are paid for from the IT Optimization fund?

10 MS. MARILYN MCLAREN: Strictly narrow --
11 narrowly within the confines of the scenario that you've
12 talked about, and with respect to rates and benefits for
13 rates paid, that's probably somewhat reasonable.

14 MR. BYRON WILLIAMS: Thank you for that.
15 I -- I believe you had this discussion with Board member
16 Gosselin, but I just want to make sure my memory and your
17 memories are the same. If one looks at those other
18 significant infrastructure IT projects such as AOL, CARS,
19 and PIPP infrastructure, I would be correct in suggesting
20 that there was no special fund set up from retained
21 earnings for those projects?

22 Would that be correct?

23 MS. MARILYN MCLAREN: That's true, yes.

24

25

(BRIEF PAUSE)

1 MR. BYRON WILLIAMS: Would it be fair to
2 say, Ms. McLaren, that the \$65 million Basic contribution
3 to the IT Optimization Fund paid for by Basic ratepayers
4 prior to the 2011/'12 fiscal year -- excuse me, let me
5 try this again, and I apologize for this.

6 Would it be fair to say that the \$65
7 million Basic contribution to the IT Optimization Fund
8 was paid for by Basic ratepayers prior to the
9 commencement of the 2011/'12 fiscal year, but is being
10 used to benefit ratepea -- payers in the period from
11 2011/'12 and subsequent years?

12 Would that be fair?

13 MS. MARILYN MCLAREN: That's true. And I
14 think it's -- it's true of so many different things in so
15 many different ways when it comes to a Corporation that
16 has, for the most part, the -- you know, the same base of
17 customers going forward, and every year there will be a
18 very small percentage of the -- percentage of those
19 customers who come in and out of the system.

20 Anything we amortize well into the future
21 according to the rules that have been discussed here
22 today, may in fact benefit someone who didn't -- who
23 didn't pay premiums. Your know, I mean, I think it's --
24 it's the nature of a large, long-standing, compulsory
25 program that situations like that happen occasionally to

1 a small group of customers.

2 MR. BYRON WILLIAMS: You're not immune to
3 the suggestion though, that the unique treatment of the
4 IT Optimization Fund raises issues of intergenerational
5 equity?

6

7 (BRIEF PAUSE)

8

9 MS. MARILYN MCLAREN: Again, from the
10 narrow perspective of ratepayers and benefits, that -- I
11 guess the assumption within the narrow confines of your
12 hypothetical is that the only Manitobans who receive
13 benefits from these things are people who pay premiums,
14 which is not true, and we both know it's not true.

15 In your scenario, Mrs. Williams may very
16 well still, hopefully not, but -- but may become a PIPP
17 claimant. And it will be very important to her in that
18 scenario that, you know, we have an infrastructure.

19 I understand the concept that there was
20 more than one (1) way to do this. I understand the
21 concept of intergenerational cost transfer. I -- I think
22 it's -- the Corporation's view on it was explained.
23 There's certainly more than one (1) way to do it. But we
24 think that in the circumstances and looking at some of
25 the experience of -- that we talked about ICBC and SGI,

1 it's a reasonable approach.

2 MR. BYRON WILLIAMS: Thank you for that
3 answer. The last question on this -- this discussion.

4 Might it be said that as a consequence of
5 the IT optimization fund, today's ratepayers are not
6 paying the full cost that they bring to the system?

7 MS. MARILYN MCLAREN: No, I don't think
8 that is, given the fact that -- you know, as -- as I
9 talked about early this morning like all -- almost --
10 it's not unreasonable to say that almost -- almost half
11 the cost of the IT optimization project can be linked
12 back to underspending approved budgets over the last few
13 years.

14 So those people were charged rates to get
15 some work done that didn't get done. Today, we have to
16 rectify that situation but then also position the IT
17 infrastructure for the future.

18 So, partially, I suppose, with respect to
19 positioning us for the future, maybe that's true. But I
20 think there's another piece to that, given the situation
21 we're in with the need for these initiatives.

22 MR. BYRON WILLIAMS: And certainly I
23 understand the distinct perspectives between our clients
24 and the Corporation.

25 Ms. McLaren, you -- you do not need to --

1 to turn here, but in -- in the Corporation's response to
2 CAC-1-229, there -- and it might be (d), Ms. McLaren. I
3 see you're -- you're turning there.

4 I -- I'm sure the Board doesn't need to
5 turn there, but...

6

7 (BRIEF PAUSE)

8

9 MR. REGIS GOSSELIN: What number is that,
10 I'm sorry?

11 MR. BYRON WILLIAMS: It's P -- C -- I --
12 I might have misspoke. I -- I should have said CAC-1-
13 229, and I -- the specific response, I think, is (1).

14

15 (BRIEF PAUSE)

16

17 THE CHAIRPERSON: We have it.

18 MR. BYRON WILLIAMS: I -- I think we're
19 just waiting for one (1) other Board member to get it,
20 Madam Chair.

21

22 (BRIEF PAUSE)

23

24 CONTINUED BY MR. BYRON WILLIAMS:

25 MR. BYRON WILLIAMS: It's CAC First Round

1 229(1). And Ms. McLaren, I'll -- I'll just suggest that
2 the funding of the IT optimization, the -- essentially
3 the -- the thrust of the question was: What are -- what
4 were the alternatives considered by the Corporation in
5 terms of funding.

6 And the Corporation's response, I'll ask
7 you to confirm, is that funding of these required
8 projects could be provided through appropriation of
9 existing retra -- retained earnings or through future
10 rate increases.

11 The former was chosen as it maintains rate
12 stability?

13 MS. MARILYN MCLAREN: Yes.

14 MR. BYRON WILLIAMS: And I guess, Ms.
15 McLaren, I'm -- I'm going to suggest to you that be --
16 while the answer identifies two (2) alternatives, one (1)
17 being on -- on appropriation from retained earnings, the
18 other being future rate increases.

19 Would a third option have been instead of
20 see -- seeking 6.85 percent in terms of rate reduction,
21 to lower the rate reduction somewhat?

22 MS. MARILYN MCLAREN: In -- in our way of
23 thinking, that was really implied when we talked about
24 the rate increase. I think the -- the effect would
25 probably be about a point, so -- so funding it through

1 future higher rates in the broadest sense would have been
2 something like a 5.8 percent rate decrease, sir.

3 MR. BYRON WILLIAMS: And I thank you for
4 that. Using the test of rate stability, what is -- what
5 is more stable, a 6.85 percent decrease or a 5.85 percent
6 decrease?

7 MS. MARILYN MCLAREN: Point taken.

8

9 (BRIEF PAUSE)

10

11 MR. BYRON WILLIAMS: I'm going to jump
12 around with a few questions, and then we're going to get
13 to project charters in terms of IT optimization, Ms.
14 McLaren.

15 Madam Chair, I'm -- I -- I would like to,
16 if possible, complete -- I leave it up to the Board's
17 patience. If -- if the Board needs a break now I'm --
18 I'm open to that. On IT optimization I anticipate I
19 would require fifteen (15) to twenty (20) minutes. So if
20 -- if that's -- I'll -- I am at your discretion.

21 THE CHAIRPERSON: Yeah, I think we can do
22 that. We've had a couple of other breaks, so you go
23 ahead.

24

25 CONTINUED BY MR. BYRON WILLIAMS:

1 MR. BYRON WILLIAMS: Ms. McLaren, in
2 terms of IT optimization and I -- I listened carefully to
3 your evidence with Board counsel yesterday in terms of,
4 in part, it was a -- a response to a significant service
5 interruption and that the project has a goal of reducing
6 the risk of service interruptions. Would that be a -- a
7 fair summary of your evidence?

8 Not a complete summary but on that point.
9 It's a response to service interruptions at -- at least
10 to some degree.

11 MS. MARILYN MCLAREN: Well, I think the -
12 - the qualifier at the end is critically important, at
13 least to some degree re -- reducing the risk of outages,
14 reducing the recovery, reducing the likelihood of
15 outages, the impact of outages that still, in fact, may
16 occur and. reducing the vulnerability to security risks
17 and other things like that, and then fourthly,
18 positioning the infrastructure for the future.

19 The reality is, is that there was work
20 underway before we had the issues with Autopac-Online
21 last spring. That certainly accelerated the need to get
22 our heads around this but it was not just because we had
23 an outage that maybe cost us about a million dollars.
24 It's far, far too narrow a perspective.

25 All the evidence we have from our own

1 technical staff, HP, and Gartner is that our -- our
2 administration of IT within this large pervasive company
3 is immature and ineffective. We have been lucky. We
4 have some amazing committed staff who turned themselves
5 inside out, without the proper tools and -- and support
6 structure to do it. But this is something that is a risk
7 to our ability to provide service and that's -- that's
8 really why we're doing it.

9 MR. BYRON WILLIAMS: And I thank you for
10 that answer. In -- in terms of service interruptions and
11 -- and my -- my client -- or my clients would suggest to
12 you or I would suggest to you that presumably the AO --
13 AOL interruption would not have been the -- the only
14 interruption over the -- the past few years?

15 MS. MARILYN MCLAREN: No, I think things
16 happen every once in a while but I think the AOL over its
17 many twenty (20) plus years of history has really failed
18 to be there when people needed it very, very rarely. But
19 it was the nature of this outage and the severity with
20 which we recovered that -- that really caught our
21 attention. And it was really just one (1) of many
22 indications that we had an issue here that had to be
23 dealt with.

24 MR. BYRON WILLIAMS: Does the Corporation
25 track the number and duration of service interruptions?

1 MS. MARILYN MCLAREN: Not particularly
2 well until more recently. I can tell you just in the
3 last several months we've had as many as -- a critical
4 incident is a little -- is defined a little bit more
5 broadly than outages. It is an outage or a potential for
6 an outage that was -- you know, really impairs our
7 ability to provide service. In the last few months we've
8 had thirty-six (36) of them.

9 MR. BYRON WILLIAMS: And -- and -- thank
10 you, that's helpful. And in terms of critical incidents
11 is there some sort of report or document that's prepared
12 for the -- the executive of the Corporation?

13 MS. MARILYN MCLAREN: The senior
14 management and the executive of -- of the area
15 specifically, not the executive as a whole. But I think
16 it's the ability to -- to track these things and report
17 on them effectively is -- is developing and it is much
18 better than it was. And I -- I'm not a hundred percent
19 sure at this point the extent to which it is exactly
20 where the CIO would like it to be but it's certainly
21 headed that direction.

22 MR. BYRON WILLIAMS: And are these type
23 of critical incident reports the type of reports that the
24 Corporation would feel comfortable sharing in the public
25 domain of -- of this process?

1 MS. MARILYN MCLAREN: Potentially, some
2 of them. I'm -- I'm not entirely sure that -- what that
3 would do for folks. But I don't know just sort of on the
4 -- on the surface of it that it would be particularly
5 confidential. If there are, you know, issues around
6 security and things, it may very well be.

7 I can tell you that since before we got
8 here this morning Autopac-Online has been down again
9 today, you know, so, I mean, I think these things are --
10 are pieces of it. I really -- and -- and the fact that
11 we've had that many critical incidents, which is more
12 than anyone will tell you you should have in an
13 organization like this while we have managed to get rid
14 of 40 percent of the single points of failure and things
15 like that, is just really an indication of why we need to
16 do this work.

17 And I -- I don't want people to be left
18 with the impression, well, we had a problem last year
19 with AOL, and so now we need to spend 75 million. It's
20 much more pervasive than that. And if -- it may very
21 well be worth the time referring to a few more of these
22 specific documents and comments in Tab 22, but I -- I
23 won't force you through that quite yet, but I -- I think
24 we may need to for context at some point.

25 MR. BYRON WILLIAMS: Certainly I can

1 assure you that they've been reviewed carefully on our
2 side. Just for final context on this, the -- the period
3 in which those thirty-six (36) critical incidents took
4 place would be how long, Ms. McLaren?

5 MS. MARILYN MCLAREN: Within the last six
6 (6) months.

7 MR. BYRON WILLIAMS: And I -- I'm not
8 going to ask for the re -- reports, but is there a
9 written definition of what critical incidents are defined
10 as or is there some sort of definition that you can share
11 with -- with us?

12 MS. MARILYN MCLAREN: Can you give me
13 just a few seconds?

14

15 (BRIEF PAUSE)

16

17 MS. MARILYN MCLAREN: I can report that
18 critical information technology incidents would include
19 system failures, service interruption, and other similar
20 technical incidents.

21 MR. BYRON WILLIAMS: Thank you for that.
22 Ms. McLaren, I want to turn for a couple moments to the
23 subject of project charters. And I believe in your
24 discussion with Board counsel today - we'll see if I can
25 read my messy handwriting -- I believe your evidence was

1 something to the effect that, as we go forward with our
2 charter we expect the benefits will be clearly
3 articulated.

4 Do you recall evidence to -- to --
5 somewhat to that effect, Ms. McLaren? If not, it was
6 just a clever segue, or not so clever.

7 MS. MARILYN MCLAREN: Yes.

8 MR. BYRON WILLIAMS: Just in terms of
9 what a project charter is, Ms. McLaren, I want to ensure
10 that our clients' understanding of what they are is
11 consistent with -- with how you use the term.

12 So I'm going to start with what our
13 clients would expect a project charter document to
14 contain, and -- and you can see if we're on the same page
15 or not. I'm going to suggest to you that a project
16 charter document would -- would contain the reasons for
17 undertaking the project, the objectives and constraints
18 of the project, directions concerning the solutions or
19 change management process, a description of the main
20 stakeholders, a description of in scope and out of scope
21 items, a description of a high level risk management
22 plan, a communications plan, target project benefits, and
23 high level -- high level budget and spending authority.

24 Would that be consistent with your
25 understanding, Ms. McLaren?

1 MS. MARILYN MCLAREN: Yes, that's --
2 that's pretty close. At MPI, we use something known as
3 the project management tool kit, which describes ver --
4 all the different aspects of project management. More
5 specifically, the project charter is really the document
6 that's used to obtain management approval to expend
7 effort and resources and spend money.

8 The components of it that you talked about
9 are -- are pretty similar to -- to the template that we
10 use, but the -- the key purpose is to get the
11 authorization to get going and, therefore, it has to
12 clearly talk about what is it doing, why is it doing,
13 what are the constraints and so on.

14 MR. BYRON WILLIAMS: And I -- I think
15 we're on the same page, and I just want to pull up on
16 that last response for a second. My clients'
17 understanding of the purpose of a project charter is to
18 provide a compelling and clear case to initiate a project
19 to -- essentially to convince the board of directors to
20 approve the proj -- project and give management the go-
21 ahead to commit resources, and they would expect that a
22 project charter would contain milestones at which point
23 the project is evaluated to continue to go ahead, be
24 modified, or cancelled to mitigate incremental risk
25 taking.

1 Would that be consistent with your -- the
2 Corporation's use of that term, Ms. McLaren?

3 MS. MARILYN MCLAREN: For the most part.
4 Except at -- at the front-end piece of this it is
5 generally -- project charters are management's tool to
6 tightly specify, authorize, review, control projects as
7 they move along. So the project staff and the sponsor,
8 or the -- the project sponsor, the project staff would
9 create the charters for senior management's approval.

10 MR. BYRON WILLIAMS: In terms of the IT
11 optimization project, would I be correct in suggesting to
12 you, Ms. McLaren, that no project charter has yet been
13 completed?

14 MS. MARILYN MCLAREN: It -- it's really
15 more a matter of the context of the -- the governance
16 sort of hierarchy. We have spoken about project
17 charters. The overall IT optimization plan or program --
18 it would be overwhelmingly cumbersome and ineffective to
19 have a charter for something like that.

20 So components of it as they break down
21 will certainly specifically have charters, but it would
22 not be appropriate for something that was not a project
23 charter for the business process review. There were for
24 each of the component initiatives.

25 MR. BYRON WILLIAMS: Thank you for that

1 answer. Would I be correct in suggesting to you that as
2 of today, for the specific components of the IT
3 optimization project which might invite a charter, that
4 there are none completed?

5 MS. MARILYN MCLAREN: That's right. And
6 the Corporation's process certainly allows for a fair bit
7 of effort up front to investigate, articulate, establish
8 a direction before striking a charter. So it's certainly
9 possible and necessary to spend money to be in a position
10 to create the charter.

11 MR. BYRON WILLIAMS: And -- and I thank
12 you for that, and that's helpful. It would be fair to
13 say then that in terms of any of the specific
14 subcomponents of the IT optimization project which might
15 invite a charter, there are none available for the Public
16 Utilities Board to review?

17 MS. MARILYN MCLAREN: That's right. We
18 absolutely believe we are now establishing a direction
19 with respect to disaster recovery business continuity.
20 Specific -- a -- a significant detail in -- about that
21 and -- and the direction the Corporation is taking in one
22 (1) of the attachments to PUB-2-26.

23 But that is some of the preliminary work
24 done before we can actually put the stake in the ground,
25 decide where we're headed, and create the charter. Same

1 thing with the data centre. We know we need a brand new
2 data centre. There's a number of different ways to come
3 at that.

4 We are actually spending some money on
5 getting some consulting advice to help us understand how
6 it would -- best to come at that. Once that is done we
7 will strike a charter for creating a new data centre.

8 MR. BYRON WILLIAMS: If memory serves me
9 right, the current estimate of the Corporation is a \$71
10 million budget with a \$4 million contingency, Ms.
11 McLaren?

12 Is -- is -- was that your evidence today?

13 MS. MARILYN MCLAREN: That's right. And
14 the -- it's -- it's possible that some of the
15 subcomponents of the seventy-one (71) may have some other
16 contingency there. Four (4) million would certainly not
17 meet the test of standard IT project contingency funding.
18 So it's possible that there is more contingency in there
19 that was simply a matter of believing seventy-one (71)
20 was the right number and choosing seventy-five (75) for
21 the fund of retained earnings.

22 MR. BYRON WILLIAMS: My recollection from
23 over a decade ago from the Gartner group's evidence was
24 they generally suggested a 30 percent contingency.

25 Is that your recollection as well?

1 MS. MARILYN MCLAREN: For certain
2 projects, for certain kinds of projects. Specifically,
3 software development, configuring off-the-shelf software.
4 But again, nowhere near a 30 percent contingency if what
5 -- a lot of what you're doing is purchasing hardware,
6 purchasing security technologies. Things like that are -
7 - are not the same risk, and do not require the same
8 contingency as -- as development of -- business programs
9 would.

10 MR. BYRON WILLIAMS: In terms of the
11 contingency associated with the project as a whole, both
12 with the specific sub -- sub-elements and -- and the
13 additional 4 million, do -- do -- are -- presumably the
14 Corporation would be able to tell us what -- what that
15 figure is?

16 MS. MARILYN MCLAREN: Well, be -- because
17 the subcomponents have only been articulated at the
18 highest level right now, we -- we may not in fact do that
19 -- be able to do that right now, but certainly when the
20 individual charters are there, the funding is there, and
21 the contingency at that individual project level will be
22 clearly identified.

23 You know, further to my point about
24 depending on the nature, I would expect that the
25 development of a business continuity program for the

1 Corporation would -- would require a higher percentage of
2 contingency than would the data centre.

3 MR. BYRON WILLIAMS: And presumably in
4 future regulatory processes, the Corporation would be
5 prepared to share the project charters with regards to
6 the sub-projects with its regulator, as they relate to
7 Basic?

8 MS. MARILYN MCLAREN: I -- I believe
9 we've put that on the record, that they have not been
10 developed yet but certainly will be available to the
11 Board when they are.

12 MR. BYRON WILLIAMS: Madam Chair, I'm
13 going to suggest that we take our break now, and I'll
14 review the completed response of Manitoba Public
15 Insurance.

16 THE CHAIRPERSON: Thank you. We'll take
17 a fifteen (15) minute break, bringing us back at twenty
18 (20) after. And you would like to add something before
19 we take off?

20 MS. KATHY KALINOWSKY: Yes. We've
21 managed to locate the missing pages for the pre-asks from
22 CAC number 1 and 2. So I can just pass those out right
23 now prior to the break. We need not mark them as new
24 exhibits, simply tear out your old exhibit number, and
25 put it in right here in this -- this instance.

1 THE CHAIRPERSON: Thank you, Ms.
2 Kalinowsky.

3
4 --- Upon recessing at 3:06 p.m.
5 --- Upon resuming at 3:24 p.m.

6
7 THE CHAIRPERSON: So, Mr. Williams, I
8 think we're all back now ready to go.

9 MR. BYRON WILLIAMS: Thank you, and --

10 MS. KATHY KALINOWSKY: Excuse me, Mr.
11 Williams. I was just on the other side there. I've got
12 two (2) exhibits that I'd like to put in and circulate to
13 members right now. Just literally getting them printed
14 off right now.

15 One (1) of them is "Service management and
16 service delivery at MPI is -- is im --" it says, "is
17 immature," and that's from the Gartner group, and it's in
18 one (1) of the exhibits that was -- it's a PowerPoint,
19 and it's one (1) of the exhibits that's already attached.
20 And Ms. McLaren will speak to that.

21 And I'm not sure which exhibit number it
22 would be. Mr. Simonsen, maybe you could help me with
23 that?

24 MR. KURT SIMONSEN: Eighteen (18).

25

1 --- EXHIBIT NO. MPI-18: Gartner group PowerPoint,
2 "Service management and
3 service delivery at MPI is
4 immature"

5
6 MS. KATHY KALINOWSKY: And the other is
7 an undertaking from this morning. It's also on IT
8 optimization. I believe it should be Undertaking number
9 13 as the undertakings ended yesterday at number 12, and
10 we believe this is the first undertaking from this
11 morning.

12 And it's the 2011/'12 IT optimization-
13 related awarding of work as at October 13th, 2011, so up
14 to date to today. So I can just circulate that very
15 quickly also. Thank you.

16
17 --- EXHIBIT NO. MPI-19: Response to Undertaking 13

18
19 THE CHAIRPERSON: Thank you.

20
21 (BRIEF PAUSE)

22
23 MS. KATHY KALINOWSKY: And the -- sorry,
24 the 2011/'12 IT optimization-related awarding of work
25 will be MPI Exhibit number 19.

1 (BRIEF PAUSE)

2

3 MS. MARILYN MCLAREN: If I could speak
4 briefly to the coloured slide -- slide first. This is
5 simply a full-size copy of what is in the material at --
6 and it's part of the response to PUB/MPI-2-26, Attachment
7 D, page 5, and it really is not very meaningful when it's
8 small and in black and white. So we really just wanted
9 to have a chance to -- to show it to you in a more
10 meaningful way.

11 And you can see when Gartner and HP say
12 that our processes are immature, this is a graphical
13 depiction of that. All those short, short arrows are --
14 are pro -- in all likelihood an issue.

15 Now what this also tells you is that
16 organizations have a real opportunity to decide where
17 they should be on this spectrum. And we have no
18 intention of pushing all the way over to the right to be
19 optimizing everything at the highest possible level.

20 Quite frankly, we are really comfortable
21 with our program and project planning and design
22 methodologies. That's the one (1) that is out there well
23 into the defined area. As well as our releases. We
24 talked about never really having a failed release of one
25 (1) of our applications. And our deployment of new

1 software and updates to software. We're very comfortable
2 with those, they work well for us.

3 So you can see that through time we will
4 come back with this and you will see movement through
5 time as we move out of the initial stage, no longer be
6 immature and at risk. And you'll see in some places we
7 may decide we need to move to the far, far right, but
8 that would really be an exception, we'll likely be mostly
9 in the yellow areas. maybe potentially somewhat into the
10 green.

11 But it just gives you a chance to see in a
12 pretty specific way in terms of what these specific
13 categories are when comments are made about that we --
14 you know, how we have immature processes, what does that
15 really mean, and how far do we have to go in -- in terms
16 of the risk that -- that it really presents for the
17 Corporation at this time.

18 And the other table is in response to my
19 commitment to Ms. Grammond earlier this morning talking
20 about the work that has been awarded so far this year in
21 terms of IT optimization. And you can see out of
22 slightly less than \$4 million, HP had about twenty-one
23 thousand dollars (\$21,000) on that.

24 THE CHAIRPERSON: Ms. McLaren, back to
25 this colour chart. I'm sort of thinking, what is re --

1 repeatable? Repeatable. Does that mean that you sort of
2 understand it to the point where it's become -- there's a
3 degree of stability there and you can count on that being
4 the mode people are operating in?

5 Is that what --

6 MS. MARILYN MCLAREN: Yes.

7 THE CHAIRPERSON: -- that means?

8 MS. MARILYN MCLAREN: Yes. And that
9 you're not -- you're not reinventing the wheel but you're
10 also not -- not in a very structured defined environment,
11 but you can do what you did last week.

12 THE CHAIRPERSON: Thank you. All right.

13

14 CONTINUED BY MR. BYRON WILLIAMS:

15 MR. BYRON WILLIAMS: Mr. Palmer, I'd ask
16 you to turn to the Corporation's response to CAC/MPI pre-
17 ask 1, which is marked as CAC Exhibit number 3.

18 MR. DONALD PALMER: Yes, I have it.

19 MR. BYRON WILLIAMS: And, Mr. Palmer, I
20 want to flip you two (2) pages back in the exhibit to the
21 attachment to the original pre-ask.

22 Do you have that, sir?

23 MR. DONALD PALMER: Yes, I do.

24 MR. BYRON WILLIAMS: And -- and for those
25 trying to follow along, I apologize for the size of the -

1 - the print. The label at the top right should be "CAC
2 pre-ask 1 attachment," and there should be a -- a table
3 with ten (10) columns with "Insurance year" at the left
4 and "This year's methodology assumptions and tail factors
5 using a straight average of all years" on the extreme
6 right of that table.

7 Do you see that, Mr. Palmer?

8 MR. DONALD PALMER: Yes, I do.

9 MR. BYRON WILLIAMS: And, Mr. Palmer,
10 you'll certainly take the opportunity, I'm sure, later on
11 to -- to chat about the last two (2) columns, but what I
12 want to focus on for the -- for our initial discussion is
13 the first eight (8).

14 And again, this -- this information is --
15 relates to the accidents -- accident benefit weekly
16 indemnity IBNR estimates by accident year.

17 That's the -- the general subject matter
18 of -- of this table, sir, correct?

19 MR. DONALD PALMER: Yes, that's correct.

20 MR. BYRON WILLIAMS: And just to get your
21 assistance in describing it for the panel, on the extreme
22 left, that column basically sets -- sets out the
23 insurance year/accident year, correct?

24 MR. DONALD PALMER: Yes.

25 MR. BYRON WILLIAMS: And the next five

1 (5) columns I'm going to suggest to you and ask you to
2 confirm, running from tabular reserving over incurred
3 development method to incurred BF method, paid
4 development method, paid BF method are excerpts from the
5 appointed actuary's October 2010 report. They're --
6 they're essentially lifted right out of there, sir.

7 Would that be fair?

8 MR. DONALD PALMER: Yes, and each one (1)
9 of those would be a different methodology. And we've --
10 I went over those methodologies in some detail with Ms.
11 Grammond a few days ago.

12 MR. BYRON WILLIAMS: And I'm not going to
13 -- to focus on what the particular methodology is, but in
14 terms of the column -- the second column in, tabular
15 reserving reproduces the appointed actuary's IBNR
16 estimates for the '94/'95 through 2000/2001 insurance
17 years using tabular reserving, correct?

18 MR. DONALD PALMER: Yes, that's correct.

19 MR. BYRON WILLIAMS: And if we go over
20 one (1) more column under the heading, "Incurred
21 development method," this reproduces the IBNR estimates
22 of the appointed actuary using that particular method,
23 being incurred development, correct?

24 MR. DONALD PALMER: Yes.

25 MR. BYRON WILLIAMS: The fourth column,

1 "Incurred BF method," again reproduces the appointed
2 actuary's results using that method flowing from his
3 October 2010 report, correct?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: And the same for
6 column 5, "Paid Development Method," and column 6, "Paid
7 BF method," correct?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: And with regard to
10 those columns, flowing from tabular reserve on the left
11 to paid BF method on the right, Mr. -- Mr. Palmer, I
12 direct your attention to the bottom of that first table
13 under the heading, "Total."

14 Do you see the bottom line of that table,
15 sir, in terms of total? Do you see that?

16 MR. DONALD PALMER: Yes, I do.

17 MR. BYRON WILLIAMS: And we see the IBNR
18 estimate flowing from incurred development at one (1) end
19 of the spectrum being around 71 million, correct?

20 MR. DONALD PALMER: Yes.

21 MR. BYRON WILLIAMS: And at the other end
22 of the spectrum, two (2) more over, is the total from the
23 paid development method in terms of its estimate being
24 about 140 million, correct?

25 MR. DONALD PALMER: Yes, that's correct.

1 MR. BYRON WILLIAMS: So we have
2 materially different estimates of the weekly indemny --
3 indemnity IBNR depending upon the methodology.

4 Would that be fair, sir?

5 MR. DONALD PALMER: Yes, and again with
6 the assumption of these totals that the -- that one (1)
7 method would be chosen for all years IBNR, which is not
8 the case.

9 MR. BYRON WILLIAMS: And that is a
10 helpful segue to the column beside paid BF, which is
11 selected method. And, Mr. Palmer, do you see that
12 column? It says "highlighted in yellow," unfortunately
13 it's not, which is my -- my problem -- my fault, not
14 yours.

15 And we'll -- we'll get into the details in
16 a second. But what this column portrays is the estimated
17 IBNR -- the opinion of the appointed actuary with regard
18 to weekly indemnity IBNR as of October 2010.

19 Would that be fair, sir?

20 MR. DONALD PALMER: That's correct.

21 MR. BYRON WILLIAMS: And, Mr. Palmer,
22 just -- just to help the Board, we had -- and, basically,
23 we'll go into this detail in a second. But the appointed
24 actuary didn't just pick one (1) method, he had selected
25 results from different methods which are formed -- which

1 are included in the -- the total in -- under his selected
2 method, correct?

3 MR. DONALD PALMER: Yes.

4 MR. BYRON WILLIAMS: And because it's not
5 highlighted, I might get you to assist me. And I'll
6 suggest to you, Mr. Palmer, that the selected method for
7 the '94 through '95 insurance years down to the 2000/2001
8 was tabular reserving.

9 Would you agree -- agree to that, sir?

10 MR. DONALD PALMER: Yes, that's correct.

11 MR. BYRON WILLIAMS: And -- and if the
12 Board is trying to follow along, I've found it helpful to
13 just use a pen mark or something to highlight those. In
14 terms of the next years, being '01/'02 through to '07/'08,
15 the selected method chosen by the appointed actuary would
16 be the incurred BF method, Mr. Palmer.

17 Is that correct?

18 MR. DONALD PALMER: Yes, that's correct.

19 MR. BYRON WILLIAMS: And so that runs,
20 again, from '01/'02 through '07/'08, correct?

21 MR. DONALD PALMER: Yes.

22 MR. BYRON WILLIAMS: And for the last
23 three (3) years, his selection was the paid BF method.

24 Is that correct, Mr. Palmer?

25 MR. DONALD PALMER: Almost. For the last

1 three (3) years in the methodology as outlined in the
2 appointed actuary's report, it was the -- for those years
3 it would be the greater of the paid BF method and the
4 incurred BF method.

5 In each one (1) of those cases it -- it
6 was the paid BF that was greater and that was the
7 selection, but that wasn't by design. It could have been
8 the incurred BF for one (1) or more of those years.

9 MR. BYRON WILLIAMS: The mathematical
10 result of his approach was that the paid BF method, being
11 the greater than the incurred BF method for those three
12 (3) particular years was selected, correct?

13 MR. DONALD PALMER: Yes, that's correct.

14

15 (BRIEF PAUSE)

16

17 MR. BYRON WILLIAMS: So, Mr. Palmer, the
18 selected method yielded a -- a total of about \$109
19 million, correct?

20 MR. DONALD PALMER: Yes, that -- that is
21 correct. That was the selected IBNR.

22 MR. BYRON WILLIAMS: And if we go over
23 one (1) column, I'll suggest to you and ask you to
24 confirm that is what is portrayed there would be the
25 results in each particular insurance year of the

1 estimated IBNR if last year's method selections of the
2 appointed actuary were used.

3 Would that be correct, sir?

4 MR. DONALD PALMER: That would be correct
5 from a -- just a straight pick an observation
6 perspective. With the factors changing as much as they
7 did and with our methodologies changing and -- and going
8 to more reliance on the last year -- five (5) year's
9 data, it was appropriate to review all of the answers
10 from all of the methodologies and -- and take a fresh
11 look at which would be the most appropriate methodology.

12 So -- and that's what the appointed
13 actuary did in -- in consultation with MPI, myself and
14 the actuarial staff. So to -- to just jump over from --
15 or cherry pick from one (1) -- one (1) method to another
16 is really not what was done.

17 One (1) of the -- the bases of actuarial -
18 - or actuarial analysis whether it be loss development
19 factors, whether it be methods that you chose, whether it
20 be selections for provision -- margins for provisions for
21 adverse deviation, there is some reliance on previous
22 years methods, and selections, and -- and assumptions.

23 And with these numbers they can be
24 somewhat volatile, and to change a method, or a factor,
25 or a margin is usually done after great thought and

1 analysis. It's not, I think this year we'll use this
2 factor. It -- it would be much more substantive than
3 that.

4 MR. BYRON WILLIAMS: And, Mr. -- Mr.
5 Palmer, you never heard me use the word "cherry pick,"
6 did you, sir?

7 MR. DONALD PALMER: No.

8 MR. BYRON WILLIAMS: Okay. What I'm
9 asking you to confirm is that if we go to the column
10 based on last year's method of selection, the
11 mathematical result would have been a total estimated
12 IBNR for weekly indemnity of about \$80 million, correct?

13 MR. DONALD PALMER: Yes.

14 MR. BYRON WILLIAMS: And so the
15 mathematical difference between the two methodologies
16 would be around \$29 million in terms of their result, in
17 terms of estimated IBNR, correct?

18 MR. DONALD PALMER: That's correct.

19 MR. BYRON WILLIAMS: And if we want to
20 get to the heart of the difference, the twenty (20) --
21 really I'll suggest to you that the difference is, in
22 terms of the biggest ticket items, is for those last
23 three (3) years of development, this year the appointed
24 actuary employed the paid -- employed the greater of the
25 paid BF, or incurred BF method, whereas the year previous

1 he preferred the incurred BF method.

2

3 Would that be fair, sir?

4 MR. DONALD PALMER: That would be fair,
5 again with all the underlying assumptions within the
6 evaluation.

7

8 (BRIEF PAUSE)

9

10 MR. BYRON WILLIAMS: I apologize to the
11 reporter for failing to press my mic. Mr. Palmer, in
12 terms of the last two (2) columns, the Corporation's
13 observations with regard to these columns is that their
14 advice would be that using a straight average of all
15 years, or using the nine (9) year volume weighted factor,
16 would not be what the Corporation advises, given that --
17 and the information from a number of these years came
18 prior to the implementation of the reserving calculator,
19 and -- and is therefore no longer relevant.

20 Would that -- that be the Corporation's
21 perspective, sir?

22 MR. DONALD PALMER: Specifically for
23 incurred development methodologies, I would absolutely
24 agree with it -- that. For pay -- paid methods, there
25 hasn't been the same shift in -- in factors. Paid are

1 pays, and are -- are not dependent on reserving
2 methodologies.

3 Again, just using a straight average or --
4 or one (1) set of assumptions again is, without
5 understanding the -- the underlying reasons for the data,
6 is -- can be problematic.

7 MR. BYRON WILLIAMS: Now, Mr. Palmer, I'm
8 not necessarily conceding that point today, but just in
9 the interests of time if we -- if we wish to recanvass
10 that issue we'll deal with Mr. Christie on that point.

11 I -- I want to turn you to the
12 Corporation's response to CAC/MPI Pre-ask number 2, which
13 is marked as CAC Exhibit number 4.

14

15 (BRIEF PAUSE)

16

17 MR. BYRON WILLIAMS: You have that, Mr.
18 Palmer?

19 MR. DONALD PALMER: Yes, I have it.

20 MR. BYRON WILLIAMS: And I -- I do again
21 want to direct your attention to the second page of that
22 pre-ask. And you should see a table headed "Accident
23 benefits other - IBNR estimates by accident year."

24 Do you see that, sir?

25 MR. DONALD PALMER: Yes, I have it.

1 MR. BYRON WILLIAMS: And Mr. Palmer,
2 apart from the numbers -- excuse me, Madam Chairman, does
3 -- does the Board have -- okay.

4 Apart from the numbers, Mr. -- Mr. Palmer,
5 one (1) of the distinctions between this table and the
6 previous one (1) is it relates to accident benefit other
7 -- the IBNR estimates by accident year as opposed to
8 accibe -- accident benefits weekly.

9 Is that fair, sir?

10 MR. DONALD PALMER: Yes.

11 MR. BYRON WILLIAMS: And it would be fair
12 to say -- just one (1) second, sir.

13

14 (BRIEF PAUSE)

15

16 MR. BYRON WILLIAMS: Mr. Palmer, this
17 table appears in a familiar format to the previous one
18 (1) with one (1) exception as well being that there's no
19 column for tabular reserving.

20 Do you see that, sir?

21 MR. DONALD PALMER: Yes, that's correct.
22 And the reason for that is these would not necessarily be
23 an established stream of payments. Tabular methodology
24 would be if there is a -- an established weekly or bi-
25 weekly amount that's -- that's payable for a long period

1 of time, and that's when a tabular method would be used.

2 For these benefits, this could be personal
3 care benefits, it could be medical benefits, other
4 rehabilitation. In some cases there are for certain
5 periods of time some streams of payment but that's not
6 necessarily the rule. So the tabular reserving
7 methodology would not necessarily be appropriate in these
8 cases.

9 MR. BYRON WILLIAMS: And so what is por -
10 - and I thank you for that. What is portrayed in the
11 first four (4) columns after the accident year is the
12 results if a particular methodology was -- was used
13 exclusively.

14 Correct, sir?

15 MR. DONALD PALMER: Yes.

16 MR. BYRON WILLIAMS: So we -- we run from
17 again the incurred development method through incurred
18 BF, paid development method, and paid BF method, correct?

19 MR. DONALD PALMER: Yes.

20 MR. BYRON WILLIAMS: And we see the --
21 for these four (4) methods, the estimated IBNR flowing
22 from them being as low as one thousand three hundred
23 (1,300) and -- or excuse me, one million three hundred
24 and twenty-nine thousand (1,329,000) and as high as under
25 the incurred BF method of about 55 million, correct?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: If we move over one
3 (1) column, sir, we will see the -- the appointed actu --
4 actuary selected method, the results thereof.

5 Correct, sir?

6 MR. DONALD PALMER: Yes.

7 MR. BYRON WILLIAMS: And again, just to --
8 -- because it's not highlighted on -- on this -- this --
9 on the -- the panel's version, in terms of what the
10 appointed actuary selected I would suggest to you that
11 for the '94/'95 through '07/'08 years he used the
12 incurred BF method.

13 Correct, sir?

14 MR. DONALD PALMER: Yes.

15 MR. BYRON WILLIAMS: For the last three
16 (3) years, being '08/'09 through 2010/'11, he used the
17 greater of the incurred BF method and -- and the paid BF
18 method, correct, sir?

19 MR. DONALD PALMER: Yes.

20 MR. BYRON WILLIAMS: And the mathematical
21 result of using the greater of was that in -- in '08/'09
22 and '09/'10 the selected method was the paid BF method,
23 correct, sir?

24 MR. DONALD PALMER: Yes.

25 MR. BYRON WILLIAMS: And in 2010/'11

1 because the incurred BF method led to a greater estimated
2 IBNR, that was the mathematical result and was selected,
3 correct?

4 MR. DONALD PALMER: Yes.

5 MR. BYRON WILLIAMS: And the result of
6 the appointed actuary's IBNR estimates is a total of
7 around \$64.7 million, correct, sir?

8 MR. DONALD PALMER: Yes.

9 MR. BYRON WILLIAMS: And if we compare
10 that to the totals of the other -- or of the four (4)
11 methods tested, that selected method is actually higher
12 than -- than all four (4), correct, sir?

13 MR. DONALD PALMER: It is, yes.

14 MR. BYRON WILLIAMS: And, sir, if we move
15 one (1) column to the right we see the -- and again, with
16 no suggestions of cherry-picking, we see the mathematical
17 result of -- that would flow if last year's method was
18 employed, correct, sir?

19 MR. DONALD PALMER: With blind
20 application of last year's methodologies, that's correct.

21 MR. BYRON WILLIAMS: And that total would
22 be a bit over 23 million -- excuse me, a bit -- between
23 twenty-two (22) and twenty (20) -- let me try that again,
24 would be around \$22.7 million.

25 Is that correct, sir?

1 MR. DONALD PALMER: Yes.

2 MR. BYRON WILLIAMS: And, Mr. Palmer,
3 again, for the purposes of our conversation, I'm not
4 going to pursue the last two (2) -- two (2) columns. And
5 we'll see if we can give Ms. Grammond a chance to finish
6 off today.

7 I do want you to turn though, sir, to the
8 Corporation's response to CAC/MPI Pre-ask number 3, which
9 is Exhibit -- CAC Exhibit number 5.

10

11 (BRIEF PAUSE)

12

13 THE CHAIRPERSON: We're not sure which
14 one that is.

15 MR. BYRON WILLIAMS: I -- I'm sorry,
16 Madam Chair. I was just dazing -- gazing off into space.
17 I apologize. It should be "Collision IBR -- IBNR
18 estimates by accident year" should be on the first page
19 of that. It should be a three (3) page document. On the
20 left-hand side of the front page should be marked,
21 "CAC/MPI Pre-ask 3." If -- if a bundle was handed out to
22 you at the break it might be the last document in that
23 bundle.

24 MR. DONALD PALMER: The -- the third one
25 wasn't re-handed out.

1 THE CHAIRPERSON: Yeah.

2 MR. DONALD PALMER: It hadn't changed.

3 THE CHAIRPERSON: We don't have that
4 third one. We just have two (2) re-asks -- pre-asks. We
5 have 1 and 2. We don't have 3.

6 MR. DONALD PALMER: The...

7 THE CHAIRPERSON: We now have it.

8

9 (BRIEF PAUSE)

10

11 CONTINUED BY MR. BYRON WILLIAMS:

12 MR. BYRON WILLIAMS: Just -- we're going
13 to start on the very first page, Mr. Palmer, just for a
14 second. We presented our calculations in the attached
15 table.

16 And the Corporation has -- has confirmed
17 our calculations, correct?

18 MR. DONALD PALMER: Yes, blind
19 application of what was described, yes, that wa -- that's
20 what was done.

21

22 (BRIEF PAUSE)

23

24 MR. BYRON WILLIAMS: And that's your
25 adjective, Mr. Palmer, not mine. When we look at this

1 table, you'll agree with me that the first column on the
2 left again simply sets out the accident year? It may not
3 be pro -- nicely labelled, but that's what it -- it does,
4 the accident or insurance year, correct?

5 MR. DONALD PALMER: Yes.

6 MR. BYRON WILLIAMS: And so we're --
7 we're now on page 2 of the attachment. And again, this
8 table re -- relates to collision IBNR estimates by
9 accident year, correct?

10 MR. DONALD PALMER: Yes.

11 MR. BYRON WILLIAMS: And collision IBNR
12 is a shorter-tail type of development, correct, sir?

13 MR. DONALD PALMER: Yes.

14 MR. BYRON WILLIAMS: And...

15

16 (BRIEF PAUSE)

17

18 MR. DONALD PALMER: Sorry, Mr. Williams.

19 MR. BYRON WILLIAMS: No worries. I
20 always have time for Mr. Johnston. The -- and what the
21 second column in this table portrays is the -- the
22 estimated IBNR flowing from the incurred developments
23 selected by Man -- Manitoba Public Insurance, its
24 appointed actuary, correct, sir?

25 MR. DONALD PALMER: Yes, that's correct.

1 MR. BYRON WILLIAMS: And what the third
2 column does is portray the results if, rather than use
3 the incurred development selected by the appointed
4 actuary, one used the average of the last five (5) years
5 in incurred development.

6 Is that correct, sir?

7 MR. DONALD PALMER: That's correct.

8 MR. BYRON WILLIAMS: And what the fourth
9 column does is suggest the results if the average of the
10 last three (3) years was emp -- employed, correct?

11 MR. DONALD PALMER: Yes, a straight
12 mathematical projection of those, yes.

13 MR. BYRON WILLIAMS: And the last column
14 shows the latest nine (9) volume weighted average, the
15 results flowing from that, correct, sir?

16 MR. DONALD PALMER: Yes, that's correct.

17 MR. BYRON WILLIAMS: And what we see,
18 sir, is a range of results on the high si -- higher side,
19 not forming any judgments just the mathematically higher
20 result, are those flowing from the -- the selections of
21 the appointed actuary of MPI, being about \$7.7 million,
22 sir, correct?

23 MR. DONALD PALMER: Yes. And -- and
24 again, with some explanation or some warning to the Board
25 regarding taking too much stock in -- in this kind of a

1 straight or mathematical exercise. One (1) of the normal
2 procedures that's done as part of an actuarial
3 evaluation, and -- and Mr. Johnston and I were discussing
4 whether it was part of the -- embedded in the standards
5 of practice or not, and we don't have them right handy,
6 so I'm not positive it's in the standard of practice, but
7 it cert -- certainly is part of the regular evaluation
8 procedure, is really a qualitative review of the -- of
9 the Corporation.

10 And every year Mr. Christie has a fairly
11 long questionnaire discusses with the Corporation what
12 has changed in terms of any procedures, any -- any data
13 requirements, whether there's been any changes in -- in
14 systems development, whether there's been any special
15 changes in notices to adjusters, whether there's been
16 change in the way the case reserves are set.

17 All that is done as a very -- fairly
18 extensive qualitative review that is done for the
19 evaluation, not -- not only for Collision, but certainly
20 part of the review exercise for all of the various
21 coverages.

22 That -- the answers to those questions
23 really do inform the judgment of the ap -- appointed
24 actuary in terms of what methodologies are most ap --
25 appropriate and what should be selected.

1 As far as I know, in the calculation of --
2 of these estimates, it was strictly by the numbers.
3 There was no qualitative analysis that was -- that
4 accompanied this, or at least if there was I'm not aware
5 of it.

6 So again, when we look at these numbers,
7 and -- and this was exactly the methodology, and this is
8 what the factors, if you just took some straight
9 averages, is this what would be the result, I -- I agree
10 that this would be the result, but this would never be
11 really the complete analysis that would be done by the
12 actuary.

13 MR. BYRON WILLIAMS: You're not
14 suggesting, Mr. Palmer, that in terms of a loss defel --
15 development factor selected by an actuary that the actual
16 results would not equate in -- in certain cases to the
17 mathematical averages?

18 You're not suggesting that, sir?

19 MR. DONALD PALMER: It could.

20 MR. BYRON WILLIAMS: And -- and -- sorry,
21 please proceed, Mr. Palmer.

22 MR. DONALD PALMER: All I'm saying is
23 that there is an awf -- an awful lot of other analysis
24 that conforms what factor selection should be.

25 MR. BYRON WILLIAMS: You also would

1 agree, given the number of years of experience, Mr.
2 Palmer, that -- that averages of this type would be --
3 would be something that an actuary would give weight to?

4 MR. DONALD PALMER: Again, it's one (1)
5 of the pieces of information that's utilized in an
6 evaluation, yes.

7 MR. BYRON WILLIAMS: You also wouldn't
8 disagree, Mr. Palmer, that -- that actuaries in the
9 conduct of their duties, it is open to them to take into
10 account negative development and -- and to select
11 negative development factors.

12 That's correct, sir?

13 MR. DONALD PALMER: It could happen, yes.

14 MR. BYRON WILLIAMS: Mr. Palmer, if you
15 could perhaps just turn to the last page of the pre-ask,
16 sir.

17 And I'll suggest to you that what this
18 table portrays is a comparison of the loss development
19 factors selected by the MPI-appointed actuary in
20 consultation with the Corporation as compared to the
21 results flowing from the average of the last five (5)
22 years, average of the last three (3) years, and the
23 latest nine (9) volume weighted.

24 At a high level, sir, is that what it
25 does?

1 MR. DONALD PALMER: Yes, it does.

2 MR. BYRON WILLIAMS: And one can draw
3 one's own conclusions from a comparison between the
4 selected and the other results. Correct, sir?

5 MR. DONALD PALMER: Yes.

6 MR. BYRON WILLIAMS: Madam Chair, if --
7 if I could stand down for about one (1) minute. I just
8 want to consult with my client on one (1) point.

9 THE CHAIRPERSON: Go ahead.

10

11 (BRIEF PAUSE)

12

13 MR. BYRON WILLIAMS: Apparently, Madam
14 Chair.

15 THE CHAIRPERSON: Okay.

16 MR. BYRON WILLIAMS: Let the record show
17 that I've been abandoned by my client, Madam Chair. I --
18 I am -- I thank the MPI panel for its assistance today,
19 and it's patient in this -- patience.

20 Our cross-examination is -- is not closed,
21 but on these particular issues, subject to any
22 undertakings flowing from -- from the day related to
23 these topics, that closes our cross-examination of this
24 panel on these specific points.

25 THE CHAIRPERSON: Thank you. So now we

1 go back to Ms. Grammond.

2 MS. CANDACE GRAMMOND: Yes, Madam Chair,
3 and I'll perhaps just indicate for the record that I had
4 a conversation with Mr. Oakes, and he advised me that he
5 didn't have questions for MPI with respect to the
6 actuarial matters, or the IT optimization project.

7 And I -- I -- CAA is here. We should
8 maybe just have them confirm for the record that --
9 whether they have questions for the panel on actuarial or
10 the IT optimization matter.

11 THE CHAIRPERSON: Yes, because they are
12 still in the room. So would you like to ask any
13 questions? Have you any -- anything?

14 MS. LIZ PETERS: No, we don't have
15 anything to add.

16 THE CHAIRPERSON: Thank you.

17 MS. CANDACE GRAMMOND: Okay. And so I --
18 I do have some additional cross-examination, Madam Chair,
19 that I can conduct of the MPI Panel. I should indicate,
20 though, I had said earlier today that arising from the
21 new filings on actuarial matters we may have some more
22 questions, some follow-up questions.

23 I should indicate Mr. Pelly has had some
24 conversations with Mr. Johnston to clarify some things in
25 the documents, so, we don't have any questions now. If

1 we do have questions, we'll get them out first thing on
2 Tuesday before Mr. Christie joins the Panel.

3

4 CONTINUED BY MS. CANDACE GRAMMOND:

5 MS. CANDACE GRAMMOND: Okay. So I'm
6 gonna turn to -- to a -- a different topic then that what
7 we've been speaking about today.

8 We heard evidence yesterday brought out by
9 my colleague, Ms. Hamilton, relating to operating
10 expenses and various details of that. And we've heard in
11 other contexts of the Corporation's business at this
12 hearing evidence with respect to benchmarking;
13 benchmarking of investment yields, Benchmarking in the
14 actuarial context. And we -- we did look yesterday over
15 the course of Ms. Hamilton's examination at TI-5, which
16 is a -- a graphical depiction of operating expenses as
17 compared with CPI or inflation.

18 And what I wanted to ask the Corporation
19 is what other benchmarking it does with respect to its
20 operating expenses. And, for example, does it measure
21 its efficiency in terms of operating expenses against the
22 other public auto insurers. And that's just as an
23 example.

24 MR. DONALD PALMER: We -- we used to.
25 And TI-5 in the past years has been presented and

1 included some comparisons with ICBC and SGI.

2 What we found with that type of comparison
3 because each company operates a little differently, as --
4 as with other private enterprises or private insurance
5 companies, and it seemed that it was -- took more time to
6 figure out and explain the differences and what that
7 would be -- and that -- what the results would be rather
8 than actually compiling the data and -- and comparing the
9 results. So, it's caused us some great difficulties in
10 term -- and I think there was difficulties from the Board
11 and certainly the Intervenors.

12 I know that one (1) -- one (1) of the
13 questions from the Consumers Association was just
14 highlighting the fact that we had stopped doing -- doing
15 that comparison this year and the reasons -- or one (1)
16 of the reasons was that, we discussed at some length --
17 last year Ms. McLaren had talked about the -- the
18 comparative benchmarks and the Consumer Association
19 actually, in the final argument, said, you know, there's
20 -- that you're probably right, that there -- although
21 there may be some value in comparisons with other
22 entities, sometimes it, quite frankly, might be too --
23 more trouble than it's worth and that we really should
24 look at our own operational efficiencies, our -- our
25 measurements over time.

1 Within the Corporation we are currently
2 exploring maybe other possibilities with operational
3 efficiencies, with other benchmarks. There are other
4 benchmarking companies out there that we would be open to
5 -- to explore that. But you have to be very careful with
6 those benchmarks and -- to ensure that they do, in fact,
7 yield valid comparisons.

8 MS. CANDACE GRAMMOND: So if I understand
9 you correctly, the Corporation is exploring other options
10 in terms of benchmarking?

11 MR. DONALD PALMER: Yes, we are.

12 MS. CANDACE GRAMMOND: Are those
13 considerations at a -- a stage that you can discuss with
14 the Board in any more detail than you just did?

15 MR. DONALD PALMER: Not yet, no.

16 MS. CANDACE GRAMMOND: Is it expected
17 that they'll be some conclusion or movement on that
18 before the next filing?

19 MS. MARILYN MCLAREN: It's possible.
20 That's not a commitment at this point, but it's certainly
21 possible. And I think in the -- I know the question was
22 primarily related to operating expenses, but I think it's
23 really important to -- to point out that as much as we
24 have a number of measures in our annual report and --
25 and, you know, the Corporate goals and -- and the

1 performance against those goals, the one (1) measure that
2 we hold as really most important compared to all the
3 others and does have implications for operating
4 efficiencies is the measure related to basically loss
5 ratios.

6 That's -- I think it's the second one (1)
7 in the annual report, and it really is a simple measure
8 where you can eliminate all the differences across
9 insurance companies as to what the coverage is, what the
10 distribution method is, a simple calculation of how much
11 do people pay in premiums and how much does the insurer
12 pay back out in benefits.

13 One (1) of the founding principles is that
14 this not-for-profit compulsory insurer should pay back a
15 minimum of eighty (80) cen -- eighty-five (85) cents on
16 the dollar.

17 And generally we are much, much closer to
18 dollar for dollar. What people pay in premiums we pay
19 back out in claims benefits. Our investment income pays
20 for operating expenses. If -- you know, and the -- those
21 other costs of running the organization.

22 So I think, in -- in simple terms, because
23 it eliminates all the discussion and discrepancies about
24 kinds of coverage and distribution, everything else, that
25 is the one (1) that we believe provides the best

1 comparison across time.

2 Mr. Pelly can probably tell you that --
3 that in the private sector insurers generally shoot for
4 about sixty-five (65) cents on the dollar. If they're
5 much above that they really start to worry about that
6 because the -- the -- it is not in the organization's
7 best interest. But with the public insurance model, the
8 -- the principle is it's got to be at least eight-five
9 (85) cents on the dollar, and we clearly are much more
10 clo -- much closer to dollar for dollar most years.

11 And if we were not reasonably efficient on
12 our expense side we couldn't achieve that objective
13 either, so it's a proxy in some fashion, but it really
14 speaks to the entire mandate of the organization and a
15 big part of the value to ratepayers, to Manitobans.

16 MS. CANDACE GRAMMOND: So I think it
17 actually was Mr. Palmer that spoke about the
18 Corporation's internal measures for looking at operating
19 expenses. Obviously, one (1) of those would be what you
20 just described, Ms. McLaren?

21 MS. MARILYN MCLAREN: And -- and that
22 certainly translates to an external one (1), as well,
23 absolutely.

24 MS. CANDACE GRAMMOND: What are the other
25 internal measures that the Corporation uses in terms of

1 operating expenses?

2 MR. DONALD PALMER: The ones that we had
3 produced in -- in TI.5, that operating expense per policy
4 or -- or per vehicle, claims expense per vehicle, are two
5 (2) that are particularly valid. I think that's what we
6 had presented, and because that also takes out sort of
7 growth in fleet and that kind of thing, as well.

8 The claims expense per vehicle or -- or
9 including claims expenses with claims costs and tracking
10 that on a per vehicle basis, that also eliminates some of
11 the pluses and minuses. Some of the claims expenses
12 which are included in the overall category of claims
13 costs are beneficial in -- in reducing the actual paid
14 claims dollars.

15 And the best example that I can think of
16 of that is the Immobilizer Program, that our claims
17 expenses went -- our claims expenses went very high for
18 the years that we were installing immobilizers, but that
19 was easily offset with a reduction in claims to the
20 overall benefit of the -- the ratepayer.

21 So again, sometimes if you look at claims
22 expenses in isolation, or even other expenses in
23 isolation, you may lose the cost benefit of really what
24 that's supposed to do.

25 And, you know, I think road safety

1 expenses, I mean, if we could -- could find various road
2 safety programming that for sure reduced claims costs
3 with a real significant payback, you'd in -- increase
4 your expenses, but you'd reduce your -- your claims costs
5 to the overall benefit of the Manitoba ratepayer.

6 So again, looking at some of those claims
7 expense, or -- or operating expense comparisons in
8 isolation sometimes doesn't show the whole true picture.

9 MS. CANDACE GRAMMOND: We touched on, I
10 think last week in passing, the fact that the Corporation
11 has an agreement with the Automotive Trade Association
12 and Manitoba Motor Dealers Association with respect to
13 shop rates and whatnot?

14 MS. MARILYN MCLAREN: Yes, just nearing
15 the end of the second year of a four (4) year agreement.

16 MS. CANDACE GRAMMOND: And I understand
17 that there's a new component to that, or at least new --
18 new to us, that deals with funding for apprentices that
19 the Corporation's going to be doing.

20 Can you tell us a little bit about that?

21 MS. MARILYN MCLAREN: Aging workforce is
22 a real concern for body shops in this province. I think
23 it is more broadly, but certainly it's an issue in
24 Manitoba. We believe it's something that we can help to
25 make a difference in.

1 And so we are providing some additional
2 funding both for tools and salary enhancement for
3 apprentices in the body shop trade. I believe there was
4 an IR that spoke to how many people had been funded to
5 date.

6 THE CHAIRPERSON: Yes, you gave us that.

7 MS. MARILYN MCLAREN: But it -- it's
8 something that we believe we can really do because of the
9 role that we play in Manitoba and we think it's important
10 for the industry.

11

12 CONTINUED BY MS. CANDACE GRAMMOND:

13 MS. CANDACE GRAMMOND: And I believe that
14 the -- the costs incurred in the last fiscal year was
15 under a hundred thousand (100,000) for the year of the
16 application, about half a million, and then in 2013/'14,
17 about two hundred and fifty thousand (250,000).

18 Does that sound about right?

19 MS. MARILYN MCLAREN: That sounds -- that
20 sounds about right. I -- I -- ideally we would probably
21 hope to spend closer than -- closer to the half million
22 each year, but realistically those are best estimates at
23 this point.

24 MS. CANDACE GRAMMOND: And obviously what
25 you're spending just depends on how much take up there

1 is?

2 MS. MARILYN MCLAREN: Absolutely.

3 MS. CANDACE GRAMMOND: I'm just going to
4 look at my notes, Madam Chair, to see if I have a topic
5 that I think I can finish in ten (10) minutes.

6 THE CHAIRPERSON: Go ahead.

7 MR. REGIS GOSSELIN: I guess I have a
8 question in the meantime, and it relates to your -- to
9 Ms. McLaren's statement about the dollar for dollar. I
10 guess the -- looking at it from a client perspective, I
11 mean, the client would prefer to pay ninety-six (96)
12 cents rather than a dollar (\$1) and get ninety-six (96)
13 cents back. In other words, if they're paying a buck,
14 I'd rather pay ninety-six (96) cents.

15 And I guess the problem I see with
16 internal benchmarks is that you're not getting an
17 indication of whether the dollar, is it -- should be a
18 dollar (\$1) or it should be ninety-six (96) cents.

19 MS. MARILYN MCLAREN: That's fair. And
20 we would never restrict ourselves on that basis. You
21 know, the -- the rate comparison nationwide that we do,
22 that we talked a fair bit about last week, the three (3)
23 different profiles that we offer, that we try to compare,
24 what do Manitobans pay for the same vehicle and -- and
25 coverage as much as we can in other major centres across

1 the country, that's very important to us. We do pay
2 attention to that.

3 We pay attention to best practices in
4 terms of how can we deliver the product that is in
5 Legislation as effectively as we can. We do our very
6 best across the system, not just in terms of actual
7 operating expenses, but on the claims incurred side, as
8 well.

9 One (1) of the things we haven't talked
10 about too much yet this year is the extent to which
11 Manitoba Public Insurance uses after market parts and
12 recycled parts to repair vehicles that are more than two
13 (2) years old.

14 For many years we have used significantly
15 more of those kinds of parts than other insurers in the
16 country. That -- that's directly -- directly reduces the
17 cost of auto repairs and keeps rates as -- lower than
18 they otherwise would be.

19 We back that up with our own warranty that
20 is exactly the same as the manufacturer's brand new part
21 warranty so that Manitobans are not disadvantaged from a
22 quality perspective.

23 So there's a number of things that we do
24 and we track as best we can how we do in comparison to
25 other players in the industry. We would certainly never

1 limit ourselves just to -- you know, for what we collect
2 in premiums, do we pay it back in -- in coverage, for
3 sure.

4 MR. REGIS GOSSELIN: Just to follow up on
5 that. I guess the -- when you look at -- you know, I
6 can't - - I don't have a specific reference for the --
7 for the graph, but when you look at the graph it compares
8 what a typical client would be paying in Saskatchewan,
9 Alberta, and so on.

10 I mean, it's pretty clear to me that --
11 that they -- the closest -- typically the closest insurer
12 to MPIC, and from a rate perspective, is Saskatchewan.

13 And so for the client who's looking at
14 that and saying, Well, how come my -- my brother living
15 in Saskatchewan is paying a little bit less than me? Is
16 that -- is that a fair comparison, I mean, in terms of
17 for same car, same vehicle, same age group, and so on?

18 What is it that -- that allows
19 Saskatchewan to -- to -- the Saskatchewan client to pay a
20 little bit less than a Manitoba client? Is there
21 something in difference in the coverage?

22 MS. MARILYN MCLAREN: Very little
23 difference in the coverage, but I can tell you for the
24 less severe injury claim Saskatchewan has far, far fewer
25 than Manitobans.

1 looking at some of the internal indicators, I mean, they
2 -- they would have a -- I haven't looked at the -- the
3 website yet, and I certainly will do that, but in terms
4 of claims expense per -- per vehicle, per policy, are we
5 -- are you in the ballpark?

6 I mean, are we -- are we talking apples
7 and apples, or...

8 MS. MARILYN MCLAREN: In terms of
9 Manitoba and Saskatchewan? Absolutely. You know, there
10 -- there are very similar distribution and claims
11 handling processes. They have claims centres across the
12 province like we do.

13 They -- we -- we have a very similar
14 experience with respect to very -- you know, serious
15 injury claims, just based on sort of the population and
16 so on.

17 So I think the differences are primarily
18 where -- where we've identified them, but you'd have
19 significantly different rate comparison outcomes if there
20 was real differences in claims because for both of us,
21 very similar organizations.

22 We pay out -- virtually every penny we
23 collect in premiums we pay it back out in claims cost.
24 Their model is the same as ours when it comes to that.

25 So the claims -- overall claims costs are

1 pretty close. That's why the rates are pretty close.

2 DR. LEN EVANS: I just had one (1)
3 follow-up question. In comparing Saskatchewan and
4 Manitoba, and whatever differences, does Saskatchewan
5 offer what I would call sort of a universal coverage;
6 every man, woman, and child in the province of
7 Saskatchewan who's involved in a motor vehicle accident,
8 whether he or she owns a vehicle, or -- or has a driver's
9 licence?

10 In -- in effect, we have a universal
11 program in Manitoba, and I don't think most people in the
12 province appreciate that. Maybe if they get involved
13 they might begin to appreciate it, but I think the
14 average citizen doesn't realize that.

15 So I was wondering, does -- does
16 Saskatchewan offer that, which Manitoba MPI does?

17 MS. MARILYN MCLAREN: Yes. Their
18 compulsory program provides universal coverage to
19 citizens in terms of injuries. And the coverage -- the -
20 - you know, the -- the compulsory program is provided on
21 a universal basis, as well.

22 DR. LEN EVANS: Well, that's good. So
23 there -- there's no reason for a difference on that
24 score. Thanks.

25 THE CHAIRPERSON: And while we are in

1 discussion on these sort of miscellaneous topics, that
2 use of after-market parts, the recycling of parts, in
3 effect, you're doing that obviously to cut costs, but do
4 you have some Green objectives towards that goal? Like
5 are -- or do you ever think about that as a corporation?

6 MS. MARILYN MCLAREN: Absolutely. One
7 (1) of the things that -- again, we're really hesitant to
8 keep flooding you with paper, but one (1) of the things
9 that we can provide is the annual -- it's a report that -
10 - that we do at a six (6) month, and then an annual
11 basis. It's a sustainability report. It talks about
12 corporately everything we do to use -- you know, we -- we
13 buy paper made from recycled goods for our photocopy
14 machines. We -- we count things like the recycled parts.

15 Just a little point of clarification.
16 There's two (2) different kinds -- there's three (3)
17 different kinds of parts you can put on a car: There is
18 OEM, original equipment manufactured; after-market, which
19 is an entire -- really a -- a growth area right now,
20 which is other lower cost manufacturers making new parts,
21 but not the original manufacturers; and then there's the
22 recycled. And in both the after-market and the recycled,
23 we work really hard to use as much as we can.

24 And, absolutely, the recycled does help in
25 terms of fewer -- fewer things going to the -- the dump,

1 so to speak. But I can also tell you, though, that right
2 now we sell vehicles that are damaged and not suitable to
3 go back to -- you know, going back on the road. We sell
4 them at auction. Right now we can make a lot of money
5 selling them to the scrapper, because they're crushed and
6 that is turned into recycled steel and everything. So
7 all of that flows back in and helps our bottom-line,
8 helps keep late -- rates low, but it also diverts it from
9 -- potentially diverts it from landfill as well, for
10 sure.

11 THE CHAIRPERSON: Well, thank you very
12 much. And you know what, Ms. Grammond, I think we've run
13 out of time. So, you may have had something that would
14 fit ten (10) minutes but we filled it. And today we're
15 going to quit right on time, but we'll be back on Tuesday
16 morning at 9:30.

17 MS. CANDACE GRAMMOND: Thank you.

18 THE CHAIRPERSON: Oh. Yes. In terms of
19 the -- what Mrs. -- Ms. McLaren suggested she could
20 provide on -- on the sustainability, is that the
21 undertaking?

22 MS. MARILYN MCLAREN: We --

23 THE CHAIRPERSON: You know that would be
24 interesting --

25 MS. MARILYN MCLAREN: Sure.

1 THE CHAIRPERSON: -- because in today's
2 world that's just so important.

3 MS. MARILYN MCLAREN: Absolutely.

4

5 --- UNDERTAKING NO. 17: MPI to provide an annual
6 sustainability report

7

8 THE CHAIRPERSON: Okay. Thank you.

9

10 (PANEL RETIRES)

11

12 --- Upon adjourning at 4:29 p.m.

13

14 Certified Correct,

15

16

17

18

19 Cheryl Lavigne, Ms.

20

21

22

23

24

25