



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO
2017/18 and 2018/19
GENERAL RATE APPLICATION
PUBLIC HEARING

Before Board Panel:

Robert Gabor	- Board Chairperson
Marilyn Kapitany	- Vice-Chairperson
Larry Ring, QC	- Board Member
Shawn McCutcheon	- Board Member
Sharon McKay	- Board Member
Hugh Grant	- Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
February 1st, 2018
Pages 7568 to 7794

1		APPEARANCES	
2	Bob Peters)	Board Counsel
3	Dayna Steinfeld)	
4			
5	Patti Ramage)	Manitoba Hydro
6	Odette Fernandes)	
7	Helga Van Iderstine (np))	
8	Doug Bedford (np))	
9	Marla Boyd)	
10	Matthew Ghikas (np))	
11	Brent Czarnecki (np))	
12			
13	Byron Williams)	Consumers Coalition
14	Katrine Dilay)	
15			
16	William Gange (np))	GAC
17	Peter Miller)	
18	David Cordingley)	
19			
20	Antoine Hacault)	MIPUG
21			
22	George Orle (np))	MKO
23			
24	Senwung Luk (np))	Assembly of
25	Corey Shefman (np))	Manitoba Chiefs

1 LIST OF APPEARANCES (cont'd)
2
3 Kevin Williams) Business Council
4 Douglas Finkbeiner) of Manitoba
5
6 Daryl Ferguson (np)) City of Winnipeg
7
8 Christian Monnin (np))General Service
9)Small, General
10)Service Medium
11)Customer Classes
12
13 William Haight (np))Independent Expert
14 William Gardner (np))Witnesses
15 Kimberley Gilson (np))
16
17
18
19
20
21
22
23
24
25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	7568
4		
5	MANITOBA HYDRO - REBUTTAL PANEL	
6	JAMES MCCALLUM, Previously Sworn	
7		
8	Examination-in-Chief by Ms. Patti Ramage	
9	Presentation	7574
10	Cross-Examination by Mr. Bob Peters	7588
11	Cross-Examination by Antoine Hacault	7609
12		
13	Public Presentations	7636
14		
15		
16		
17	Certificate of Transcript	7794
18		
19		
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS	
2	EXHIBIT NO.	PAGE NO.
3	MH-135	Manitoba Hydro rebuttal
4		presentation 7573
5	MH-135-1	Attachment to Rebuttal
6		presentation 7573
7	MIPUG-29	Subject to check response found at
8		transcript pages 6,298 to 6,302 and
9		6,323 to 6,324. 2013 Electric Load
10		Forecast. 7610
11	MIPUG-30	MIPUG response to Undertaking
12		Number 65 - Water Rentals 7611
13	MIPUG-31	Unit Costs of Hydro Domestic
14		System - Transcript page
15		6469-6470. 7611
16	MIPUG-32:	Debt Ratio example calculation. 7624
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon Commencing at 10:32 a.m

2

3 THE CHAIRPERSON: Good morning,
4 everyone. I note that we're into a new month. We're
5 here for rebuttal evidence unless there's anything
6 else to deal with. Ms. Ramage...?

7 MS. PATTI RAMAGE: The only thing to
8 deal with is the rebuttal presentation and entering it
9 as an exhibit. It should be identified as Manitoba
10 Hydro Exhibit 135 and the attachment to it should be
11 Manitoba Hydro 135-1 I'm advised by Mr. Simonsen.

12 Is that correct?

13 MR. KURT SIMONSEN: That's correct.
14 Thank you.

15

16 --- EXHIBIT NO. MH-135: Manitoba Hydro rebuttal
17 presentation

18

19 --- EXHIBIT NO. MH-135-1: Attachment to Rebuttal
20 presentation

21

22 MS. PATTI RAMAGE: So, and with that,
23 to simplify things, I am just simply going to turn it
24 over to Mr. McCallum to walk through Manitoba Hydro's
25 rebuttal evidence.

1 THE CHAIRPERSON: Thank you.

2

3 MANITOBA HYDRO - REBUTTAL PANEL

4 JAMES MCCALLUM, Previously Sworn

5

6 PRESENTATION:

7 MR. JAMES MCCALLUM: Thank you. Good
8 morning, Panel, nice to be -- to be back again. If I
9 could have the slide presentation turn to slide 2.

10 So what arose in the -- in the direct
11 evidence of Morrison Park Associates back in the
12 middle part of January was an analysis that we had not
13 seen in their -- in their October report and,
14 therefore, had not had an opportunity to ask questions
15 on and -- and provide rebuttal to. So, we're -- we're
16 grateful for the opportunity today to -- to put into
17 the record what we would have done through that --
18 through that normal process.

19 And the analysis that Morrison Park
20 produced was -- was designed -- it was an interesting
21 analysis but it was really -- at least as we
22 understood it, an effort to -- and I think a
23 worthwhile effort actually to think about Manitoba
24 Hydro as kind of two (2) separate companies. Taking
25 all of the construction activity going on for Keeyask

1 and Bipole III, and the other significant projects,
2 and saying, look, we're going to debt fund all of that
3 and we're going to put that to the side and now let's
4 focus on the core operating company and see what's
5 happening to its capitalization and its balance sheet.

6 Because that's where -- where this
7 question of whether rates today, and in the recent
8 past, have been sufficient to keep up with the
9 expanding needs of the -- of kind of the core
10 operation, which is a fundamental kind of plank to --
11 to Manitoba Hydro's case here is that -- is that they
12 haven't.

13 And so this was -- it was an analysis I
14 actually thought about. Before this hearing talked to
15 my accounting team who -- who -- who got into the
16 detail of how difficult it would really be to kind of,
17 on a pro forma basis, separate the two (2) companies.
18 So this is an illustrative exercise which I think
19 Morrison Park would -- would acknowledge and we would
20 -- we would concur, but there are some significant
21 assumptions that you need to -- to put into the
22 exercise to have any confidence in -- in the output
23 and that's where we think Morrison Park, you know,
24 candidly made some -- made some oversights.

25 So, Morrison Park's conclusion, which

1 I've put on the page here at the bottom in red font,
2 because it was in red font in their presentation, was
3 that:

4 "The two (2) major projects have
5 been 100 percent debt funded over
6 the past five (5) years and while
7 all other incremental spending,
8 whether major or not, has been
9 funded with approximately 73 percent
10 debt and 27 percent customer
11 contributions."

12 So the idea being that the customer
13 contributions, or rates, have been maintaining the
14 capital structure of Manitoba Hydro over the last five
15 (5) years.

16 Turning to the next pag -- page --
17 slide, slide 3 please. This is a -- a, hopefully,
18 faithful reproduction of -- of Morrison Park's
19 methodology. We did cut out a few columns just to --
20 to simplify things. But this comes right out of
21 Exhibit I think it's 45-1. And what they've done here
22 just to -- to recap, because it's been a few weeks, is
23 they restated Manitoba Hydro's results to adjust for
24 this transition from IFRS -- sorry, from Canadian
25 generally accounted -- generally accepted accounting

1 principles to IFRS, which I think is a -- a reasonable
2 and legitimate assumption to make; to do an apples-to-
3 apples comparison.

4 And the principal adjustment that
5 needed to be made was to adjust and add back a -- a
6 deduction to equity that we now make on account of
7 pension liability that's showing up in AOCI or other
8 comprehensive income. And you can see that kind of
9 down below as you go to 2015, '16 and '17 in the -- in
10 the table below, you see adjusted net equity numbers
11 where we've added back -- or -- or Morrison Park has
12 added back, and we'd concur, you know, kind of in the
13 order of four to \$500 million of AOCI related to the
14 pension liability.

15 What they've then also done is looked
16 at our debt at the year end March 31st, 2017 of 15.4
17 billion which you see in the net debt column and said,
18 while 6 1/2 billion dollars of that is tied to the
19 major capital projects being Keeyask, Bipole, GNTL and
20 the Minnesota -- Manitoba/Minnesota transmission
21 project. And so we ought to, if we're going to do
22 this analysis, to look at kind of what I'll -- I'll
23 term sort of OPCO or operating company and its balance
24 sheet. We ought to put that to the side.

25 And so that results in this very last

1 line, which I've circled, in kind of an adjusted pro
2 forma net equity of \$3.3 billion and an adjusted pro
3 forma net debt of \$9 billion. And if we compare that
4 to where we were in 2012, we had 3.1 billion of equity
5 and \$8.7 billion of net debt. And you can kind of see
6 that the equity ratio is, you know, more or less the
7 same, or is actually by this analysis improved
8 slightly.

9 And so the conclusion being that the
10 customer rates have appropriately funded the
11 customer's contribution to the ongoing growth of the
12 business which is sort of perpetual just by virtue of
13 the need to keep reinvesting in the Company, and that
14 the assets that we need to put into the business today
15 are -- are more expensive than the assets they're
16 replacing. And this analysis is saying, well, the --
17 the customers are paying their -- their sort of share
18 that to keep our balance sheet intact and where we
19 want it around this, you know, 25 percent
20 capitalization level.

21 So Manitoba Hydro does take -- take
22 issue with -- with some pieces of the analysis. We
23 feel that MPA's neglected to adjust for some pretty
24 important facts which, when you -- when you make those
25 adjustments change the conclusion that one should --

1 should draw from the analysis.

2 The first one, which would actually be
3 -- be probably more favourable to -- to MPA's
4 conclusion is that in our debt is \$400 million that we
5 borrowed to advance Conawapa; that's in our March
6 31st, 2017 debt. So if we're going to take out the
7 debt associated with the capital projects, we think we
8 should probably take that debt out too because that's
9 not -- you know, that's part of the -- the -- the
10 development as opposed to the -- the current
11 operation.

12 Next we have the Bipole deferred
13 revenues. The MPA analysis leaves inside OPCO, as
14 I'm calling it, the \$200 million that we have
15 collected from our customers and deferred into the
16 Bipole III reserve account; that shows up in both the
17 way we calculate equity and the way -- and it is a
18 reduction to our debt. If we hadn't had those funds
19 we would've had to borrow more.

20 So I think leaving that -- we have to
21 adjust both sides. We have to add that back to the
22 debt. We have to reduce it from the equity. If we
23 hadn't been building Bipole or hadn't been building
24 Keeyask, but principally Bipole, presumably we would
25 not have been assigning rates to -- to plan for that

1 transition into our system. And -- and, you know,
2 the idea here is to imagine you weren't building these
3 major projects, what would you look like?

4 The next one is a wind farm loan
5 receivables. So -- so well before 2012. I'd -- I'd
6 have to go check the exact year, I apologize, but
7 Manitoba Hydro made a \$250 million investment -- debt
8 investment -- debt funded investment to -- to assist
9 the wind farm project. And so that in -- in our
10 starting point debt in 2012, we would had an extra 250
11 million of debt and we got repay that debt in 2015.

12 So, again, if you're trying to look at
13 a beginning point and an endpoint and understand the
14 change in your debt, you need to add that back,
15 because that's not connected to the operation and the
16 starting debt would've been -- would've been inflated
17 effectively for having made that investment and -- and
18 -- and so the differential would then be understated.

19 The next one I believe Mr. Cathcart, to
20 my right, has his hands around this one. And I -- I
21 hope, not being an accountant, to have to get into
22 this too far, but we've at -- at a few points made
23 fleeting reference to there's a -- there's a what I'll
24 call -- and if I had an accounting designation I'd
25 have to rip it up -- but call a phenomenon really

1 associated with Bipole III and the way that the
2 capitalized interest flows through our -- our
3 financials.

4 But if we weren't doing Bipole III, we
5 wouldn't be capitalizing interest on Bipole III, of
6 course. But this OPCP analysis that -- that Morrison
7 Park has produced doesn't take into account that we
8 have had, in the last several years, a positive net
9 income contribution from having capitalized to Bipole
10 interest at a higher rate than we are actually
11 borrowing those new funds to -- to advance the
12 project.

13 And so I -- if there's questions on
14 this, I'm happy to entertain them, but it's -- it's
15 really the point there's -- there's -- if we weren't
16 doing this, we wouldn't have had the income
17 contribution from -- from this -- this sort of the
18 side-effect of accounting policy. And so we need to
19 adjust for that.

20 The next one I think is important
21 because the question here is: Are the rates, were the
22 rates being set to -- to provide for Manitoba Hydro's
23 customers to be making contributions to net income
24 that resulted in -- in the maintenance of -- of
25 Manitoba Hydro's capital structure? And this is the

1 contribution from high water. We've had high water
2 for fourteen (14) straight years, as we know; that
3 would be all five (5) years in this analysis. I -- I
4 don't have at hand -- I haven't had somebody do the
5 analysis to calculate what the impact of high water
6 was to the 2012 and 2013 and 2014 results, but, we did
7 do that analysis and have that in evidence for 2015,
8 2016 and 2017. And its substantial. It's a \$220
9 million tailwind that's gone into equity and gone to -
10 - to abey or avoid debt.

11 And we think you need to adjust for
12 that if you are going to truly look at whether the
13 Manitoba ratepayer has been paying for the
14 contributions to the system because we don't believe
15 you can set rates based on the assumption of high
16 water, but we got highwater, it's great. It's -- it's
17 -- I'm not arguing it isn't real. I'm not arguing it,
18 you know, isn't in our balance sheet, of course, it is
19 but if we're evaluating whether the rates have been
20 appropriate, the work of the equity contribution has
21 been -- has been completed by the ratepayer in
22 conjunction with highwater. And we're asking the
23 question of: What has the ratepayer added? So I
24 think you need to adjust this out.

25 And then there's just a little one

1 we're trying to get to operations and the sufficiency
2 of rates. We had a little windfall last year where we
3 sold -- this was a popular story in the media, we sold
4 some spare land, land we acquired in -- in 1930 for --
5 for about \$27 and we sold it for 20 million. The
6 first question I asked as the CFO was whether we had
7 more land we could sell but this was a bit of a
8 windfall. It's a minor issue, but for completeness,
9 we think you -- you should -- should adjust that out
10 too.

11 So when you -- you tally that all --
12 and I just add -- and I'll -- I'll get to the tally on
13 the next page here, but when you -- there's -- as I
14 said, I mean, my -- my -- my accounting staff when I
15 suggested this idea to them months ago got very
16 excited about the level of detail. There's a lot that
17 -- this is illustrative and -- and -- and our reason
18 for rebutting it is the illustration was getting to
19 the wrong conclusion, but the -- which we didn't have
20 a chance to challenge.

21 The -- you know, there's stuff that's
22 not in this. There's complications when you try and
23 think about separating into two (2) companies,
24 effectively, what goes on as an integrated business.
25 But we haven't -- you know, there's -- there's the --

1 the -- the value of -- of -- of cash and paying down
2 debt and avoiding debt is interest, interest savings,
3 and that's not an additional factor in here. If we'd,
4 you know, by virtue of having the Bipole III reserve
5 cash, we've avoided interest cost by virtue of getting
6 repaid the -- the wind farm loan. We've avoided
7 interest cost. None of that is in that -- in this
8 analysis which would be not immaterial additional
9 addbacks to it.

10 So, turning to page 5, if I could
11 Kristen, the starting point to Morrison Park's
12 analysis is also incorrect. Remember we're -- we're
13 looking here at a relative question. How much has
14 debt increased and how much has equity changed between
15 2012 and 2027, exempting the major capital projects?

16 Well, at the end of 2012, inclusive of
17 Conawapa, we had already invested the better part of
18 \$900 million in the -- in Conawapa, Keeyask and Bipole
19 III. So in -- in the starting point debt in 2012 that
20 Morrison Park is working from, there's \$900 million in
21 that that -- that is -- that is -- belongs to this
22 capital company. This entirely debt funded capital
23 company. So, that's materially understating the
24 differential looking point-to-point and that's a
25 really important adjustment to make.

1 And when you do that, the starting
2 point of the equity doesn't change at 3.1 billion. If
3 you look back to -- to Morrison Park's analysis of the
4 2012 levels but the starting point debt drops from 8.7
5 to 7.8 billion, and that's the number we need to
6 compare to, in terms of where the debt is today.

7 So on page 6 we've kind of brought this
8 altogether into what we'll call, anyway, the -- a
9 corrected analysis. And you can see the first line
10 here is what Morrison Park would've put forward as
11 their 2017 adjusted kind of picture of where this --
12 this OPCO capitalization was 3. -- just under \$3.3
13 billion of -- of equity, 9 billion of debt resulting
14 in a -- call it a 27 to 73 equity-to-debt ratio; 73/27
15 if you prefer the other way.

16 Then we've got all the adjustments we
17 just talked about which -- which we think are -- are -
18 - are reasonable and appropriate, but they reduce the
19 equity by \$500 million and they increase the debt by
20 four -- almost \$400 million.

21 So the -- the truer picture we think of
22 the -- of the OPCO equ -- OPCO capitalization at March
23 31st, 2017 is \$2.8 billion of equity and \$9.3 billion
24 of debt, which would be a 23 percent equity picture.
25 When you also go back and adjust our starting point

1 2012, principally for -- for removing this \$900
2 million of debt attributable to the major projects,
3 you have a \$3.1 billion equity component and a \$7.8
4 billion debt component.

5 So your starting point equity ratio is
6 28 1/2 percent. So, when you look at 28 percent -- 28
7 1/2 percent in 2012 to 23.1 percent today, you've seen
8 a 5.4 percent erosion in the equity driven by, in our
9 minds, rate insufficiency. Rates not keeping up with
10 customer contributions to -- to the funding needs of
11 the Corporation.

12 And what does that kind of ratio means?
13 Well, it means that in aggregate to move that back to
14 -- to -- to no change from 2012, you would've needed
15 another \$450 million of rate revenue over that five
16 (5) years, which is in the order just to -- to simple
17 average it of \$90 million a year; a little less
18 because you'd pick up some interest savings from
19 having had that additional rate. But \$90 million
20 against a billion for -- of average, you know,
21 domestic rate revenue is kind of -- means your rates
22 were in the order of 6 percent low through the piece.

23 So, that kind of concludes my -- my
24 remarks. I maybe apologize for all the fanfare of
25 getting everybody together for ten (10) minutes but --

1 but, obviously, welcome questions and cross-examine.

2 THE CHAIRPERSON: Thank you, Mr.
3 McCallum. Did you want to -- were you planning to
4 refer to this document at all? I know we received
5 this one as well and -- and I don't know if it's
6 simply to show it -- how it looks on the spreadsheet
7 or if you actually wanted to make comments to --

8 MR. JAMES MCCALLUM: No, I have no
9 comments. We provided it as backup. It was really a
10 -- a -- a replication of -- of the initial Morrison
11 Park analysis, which was attached to their
12 presentation as Exhibit 45-1, I believe, and we just
13 wanted to kind of provide that consistency so people
14 could follow along the analysis.

15 THE CHAIRPERSON: Thank you. Dr.
16 Williams...?

17 DR. BYRON WILLIAMS: I believe My
18 Friend M. Hacault will -- will start off. I may have
19 a few questions afterwards. Oops, Mr. Peters, I -- I
20 --

21 THE CHAIRPERSON: Oh, Mr. Peters?

22 MR. BYRON WILLIAMS: I guess we should
23 --

24 MR. BOB PETERS: That's not the first
25 time Dr. Williams has ignored me. I have a few

1 questions of Mr. McCallum if he's prepared to -- to
2 stay with us.

3

4 CROSS-EXAMINATION BY MR. BOB PETERS:

5 MR. BOB PETERS: Let's stay with Mr.
6 McCallum's last slide, please, slide 6. I heard all
7 of your qualifications, Mr. McCallum, about this being
8 in an illustrative analysis. So, I want to -- I want
9 to make sure that we understand that, but does your
10 last conclusion indicate that, from your current
11 chair, Manitoba Hydro's rate increase requests in the
12 past have been insufficient?

13 MR. JAMES MCCALLUM: That is my
14 perspective, yes.

15 MR. BOB PETERS: And that wasn't the
16 perspective from those who occupied your chair
17 previously.

18 Do you accept that?

19 MR. JAMES MCCALLUM: I accept the
20 record that's in evidence, yes.

21 MR. BOB PETERS: And if it was 6 1/2
22 percent of a -- of a rate increase shortfall, does
23 that translate to roughly 1 1/2 percent per year, or
24 thereabouts?

25 MR. JAMES MCCALLUM: Well and I

1 haven't done that analysis. No, it would not be that
2 high. You'd need to figure out the compounding that
3 builds up to there but it would be 1, 1 1/4 call it,
4 something like that.

5 MR. BOB PETERS: So in the
6 neighbourhood of 1 percent a year more should have
7 been sought if Manitoba Hydro was to use this type of
8 analysis to support its rate case?

9 MR. JAMES MCCALLUM: Solely this,
10 which is not our -- our -- not my argument here today.
11 I'm just --

12 MR. BOB PETERS: Your argument here
13 today, and I thank you for that, is simply to say, Mr.
14 Colaiacovo had one view of an analysis; Manitoba Hydro
15 has a different view of that analysis?

16 MR. JAMES MCCALLUM: Well, that --
17 that -- that's exactly right and -- and the reason
18 this was important to us, candidly, is that one (1) of
19 our fundamental arguments here, and I'm very cautious
20 about not trying to make argument today, but -- but --
21 but is that the rates today have been inadequate.

22 And so it was important to take an
23 analysis that said, well, the rates have been adequate
24 and say, no, we -- we disagree.

25 MR. BOB PETERS: Mr. McCallum, I know

1 you don't wear an accounting designation but is there
2 an accounting standard as to the only way to calculate
3 the debt/equity ratio?

4 MR. JAMES MCCALLUM: Subject to check,
5 no, I don't believe so. I think it's -- the
6 debt/equity ratio is not in an IFRS ordained metric.
7 It's a conventional financial analysis which means --
8 and I've mentioned this to Madam Vice Chair Kapitan a
9 few times that there -- there is a -- financial ratios
10 are a little bit like Baskin-Robbins, there's --
11 there's a lot of flavours.

12 MR. BOB PETERS: I like the analogy.
13 Maybe I could have PUB minimum filing requirement 17
14 put up on the screen for you, Mr. McCallum, and as
15 this is -- page 2 of 5 of MFR-17.

16 Manitoba Hydro provided the Board and
17 the parties with their debt ratio calculations.

18 Do you have a recollection of that,
19 sir?

20 MR. JAMES MCCALLUM: Yes, I've seen
21 this before.

22 MR. BOB PETERS: And -- and what I
23 should caution you and all others watching is that
24 this is not the revised version that has subsequently
25 been filed by Manitoba Hydro, but the reason I posted

1 this version is that it contains the historic record,
2 going back to 2012.

3 Do you see that?

4 MR. JAMES MCCALLUM: I do.

5 MR. BOB PETERS: And when you say that
6 there are a variety of ways to calculate debt/equity
7 ratios, this is the ratio that Manitoba Hydro uses;
8 correct?

9 MR. JAMES MCCALLUM: Yes, that's
10 correct.

11 MR. BOB PETERS: And the formula is
12 set out and it comes out into the column on the far
13 right?

14 MR. JAMES MCCALLUM: That's right.

15 MR. BOB PETERS: Are you able to tell
16 the Board whether other Utilities use the same
17 methodology of calculating their debt-to-equity ratio?

18 MR. JAMES MCCALLUM: I am not.

19 MR. BOB PETERS: Are you able to tell
20 the Board whether other Utilities reporting to debt
21 rating agencies use the same methodology as Manitoba
22 Hydro?

23 MR. JAMES MCCALLUM: I cannot. We can
24 certainly undertake to get back to you on that. I
25 think the key issue at question is probably one of

1 whether other Utilities deduct for AOCI, accumulated
2 other comprehensive income, as a charge or -- or add
3 back, if it's positive, to equity.

4 And our understanding or my
5 understanding would be that -- not unanimously, but
6 other -- other Utilities, other certainly Crown
7 Utilities in Canada, do make the same adjustment we do
8 in calculating their equity ratio.

9 MR. BOB PETERS: One (1) of your -- I
10 haven't asked for it. If Mr. McCallum's going to do
11 that work that will be on him to decide and his
12 lawyers and I don't get along well on undertakings so
13 I'm going to -- I'll stay away from that.

14 Mr. McCallum, one (1) of your concerns
15 in your slide deck with the Morrison Park methodology
16 -- and maybe we can start -- if we have the Morrison
17 Park slide presentation that was made by Mr.
18 Colaiacovo, and I apologize, I don't know the number.
19 Slide number 17, please.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: What I -- yes,
24 Consumer Coalition Exhibit 45.

25 The very first bullet, Mr. McCallum,

1 was the Morrison Park Advisors indicating that as a
2 starting point Manitoba Hydro's debt/equity ratio
3 after -- on March 31st of 2012 was a ratio of 74
4 percent debt, and it would been 26 percent equity.

5 Do you see that?

6 MR. JAMES MCCALLUM: I do see that,
7 yes.

8 MR. BOB PETERS: And I took from the
9 comments that you made in your slide presentation that
10 you don't agree that that's the right number as a
11 starting point?

12 MR. JAMES MCCALLUM: Well, I believe
13 what is being reported here is the actual consolidated
14 -- or sorry, electric statement -- electric
15 operations, pardon me, equity ratio or -- or they've
16 expressed it as -- as the debt ratio, which is fine.

17 This is before any -- any adjustment.
18 So I don't have any -- any quibble with what has pres
19 -- been presented here but when you go to saying how
20 has the debt changed? If you pull out the capital
21 projects then I would say you'd best -- if you want to
22 do that analysis, you have to pull out the capital
23 projects from both sides of the -- of the equation.
24 You have to pull it out of 2017, which they've done,
25 but you also need to pull it out of 2012.

1 So our debt ratio there of 74 percent
2 in 2012 reflected having spent \$900 million of debt
3 financed investment in Conawapa, Keeyask and the
4 Bipole III reliability project.

5 MR. BOB PETERS: And so -- what the
6 point I was getting at is Manitoba Hydro says that if
7 there was debt on its books related to those major new
8 projects, it should have been removed if you're doing
9 this analysis for comparative purposes?

10 MR. JAMES MCCALLUM: For comparative
11 purposes, correct.

12 MR. BOB PETERS: And it -- Morrison
13 Park Advi -- Advisors didn't do that, so Manitoba
14 Hydro is suggesting that would be a worthwhile
15 revision?

16 MR. JAMES MCCALLUM: That's correct.
17 It overstates --

18 MR. BOB PETERS: And --

19 MR. JAMES MCCALLUM: -- the conclusion
20 without having done that adjustment.

21 MR. BOB PETERS: And in -- in 2012,
22 Manitoba Hydro started making accounting changes to
23 institute policies that were consistent with
24 international financial reporting standards.

25 Is that correct?

1 MR. JAMES MCCALLUM: I can't speak to
2 the timing, but clearly, over this period from 2012 to
3 2017, we've transitioned to IFRS.

4 MR. BOB PETERS: And on minimum filing
5 requirement 100 filed in these proceedings -- that's
6 MFR-100, page 6 of 8, we see in the paragraph above
7 the chart, words to the effect that in Manitoba
8 Hydro's transition, \$62 million annually has been
9 taken out of capitalized overheads and has been
10 brought into the operating and administrative expenses
11 on the income statement, correct?

12 MR. JAMES MCCALLUM: I -- I did not
13 familiarize myself with this MFR before today, but I -
14 - I accept that that's what it says there.

15 MR. BOB PETERS: All right. And if --
16 if there's any additional information comes to light
17 after these questions, Mr. McCallum, that can assist
18 the panel, please make sure through your counsel you -
19 - you provide that.

20 But my -- my point is in addition to
21 the 62 million, I think if we scroll further, we see
22 that an additional -- on the next page, there was an
23 additional \$57 million identified by Manitoba Hydro
24 that Manitoba Hydro wanted to take out of its
25 capitalized overheads and bring into the income

1 statement. Would you accept that?

2 MR. JAMES MCCALLUM: Subject to check,
3 sure.

4 MR. BOB PETERS: And of that 57
5 million, this Board only allowed \$37 million to come
6 over to the -- to the operating statement, and that
7 gives rise to the oft-debated \$20 million of -- of
8 capital -- capitalized overheads that hasn't been
9 permitted to come to the income statement?

10 MR. JAMES MCCALLUM: I'll accept that,
11 sure.

12 MR. BOB PETERS: All right. So if we
13 take the 62 million and the 37 million, that's an
14 additional \$99 million of accounting changes that have
15 resulted in higher rate increases, correct?

16 MR. JAMES MCCALLUM: I'm -- maybe --
17 I'm not in a position to --

18 MR. BOB PETERS: Let me -- let me ask
19 it this way. That \$99 million of adjustments has
20 flow-through to net income, whereas previously, it --
21 it did not?

22 MR. JAMES MCCALLUM: Subject to check,
23 I'll accept that, but.

24 MR. BOB PETERS: Did Manitoba Hydro's
25 analysis consider this extra \$99 million, and how it

1 should be treated?

2 MR. JAMES MCCALLUM: No. Our analysis
3 was to take Morrison Park's position and adjust it for
4 -- for clear mistakes. And Morrison Park went through
5 an effort to -- to restate our to -- to try and the --
6 the accounting standard they've chosen is adjusted,
7 which is an effort to restate our current IFRS equity
8 back to -- to Canadian gap equity through an
9 adjustment to AOCI.

10 MR. BOB PETERS: And -- and Manitoba
11 Hydro, I understood from your presentation, agrees
12 with that?

13 MR. JAMES MCCALLUM: I think for an
14 indicative analysis, it's an appropriate adjustment,
15 correct.

16 MR. BOB PETERS: And on Morrison Park
17 slide deck -- I believe it was Consumers 45 exhibit --
18 we see on the dash -- just at the middle of the --
19 sorry, on page 18, please. We see just above the
20 second bullet that the pension adjustment to the
21 accumulated other comprehensive income alone moves the
22 ratio by 2 to 3 percent, depending on the year. Do --
23 does the Board understand you to be agreeing with --
24 with that statement?

25 MR. JAMES MCCALLUM: I think that's

1 just a -- a mathematical conclusion. I think what
2 we've -- what Morrison Park has done, and we've
3 maintained is -- is an apples to apples comparison of
4 the -- the treatment of this AOCI account. And so if
5 the analysis is -- the analysis is an analysis of --
6 of relativity, what has happened from 2012 to 2017.
7 And so this, you know, adjustment has been -- has been
8 effectively neutered. It's taken out of both sides.

9 MR. BOB PETERS: Yes, thank you, Mr.
10 McCallum. Does Manitoba Hydro expect ratepayers to
11 pay the cost of new assets before those assets come
12 into service?

13 MR. JAMES MCCALLUM: I think that --
14 I'm not sure this isn't off-topic, Mr. Peters, but --
15 but I think that you need to look at -- I mean, you're
16 getting at this -- this regulatory principle of used
17 and useful. And this is exactly what I was properly
18 chastised by the Chair for -- for not leaving to final
19 argument.

20 MR. BOB PETERS: Well, you're reading
21 too much into the question, if I could interrupt you
22 on it. What I'm -- what I'm coming at is, is it
23 appropriate for Manitoba Hydro to consider these major
24 new generating and transmission assets to be financed
25 100 percent by debt?

1 MR. JAMES MCCALLUM: As a prudent
2 financial planning matter, no, I don't believe so. I
3 think there should be, and I think the Board has
4 endorsed, via the creation of the Bipole III reserve
5 account, the appropriateness of -- of collecting
6 contributions while these projects are -- are in-
7 flight to avoid very sig -- significant disruption
8 when, you know, kind of with the flip of a switch, we
9 double the asset base and double our carrying costs.

10 MR. BOB PETERS: Prior to the Bipole
11 III deferral account, Mr. McCallum, has there been
12 other pre-funding of major assets sought by Manitoba
13 Hydro?

14 MR. JAMES MCCALLUM: I'm not aware of
15 anything, but I -- I certainly am not in a position to
16 -- to provide that history.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: I wanted to
21 understand your suggested revision to the Morrison
22 Park methodology, or analysis respecting the Bipole
23 III deferral account, Mr. McCallum. As a starting
24 point, the Bipole III deferral account is contained in
25 the equity portion of Manitoba Hydro's current

1 financial statements. Would that be true?

2 MR. JAMES MCCALLUM: Yes, that's
3 correct. We -- we count in our equity calculation the
4 -- even though we have not recognized that revenue --
5 we have not recognized those customer rate
6 contributions in our revenue, and therefore not in our
7 historical net income, we still recognize that it's --
8 it -- it -- we will be doing so once the project comes
9 on -- on-stream, and we begin amortizing that deferral
10 account.

11 And so in calculating our equity, we
12 believe that should be a positive addition. And so --
13 so we add that back to -- to retained earnings and --
14 and other adjustments in coming up with our -- our
15 equity.

16 And likewise, the Bipole III reserve
17 account is not a -- a funded trust account that sits
18 at -- there's not a bank account at Manitoba Hydro
19 that has 200 and -- and now, you know, well over 300
20 million, I believe, in -- in Bipole III contributions.
21 It's just gone into general -- general cash, meaning
22 we have not borrowed 200 million at March 31st, 2017,
23 because we had the cash from these customer
24 contributions. It hasn't been segregated and held
25 off, you know, only to be used once Bipole is in

1 service, next, you know, in six (6) months.

2 MR. BOB PETERS: So, Mr. McCallum,
3 help me understand, then, the Manitoba Hydro
4 adjustment for the Bipole III deferral account is to
5 suggest that that \$200 million approximately be added
6 back on the debt side of the ledger?

7 MR. JAMES MCCALLUM: That's correct.

8 MR. BOB PETERS: And basically saying,
9 If Manitoba Hydro didn't have that Bipole III deferral
10 account, it would have had to gone out and borrow that
11 -- that money?

12 MR. JAMES MCCALLUM: If we didn't have
13 those contributions from customers to -- to
14 effectively partially assist with the -- the funding
15 of -- of the Bipole III project, then, you know, we
16 would have to borrow additional money to run our core
17 operation.

18 MR. BOB PETERS: You will acknowledge
19 that there's approximately -- I'm going to say 11, 11
20 1/2, to 12 percent of rates that contribute revenues
21 to this Bipole III deferral account?

22 MR. JAMES MCCALLUM: Yes.

23 MR. BOB PETERS: And in 2018, that
24 Bipole III deferral account and all the revenue that's
25 associated with that will, for the first year, flow

1 into the net income of the Corporation?

2 MR. JAMES MCCALLUM: Subject to -- to
3 a -- some direction on the amortization period to
4 apply, but yes, that's correct. We have assumed in
5 our financial forecast we amortize the balance over
6 five (5) years.

7 MR. BOB PETERS: But leaving aside the
8 accumulated amount that's in the --

9 MR. JAMES MCCALLUM: Pard -- pardon
10 me, Mr. Peters. You're absolutely right. The rate
11 portion will start flowing into revenue. I was -- I -
12 - I was on a different track.

13 MR. BOB PETERS: All right. Well,
14 let's try to stay on the same track.

15 MR. JAMES MCCALLUM: Perhaps the track
16 you're about to get on.

17 MR. BOB PETERS: Thank you, sir, The
18 -- in addition to the 11 1/2 percent rate increases
19 that this Board has approved that have flowed into the
20 Bipole III deferral account, you've pointed out that
21 Manitoba Hydro has approximately \$300 million that's
22 going to have to be spread out in terms of being given
23 back to the consumers to amortize it in the rates
24 going forward?

25 MR. JAMES MCCALLUM: I -- subject to

1 check, I -- I just -- the three hundred (300) is a bit
2 higher, but I'm going by recollection. I believe it
3 will be almost 400 million when Bipole comes in
4 service, but that's subject to check. I don't know
5 that I'd agree with the characterization of giving it
6 back to consumers.

7 What we will do is -- is begin
8 recognizing cash -- cash receipt that we've received
9 over the last three (3) or four (4) years. We'll
10 begin recognizing that in our financial results. It
11 will not affect our -- our equity in that we will be -
12 - we're already recognizing this in our equity. We
13 will be reducing the -- the Bipole III reserve account
14 and increasing our income by virtue of amortizing the
15 -- the reserve, and the two (2) will -- will wash.
16 The -- the -- the amortization of the Bipole III
17 reserve will not add anything to our equity ratio
18 going forward.

19 MR. BOB PETERS: I thank you. Your
20 last point is where I was headed was that it -- it is
21 a wash. It balances out the fact that Manitoba Hydro
22 has used the money to now is one (1) issue, but it
23 will now be reflected back through the operating
24 statement --

25 MR. JAMES MCCALLUM: That's right.

1 MR. BOB PETERS: -- and so that it
2 doesn't affect the equity of the Corporation at all?

3 MR. JAMES MCCALLUM: It does not.

4 MR. BOB PETERS: All right.

5 MR. JAMES MCCALLUM: Not -- not in
6 isolation.

7 MR. BOB PETERS: I think we're on the
8 same page, there. In terms of capitalized interest,
9 Mr. McCallum, the interest is capitalized and is on
10 the balance sheet, included long-term debt?

11 MR. JAMES MCCALLUM: The capitalized
12 interest isn't -- well, no, capitalized interest shows
13 up in -- in the property --

14 MR. BOB PETERS: Property, plant --

15 MR. JAMES MCCALLUM: -- plant, and
16 equipment line, yeah. It's not in addition to our
17 debt. Our debt is -- is the cash liability. It's
18 what we owe our lenders. We -- we make accruals
19 between, you know, quarterly or semiannual interest
20 payments for, you know, month-to-month that -- that,
21 you know, we -- we pay semiannually, but -- but the
22 capitalized interest portion where we are reducing our
23 finance expense on the income statement by virtue of
24 the interest that we are tagging to these major
25 projects, or all projects, shows up in a higher PPE,

1 property, plant, and equipment balance.

2 MR. BOB PETERS: More accurately, it
3 shows up in the --

4 MR. JAMES MCCALLUM: Construction work
5 in --

6 MR. BOB PETERS: Construction and --

7 MR. JAMES MCCALLUM: -- in process,
8 yes.

9 MR. BOB PETERS: Thank you, sir.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: In terms of that loan
14 for the wind farm that you mentioned, Manitoba Hydro,
15 in this calculation, Mr. McCallum, is saying if
16 Manitoba Hydro hadn't loaned out that money, it would
17 be \$250 million stronger?

18 MR. JAMES MCCALLUM: No, not exactly.
19 We -- the -- the -- again, the analysis is comparing
20 2012 debt level to 2017 debt level and saying, What
21 has been the change in debt? How much more in debt is
22 this -- is this kind of notional operating company?
23 And so the 2012 debt level reflected having borrowed
24 \$250 million to -- to invested it in -- in -- to loan
25 it to the wind farm operation. And then in 2015, we

1 got paid back.

2 And so your -- your 2012 starting
3 balance reflects having made this investment. Your
4 2017 balance has -- reflects having review -- you have
5 a timing issue.

6 MR. BOB PETERS: So you could have
7 deducted it --

8 MR. JAMES MCCALLUM: But the only --

9 MR. BOB PETERS: -- in one (1) side,
10 or added it on the other side?

11 MR. JAMES MCCALLUM: I -- I could have
12 just as easily --

13 MR. BOB PETERS: All right.

14 MR. JAMES MCCALLUM: -- deducted it
15 from the 2012 starting point.

16 MR. BOB PETERS: Okay. I've got that
17 point. And in terms of the high water levels -- I'm
18 not sure I need Mr. Cormie for this, but you're saying
19 that the adjustment under the Manitoba Hydro
20 methodology is to add \$220 million -- or to recognize
21 a \$220 million has gone into -- into the equity side
22 of the equation used by Morrison Park Advisors?

23 MR. JAMES MCCALLUM: That -- that's
24 right. We -- we've produced evidence that -- that the
25 last three (3) years of net income have effectively

1 been -- been entirely, if not more than, produced by -
2 - by the positive impact of high water flows.

3 MR. BOB PETERS: And do you accept the
4 view that if Manitoba Hydro had low water flows, the
5 rate in -- the rate increase request before this Board
6 would have been different than what Manitoba Hydro
7 filed?

8 MR. JAMES MCCALLUM: Well, I -- I
9 don't know that I can -- I can speak to that. I think
10 the idea of rate setting out to be to target what
11 rates ought to be to -- to cover costs and -- and make
12 whatever allocation to reserves you feel is
13 appropriate with the -- the basic assumption that you
14 have normal water. So we -- we can't predict it.
15 It's entirely beyond our control.

16 So if I'm looking back, and which I
17 think this analysis does, and says, Did -- would my
18 rates have been sufficient with the rates I asked for,
19 and the -- ultimately, the rates that got approved and
20 implemented? And really, over these three (3) years,
21 almost all of these rates ended up being ascribed to
22 the -- to the Bipole III reserve, in any event. But
23 were they sufficient? I would say that -- that we
24 need to -- we need to break down the work being done
25 by the impact of water from the work being done by the

1 impact of rate.

2 MR. BOB PETERS: Should there be
3 adjustments in these analyses that both Manitoba Hydro
4 and Morrison Park have done for lower than forecast
5 interest rates? Should we start getting into some of
6 the other operating statement adjustments?

7 MR. JAMES MCCALLUM: No. I would say
8 that the impact of lower -- one (1) of -- one (1) of
9 the issues here, Mr. Peters, is when to stop, right?
10 This is an illustrative example. We thought there
11 were some pretty obvious misses that needed to be --
12 and -- and ultimately, it's the conclusion we take the
13 most issue with and had no chance to -- to rebut on.

14 MR. BOB PETERS: So in terms of where
15 to stop, Mr. McCallum --

16 MR. JAMES MCCALLUM: The bulk -- the
17 bulk of -- bulk of the benefit of declining interest
18 rates is accrued to the capital projects. I mean, we
19 are, in our view, borrowing to fund the core
20 operation. However, I mean, the vast preponderance of
21 our borrowing is on account of the major projects.
22 And so the benefit of interest rates having gone below
23 where we forecast them to have accrued to the projects
24 --

25 MR. BOB PETERS: And so Morrison

1 Parks' --

2 MR. JAMES MCCALLUM: -- if you will.

3 MR. BOB PETERS: I'm sorry. Morrison

4 Parks' analysis only isolated the capital and
5 accounting factors. And with this adjustment to
6 water, Manitoba Hydro has adjusted for actual
7 operating conditions, correct?

8 MR. JAMES MCCALLUM: It's pretty
9 material.

10 MR. BOB PETERS: So the answer is yes?

11 MR. JAMES MCCALLUM: The answer is
12 yes.

13 MR. BOB PETERS: All right. Thank
14 you. With that answer, Mr. Chair, I'd like to thank
15 Mr. McCallum for his cameo appearance, and I have no
16 further questions.

17 THE CHAIRPERSON: Thank you. Thank
18 you, Mr. Peters. M. Hacaault...?

19

20 CROSS-EXAMINATION BY MR. ANTOINE HACAULT:

21 MR. ANTOINE HACAULT: Yes. Good
22 morning, all. Good morning, Mr. McCallum.

23 MR. JAMES MCCALLUM: Good morning.

24 MR. ANTOINE HACAULT: Mr. Chair, this
25 is more kind of a housekeeping matter. We had the

1 three (3) responses that we needed to provide by way
2 of undertakings of the -- the panel, and we had
3 distributed those that this morning when we arrived to
4 Mr. Simonsen. There may be one (1) additional
5 document that may need a number, and I'm scared that
6 if I don't deal with my preliminary matters, and --

7 THE CHAIRPERSON: Yeah. Why don't you
8 put them into the record --

9 MR. ANTOINE HACAULT: Okay.

10 THE CHAIRPERSON: -- and then we can -
11 - we can proceed.

12 MR. ANTOINE HACAULT: So the first one
13 which will be distributed was a subject to check
14 response found at transcript pages 6,298 to 6,302 and
15 again, pages 6,323 to 6,324. And we propose to have
16 the response marked as Exhibit 29.

17

18 --- EXHIBIT NO. MIPUG-29: Subject to check response
19 found at transcript pages
20 6,298 to 6,302 and 6,323
21 to 6,324. 2013 Electric
22 Load Forecast.

23

24 MR. KURT SIMONSEN: Thank you.

25 MR. ANTOINE HACAULT: The next one (1)

1 was undertaking -- recorded as an Undertaking 65 at
2 transcript pages 6459 to 6465. And we'd propose to
3 have that marked as Exhibit MIPUG-30.

4 MR. KURT SIMONSEN: Thank you.

5

6 --- EXHIBIT NO. MIPUG-30: MIPUG response to
7 Undertaking Number 65 -
8 Water Rentals

9

10 MR. ANTOINE HACAULT: And the last one
11 (1) was an undertaking at transcript pages 6469 to
12 6470. And we propose to have that marked as Exhibit
13 MIPUG-31.

14 MR. KURT SIMONSEN: Thank you.

15

16 --- EXHIBIT NO. MIPUG-31: Unit Costs of Hydro
17 Domestic System -
18 Transcript page 6469-6470.

19

20 MR. KURT SIMONSEN: The panel as all
21 those copies, too, by the way, Mr. Hacault.

22 MS. PATTI RAMAGE: Mr. Hacault, have
23 those been distributed electronically?

24 MR. KURT SIMONSEN: We don't have them
25 electronically, I don't think, as of yet.

1 (BRIEF PAUSE)

2

3 CONTINUED BY MR. ANTOINE HACAULT:

4 MR. ANTOINE HACAULT: The first
5 document I'd like to bring you back to, Mr. McCallum,
6 which is, I understand, to a large extent the source
7 of all the numbers that have been put on the record
8 this morning is the consolidated financial statements
9 for the year ending March 31, 2017, which at page 47
10 of the annual report has the management report with
11 two (2) signatures at the bottom, being those of
12 Kelvin Shepherd and yourself, sir.

13 Is that correct?

14 MR. JAMES MCCALLUM: That is my
15 signature, yeah.

16 MR. ANTOINE HACAULT: And I take it
17 that given this is an audited report there would've
18 been the standard audit assurances from management,
19 including that the financial statements are fairly
20 presented in accordance with international financial
21 reporting standards; correct?

22 MR. JAMES MCCALLUM: Correct.

23 MR. ANTOINE HACAULT: Okay. And at
24 page 51 of those consolidated financial statements,
25 there is a heading under long-term debt. And the

1 heading is "deferred revenue."

2 Do you see that heading, sir?

3 MR. JAMES MCCALLUM: Yes, I do.

4 MR. ANTOINE HACAULT: And that item is
5 an item which is distinct from and separate from the
6 calculation of equity, which is found below that;
7 correct?

8 MR. JAMES MCCALLUM: For IFRS
9 presentation, that's correct.

10 MR. ANTOINE HACAULT: Okay. And the
11 reason I'm asking that, sir, is I understood your
12 answer to Mr. Peters just a while ago that Bipole III
13 was included in the equity calculation on your
14 financial statements. Now, if we go to note 26, which
15 is --

16 MR. JAMES MCCALLUM: Is -- is that a
17 question, Mr. Hacault?

18 MR. ANTOINE HACAULT: It's a preface
19 to bring it to the question.

20 MR. JAMES MCCALLUM: Okay. Because I
21 think we should clar -- the financial statements, I
22 don't believe, reference an equity ratio. Our
23 financial reporting certainly does. And perhaps I --
24 I was not quick enough to correct Mr. Peters on that
25 nuance.

1 MR. ANTOINE HACAULT: Okay. So just
2 for clarification then of the record, if we go to note
3 26 which explains what the deferred revenue line is,
4 and that explanation is found at page 84 of this
5 document. If we go to the bottom of that page we'll
6 see note 26. We're now -- and the second line, and
7 will see this number in the spreadsheet that's been
8 produced this morning as Manitoba Hydro Exhibit 135-1.

9 We will see the number Bipole III
10 contribution at \$196 million; correct?

11 MR. JAMES MCCALLUM: Correct.

12 MR. ANTOINE HACAULT: Now, I would
13 like to just make sure that we're ad idem. And Mr.
14 Peters referenced you to the utility's calculation on
15 the metric of long-term -- of debt equity, and it went
16 to two (2) -- the year 2016. The more current one (1)
17 I have is PUB/Manitoba-Round 1-33.

18 And what I'd like to do, sir, is by
19 looking at this Manitoba Hydro document is to
20 determine whether or not the numbers on Manitoba Hydro
21 Exhibit 135-1, at the line where it talks the year
22 2017, are in fact numbers that were produced and
23 replicated from Manitoba Hydro's own document. So if
24 we go to the top line, which is Manitoba Hydro's
25 document under the heading 'A' for apple, and on the

1 left-hand side the year 2017, we see the retained
2 earnings number of two billion eight hundred and
3 ninety-nine dollars (2,000,000,899); correct?

4 MR. JAMES MCCALLUM: Those are in
5 millions, but yes.

6 MR. ANTOINE HACAULT: And that same
7 number -- I don't know if we can zoom in a little bit
8 on the bottom exhibit that was filed this morning --
9 we see that same number being reproduced under the
10 first column of Exhibit 135-1; correct?

11 MR. JAMES MCCALLUM: Correct.

12 MR. ANTOINE HACAULT: And if we
13 continue going towards the right, in both documents at
14 the year 2017, would you agree with me, sir, that up
15 to and including the line that talks about the sinking
16 fund investments, and including the short-term
17 investments, the numbers are replicated exactly from
18 Manitoba Hydro's document?

19 MR. JAMES MCCALLUM: I subject to
20 check will accept that. I, to be candid, didn't check
21 your consultants' work to make sure they'd drawn from
22 the source document. I used their work and adjusted
23 from there.

24 MR. ANTOINE HACAULT: Okay. But I
25 just wanted to clarify for the record that, subject to

1 check as you've indicated, the numbers on the table
2 which is -- is before us and marked as Exhibit 135-1
3 are identical to Manitoba Hydro's numbers, starting
4 from column A to and including column N as in Norman
5 for the year 2017.

6 MR. JAMES MCCALLUM: I mean, I'll
7 accept that. I haven't reviewed every number but it
8 looks to be fairly -- a fairly accurate reproduction.

9 MR. ANTOINE HACAULT: Okay. Thank
10 you, sir.

11

12 (BRIEF PAUSE)

13

14 MR. ANTOINE HACAULT: Now, sir the
15 debt equity ratio for the year 2017 under Manitoba
16 Hydro's metric in its Round 1 Interrogatory Response
17 Number 33 shows a debt ratio of point-eight-five
18 (.85); correct?

19 MR. JAMES MCCALLUM: Pardon me, Mr.
20 Hacaault. For which year?

21 MR. ANTOINE HACAULT: 2017.

22 MR. JAMES MCCALLUM: I see that.

23 MR. ANTOINE HACAULT: Okay. And these
24 are all numbers which are taken from the audited
25 financial statement data that lead to the financial

1 statements which you signed and which we initially
2 started with; correct?

3 MR. JAMES MCCALLUM: These are a --
4 these are drawn from the unaudited electric segment
5 results. We don't have a separate audit on the
6 electric segment results, but these would be figures
7 that would be a part of the consolidated accounts
8 Manitoba Hydro.

9 MR. ANTOINE HACAULT: Are you saying
10 they aren't accurate?

11 MR. JAMES MCCALLUM: Mr. Hacault, of
12 course I'm not saying that.

13 MR. ANTOINE HACAULT: Okay. So they
14 can be relied on?

15 MR. JAMES MCCALLUM: I think that's
16 fair.

17 MR. ANTOINE HACAULT: Okay. Now, sir,
18 if I were to ignore all of the discussion you were
19 having with Mr. Peters on adjustments for IFRS and
20 CGAAP, and focused only on taking out the capital
21 costs using Manitoba Hydro's own numbers and IFRS,
22 would it be appropriate to start with the net equity
23 that's shown on the bottom of -- the bottom right-hand
24 side for the year 2012 of Exhibit 135-1, which is
25 \$2.816 billion?

1 MR. JAMES MCCALLUM: I thought I'd
2 understood you to say, 2012 where I see three-point-
3 one-o-two (3.102).

4 MR. ANTOINE HACAULT: No, 2017.

5 MR. JAMES MCCALLUM: I see two-point-
6 eight-one-six (2.816) for 2017, yes.

7 MR. ANTOINE HACAULT: Yeah. So that
8 would be an appropriate number to start with, sir?

9 MR. JAMES MCCALLUM: It depends on
10 where you're going after you start, but that's what
11 the number on the page is, yes.

12 MR. ANTOINE HACAULT: And the number
13 as far as the net debt, which is the next one (1), and
14 it's at the extreme bottom right-hand corner for the
15 year 2017, we have 15 billion 444 million; correct?

16 MR. JAMES MCCALLUM: I see that.

17 MR. ANTOINE HACAULT: Okay. Perhaps
18 so that we can follow, sir, as to what I'm going to be
19 going through without doing any adjustments for
20 accounting, is I'd proposed to give you just, like,
21 something that'll help you follow my numbers.

22 Is -- is that acceptable to just have a
23 spreadsheet, subject to...

24 MR. JAMES MCCALLUM: I don't know how
25 to respond to that.

1 MR. ANTOINE HACAULT: Okay. I'm just
2 going to take him through the numbers on capital cost
3 because those, I don't think, are clearly on the
4 record and where they were taken. And they are all
5 taken from Manitoba Hydro documents. If you have any
6 objection at any point in time, you can let me know.

7 MS. PATTI RAMAGE: I'm not sure how to
8 respond. We haven't looked at this.

9 THE CHAIRPERSON: Mr. Hacault, are you
10 referring to a specific document? I mean, if -- if
11 it's Manitoba Hydro's numbers for capital cost, I
12 would assume they're on the record.

13 MR. ANTOINE HACAULT: Yes, it's a
14 PUB/MFR-90, nine-zero (90).

15 THE CHAIRPERSON: Well, then pull --
16 pull them up and --

17 MS. PATTI RAMAGE: Well, then let's
18 pull up the document.

19 THE CHAIRPERSON: That way we'll know
20 what we're looking at.

21

22 CONTINUED BY MR. ANTOINE HACAULT:

23 MR. ANTOINE HACAULT: And if I were to
24 do the analysis for the year 2017 without all these
25 accounting adjustments, I -- by looking at your

1 documents this morning, sir, believe that the number
2 for Bipole -- or for Keeyask, fir -- firstly, that was
3 used in the calculations was the one (1) shown on this
4 MFR actual to March 31, 2017, of 3.276 billion.

5 Is that correct?

6 MR. JAMES MCCALLUM: Again, I worked
7 from the Morrison Park Associates analysis. I would
8 assume that they correctly obtained the exact figure.
9 And it appears they did. So, yes.

10 MR. ANTOINE HACAULT: And for Bipole
11 III for the year 2017 actual to March 31, 2017, we
12 would take the number on this PUB/MFR-90 for Bipole
13 III at 3 billion 152 million; correct?

14 MR. JAMES MCCALLUM: Correct.

15 MR. ANTOINE HACAULT: And if we go to
16 Conawapa, which is another number that's identified in
17 the calculations, we would go down and under the
18 heading actual March to March 31, 2017, we see the
19 number 375 million; correct?

20 MR. JAMES MCCALLUM: That's correct.

21 MR. ANTOINE HACAULT: And that's
22 number we should use?

23 THE CHAIRPERSON: Yeah, I believe that
24 for the record it's three hundred and seventy-nine
25 (379).

1 MR. ANTOINE HACAULT: Three-seventy-
2 nine (379), sorry.

3 MR. JAMES MCCALLUM: Oh, pardon me.
4 Thank you, Mr. Chair.

5 THE CHAIRPERSON: Well, no, you were
6 right. I -- I think Mr. Hacault did it as thee
7 seventy-five (375), so --

8 MR. JAMES MCCALLUM: Oh, three hundred
9 and seventy-nine (379) is the number we used in our
10 analysis.

11

12 CONTINUED BY MR. ANTOINE HACAULT:

13 MR. ANTOINE HACAULT: Yes. And then
14 the Manitoba Minnesota Transmission Project, the
15 number is 30 million actual to March 31, 2017.

16 And that's the correct number to use?

17 MR. JAMES MCCALLUM: Yes.

18 MR. ANTOINE HACAULT: Okay. And the
19 only one (1) that was identified in the materials as
20 not being in this MFR, but it was in MFR-49, was the
21 Great Northern Transmission Line with a 2016 value of
22 25 million; correct?

23 MR. JAMES MCCALLUM: Subject to check,
24 that sounds correct.

25 MR. ANTOINE HACAULT: Okay. So if we

1 did that, and I could show you a sheet for the
2 calculation so it's easier for you to check, we would
3 have a revised debt of eight billion five hundred and
4 eighty two million (8,582,000,000)?

5 MR. JAMES MCCALLUM: What -- what am I
6 doing to arrive at that, Mr. Hacaault?

7 MR. ANTOINE HACAULT: I think it would
8 be easier for me to -- to show you. But we've gone
9 through each of these numbers verbally, sir. The
10 equity number at \$2.86 billion, which was in the
11 exhibit that we saw, and the debt number of 15 billion
12 triple four (4) in the new exhibit we saw. And then I
13 took you through each of the capital projects that
14 were --

15 MR. JAMES MCCALLUM: I accept your
16 math.

17 MR. ANTOINE HACAULT: Okay. The math
18 shown on -- on this particular slide you accept, sir?

19

20 (BRIEF PAUSE)

21

22 MR. JAMES MCCALLUM: Yes, I do.

23 MR. ANTOINE HACAULT: Mr. Chairman, so
24 it would be easier for the record, I would suggest
25 that we mark this sheet now that he's confirmed that

1 it's an accurate calculation into the record as an
2 exhibit.

3 MS. PATTI RAMAGE: I would suggest it
4 be an exhibit for identification purposes.

5 MR. JAMES MCCALLUM: Yeah, I'm not
6 asserting I -- I agree with what you're -- what it
7 represents. I'm asserting that I agree the math adds,
8 right? I -- I don't know what you want to assert with
9 this.

10 MR. ANTOINE HACAULT: As long as we
11 have it on the record, I think it's going to be --

12 THE CHAIRPERSON: Yeah. No, I -- I
13 think -- it'd be more appropriate as for
14 identification. It's not his document and I don't
15 think he's -- he's going to testify to the veracity,
16 but simply that the calculations appear correct on the
17 document.

18 MR. ANTOINE HACAULT: So I'll leave it
19 to the discretion of the Secretary as to what number
20 we give that.

21 MR. KURT SIMONSEN: It's going to be
22 MIPUG-32.

23 MR. ANTOINE HACAULT: For
24 identification, it would have to continue.

25 THE CHAIRPERSON: Yeah, it'll indicate

1 for identification purposes.

2

3 --- EXHIBIT NO. MIPUG-32: Debt Ratio example
4 calculation.

5

6 (BRIEF PAUSE)

7

8 CONTINUED BY MR. ANTOINE HACAULT:

9 MR. ANTOINE HACAULT: Thank you. Sir,
10 we've talked about accumulated other comprehensive
11 income, and it's shown on the new Exhibit 135-1. It
12 has a separate heading, and it shows numbers from 2012
13 to and including 2017, both as reported in the
14 financial statements and then next adjusted; correct?

15 MR. JAMES MCCALLUM: If, "by next" you
16 mean in the next group of numbers below. Is that what
17 you're referring to?

18 MR. ANTOINE HACAULT: Yeah, we're
19 referring to --

20 MR. JAMES MCCALLUM: With the yellow
21 on it, with the yellow bars. That -- these are,
22 again, Morrison Park adjustments to make an effort,
23 and -- and I think a laudable one (1), to see through
24 so that we are comparing on like accounting standards.

25 MR. ANTOINE HACAULT: And I looked in

1 Manitoba Hydro documents and found in MIPUG/Manitoba
2 Hydro-Round 1 at 2M, as in mother, that Manitoba Hydro
3 described the objective as accumulated other
4 comprehensive income as follows. It is to provide a
5 transparent manner in which to report unrealized gains
6 and losses on the balance sheet.

7 Would you agree with that statement,
8 sir?

9 MR. JAMES MCCALLUM: Sorry, what's the
10 reference?

11 MR. ANTOINE HACAULT: It was to a
12 response provided by Manitoba Hydro to Round 1, and in
13 the answer Manitoba Hydro described the objective of
14 accumulated other comprehensive income as being to
15 provide a transparent manner in which to report
16 unrealized gains and losses on the balance sheet.

17 And I'm asking you whether you're
18 comfortable with that purpose?

19 MS. PATTI RAMAGE: Could that be
20 brought up?

21 THE CHAIRPERSON: Perhaps we should
22 pull the document --

23 MS. PATTI RAMAGE: Yes.

24 THE CHAIRPERSON: -- so we can see the
25 context of the statement, so. Yeah. Thank you.

1

2

(BRIEF PAUSE)

3

4

5 MR. ANTOINE HACAULT: Yeah, you can
show the question so that...

6

7

(BRIEF PAUSE)

8

9 CONTINUED BY MR. ANTOINE HACAULT:

10

11 MR. ANTOINE HACAULT: You'll let me
12 know when you've had a chance to read the question and
will go to the answer, sir?

13

14 MR. JAMES MCCALLUM: I've read the
question.

15

16

(BRIEF PAUSE)

17

18

19 MR. ANTOINE HACAULT: And my question
to you, sir, whether -- was whether you agreed that
20 the objective of accumulated other comprehensive
21 income is to provide a transparent manner in which to
22 report unrealized gains and losses on the balance
23 sheet.

24

25

(BRIEF PAUSE)

1

2

3

4 please?

5

6

7

8

9

10 CONTINUED BY MR. ANTOINE HACAULT:

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MS. PATTI RAMAGE: Can we scroll down

the response so we can see the entire response,

please?

MR. JAMES MCCALLUM: Okay. I've read

our response. Sorry, could you -- can you just repeat

your question, Mr. Hacaault? I have a short-term

memory problem.

CONTINUED BY MR. ANTOINE HACAULT:

MR. ANTOINE HACAULT: I was just hope

-- I thought this was going to be a quick one (1). I

thought --

MR. JAMES MCCALLUM: Yeah.

MR. ANTOINE HACAULT: I was hoping you

were just going to say --

MR. JAMES MCCALLUM: That's what the -

- that's what Manitoba Hydro response is -- that's

what our response and I agree with it.

MR. ANTOINE HACAULT: And maybe it

will be a bit easier if I just ask you an open-ended

question to explain what unrealized, in the context of

this response, which is to provide a transparent

manner in which to report unrealized gains and losses.

Could you give me two (2) examples of

1 that occurring in your financials?

2 MR. JAMES MCCALLUM: Well, one (1)
3 example I can point to would be we book into the AOCI
4 unrealized gains and losses on our debt instruments,
5 for example, our US dollar debt instruments when we --
6 when those debt instruments -- and -- and I am --
7 we'll need to get Ms. Stephen back here to -- to
8 explain the accounting in more detail.

9 But as a general matter when those
10 instruments mature we go from -- that -- that's when
11 we have to repay the liability in the US dollars at
12 whatever price they cost on that day. Now, we've
13 through the piece been recording, as the exchange rate
14 moves up and down, what -- we call that unrealized and
15 then when the maturity date is reached we -- it
16 becomes a aa a realized liability. And so -- and --
17 then that's the point where you crystallize or, you
18 know, know what you actually had to pay. Up until
19 then you're estimating what you might have to pay.

20 MR. ANTOINE HACAULT: And while I
21 won't get into it that's part of the -- where there's
22 a strategy by Manitoba Hydro to deal with those
23 exchange rates so that there is an offsetting
24 mechanism that's implemented by Manitoba Hydro to
25 offset those possible losses or gains on foreign-

1 exchange; correct?

2 MR. JAMES MCCALLUM: So --

3 MS. PATTI RAMAGE: Mr. Chairman --

4 MR. JAMES MCCALLUM: -- I'll -- I'll
5 answer this, Patti.

6 MS. PATTI RAMAGE: Okay.

7 MR. JAMES MCCALLUM: It's okay. What
8 we're doing is those are -- if the exchange rates
9 don't change from here forward, we have an account in
10 -- in AOCI reflecting losses in that the exchange rate
11 shifted -- right now they're in a loss position --
12 shifted since we borrowed the money, meaning we're --
13 we're going to have to repay more in Canadian dollars
14 than we -- we realized when we issued the -- the debt
15 security.

16 So what happens is that comes into our
17 income over the next months and months and years until
18 maturity dates. So it really reflects, and hence is
19 appropriately charged to equity. You know, subject to
20 the exchange rates moving up and down, that your
21 future income is going to be charged for -- for
22 realizing on -- on -- pardon me. Lost my train of
23 thought. Realizing on these -- on these losses much
24 like our equity is going to benefit from at least the
25 retained earnings from the depletion of the Bipole III

1 reserve account.

2 THE CHAIRPERSON: Mr. Hacault, here's
3 the problem I'm having. At -- at the beginning we had
4 this on re-examination. And on the rebuttal the --
5 Manitoba Hydro was asked to focus on the issues
6 relating to Morrison Park. You know, I -- we actually
7 allow quite a bit of leeway, but now we're going into
8 areas that were part of the initial cross-examination.
9 I thought what we were here was to have Manitoba Hydro
10 talk about how they thought the Morrison Park numbers
11 were not accurate or misleading, and then we would
12 have cross-examination on that.

13 We -- we seem to be going back into
14 unrelated things, or at least it appears to be
15 unrelated, and issues that I -- I believe if I went
16 through the transcript, I think were touched on much
17 earlier in the hearing. So unless I'm missing
18 something...

19 MR. ANTOINE HACAULT: And we got off
20 into this, because I just wanted a definition.
21 Remember we started on slide 135-1, and we were
22 looking at the column accumulated other comprehensive
23 income. And I just asked the witness whether he
24 agreed to a definition, and then I was going to have a
25 question with respect to that particular column we

1 were looking at.

2 THE CHAIRPERSON: Okay. Well, if we
3 could go -- but I -- I certainly would like to have it
4 focused so that we're looking at -- at the issue of
5 the Morrison Park analysis and -- and that.

6

7 CONTINUED BY MR. ANTOINE HACAULT:

8 MR. ANTOINE HACAULT: So if I could
9 go back to where I had started and hoped I didn't have
10 to drift from, the slide that's been marked as 135-1,
11 under the calculation leading to the debt equity ratio
12 accumulative of other comprehensive income is a line
13 which moves that equity ratio; correct?

14 MR. JAMES MCCALLUM: That is correct.

15 MR. ANTOINE HACAULT: And roughly the
16 math and the movement of those unrealized gains or
17 losses from 2012 to 2017 is at about \$1 billion. That
18 being, we started positive 327 million and we move to
19 negative 709 million; correct?

20 MR. JAMES MCCALLUM: That would result
21 in about a billion dollar of movement. Correct.

22 MR. ANTOINE HACAULT: And it's an
23 adverse movement to the equity number; correct?

24 MR. JAMES MCCALLUM: It's an adverse
25 movement to the equity number, in part caused by the

1 shift to IFRS, which is what Morrison Park has
2 adjusted for down below. But I'm not sure -- like, to
3 be clear that I can -- and defer to the Chair on this.
4 We've taken Morrison Park Associates -- and
5 Associates, who are your consultant, their numbers,
6 their methodology at face value and said, Look, there
7 are a whole bunch of -- of pockets of cash and we've -
8 - we've almost implored folks to focus on the cash
9 here that -- that shouldn't be counted in our debt.
10 And -- and so we've -- we've adjusted accordingly.
11 And...

12 MR. ANTOINE HACAULT: Sir, just one
13 (1) last question, and it's kind of a follow-up of Mr.
14 Peters's questions. In your list of adjustments on
15 slide 20 year staff focused on items that were, I'm
16 going to say, starting at \$20 million as being
17 important enough to talk about; correct?

18

19 (BRIEF PAUSE)

20

21 THE CHAIRPERSON: I think we better
22 get the right screen.

23

24 CONTINUED BY MR. ANTOINE HACAULT:

25 MR. ANTOINE HACAULT: Their slide,

1 page 6. It's Exhibit 135.

2 MR. JAMES MCCALLUM: Yeah, I see --
3 and I'm not sure what to make or how to respond of
4 your comment "important enough to focus on." But in
5 any event, I see that we have a \$20 million
6 adjustment.

7 MR. ANTOINE HACAULT: And would you
8 agree, sir, that capital tax for Keeyask and Bipole,
9 if we adjust for those, the number would actually be
10 higher than a \$20 million variance with the opposite
11 effect?

12 MR. JAMES MCCALLUM: Capital tax for
13 Keeyask and Bipole would reduce both sides of the
14 equation, yes.

15 MR. ANTOINE HACAULT: And those are in
16 the order of -- if we go to PUB/MFR-20, And this will
17 be the last document I refer to just to have the
18 numbers on the record. PUB/MFR-20, at page 5 for
19 Keeyask for the year 2017, the adjustment would be \$16
20 million; correct?

21 MR. JAMES MCCALLUM: For 2017 it would
22 be two thousand (2,000), yes, that's -- I agree with
23 that.

24 MR. ANTOINE HACAULT: And for -- and
25 that's already in costs; correct?

1 MR. JAMES MCCALLUM: That has been
2 expensed.

3 MR. ANTOINE HACAULT: And at page 9 of
4 that same document to the MF -- PUB/MFR-20 for Bipole
5 III for the year 2017, there's a number of \$16
6 million; correct?

7 MR. JAMES MCCALLUM: I see that.

8 MR. ANTOINE HACAULT: And the same
9 would apply to that number; correct?

10 MR. JAMES MCCALLUM: Correct.

11 MR. ANTOINE HACAULT: Those are all my
12 questions. Thank you very much, sir.

13 THE CHAIRPERSON: Thank you, sir. Dr.
14 Williams...?

15 DR. BYRON WILLIAMS: Quite properly,
16 PUB counsel preempted my questions. We have no
17 questions.

18 THE CHAIRPERSON: Thank you. Mr.
19 Cordingley...?

20 MR. DAVID CORDINGLEY: We have no
21 questions, Mr. Chair.

22 THE CHAIRPERSON: Thank you. Thank
23 you, all. That will end the rebuttal. We'll adjourn
24 until 1:00 p.m., when we have public presentations for
25 the afternoon. Thank you.

1

2 --- Upon recessing at 11:54 a.m.

3 --- Upon resuming at 1:02 p.m.

4

5 THE CHAIRPERSON: Good afternoon
6 everyone. We're at the portion of the hearing where
7 we are, again, going to hear from -- from public
8 through presentations and before we start, I'd
9 indicate two (2) things: We're on a very tight time
10 frame and I will apologize ahead of time if I'm going
11 to have to interrupt you, but I may, in certain
12 instances.

13 And before we begin with the first
14 witness, I'd like to call on Board counsel.

15 MS. DAYNA STEINFELD: Thank you, Mr.
16 Chair. Just for the purposes of the record and as
17 well as parties, to bring to your attention that in
18 addition to the oral presentations that we've had to
19 date and the ones scheduled today, the Board has also
20 received written submissions that pursuant to
21 direction from the Board have been certified and are,
22 as such, being accepted as evidence.

23 There are two (2) public written
24 submissions, one (1) from the Manitoba School Board's
25 Association and one (1) from the Portage Regional

1 Recreation -- Recreational Authority. Both are
2 available on the Board's website under the presenters'
3 evidence page. Board counsel just wish to bring that
4 to the attention of parties.

5 MR. KURT SIMONSEN: It's Board
6 secretary. I'm expecting one (1) more based on the
7 telephone call I had over lunch.

8 MS. DAYNA STEINFELD: And we expect
9 that that will also be posted on the website once
10 received, and -- and should it be properly certified.
11 Thank you.

12 THE CHAIRPERSON: Thank you. Mr.
13 Simonsen, would you like to swear in the first
14 witness.

15

16 PUBLIC PRESENTATIONS:

17

18 DENNIS WOODFORD, Sworn

19

20 THE CHAIRPERSON: Thank you for
21 coming, Mr. Woodford. If you could do your
22 presentation in about ten (10) minutes and we'll see
23 if counsel has questions for you.

24

25 PRESENTATION BY MR. DENNIS WOODFORD:

1 MR. DENNIS WOODFORD: Yes, I'm the
2 representing the Bipole III Coalition and I have my
3 associate, David Ennis here from the Bipole III
4 Coalition.

5 And good afternoon, Mr. Chair, Panel
6 members, Manitoba Hydro, if you're here,
7 representatives and Intervenors, PUB personnel and
8 guests. This is the second public presentation by the
9 Coalition.

10 This presentation focuses on the need
11 for a modern electric power Utility to be nimble and
12 to react quickly to the rapidly changing energy
13 situation that's upon us. Manitoba Hydro's preferred
14 development plan was predicated on exports as was
15 stated in the June 2014 PUB NFAT report.

16 Slide 2, please. Wholesale electricity
17 prices are falling in the US for most fuel sources as
18 shown in this slide. When the PUB gave approval to
19 proceed with Keeyask, its capital cost was 6.5
20 billion, long-term interest rates were assumed to be
21 risk at -- rise at 6.75 percent from 2019 onwards;
22 using these values and expl -- and excluding
23 maintenance and operations and water rentals.

24 The cost of energy at the terminals of
25 Keeyask will be \$128 Canadian dollars per megawatt

1 hour. This price is added to slide 2 but converted to
2 US dollars at \$108 per megawatt hour. It was evident
3 in 2014 that load growth for electric Utilities was
4 falling; in part, because of aggressive DSM and
5 because of growth of home generation from solar
6 panels, investor-owned utilities and a market south.

7 Just for your information, slide 3
8 please. There's ample hours of sunshine in Manitoba.
9 We were on the same latitude as northern Europe, and
10 we get better sunshine here than they do, even at
11 Churchill.

12 Slide 4, please. Solar power is a
13 disruption and you can see what would happen here with
14 the 7.9 percent increase, the yellow line going up,
15 crossing the red line going down, which is cost of PV
16 -- photovoltaic sol -- solar cells price coming down.
17 In a disruption, the usual is no, no, no, no, no, it
18 will never happened. But then, yes, it does. And the
19 reason it does is because of economics. And
20 economics will be a factor that will cause this to
21 happen and people will start to put on solar panels on
22 their roofs and it will leave -- it will be energy
23 that Keeyask will not be able to supply.

24 Next slide, please. The average price
25 of electricity around the world, for your information.

1 It's been falling since about 2006, that's the Utility
2 -- Utility demand growth and the US is fairly stable
3 in the middle there but load growth has been falling.

4 Next slide, please. Now, from the
5 Manitoba Hydro annual reports you can calculate from
6 the export energy delivered to the price that you gain
7 from those exports what the average price for exports
8 was and from 2010 onward it's dropped and it's been
9 soft.

10 And in 2014 when permission was granted
11 from the NFAT -- from the PUB NFAT hearing proceed
12 with Keeyask, there was plenty of evidence from past
13 history that the market -- export market was soft, as
14 this graph shows. But Manitoba Hydro put its trust in
15 load forecasts at a great deal of risk and it is damn
16 the torpedoes, full speed ahead command.

17 Next slide. Now, just look at PEV for
18 a minute, plug-in electric vehicles or electric
19 vehicles. This is the world growth over the past few
20 years. And I've put in there Moore's Law. Moore's
21 Law has been the growth of computing power and we know
22 what that's like. We've seen forty (40) years ago
23 something that took up a tennis court, you can put in
24 your pocket today. And in the past few years
25 international growth in --in electric vehicles has

1 been faster than Moore's Law.

2

3 Next slide, please. All Right, now,
4 let's look at what Manitoba Hydro did in the 2016 load
5 forecast. You see the green and the orange lines, the
6 EV is electric vehicle forecast's going to be put in
7 place in -- in Manitoba up to 2035. And the orange is
8 the internal combustion engine, the regular cars.

9 Now, this has been scaled against
10 Bloomberg New Energy Finance predictions in 2017. And
11 you will see there's a vast difference. I added in
12 the Moore's Law just for interest.

13 What happens with things like this, any
14 disruption, like, colour TV. Huge increase all of a
15 sudden then everyone gets colour TVs and then it
16 flattens so it's kind of a 'S' curve.

17 So, in the past years, Hydro has
18 demonstrated that by using -- being nimble and quick
19 in its decision-making process it would save much
20 money. For example, in 1976 construction started on
21 Limestone. Two (2) years later the executive
22 recognized that load growth was tapering off; meetings
23 were quickly arranged to make a critical review of the
24 need for Limestone generating station. In a matter of
25 weeks a decision was made to halt construction. It

1 must be said that there was opposition within the
2 Corporation from the construction people who had a
3 personal stake in proceeding.

4 Nevertheless, engineering arguments
5 prevailed and construction was stopped in 1978. The
6 cost estimate for Limestone at that time was \$2.9
7 billion. The station remained mothballed until 1985,
8 at which time contracts were negotiated with US
9 Utilities and it came in under budget at \$1.5 billion.
10 During the main portion of the export contracts Hydro
11 received a total of 6 billion. During a ten (10) year
12 period Limestone was paid for in three (3) years.

13 MR. KURT SIMONSEN: Couple of minutes
14 please, Mr. Woodford.

15 MR. DENNIS WOODFORD: Yes. So, there
16 are -- next slide, please. So this was Limestone.

17 Hydro had ample time -- opportunity to
18 -- to reassess the need for Keeyask and to stop
19 construction, especially in light of the aggressive
20 demand-side management program it was proposing and in
21 predicting the saving of twelve hundred and eighty-
22 eight (1288) megawatts in the next fifteen (15) years.
23 But Hydro kept a straight course.

24 Now, let's just go to the next slide,
25 please. And here we have -- yes, I just wanted to

1 jump over that past slide. They put Keeyask way up
2 the river for what the crazy -- why do they do that?
3 Conawapa, you guys stopped Conawapa, but they still
4 put the Keeyask -- the -- the Keewatinohk converter
5 station way up river. Why didn't they put it down
6 where the generation was. They got to go up the river
7 -- down the river I should say to -- to -- to
8 Keewatinohk and then back. That's money. They
9 could've put it down where the generation was and they
10 didn't.

11 So here's my recommendations:

12 1. And this is pretty heavy. Change
13 the Hydro grid to open access for the competitive
14 marketing of electricity between consumers and
15 producers of electricity.

16 2. Hydro's debt be assumed by the
17 provincial government and taken off the back -- back
18 of ratepayers.

19 Next slide. Open access and trade
20 across the grid. Tariff would apply to all
21 electricity transactions across the grid. So, an open
22 access grid would provide needed competition to the
23 unfettered monopoly of Manitoba Hydro. Manitoba
24 Hydro's generation competes with other generators from
25 rooftop solar to investor-owned wind farms.

1 Next slide, please. And debt transfer
2 more equitable to low income earners due to graduated
3 tax system and more in line with other provinces with
4 electric Crown Utilities. Why is Manitoba Hydro
5 charging all their debt to the ratepayers? Moving
6 debt to government allows for financial reorganization
7 in Hydro; provide a gentler paydown at provincial debt
8 rates and better for credit rating; treated
9 differently in the provincial budget and improve
10 provincial economy.

11 Next slide, please. So finally to the
12 conclusion. Continuing forward in an archaic and now
13 inflexible electric Utility monopoly that is
14 destroying the Manitoba advantage must cease and
15 dramatic surgery applied.

16 Next slide. Thank you.

17 THE CHAIRPERSON: Thank you, Mr.
18 Woodford. Are there any questions for Mr. Woodford?

19 DR. BYRON WILLIAMS: Mr. Chair, I'll
20 just indicate for the Consumers Coalition, we'll thank
21 all the presenters in advance, but we will not be
22 asking questions of any of them just in the interests
23 of time.

24 THE CHAIRPERSON: Okay, thank you.
25 Any questions?

1 MR. ANTOINE HACAULT: I can also
2 indicate the same thing, but I would have a comment or
3 two (2) before the BCM presentation.

4 THE CHAIRPERSON: Okay. Any other
5 questions? Does the Panel have any questions? Oh,
6 sorry.

7 MS. PATTI RAMAGE: I was just going to
8 pipe in, we had none. Thank you.

9 THE CHAIRPERSON: Okay, thank you.
10 Panel...?

11 Mr. Woodford, I've got a question in
12 terms of the concept of transferring debt; that the
13 province would be responsible for the debt.

14 Do you see it that this would reduce
15 the debt or simply it would just make government
16 responsible for all -- all debt?

17 MR. DENNIS WOODFORD: Most of the
18 debt, yes. I'm not saying all of it, but most of it,
19 yes. And the rate charged to consumers should be stay
20 -- kept within the rate of inflation or the cost of
21 living.

22 THE CHAIRPERSON: Thank you very much,
23 sir. Appreciate you coming today.

24 MR. DENNIS WOODFORD: Thank you.
25 Thank you very much.

1 THE CHAIRPERSON: Thank you. And by
2 the way, if anybody's interested we're live streaming
3 everything so you can see the hearing or yourself if
4 you go to our website.

5

6 (BRIEF PAUSE)

7

8 THE CHAIRPERSON: If you could swear
9 in Mr. Taylor, and then we'll deal with Dr. Williams
10 and Mr. Hacault.

11

12 MURRAY TAYLOR, Sworn

13

14 THE CHAIRPERSON: Dr. Williams...?

15 DR. BYRON WILLIAMS: Yes, thank you.

16 Just our clients in terms of this witness -- or this
17 presenter would simply note that Mr. Taylor was
18 identified as a potential witness by the Business
19 Council of Manitoba, which is an Intervenor in this
20 hearing.

21 Ultimately, he did not provide prefiled
22 evidence and to the extent that his evidence -- and
23 there's two (2) or three (3) slides that probably
24 venture into opinion evidence, to the extent that they
25 venture into opinion evidence, our client would urge

1 caution in terms of the weight that is given to that
2 evidence given that there was no prefiled evidence, no
3 Information Requests, and no formal discovery process.
4 Those are our cl -- our comments. Our clients does
5 look forward to hearing the thoughts of the Business
6 Council, though.

7 THE CHAIRPERSON: Okay, Mr.
8 Hacault...?

9 MR. ANTOINE HACAULT: Yes, I won't
10 repeat. In the application of the Business Council
11 they identified Mr. Taylor to provide expert evidence
12 on process bond ratings for corporations, public
13 institutions; considerations affect ratings assigned;
14 how these ratings impact on borrowing costs;
15 implications of lower bond ratings for ratepayers.

16 And the PUB in its August 2016 letter
17 approved this person as a proposed expert and he has
18 not filed any prefiled evidence. So, I'm not going to
19 take more time. There'd be a fuller argument to deal
20 with this but either with respect to the issues that
21 he was approved as an expert disregard his evidence or
22 place little or no weight on it.

23 THE CHAIRPERSON: Okay --

24 MR. KEVIN WILLIAMS: I'm beginning to
25 -- to have regrets about being courteous in providing

1 the slide presentation in advanced to My Friends.

2 I can tell you that our position is is
3 that the slide deck was reviewed very carefully to
4 make sure that he's not offering opinions that are
5 contentious as it -- as it relates to the matters in
6 issue.

7 There's a history to where the Business
8 Council is today as it relates to this proceeding, and
9 -- and so I don't intend to deal with it beyond that
10 at the stage.

11 THE CHAIRPERSON: Mr. Williams, before
12 you start, can you introduce --

13 MR. KEVIN WILLIAMS: I was just going
14 to do that.

15 THE CHAIRPERSON: -- to the Panel.

16 MR. KEVIN WILLIAMS: That was my next
17 step. Kevin Williams, as you're aware, counsel to
18 the Business Council. Immediately to my right is
19 Murray Taylor, our witness for today. To his right is
20 Doug Finkbeiner, also counsel to the Business Council.
21 Don Leitch, president of the Business Council and
22 Carrie Ho from our firm as well.

23 THE CHAIRPERSON: Thank you. For the
24 purpose of this hearing, I haven't seen the screens so
25 I look forward to seeing the screens.

1 We have a process to have someone
2 declared an expert witness. So in terms of the
3 information you provide, we will review the
4 information. We'll receive it from you and review it.
5 The Board always has the discretion to determine what
6 weight it will attach to that evidence.

7 And we just point that out to you.
8 But we'd ask you to proceed.

9 MR. KEVIN WILLIAMS: Yeah and it's
10 our intention at the conclusion of his comments to --
11 to file as exhibits both the PowerPoint presentation,
12 as well as a written summary of his -- of his
13 evidence.

14 THE CHAIRPERSON: That -- that's fine.
15 And my comments relate to both those as well.

16 MR. KEVIN WILLIAMS: Thank you.

17 THE CHAIRPERSON: But please proceed.

18

19 PRESENTATION BY MR. MURRAY TAYLOR:

20 MR. MURRAY TAYLOR: Well, thank you
21 for having us here today and I'll address my remarks
22 to Mr. Chair and -- and all assembled guests and
23 representatives.

24 If we can go to slide -- the next
25 slide, yeah. The Business Council of Manitoba sets

1 about to do research and advocate positions that we
2 believe will be good for the future health of
3 Manitoba. We do that focusing on this as a place to
4 live, work and invest, and we do that with a view to
5 the long term without partisan politics.

6 If we go to the next slide. Just a
7 little bit about my personal background.
8 Academically, I trained and then became an actuary. I
9 served within industry at Great West life and
10 Investors Group for a forty (40) year period. I
11 concluded that work period last year in May retiring
12 as CEO of Investors Group. I also became a member of
13 the Business Council in 2004. I served on its board
14 since 2006 and shared its fiscal issues committee
15 since 2012.

16 Now the fiscal issues committee each
17 year puts together positions and thoughts and
18 considerations to brief at the invitation of our
19 finance Minister as they move in to the annual budget
20 process. And for each of the last three (3) years, I
21 have chaired the group that has come in to have those
22 conversations and in each of those years, we have
23 talked about the growing debt of Manitoba Hydro and
24 the province of Manitoba and the consequential effects
25 of that.

1 In our written materials we've taken
2 excerpts from those public documents and added them as
3 appendix A for your reference and -- and for you able
4 to review.

5 If we can go to the next slide. The
6 context of those conversations over the last number of
7 years has been that there is a growing debt in
8 Manitoba. The current Manitoba Hydro debt as of 2017
9 of 15.4 billion is projected to grow to 23.3 billion
10 by 2021 to support major projects. Bipole III at 5
11 billion and Keeyask at 8.7 billion of costs and
12 interest costs for the projects do not yet appear in
13 the Manitoba Hydro financial operational costs.
14 Interest costs on the construction debt are currently
15 being capitalized in project costs until completion
16 which masks these debt costs being incurred for the
17 rate setting period that's currently under your
18 consideration.

19 Next slide. Manitoba Hydro needed to
20 borrow over \$200 million in each of 2016 and 2017
21 just to pay operating costs and is projected to be
22 borrowing in excess of 800 million from 2018 to 2024
23 for operating costs. Total annual interest costs and
24 depreciation charged in Manitoba Hydro expenses are
25 currently about 969 million as of 2018. And that is

1 projected to go to in excess of 2 billion by 2024,
2 more than doubling in a six (6) year period.

3 Next slide. Why hold rates well below
4 -- or below operating costs when we have rates that
5 are to the customers, in most cases, well below the
6 rest of our country and most of North America. If we
7 turn to the West as an example in Regina, the
8 residential hydro rates are 77 percent higher than
9 Winnipeg. To the east using Ottawa as a proxy for
10 Ontario, we see that residential hydro rates are 47
11 percent higher than Winnipeg.

12 Next slide. The forecasts into the
13 future have looked at things in what I would consider
14 to be a fairly optimistic pattern. I would point to
15 the fact that we've not had any significant drought
16 scenarios in the last fourteen (14) years, which
17 affect the water supplies. We have seen demand and
18 price for Manitoba energy under pressure in the export
19 markets. Current major projects may cost more than
20 even projected and the sheer volume of debt increasing
21 into the future will increase interest costs and the
22 potential for higher interest rates on that debt will
23 also increase costs.

24 Next slide. Now, interest rates are at
25 record low levels and can change very quickly. At

1 Manitoba Hydro increases in debt levels and
2 refinancing of existing debt could potentially be done
3 at much higher rates than we're saying today.
4 Currently, the economies of Manitoba, Canada and
5 globally are actually quite strong and that can change
6 very quickly too and during a time like that the
7 issuing of debt becomes more limited or more
8 challenging.

9 Next slide. Excessive debt in Manitoba
10 arising in large measure for Manitoba Hydro combined
11 with potential unfavourable economic environments
12 could lead to various increases in credit spreads, and
13 I've used half a percent as an example which has been
14 seen in the past. And on top of that, interest rates
15 could rise by, for example, 1 percent.

16 Now, if Manitoba Hydro was exposed, as
17 an example, to a 1.5 percent higher interest rate on
18 an estimated debt of 23.3 billion in 2021, Manitoba
19 Hydro would be incurring an additional annual interest
20 cost of 350 million. Now, that's just an example.
21 The debt could be higher than that if project costs
22 are higher. It could be 2 percent. It could be 1
23 percent. It could be 1/2 percent.

24 But I use that as an example, and then
25 to put in that context, the difference in looking at

1 the -- the forecasts of a 7.9 percent rate increase
2 and a 3.95 percent increase for the next year is
3 approximately \$70 million. So it's a mere small
4 comparison to the example of the potential that could
5 be there for higher interest costs in the future.

6 Now, the next slide. Credit rating
7 agencies who influence the bond market comment, of
8 course, on Manitoba Hydro and the government of
9 Manitoba. Those agencies have become much more
10 rigorous in their activities as we went through the
11 financial crisis ten (10) years ago, there was a lot
12 of criticism of rating agencies and they have stepped
13 up to that and right across all industries and all
14 patterns and all countries, they have intensified
15 their approach, their analytics, their commentary and
16 so on.

17 Within the context of comments on
18 Manitoba Hydro, they've identified the potential for
19 rate increases as a tool that Manitoba Hydro has to
20 maintain financial responsibility. We believe that
21 appropriate rate increases, when needed, is an
22 important signal to these marketplaces and that --
23 that the credit rating agencies and the bond investors
24 they serve would be looking for activity here around a
25 rate increase when it's appropriately so.

1 We believe that showing leadership to
2 increase rates substantially over the next two (2)
3 years is an important signal.

4 Now, in my own past experience, next
5 slide, I found as a business leader and in personal
6 financial affairs that the best time to acquire good
7 terms on debt is when you can prove you don't need it.
8 And although we might say that's a euphemism, the
9 opposite of that is also very true; that when your
10 financial affairs are built on increasing debt and the
11 environment may turn against you, it becomes very
12 difficult and unattractive to get good terms, and
13 often if the global environment is -- is distressed,
14 it can become extremely expensive, and unmanageable.

15 I certainly recall in 2008 when we
16 found periods of time when nothing was issued in the
17 bond market for lengthy periods of time because of the
18 markets, other than federal government debt where they
19 were trying to bring liquidity into the marketplace.

20 MR. KURT SIMONSEN: Two (2) minutes
21 please.

22 MR. MURRAY TAYLOR: Yep. So when the
23 markets turn, they can turn very quickly and quite
24 severely.

25 Next slide. On reflection, Manitoba

1 Hydro could have been gradually increasing rates with
2 this huge amount of debt coming their way over a
3 period of time, and we would still have very
4 competitive rates compared to our neighbours. Such
5 increased rates could have been done to create a
6 better economic footing to absorb the costs of Bipole
7 III which creates no or little revenue; at Keeyask
8 where short-term revenue generation does not cover the
9 building costs and financing costs, particularly, if
10 they come in higher than currently estimated. And
11 instead, rates have not increased and, in part, I
12 would suggest technically because there is no actual
13 expense to Hydro until the project's completed and it
14 starts to get charged to the financials of Manitoba
15 Hydro.

16 But I would also say that pending our
17 rate setting to this accounting rule that defers
18 reality is hardly wise stewardship in all cases. I'll
19 give you the little parable.

20 Next slide. That if your child has
21 accumulated tuition debt of a hundred thousand dollars
22 (\$100,000), it's a rare parent that would say to the
23 child, Don't worry about it because it's not really an
24 expense until you have all your credentials and start
25 working. Instead, we would usually counsel our

1 children to get a summer job, start picking away at
2 those costs and get prepared so that you don't have
3 that huge cost of debt when that time comes.

4 Next slide. So in conclusion, the
5 Business Council of Manitoba would appeal to the
6 Public Utilities Board to make a good and solid
7 decision, which will affect the next two (2) years,
8 which I believe is your mandate here in this
9 consideration, to show financial stability for
10 Manitoba Hydro and not to be so focused on low costs
11 in the short term, exposing us to potentially higher
12 costs in total in the future. Thank you very much.

13 THE CHAIRPERSON: Thank you very much,
14 Mr. Taylor. Are there any questions from anybody?
15 No? Panel...? Ms. Kapitany...?

16 THE VICE-CHAIRPERSON: Thank you, Mr.
17 Taylor. Could we go back to your slide 9, please.

18 MR. MURRAY TAYLOR: Yes.

19 THE VICE-CHAIRPERSON: The last 9,
20 please. Thank you. The last bullet there says
21 "showing leadership to increase rates substantially
22 will be important."

23 Could you tell me in your thought there
24 who would be showing the leadership to whom and with
25 what result?

1 MR. MURRAY TAYLOR: The -- my
2 understanding -- or the -- the context of my comment
3 on behalf of the Business Council would be that the
4 consideration of where rates go for the next two (2)
5 year period is -- is in the mat -- is in the role of
6 these hearings that are underway and the conclusions
7 that the Public Utilities Board would come to.

8 And so the comment is being addressed
9 to the Public Utilities Board in terms of
10 consideration. I think there's been a lot of
11 conversation about the rate path for extended periods
12 of time in the future and by a number of the comments
13 I've made here and by stressing it in my -- in my
14 remark now, our feeling is that rates could be varied
15 in the future from various paths but what happens over
16 the next two (2) years given the significant amount of
17 debt coming our way as -- as anyone look subjectively
18 at -- at what the kinds of costs that Manitoba Hydro
19 customers will have to pay sometime in the near
20 future.

21 But to inch away at that and to try to
22 deal with that in some fashion over the next two (2)
23 years that would give a good signal to the
24 marketplaces, to the customers that this is something
25 we have a responsibility for. The customers of

1 Manitoba Hydro have to pay for all this into the
2 future unless the province of Manitoba decide to
3 subsidize it, but that's a whole different political
4 decision and responsibility.

5 Our understanding is that Manitoba
6 Hydro does have a mandate to support the costs of
7 Manitoba Hydro with rates so.

8 THE CHAIRPERSON: Mr. Taylor, in one
9 (1) of your slides you referred to unfavourable
10 economic developments. We have later this afternoon a
11 series of people testifying from large companies. I
12 suspect that they won't share your sentiment. I don't
13 know for sure.

14 What do you do with large companies who
15 say, we moved to Manitoba because of low electricity;
16 That's the thing that keeps us there. If you're going
17 to raise them considerably, Manitoba isn't as
18 competitive.

19 MR. MURRAY TAYLOR: Well, I'm sure
20 through the hearings you've had a thorough review of
21 our competitiveness, but from the evidence that I
22 looked at, it's hard for me to imagine how a 7.9
23 percent increase, as an example, would put us
24 uncompetitive with any other jurisdiction and would be
25 of sufficient -- well, first of all, I -- I'd love to

1 hear where they would move to, if I can put it that
2 way, and get better rates and, at the same time, incur
3 the entire cost of making that move and come out
4 better in the farther position. I find that
5 implausible.

6 I think one can get there if you
7 imagine that that rate increase is going to have to be
8 heavily substantial into the future for a long period
9 of time, but that is conjecture. I do not see how a
10 rate increase of 7.9 percent over the next two (2)
11 years, which is the mandate under question, would have
12 that impact and would cause that decision.

13 THE CHAIRPERSON: If I could just put
14 on the record, and you mentioned this for two (2)
15 years, the -- the request to this Board is that we
16 confirm a rate of 3.36 percent for 2016, an interim
17 rate, we confirm an interim rate of 3.36 percent for
18 2017, and -- and in fact, we're looking at a one (1)
19 year rate of 7.9 percent. And I'm -- I'm not trying
20 to criticize you. This is a matter, as all counsel
21 here have known, is --

22 MR. MURRAY TAYLOR: I understand,
23 yeah.

24 THE CHAIRPERSON: -- is -- has been
25 put forward. What's been put forward by different

1 people are rate forecasts, or rate paths --

2 MR. MURRAY TAYLOR: Yeah.

3 THE CHAIRPERSON: -- that project the
4 rate over a twenty (20) year per -- twenty (20) or
5 longer period. But in fact, that's that's the rate
6 request currently before this Board.

7 MR. MURRAY TAYLOR: And -- and if I
8 might clarify, my -- my reference was to really agree
9 with that --

10 THE CHAIRPERSON: Okay.

11 MR. MURRAY TAYLOR: -- position that -
12 - that -- it is a two (2) year period. You're not
13 looking at twenty (20) year rates. You're not looking
14 at --

15 THE CHAIRPERSON: Right.

16 MR. MURRAY TAYLOR: -- ten (10) year
17 rates or five (5) year rates.

18 THE CHAIRPERSON: Thank you very much,
19 sir. If there are -- oh, Mr. Hacault...?

20 MR. ANTOINE HACAULT: I just want to
21 put on the record that I'm reserving the rights on
22 behalf of my clients with respect to the unfiled
23 written material which Kevin Williams said, "I don't
24 know what it is." So I just -- reserving rights with
25 respect to that.

1 THE CHAIRPERSON: Yeah, I -- I
2 understood that from your earlier comment, sir, but I
3 appreciate that.

4 MR. KEVIN WILLIAMS: So -- so with --
5 with that, then, could I mark as the -- as two (2)
6 exhibits, the -- the PowerPoint presentation as --

7 THE CHAIRPERSON: I don't -- you raise
8 an interesting point. I'm not sure how we're doing
9 this. Is -- I mean, they will be entered into
10 evidence. How are we showing these as exhibits? Are
11 we showing just his public presentation exhibits?

12 MR. KURT SIMONSEN: We generally have
13 a category for public presentations with the -- with
14 the representative's name followed by the materials,
15 and that's how we're classifying them as exhibits so
16 far.

17 Counsel and myself are probably going
18 to have a discussion as to how we actually physically
19 number these things, Mr. Chair.

20 THE CHAIRPERSON: Okay. They -- they
21 will be -- they will be entered as exhibits, though,
22 Mr. Williams.

23 MR. KEVIN WILLIAMS: Okay, so --

24 THE CHAIRPERSON: So if you give than
25 to Mr. Simonsen --

1 MR. KEVIN WILLIAMS: I'll do that.

2 THE CHAIRPERSON: -- we'll ensure they
3 get -- they get entered, and they're on the website.

4 MR. KEVIN WILLIAMS: Okay. Thank you,
5 Mr. Chair.

6 THE CHAIRPERSON: Thank you, sir.
7 Thank you --

8 MR. MURRAY TAYLOR: Thank you very
9 much.

10 THE CHAIRPERSON: -- Mr. Taylor.
11 Thank you all.

12 The next the person will be Andrea
13 McLandress from the Mining Association.

14 MS. ANDREA MCLANDRESS: I'm here with
15 all my friends.

16

17 (BRIEF PAUSE)

18

19 THE CHAIRPERSON: Please swear her in.

20

21 ANDREA MCLANDRESS, Sworn

22

23 THE CHAIRPERSON: Good afternoon, Ms.

24 McLandress. If -- if you could take about ten (10)

25 minutes for your presentation, then we'll see if there

1 are any questions. Thank you.

2

3 PRESENTATION BY MS. ANDREA MCLANDRESS:

4 MS. ANDREA MCLANDRESS: Thank you.

5 Good afternoon, Board members, hearing participants,
6 and observers. My name is Andrea McLandress. I am
7 the Executive Director of the Mining Association of
8 Manitoba. I joined the mining Association exactly one
9 (1) year ago today. This is quite a way to spend an
10 anniversary.

11 THE CHAIRPERSON: Happy anniversary.

12 MS. ANDREA MCLANDRESS: Thank you.

13 Thank you. This is -- it's great to be back home in
14 Winnipeg after living and working in Alberta for eight
15 (8) years. I was born and raised here. I'm a Metis
16 nation citizen and a proud graduate of the University
17 of Manitoba. I want to acknowledge that we're in
18 Treaty 1 territory, and the homeland of the Metis
19 Nation.

20 The purpose of my presentation here
21 today is to describe the mining industry in Manitoba,
22 highlight our significant positive impact on the
23 Province, especially in the North, as well as the
24 mining industry's significant potential. Most
25 importantly, I'll explain how Manitoba Hydro's rate

1 increase plan would have a disastrous effect on our
2 member companies and how that will, in turn, be
3 crushing for the economy of the North and the entire
4 Province.

5 Next. The Mining Association of
6 Manitoba was established in 1940. We have twenty-
7 three (23) member companies, operators, exploration
8 companies, mining suppliers, and service providers.
9 As I'm sure you're aware, our members are typically
10 the largest private employers in their communities and
11 represent the largest private economic drivers in
12 their regions. Our members are also some of Manitoba
13 Hydro's largest customers, which means that they will
14 bear the hardship of Hydro's planned rate increases.
15 The potential impact of this plan on mining operators
16 within the Province represents a very real risk to the
17 economies of the Northern and rural communities that
18 our members and our employees call home.

19 I'm just going to highlight some key
20 measures showing that mining is one (1) of the most
21 important sources of income in Northern and rural
22 Manitoba. We have thirty-one hundred (3,100)
23 employees, largely in the North and in rural
24 communities. The average annual income of a mine
25 worker is a hundred and thirty-one thousand dollars

1 (\$131,000), compared to about sixty thousand (60,000)
2 average annual income for all Manitobans, and that's
3 as of 2015. Total annual purchases from Manitoba
4 suppliers by mining companies is in excess of \$130
5 million. We make electricity purchases in excess of
6 \$82 million, and our total sales or revenues are \$136
7 billion.

8 We know that mining is a major positive
9 impact on the Province, but there's also tremendous
10 untapped potential. Manitoba is under-explored in
11 relation to other jurisdictions, and we have a much
12 less developed mining industry than our neighbours in
13 Saskatchewan, and Ontario, and increasingly, Nunavut.
14 Mining and resource development is the single greatest
15 economic opportunity in Northern Manitoba. New
16 discoveries and potential development, potentially in
17 diamonds, gold, and lithium, could translate into
18 jobs, education, taxes paid, and revenue for Manitoba
19 Hydro.

20 I'll draw your attention to one (1)
21 comparison in the table in the blue. Manitoba and
22 Saskatchewan each have 6.5 percent of Canada's area,
23 but in 2015, there was \$3.7 billion spent on mineral
24 develop -- development in Saskatchewan, compared to a
25 paltry 239 million spent in Manitoba. The question

1 is: Why is our mining potential going unrealized?

2 I'll talk a little bit more now about
3 the nature of our business and somewhat unique
4 features of our industry. The key points here, we'll
5 see that mining companies are price takers. Our
6 members compete on cost in a global market. Our
7 members are subject to intense global competition.
8 They are regularly -- have -- they are heavily
9 impacted by the cost of labour, transportation,
10 regulations, and energy. They're also subject to
11 foreign exchange rates, which we know can be highly
12 volatile.

13 Mining projects have a long lead time
14 and are capital-intensive. Significant upfront
15 capital investment is required to develop a project,
16 and there's typically ten (10) to fifteen (15) years
17 between exploration and production. There is a need
18 for significant, ongoing, annual sustaining capital
19 investment in projects. This means that investments
20 in mining are high risk and a long-term commitment.

21 And, as we know, mining is energy-
22 intensive. Mining -- mining and conversion of ore to
23 finished metal, for example, requires large amounts of
24 energy. So the key here, the point is that large
25 energy cost increases, as well as the signal that

1 those increases will continue over time, have major,
2 material, detrimental effect on project valuations
3 upon which investment decisions are based.

4 Next, please. And industry at risk.
5 Now that we've discussed the nature of our business,
6 I'll explain how Manitoba is a high cost,
7 uncompetitive, and uncertain jurisdiction for mining,
8 which is why our industry, as it stands today, is at
9 risk, and why our significant mineral potential is
10 untapped. Key points are in the slide.

11 We're the furthest possible distance
12 from our customers, many of whom are in Asia.
13 Transportation costs are great, but our transportation
14 infrastructure is not. Because of the absence of
15 viable rail and port options, intermodal
16 transportation logistics are complex and expensive.

17 Manitoba taxes are high compared to
18 other mining jurisdictions in Canada, and compared to
19 other manufacturing sectors within Manitoba. Just one
20 (1) example of this is the mining tax rate, which is a
21 flat 10 percent in Saskatchewan and Ontario, compared
22 to Manitoba's 10, 15, and 17 percent rate.

23 The regulatory climate here in Manitoba
24 is uncertain. The absence of a well-defined and
25 consistently-applied permitting and consultation

1 framework within the Province stands as a barrier to
2 exploration expenditure, new discoveries, and new
3 project development.

4 So in essence, the point is that
5 electricity rates within the Province represent
6 Manitoba's only competitive advantage in mining.
7 Eroding that one (1) remaining factor could be
8 disastrous for this entire sector of the Manitoba
9 economy.

10 We understand that the scope of this
11 hearing is the one (1) year proposed rate increase,
12 but we're aware that Manitoba Hydro is planning at
13 least five (5) years of 7.9 percent increases. So
14 from the position of the mining industry, the
15 perspective -- from our perspective, the proposed cure
16 is worse than the disease.

17 A mining operator in Northern Manitoba
18 -- this is a real example -- currently has a twenty-
19 five (25) year life-of-mine plan. The total economic
20 benefit over twenty (20) year -- twenty-five (25)
21 years life of this mine is \$10 billion. The annual
22 mine and mill electricity cost currently is \$20
23 million.

24 With an annual impact in five (5) years
25 at 7.9 percent, this is effectively a 46.3 percent

1 rate increase for this operator. The increased
2 revenue to Manitoba Hydro over this period would be
3 231.5 million. That means that -- that means a 231.5
4 million significant reduction in value of the site,
5 which affects a company's ongoing investment decision.

6 MR. KURT SIMONSEN: Two (2) minutes,
7 please.

8 MS. ANDREA MCLANDRESS: In a quest to
9 raise additional twenty (20) -- 230 million in
10 revenue, Maniti -- Manitoba Hydro could cost the
11 Province \$10 billion over twenty-five (25) years in
12 total life-of-mine economic activity.

13 On to my next slide, please. I would
14 like to respectfully remind you that there's a very
15 real human cost to all of this. Manitoba Hydro may
16 not have provided analysis of how this could impact
17 the North, but that's a key point I want to make here
18 today. Our industry and our organization has played
19 an active role in the development of our Province's
20 Look North Report and action plan. We'll be working
21 hard on implementation of the plan as well. We have
22 strong, positive relationships with other
23 organizations working to develop the Northern economy,
24 provide training, and create jobs. Mining is
25 identified in the Look North Report as the only

1 potential magic bullet for Northern Manitoba.

2 There is a sobering statistic you're
3 likely aware of that demonstrates -- strates how
4 crucial economic development is for Northern Manitoba.
5 Of the fifty-five (55) First Nation reserves in
6 Manitoba tabulated by Stats Canada from the 2016 cent
7 -- census, only two (2) have median incomes above the
8 poverty line. Poverty rates are highest for First
9 Nations children on reserve in Manitoba, at 76
10 percent. These are facts that must be considered
11 vital to the public interest and in the best interests
12 of the North and all of Manitoba as you decide whether
13 to approve this proposal.

14 I respectfully urge you to consider
15 that this proposed increase could destroy mining,
16 drive current operating mines out of the Province, and
17 deter future exploration and investment. This is the
18 industry with the greatest potential to bring
19 employment, opportunity, and economic development to
20 the North and to the entire Province.

21 Thank you. I thank you very much for
22 your time and attention, and I welcome questions.

23 THE CHAIRPERSON: Okay. Thank you.
24 Are there any questions from the Intervenors or from
25 Manitoba Hydro?

1 MS. MARLA BOYD: Thank you, Mr. Chair.

2 I just have a couple questions. I'm Marla Boyd. I'm
3 the lawyer for Manitoba Hydro.

4 Ms. McLandress, is it fair to say that
5 mine -- several mines in Manitoba are reaching the end
6 of their life?

7 MS. ANDREA MCLANDRESS: I'm aware of
8 that there -- there is some planning for future
9 changes in some of our operations.

10 MS. MARLA BOYD: One (1) of the --
11 sorry. One (1) of the documents that we've looked at
12 in this hearing is a Conference Board of Canada
13 outlook, and I'm wondering if that could be brought up
14 on the screen, please. It was attached as an exhibit
15 to Coalition/City of Winnipeg number 1.

16

17 (BRIEF PAUSE)

18

19 MS. MARLA BOYD: Thank you. Could we
20 go to page 106 of the document, please. Sorry, 105.
21 You'll note on the right-hand side of the page, there,
22 under "Current State," that:

23 "The Conference Board has identified
24 upcoming mine closures will reduce
25 the mining sector in Manitoba to a

1 fraction of its current size by
2 2021."

3 Were you familiar --

4 MS. ANDREA MCLANDRESS: Yes, I see
5 that.

6 MS. MARLA BOYD: -- were you familiar
7 with that?

8 MS. ANDREA MCLANDRESS: I haven't seen
9 this slide before, no.

10 MS. MARLA BOYD: Are you aware of the
11 -- the indication that there's an intention that -- or
12 an expectation that mine closures are going to impact
13 the Manitoba economy?

14 MS. ANDREA MCLANDRESS: I'm certain
15 that there are plans that some of our members might
16 have that could impact the economy. But what I also
17 want to point out, as we mentioned here today, is that
18 the life cycle of mining and these rate increases will
19 have an effect on that life cycle as well. So that's
20 future exploration, and construction, and production.

21 MS. MARLA BOYD: You're not suggesting
22 that the fact that mines are reaching the end of their
23 life is driven by the electricity prices, are you?

24 MS. ANDREA MCLANDRESS: No.

25 MS. MARLA BOYD: And you showed us a

1 slide -- I think it was about slide number 4 in your
2 presentation --

3 MS. ANDREA MCLANDRESS: M-hm.

4 MS. MARLA BOYD: -- that indicated
5 that the exploration and development or mine
6 development in Saskatchewan is significantly higher
7 than Manitoba?

8 MS. ANDREA MCLANDRESS: Yes.

9 MS. MARLA BOYD: And are you aware of
10 the comparison between the Saskatchewan power prices
11 and the Manitoba power prices?

12 MS. ANDREA MCLANDRESS: Yes.

13 MS. MARLA BOYD: So Saskatchewan is in
14 the order of 60 percent higher?

15 MS. ANDREA MCLANDRESS: Again, we look
16 at all factors here, and when we look at a proposed
17 7.9 percent increase, that -- in any cost element of
18 our budgeting, that would be significant.

19 MS. MARLA BOYD: But certainly, it --
20 it suggests that electricity prices are not solely
21 what's driving the mining development?

22 MS. ANDREA MCLANDRESS: No.

23

24

(BRIEF PAUSE)

25

1 MS. MARLA BOYD: Thank you very much.

2 Thank you. Those are our questions.

3 THE CHAIRPERSON: I'll ask the panel
4 if they have any questions. Dr. Grant...?

5 BOARD MEMBER GRANT: Just the one (1)
6 point. When you mentioned the energy intensity of the
7 industry, do you have any sense of what -- I -- I know
8 you can't generalize across all mining, but what
9 percentage of annual operating costs might be
10 electricity, and would they -- would it be for, like,
11 con -- like, running a concentrator, or something? Is
12 that where --

13 MS. ANDREA MCLANDRESS: So I -- I
14 don't know that percentage right now. I can get that
15 information.

16 BOARD MEMBER GRANT: Okay. Thank you.

17 MS. ANDREA MCLANDRESS: I -- I could
18 point out that we have no other power sources in
19 Manitoba. There's no gas -- natural gas pipeline to
20 the North, where our mines operate.

21 THE VICE-CHAIRPERSON: You mentioned
22 that the proposed increase would have a very
23 detrimental effect on the mining industry. I can't
24 believe that Dr. grant is letting me ask a price
25 elasticity question, however, what price increase

1 would the mining industry find acceptable in terms of
2 the -- the impact on their operations?

3 MS. ANDREA MCLANDRESS: Zero.

4 THE CHAIRPERSON: Dr. Grant stole my
5 question, so I'm going to ask if you could canvass
6 your members and ask them what the percentage of their
7 total costs for electricity are, and send it to the
8 Board, and then we will advise all the parties.

9 BOARD MEMBER GRANT: I think while I'm
10 on a roll here, I'm just a bit curious, too, about the
11 nature of mining, because you said it's an energy-
12 intensive industry, and it's also a capital-intensive
13 industry, which would lead to the assumption that it's
14 not very labour-intensive.

15 So you -- you indicated there's a lot
16 of high-paying jobs, but it would imply there's not a
17 lot of employment that's created, right? You've got,
18 say, three (3) inputs, and they use a lot of capital,
19 and they use a lot of energy, but it means that you
20 tend -- in a relative sense, not using much labour.

21 MS. ANDREA MCLANDRESS: The labour is
22 a -- a high cost for us, and I would again go back to
23 the numbers of employees that we do have in the North.

24 BOARD MEMBER GRANT: I'm sorry, can
25 you remind me, was it on the slide?

1 MS. ANDREA MCLANDRESS: Thirty-one
2 hundred (3,100) employees, yeah, primarily in the
3 North. Yeah.

4 THE CHAIRPERSON: Ms. McLandress, you
5 -- you're presenting a -- a pretty negative picture of
6 mining in Manitoba. When was it more positive?

7 MS. ANDREA MCLANDRESS: It was
8 probably more positive about ten (10) years ago,
9 before commodity prices went down.

10 THE CHAIRPERSON: Okay. And that --
11 and you -- you would pinpoint that as the primary
12 reason for it?

13 MS. ANDREA MCLANDRESS: It's one (1)
14 factor, but when we go back to the issue of confidence
15 of investors in our market, that's when we would also
16 bring in the other factors at play, which is the
17 uncertainty of the permitting and regulatory
18 processes, signals regarding electricity rate
19 increases, that makes investors nervous when you're
20 talking about a twenty-five (25) year life-of-mine
21 plan with a significant investment.

22 THE CHAIRPERSON: Okay.

23 MS. ANDREA MCLANDRESS: So the factors
24 are combined.

25

1 (BRIEF PAUSE)

2

3 BOARD MEMBER MCKAY: Hello.

4 MS. ANDREA MCLANDRESS: Hello.

5 BOARD MEMBER MCKAY: I want to thank
6 you for the Treaty acknowledgment and the Metis
7 acknowledgment. In addition to the fifty-five (55)
8 First Nations, I'm presuming that there are other
9 communities that are also below that poverty line that
10 you talked about. Can you --

11 MS. ANDREA MCLANDRESS: So within
12 Northern municipalities, the average annual income is
13 much higher than it is among First Nations. But what
14 I can say, to answer the question a slightly different
15 way, is a number of towns and cities where mining is
16 the main industry will just simply go out of business
17 if mining isn't there.

18 BOARD MEMBER MCKAY: And one (1) other
19 point on that. And those communities also do not have
20 alternate sources of energy to heat their homes?

21 MS. ANDREA MCLANDRESS: Right.

22 BOARD MEMBER MCKAY: Thank you.

23 THE CHAIRPERSON: Ms. McLandress,
24 thank you very much for -- for attending and
25 presenting to us.

1 MS. ANDREA MCLANDRESS: Thank you.

2 THE CHAIRPERSON: Thank you.

3 MS. ANDREA MCLANDRESS: Thank you.

4 THE CHAIRPERSON: The next presenter -

5 - and I apologize if I mispronounce it -- is Mike

6 Velie. Velie? I -- you know, in my head, I was

7 either going to say "Velly" or "Velie," and I just

8 went, No matter which way I do it, it's going to be

9 wrong, so pardon me. Mike Velie.

10

11 (BRIEF PAUSE)

12

13 THE CHAIRPERSON: Thank you, Mr. --

14 thank you, Mr. Velie. If you could present -- take

15 about ten (10) to twelve (12) minutes?

16 MR. MICHAEL VELIE: Yeah.

17 THE CHAIRPERSON: Thank you. Swear

18 him in.

19

20 MICHAEL VELIE, Sworn

21

22 MR. KURT SIMONSEN: Please proceed.

23

24 PRESENTATION BY MR. MICHAEL VELIE:

25 MR. MICHAEL VELIE: I'd like to thank

1 the Board for allowing the IBEW to present here today.
2 By way of introduction, I'm Mike Velie, business
3 manager of IBEW local 2034. I'm here today to speak
4 in partial support of Manitoba Hydro's rate
5 application.

6 While a rate increase for Manitoba
7 Hydro is necessary for a variety of reasons, the most
8 compelling of these is the safety of Hydro's employees
9 and its customers. Hydro has a responsibility to
10 provide safe hydroelectric power to Manitobans and to
11 protect this renewals -- renewable resource and its
12 environment. This takes proactive thinking and plan -
13 - and planning on the part of everyone involved.
14 Hydro been following this Board's direction to find
15 internal efficiencies. A side effect of this has been
16 that Hydro has had adopt practices that have proven
17 dangerous to both its employees and its customers.

18 As it's been widely broadcast, Manitoba
19 Hydro has recently gone through an exercise to reduce
20 its staff complement by nine hundred (900) employees.
21 What is not widely publicized is that ever-increasing
22 number of safety incidents and resulting incident
23 investigations that now take place. In 2017, no less
24 than sixty-seven (67) individual safety incidents were
25 reported and investigated. This does not take into

1 account any safety infractions that occurred and were
2 not formally reported and scrutinized.

3 When reviewing these different
4 incidents, an alarming trend has become evident. More
5 and more lack of situat -- situational awareness and
6 experience have been identified as major contributors
7 to the safety incidents and/or near miss events.
8 Evidence shows that employees are feeling pressured to
9 accomplish more and more work with fewer resources to
10 complete the required tasks. The end result is that
11 shortcuts are developed to keep pace with the increase
12 in demands, and the necessary focus on safety
13 gradually gets lost because of the ever-mounting
14 pressure to do more with less.

15 Safety for employees in the workplace
16 and safety for customers paying for a public utility
17 are not luxuries, nor are they negotiable. A portion
18 of Manitoba Hydro's requested rate increase needs to
19 be granted, but under specific conditions. While the
20 Board is not in the habit of directing how Manitoba
21 Hydro should run its business, the time has come to
22 impose certain constraints on Hydro's operations in
23 the public's best interest.

24 To date, the Board has treated the term
25 'public's best interest' as synonymous with reducing

1 costs. It's now time to recognize that the public's -
2 - public interest cannot be defined so narrowly as to
3 exclude anything other than monetary consideration.
4 The IBEW 2034 recognizes the importance of fiscal
5 prudence, and is not trying to make light of monetary
6 concerns that have been identified by the Board and
7 government. We feel that found -- sound financial
8 stewardship must always remain an important emphasis
9 of the Board, and I'll comment on that later.

10 Hydro repeatedly asserts that the work
11 is not going away, and that we have more work than we
12 can manage. In view of these admissions, it would be
13 irresponsible for this Board to allow the Corporation
14 to further gut its workforce, by so doing, to advance
15 its inability to foster a culture of safety that is
16 critical to its employees and customers.

17 Approval of Manitoba Hydro's rate
18 application could help prevent further erosion of
19 safety in the workplace, but it won't unless Board has
20 the courage, wisdom, and political fortitude to direct
21 to the Corporation to maintain its workforce numbers,
22 and to find other financial efficiencies to control
23 ballooning costs.

24 Earlier mentioned sound financial
25 stewardship. At present, the -- the reigning practice

1 to appear prudent has been to reduce expenditures.
2 This is carried out in a slash and burn manner, app --
3 concerned only with reducing final numbers on a
4 particular budgeter -- budgetary expenditure line. No
5 thought appears to have been given to implications and
6 side effects of such a rudimentary approach.

7 Witness the recent voluntary departure
8 program implemented at Manitoba Hydro in response to
9 this Board's direction to reduce expenditures. A
10 percentage target was established to meet some
11 established numerical requirement, and no further
12 thought was put into the process. As a result,
13 Manitoba Hydro now finds itself in a situation where
14 an uncontrolled reduction in human resources have all
15 but crippled the Utility's ability to perform the work
16 and to provide the services that are its primary
17 mandate. A program which encourages and supports the
18 gutting of entire work units, departments, or
19 locations, without any plan of how these areas will
20 continue to function, is knee-jerk at best and
21 irresponsible at worst.

22 At Manitoba Hydro's last rate hearing,
23 we appeared before this body to argue in favour of the
24 application. At that time, we raised concerns about
25 flagrant inefficiencies within the Corporation. One

1 (1) such concern was the use of contractors to perform
2 work where the Corporation had insufficient human
3 resources to meet the demand. In our presentation, we
4 highlighted the many weaknesses and negative aspects
5 of Manitoba Hydro's inability to train sufficient
6 numbers of employees needed to carry out its work. We
7 also highlighted a number safety concerns that this
8 deficit created. Whenever work in excess of Hydro's
9 manpower capacity becomes necessary, the only recourse
10 left to the Corporation is to rely on contractors with
11 -- with less training to perform work on our
12 generating stations and our distribution systems.

13 While using contractors gets the work
14 done, it is invariably performed by people who have
15 not been trained to the same level and standard, or in
16 the same way as Manitoba Hydro employees. As well,
17 contractors do not have the same commitment to
18 Manitoba Hydro as do Hydro's own employees.
19 Contractors have no ownership of, and do not have to
20 live with the system every day. We have seen many
21 examples of contractor work that does not come up to
22 the standard expected and required by Manitoba Hydro
23 employees. When contractors leave substandard work
24 behind, its Manitoba Hydro employees and its customers
25 that have to deal with it.

1 Today, while Hydro seeks another
2 massive infusion of capital from Manitobans to cover
3 its costs, it conse -- continues to increase the use
4 of Province con -- of contractors to get the work
5 done. While more money may be needed, it should be
6 used to the maximum benefit of Manitobans within the
7 Province. Funneling millions of dollars to
8 contractors who then take that money and all of its
9 economic spinoffs to other provinces is working
10 against the best interests of Manitobans. Putting
11 Manitobans to work, maintaining the workforce, and
12 increasing workforce numbers where needed is the
13 responsible way forward. This Board needs to guide
14 the Corporation in this direction.

15 While the government and Manitoba Hydro
16 fly the banners of fiscal responsibility and
17 efficiency, there's a notable lack of creativity and
18 innovation in their strategies. Every day, we see
19 results of an operating model that has gravitated to
20 basing every decision calculated solely on cutting
21 costs. As an example, Manitoba Hydro managers have
22 long said that engaging outside contractors is two (2)
23 to three (3) times more expensive than doing the work
24 in-house, yet despite this knowledge, no one has
25 attempted to create a more efficient or responsible

1 solution to the problem.

2 To back up that statement, I refer the
3 Board to the terms of a contracted -- contracted work
4 on the Winnipeg River system in 2015 and '16. During
5 that period, Manitoba Hydro paid -- paid the
6 contractor six thousand and thirty-four dollars
7 (\$6,034) per calendar week for the services of
8 jourman -- journeymen millwrights. Meanwhile,
9 Manitoba Hydro staff with all those same credentials
10 would have cost the Corporation two thousand and eight
11 o-three (2,008.03), inclusive of all benefits, for the
12 same week.

13 Manitoba Hydro willingly paid three (3)
14 times it would have cost to use in-house labour. I
15 inserted a little bit of a chart, there. If it was
16 one (1) journeyperson, you'd see that there would be a
17 savings on an annual basis of two hundred and nine
18 thou -- thousand dollars (\$209,000). If it was two
19 hundred (200) journeypersons, which, when you look at
20 the amount of work that's being contracted out of
21 Manitoba Hydro, would probably be a -- a reasonable
22 estimation (sic), it would be a savings of forty
23 (40) -- over \$40 million dollars a year.

24 This Board has the power to grant
25 Manitoba Hydro's rate application. It also has the

1 power, as per section 77 of the Public Utilities Board
2 Act, to place restrictions and conditions on the
3 Corporation in return for any approval of a rate hike.
4 It's inconceivable that this Board would grant
5 Manitoba Hydro any rate increase it requests without
6 attaching specific requirements to ensure that the
7 Corporation's business practices going forward will
8 truly protect Manitoba's ratepayers from fiscal
9 irresponsibility under the guise of economic
10 restraint.

11 Declaring that salary and benefit costs
12 will be lower by reducing the in-house employment
13 count, and then paying three (3) times as much to
14 fulfil ongoing work requirements, is nothing short of
15 fraudulent. Manitoba Hydro, like every other
16 business, is a closed system. Taking money from one
17 (1) area to pay for work in another area is not a real
18 savings. It's a shell game.

19 If this Board is seriously concerned
20 with the sustainability of Manitoba Hydro, it will
21 mandate practices that will require the Utility to
22 maximize the value of every dollar spent. If current
23 practices continue, and if there's no access to
24 additional revenues, Manitoba Hydro's plight will
25 likely worsen. Reducing employee numbers as cost --

1 cost-cutting strategy will only exasperate the
2 problem. Making up for the loss in employee numbers
3 by paying three (3) times the normal costs will simply
4 reduce -- reduce by two thirds (2/3s) the amount of
5 work that could be accomplished in-house if the
6 appropriate staff complement was in place.

7 A rate increase is necessary to help
8 Manitoba Hydro overcome its manpower shortage and to
9 reduce safety risk to persons and property, but such a
10 rate increase by itself could further put the Utility
11 at risk for Manitobans, unless accompany --
12 accompanied by some firm direction.

13 Simply throwing more money at the
14 problem will not have the desired effect of
15 maintaining an affordable hydroelectric rates in the
16 Province. Granting the requested increase without
17 conditions will give Manitoba Hydro carte blanche to
18 continue current practices without any critical
19 analysis of best practices. By so doing, the Board
20 runs the risk of becoming an enabler of poor practices
21 rather than a protector of Hydro's sustainability for
22 all Manitobans.

23 At this time, our support for Hydro's
24 application is for one (1) year only. It would be
25 imprudent to grant a 40 percent rate increase over

1 five (5) years without any check stop along the way to
2 ensure that the increased burden for Manitobans is
3 having the desired effect. Any further rate increase
4 should be requested through this Board on the basis of
5 a demonstrated need. Our support is also contingent
6 on the Board exercising its discretion in requiring
7 the Utility to curtail any further reduction in
8 staffing levels, and to explore creative options for
9 reducing exorbitant costs of engaging contractors.

10 Where such options exist, and where
11 costs are kept to a minimum without compromising
12 safety and responsibility, the Corp -- the Corporation
13 needs to be directed to use them. As an example,
14 Manitoba Hydro retirees who have the training, skills,
15 and ability to perform the work, and who express an
16 interest in performing work for the Utility could be
17 hired as term employees at far more competitive rates.

18 An added bonus here is the quality of
19 work, the sufficiency of training, and the familiarity
20 with the whole -- the Hydro system would all be known
21 by the Corporation when engaging retirees as potential
22 contractors. And of course, there would be a -- no
23 ongoing liability for benefits or further placement
24 beyond the contracts expiry. This is but one (1)
25 example of a creative approach to reducing costs while

1 getting the work done. There are no doubt others, and
2 Manitoba Hydro must be directed to explore these and
3 use these wherever possible.

4 At the outset, I stated that a rate
5 increase for Manitoba Hydro needed to be approved for
6 a variety of reasons, and not just for safety. A
7 second and related reason is protection of -- of the
8 system's reliability. Without a rate increase,
9 Manitoba Hydro's restricted ability to employ
10 sufficient numbers will continue. This will ensure
11 that Hydro does not keep up with infrastructure
12 maintenance, and this will, in turn, continue directly
13 impacting reliability of electrical service to
14 Manitobans. A third reason why Hydro's application
15 needs to be granted is to ensure that the electricity
16 Manitobans enjoy is provided to them at an economical
17 rate.

18 Unfortunately, what we're seeing now
19 are the futes (sic) of merely interpreting
20 'economical' to mean 'cost-cutting'. We're already
21 seeing Hydro's projection of huge rate increases for
22 the next five (5) years. If any part of the current
23 application is granted, the Board needs to direct
24 Hydro to use it in such a way that all further
25 escalation in rates is kept in check. Otherwise, the

1 Board is simply going to establish a pattern of
2 charitable giving to Manitoba Hydro on the backs of
3 Manitobans.

4 We appreciate the important role that
5 the Public Utility Boards (sic) plays as a regulatory
6 body charged with protecting the interests of all
7 Manitobans. However, as with all complex
8 organizations, Manitoba Hydro needs to have more than
9 one (1) instrument in its toolbox. If the only
10 requirement placed on Manitoba Hydro to balance its
11 book -- books is to come before this body requesting a
12 rate increase, then the system is broken. Likewise,
13 if this Board -- Board determines that it'll only
14 simply decide whether to grant an application or not,
15 then it's crippling the Utility.

16 In closing, Mr. Chairman, we urge the
17 board to go beyond simply approving carte blanche or
18 rejecting this application, and to truly help Manitoba
19 Hydro by providing it with the direction it needs to
20 regain fiscal health without compromising the safety
21 of employees and customers, and without diminishing
22 the reliability and affordability of power in the
23 province. By so doing, the Board will render the men
24 -- render all Manitobans the highest level of service.
25 Thank you for the opportunity to present today.

1 THE CHAIRPERSON: Thank you, Mr.
2 Velie. I'll ask if there any questions from the
3 parties. No? Anything from the panel members?

4 BOARD MEMBER GRANT: I was just -- I
5 was just hoping to get some background. I -- IBEW
6 would represent about how many workers? Or do you
7 know what proportion of Hydro employees?

8 MR. MICHAEL VELIE: We used to per --
9 we used to represent over 50 percent of the employees
10 of Manitoba Hydro. From 2006 to 2016 there's
11 significant growth -- growth in the Corporation. I
12 could say with quite a bit of confidence a year ago
13 that we didn't represent half of the employees
14 anymore.

15 But with the vert -- the most recent
16 voluntary departure program, and those last employees
17 left yesterday, my best guess would be we represent
18 around twenty-six hundred (2,600) to twenty-seven
19 hundred (2,700) employees right now. I'm not too sure
20 even what the current employee count is at Manitoba
21 Hydro effective today.

22 BOARD MEMBER GRANT: And would you
23 have taken a -- a larger than proportional hit in the
24 voluntary with --

25 MR. MICHAEL VELIE: We took the

1 largest hit. I believe the IBEW was approximately
2 three hundred and four (304) positions.

3 BOARD MEMBER GRANT: Okay. And,
4 sorry, last point was does IBEW make an effort to try
5 to track contracting out or -- I -- I know it's a hard
6 thing to try to quantify, but...

7 MR. MICHAEL VELIE: We -- we certainly
8 follow it. We've negotiated language with Manitoba
9 Hydro in the last couple of collective agreements.
10 Whenever the Corporation is supposed to be -- whenever
11 the Corporation is making decisions to contract out
12 it's supposed to involve our -- our members. Our
13 members are supposed to be notified of work that's to
14 be contracted out. Not very often receive that. For
15 example, today we received a notification from the
16 Corporation and there is one (1) successful contractor
17 that's received a large amount of work.

18 And there -- I think there's about five
19 (5) other out-of-province contractors that have been
20 approved for their -- it's like unit pricing, is -- is
21 what it is. But, you know, I -- I want to make clear,
22 like, we're -- we're not opposed to contracting out.
23 We -- we see a need for contracting out at times, but
24 we -- we believe it should also be a last resort.

25 You know, there's -- first of all,

1 Manitoba Hydro, we believe, should have the proper
2 staffing levels to perform the daily operating and
3 maintenance of the system. Our members at Manitoba
4 Hydro we're -- we're in the north. We're the ones
5 that are generating the power in the -- in the
6 generating stations. We -- we distribute that power
7 down to the south or transmit it to the south. We
8 distribute it to all -- all of Manitoba Hydro's
9 customers. We're the people that maintain the trucks.

10 When you look at that power outage that
11 was taking place on Monday evening, you know, that --
12 that's not just linemen out there. That's linemen,
13 it's haulage services getting our major equipment out
14 to that job site. It's storekeepers, it's
15 electricians, it's a massive undertaking. We all work
16 interdependently for that success. So we -- we want
17 Manitoba Hydro to have the proper staffing levels to
18 do that on a regular basis.

19 That's not what we're seeing right now.
20 When Manitoba Hydro has to start considering
21 contracting out, we would like them to seek
22 alternatives. Can -- can we create out of the crews
23 that we have now, maybe special crews that could work
24 ten (10) hour workdays throughout the summer, and
25 people bid on those positions. And you -- you'd be

1 restricted to taking maybe one (1) week's vacation or
2 two (2) weeks vacation during our peak construction
3 periods for people that bid onto these crews.

4 We -- you know, retirees. With -- with
5 the most recent voluntary departure program. I -- I
6 believe the cost of that is \$55 million to Manitoba
7 Hydro's ratepayers. You know, if you talk to any of
8 these people that are retiring, a lot of them didn't
9 want to retire.

10 But if they were given the opportunity
11 -- and -- and there's other utilities in Canada that
12 are doing this right now, that they allow a person to
13 retire, but they'll hire them back as a term employee
14 for up to two (2) years. And -- and as a term
15 employee, they're not getting all of the same
16 benefits. Essentially what they would be getting is
17 their -- the rate of pay when they retired, plus their
18 vacation pay and holiday pay, about 11 1/2 percent
19 above that.

20 The total package for Manitoba Hydro
21 employees is anywhere between 30 and 35 percent. So
22 there's significant savings right there. And when --
23 when you look at the Corporation is willingly paying
24 two (2) to three (3) times the amount, and you could
25 do this with a term employee who has considerable

1 knowledge of Manitoba Hydro, we -- we would -- we
2 would expect Manitoba Hydro to consider those
3 alternatives first.

4 THE CHAIRPERSON: Mr. Velie, can I go
5 over a few things? I understand you've lost three
6 hundred and four (304) employees.

7 Can you tell me what it was before and
8 what it is now?

9 MR. MICHAEL VELIE: I don't have those
10 exact numbers right now, but it would be twenty-nine
11 hundred (2,900) to twenty-six hundred (2,600)
12 somewhere.

13 THE CHAIRPERSON: Okay. And when you
14 are suggesting that we put in a condition in terms of
15 maintaining employees, are you talking about your
16 members? Or are you talking about everybody who works
17 for Manitoba Hydro? Because I assume there's quite a
18 few people who don't work within your union.

19 MR. MICHAEL VELIE: Yeah. You know --
20 you know, half the Corporation is outside of the IBEW.

21 THE CHAIRPERSON: Right.

22 MR. MICHAEL VELIE: And certainly
23 there are synergies across the Corporation. I'm not
24 too sure what reviews are taking place. A -- a lot of
25 the employees are kept in the dark right now. But,

1 you know, again, what we expect is Manitoba Hydro to
2 have the proper staffing levels for the day-to-day
3 operation of the utility.

4 THE CHAIRPERSON: And I guess my final
5 question is: Have you had any -- you or anybody else
6 at -- at the IBEW had any of the -- any discussions
7 with Manitoba Hydro with the suggestions that you've
8 put forward for us today?

9 MR. MICHAEL VELIE: We've -- we've --
10 so when I indicated we've negotiated some language or
11 we have these meetings in regards to contract. And we
12 just recently had one (1) with our electrical
13 construction department. And when we bring up these -
14 - these type of solutions, it's -- it's made clear to
15 us that the people in the room don't have the
16 authority to discuss those. They -- they are given
17 budgets. That's what they have to -- to operate with.
18 They have no power or authority to hire anyone.

19 So we're going into negotiations later
20 this year, so certainly we're going to be proposing
21 some of these alternatives. But, you know, just on
22 that, you know, and -- and we -- 2018 is our 60th
23 anniversary at Manitoba Hydro for the IBEW. For the
24 first fifty-five (55) years of -- of being at Manitoba
25 Hydro, Manitoba Hydro was doing that work in-house.

1 And that resulted in Manitobans enjoying some of the
2 lowest electrical rates -- rates in the world. So I
3 don't know why you'd want to change that model.

4 THE CHAIRPERSON: So, Mr. Velie, thank
5 you very much for -- for appearing today. We
6 appreciate your presentation.

7 MS. MARLA BOYD: Mr. Chair, I'm sorry
8 --

9 THE CHAIRPERSON: Sorry.

10 MS. MARLA BOYD: -- to interrupt. I
11 didn't have any questions of Mr. Velie when he
12 finished his presentation --

13 THE CHAIRPERSON: Okay.

14 MS. MARLA BOYD: -- but the recent
15 exchange has prompted one (1) --

16 THE CHAIRPERSON: Okay. Certainly.

17 MS. MARLA BOYD: -- if you'll -- if
18 you'll grant me permission.

19 THE CHAIRPERSON: Yeah. We've --
20 we've only got a couple of minutes, though, before the
21 next --

22 MS. MARLA BOYD: I appreciate that.

23 THE CHAIRPERSON: -- presenters
24 though.

25 MS. MARLA BOYD: Mr. Velie, subject to

1 check, would you accept that the take-up of the
2 voluntary departure program among IBEW members was the
3 lowest in the Corporation in the order of about 10
4 percent of its members?

5 MR. MICHAEL VELIE: As a percentage
6 base, yes. Number based, we'd -- and obviously
7 because we've got the -- the largest group of
8 employees, and also when take into consider the
9 people in the IBEW jurisdiction are probably the
10 youngest employees of Manitoba Hydro, yes.

11 MS. MARLA BOYD: Thank you. Those are
12 all my questions.

13 THE CHAIRPERSON: You get a second
14 thank you, Mr. Velie. Thank you very much.

15 MR. MICHAEL VELIE: Thank you for your
16 time.

17 THE CHAIRPERSON: The next presenter,
18 sorry, will be Chris Hornby.

19

20 (BRIEF PAUSE)

21

22 THE CHAIRPERSON: Yes, please proceed.

23

24 CHRIS HORNBY, Sworn

25

1 THE CHAIRPERSON: Good afternoon, Mr.
2 Hornby. Just to start, if you could take about ten
3 (10) minutes for your presentation and then we'll see
4 if people have questions for you.

5 MR. CHRIS HORNBY: Sounds good.

6 THE CHAIRPERSON: Thank you.

7

8 PRESENTATION BY MR. CHRIS HORNBY:

9 MR. CHRIS HORNBY: To introduce
10 myself, I'm Chris Hornby. I'm the current president
11 for the Interlake Recreation Practitioners. And thank
12 you guys for the opportunity to present to you about
13 our concerns with the rate application.

14 So the IRPA is a relatively new
15 organizationally. We've developed out of a -- sort of
16 a monthly informal meeting of the -- the rec directors
17 of the Interlake, and we're trying to become more
18 formal and conduct training advocacy, those kind of
19 things. Advocacy is obviously something new for us.

20 The rate increase, we're concerned
21 about it. We're worried about its impact on the
22 ability of our members to continue offering the -- the
23 wide range of recreation programs and services and the
24 facilities in the Interlake and the province as well.
25 So obviously recreation is an important aspect in

1 quality of life through our communities.

2 Our Interlake region holds a variety of
3 recuta -- recreation opportunities, facilities, and
4 operating structures, approximately a hundred
5 facilities across the region. And our models run from
6 municipal departments to municipally owned
7 infrastructure to board-governed operations to
8 facilities that are entirely owned and operated by
9 non-profits. The smaller communities and the non-
10 profits are a primary concern for the rate increase
11 because they have no fallback position if -- if it
12 goes through. Some of them will -- they have no
13 ability to raise the funds or continue operations.

14 If the rate increase goes through my
15 quick back-of-the-napkin math says it's about 46
16 percent if they get the five (5) year increase that's
17 been requested. Our members feel we could lose
18 between twenty (20) and fifty (50) of our facilities
19 across the region, you know, out of a hundred. We're
20 expecting many of them to shut. And that's just sort
21 of an informal survey of our -- our membership and
22 some of our municipal members.

23 An arena, for example, would see
24 operating costs increase around twenty thousand
25 dollars (\$20,000) as an average, just on the Hydro

1 rates. And for those of you in minor hockey that's
2 can relate back to about a thousand dollars per team
3 extra for a season. The ability of fili -- facilities
4 to make up the difference on the increased rent --
5 rental rates is sort of self-defeating in our -- our
6 world. We're -- we're looking at people that will
7 have to go back to the community to either fund raise
8 more or charge their members more. Basically pull
9 money out of our communities and our programs and send
10 it to something we can't effect.

11 On the other side we've lost support
12 from Hydro as well recently. In past rate
13 applications there was a program put in place at one
14 (1) point in time where Hydro was advertising in each
15 area and arena curling club, and that was something
16 that's been cut recently. Some of the longtime
17 recreation staff have told me that came in after a
18 rate increase application years ago and it was sort
19 of, We'll help you out a little bit. And that's been
20 discontinued.

21 Although, we did notice that Hydro is
22 still funding many festivals and events and other
23 organizations, but took the recreation funding out.
24 From Global News they reported over a hundred thousand
25 dollars in Hydro sponsorship to the Jets recent -- for

1 the last fiscal year. But we don't have any --
2 anything back to our local non-profits.

3 So we'd like you guys to take a long
4 look at this, consider how it impacts, you know, small
5 communities, the rink, the curling club, the -- the
6 community centre, and how that impact on recreations
7 is going to roll out across the province.

8 We'd like to make the Board aware of
9 some of the other cuts we've been receiving, too, just
10 as recreation as a whole cuts have been across the
11 province, but we did lose recreation funding from the
12 province, and our recreation opportunities program was
13 cut. We lost a training allocation that was entirely
14 eliminated. Recently we lost the Manitoba Community
15 Services Council. The Hydro rates would just be
16 compounding cuts on cuts on cuts, and we're -- we're
17 really concerned.

18 So to summarize 46 percent, it's gonna
19 cost us a lot. We're definitely going to lose
20 facilities. We are really concerned with the rate
21 increase. I don't know if we can affect it at all,
22 but we'd like to come and just state our case for it.
23 And it's going to reduce the availability of
24 recreation programs and services across the Interlake
25 region for sure and across province as well. And the

1 ones that are left, we're going to have to redirect
2 funding from frontline programs and services into
3 paying the bills every month. Thank you, guys.

4 THE CHAIRPERSON: Thank you -- thank
5 you very much, sir. Are there any questions from any
6 of the parties, the panel? Questions? The -- the
7 fast -- fast finger at the end will ask you a
8 question.

9 BOARD MEMBER GRANT: Actually, I found
10 this quite interesting because I think of the various
11 people we've talked to it's -- it's -- and helpful to
12 find out how people would respond to rate increases
13 and whether they could substitute, you know, a way
14 from higher electricity prices.

15 Could you -- maybe with an arena or
16 something like that, how important is electricity cost
17 to the overall operation? I -- I assume --

18 MR. CHRIS HORNBY: For the -- for the
19 rinks I'm familiar with, anywhere from 20 to 40
20 percent depending what their -- their rentals are.
21 When you look at rec buildings, they're very variable
22 depending who's using it and ow many hours. I always
23 look for about a thousand hours in an arena, but some
24 of our smaller communities, they might only have five
25 hundred (500) hours of -- of ice time rented out in a

1 year.

2 You know, as our organization, we have
3 brought Power Smart in to -- to talk about the
4 programs that are available, the lighting programs and
5 the -- the arena energy audit, and those things. And
6 they're very useful. But unfortunately, we still have
7 to turn that big compressor and turn that motor and
8 that's what we need to make the ice and keep the
9 lights on.

10 And again, many of our facilities, they
11 don't have an option. It's -- its electricity. Lots
12 of our communities don't have gas service, and they're
13 using electricity for heat, electricity for lights,
14 and electricity to make ice.

15 BOARD MEMBER GRANT: And so on the
16 revenue side, how much -- would you be covering your
17 costs through rentals or are you dependent upon some
18 sort of municipal transfer or...

19 MR. CHRIS HORNBY: I believe everybody
20 is subsidized in some way, shape, or form. It depends
21 on the community and how much they want to invest into
22 the recreation.

23 BOARD MEMBER GRANT: So if -- if your
24 -- if your electricity rates went up you could attempt
25 to pass them on in rental rates?

1 MR. CHRIS HORNBY: We could attempt to
2 pass them on. In my case, I would be looking at about
3 twenty-five (25) to thirty dollars (\$30) an hour
4 additional for ice time based on the -- the rate
5 increase as proposed. Some of the other ones might be
6 more, some might be a little bit less.

7 BOARD MEMBER GRANT: Thanks very much.

8 MR. CHRIS HORNBY: Welcome.

9 THE CHAIRPERSON: Sir, if I could go
10 back. Interlake Recreational Practitioners
11 Association, how many members in your group?

12 MR. CHRIS HORNBY: I think we have
13 twenty (20) paid members right now. We have
14 representation from basically all the municipalities
15 and -- that have paid -- paid staff looking after
16 recreation. So that's a combination of municipal
17 staff and some are -- are board-governed staffed in
18 the case where there's a -- there's one (1) or more
19 principalities that'll form what they call a rec
20 commission.

21 THE CHAIRPERSON: And is the primary
22 recreational facility, then, an arena in each of these
23 communities?

24 MR. CHRIS HORNBY: From my count I
25 think we have eighteen (18) arenas in the Interlake

1 region.

2 THE CHAIRPERSON: Okay.

3 MR. CHRIS HORNBY: A rough guess is
4 about a hundred facilities altogether, in everything
5 from small community hall that's 2,500 square feet to,
6 you know, the full on arena like -- like Selkirk or
7 Peguis would have built.

8 THE CHAIRPERSON: Okay. Now, you
9 mentioned -- and I -- I'm not sure I caught this
10 correctly, but for an arena, you said that your --
11 that the portion of your costs would be about 20 to 40
12 percent for electricity? Did I get that correct?

13 MR. CHRIS HORNBY: Yeah.

14 THE CHAIRPERSON: Okay.

15 MR. CHRIS HORNBY: Depending on
16 staffing and how busy it is.

17 THE CHAIRPERSON: Okay. Now, I don't
18 know if you were here when I spoke before. This
19 application -- the application before us is to confirm
20 two (2) interim rates, 3.36 percent for 2016 and a
21 3.36 percent interim rate for 2017, which I assume
22 you've been receiving in your bills. And 7.9 percent
23 for one (1) year. There's -- there's continual
24 reference in the media and else -- elsewhere for --
25 for five (5) year rate increases.

1 MR. CHRIS HORNBY: Okay.

2 THE CHAIRPERSON: The -- the increase
3 before us is simply one (1) year --

4 MR. CHRIS HORNBY: Is just the current
5 year?

6 THE CHAIRPERSON: -- and then
7 Manitoba Hydro comes back and applies for a rate which
8 is either higher or lower or the same or whatever --

9 MR. CHRIS HORNBY: That's fine.

10 THE CHAIRPERSON: -- that's -- that's
11 up to them. Going forward, rather than this 46
12 percent, if it was raised 7.9 percent next year for a
13 year -- for year time frame, do you have any idea what
14 that would do for your -- for your costs for your
15 arena?

16 MR. CHRIS HORNBY: For my operation,
17 I'd be looking at about eight thousand dollars
18 (\$8,000).

19 THE CHAIRPERSON: Okay. And what
20 would the -- what would the total expenses for your
21 arena be?

22 MR. CHRIS HORNBY: My arena, we're a
23 combined building, so it gets a little bit more
24 difficult to source out.

25 THE CHAIRPERSON: Okay.

1 MR. CHRIS HORNBY: But I'd be looking
2 about 25 to 30 percent as my utility costs.

3 THE CHAIRPERSON: Okay. And has --
4 has the cost of your programs -- do you increase them
5 every year or -- or what's the frequency of increasing
6 the cost --

7 MR. CHRIS HORNBY: We try to do an
8 annual review on it.

9 THE CHAIRPERSON: Okay.

10 MR. CHRIS HORNBY: I have done the
11 lighting upgrade, so I've changed all the lights in
12 every building we have over to LEDs to reduce our
13 costs. I've spoken with the -- the energy advisors to
14 -- to operate more efficiently, and we will be looking
15 at reducing the number of months that we -- we offer
16 artificial ice.

17 THE CHAIRPERSON: Okay. Those are my
18 questions. Do you have any more questions? Mr.
19 Hornby, thank you very much for --

20 MR. CHRIS HORNBY: Okay.

21 THE CHAIRPERSON: -- attending. We
22 appreciate --

23 MR. CHRIS HORNBY: Thank you guys for
24 having me.

25 THE CHAIRPERSON: -- we appreciate

1 your assistance. We're going to take a break now for
2 -- we're a little early. I'm just wondering if we can
3 come back in twenty (20) minutes. So we'll -- we'll
4 resume at the ten (10) to -- ten (10) to 3:00. Thank
5 you.

6

7 --- Upon recessing at 2:32 p.m.

8 --- Upon resuming at 2:49 p.m.

9

10 THE CHAIRPERSON: Thank you. We will
11 now proceed with a panel of members from the Manitoba
12 Industrial Power Users Group, and I call on Dale
13 Bossons to introduce the members and then Mr. Simonsen
14 will swear them in.

15 If you could introduce either Mr.
16 Bossons or you could introduce yourself and just
17 indicate who you work for and your position. Thank
18 you.

19 MR. DALE BOSSONS: My name is Dale
20 Bossons and I'm actually going to ask my -- my members
21 here to introduce themselves quickly so I make sure I
22 don't mispronounce any names.

23 MR. MICHAEL ST. PIERRE: Michael St.
24 Pierre from ChemTrade.

25 MR. DARREN MACDONALD: Darren

1 MacDonald from Gerdau.

2 MR. GERALD SAMUEL: Gerald Samuel from
3 Koch Fertilizer, Brandon.

4 MR. MORGAN CURRAN-BLANEY: Morgan
5 Curran-Blaney from Maple Leaf Foods.

6

7

8 MIPUG PUBLIC PANEL PRESENTATION:

9 DALE BOSSONS, Sworn

10 MICHAEL ST. PIERRE, Sworn

11 DARREN MACDONALD, Sworn

12 GERALD SAMUEL, Sworn

13 MORGAN CURRAN-BLANEY, Sworn

14

15 MS. MARLA BOYD: Mr. Chair, just
16 before the presentations begin?

17 THE CHAIRPERSON: Yes, ma'am.

18 MS. MARLA BOYD: Could I note for the
19 record that we listened with interest to Mr. Hacault's
20 comments before the Business Council appeared this
21 morning -- or earlier this afternoon and we echo many
22 of those same comments.

23 We did not have the opportunity that
24 Mr. Hacault was afforded to review the presentations
25 of the people that are about to make presentations

1 because they arrived at 1:09 today. However, some of
2 the same concerns which were raised by Mr. Hacault and
3 echoed by the Coalition are of concern to Hydro as
4 well.

5 There is no opportunity for pretrial
6 discovery of any of the statements that are contained
7 in the presentations that you're about to see, and
8 accordingly, we would suggest that they be given the
9 same considerations in terms of weight that Mr.
10 Hacault was advocating earlier today.

11 THE CHAIRPERSON: Mr. Hacault...?

12 MR. ANTOINE HACAULT: Yes, my comments
13 were specifically directed to the fact that there --
14 the witness on behalf of the Coun -- Business Council
15 of Manitoba was identified as an expert.

16 And my comments should reflect on
17 the transcript that I had no issue with respect to him
18 testifying with respect to other matters but with
19 respect to matters in which there was purported expert
20 advice for which he was approved as an expert, that's
21 where I indicated that there should be limited weight
22 given to any such purported expert advice or evidence.

23 THE CHAIRPERSON: Thank you. The
24 Board has discretion to determine what weight it gives
25 to its -- to witnesses, and we'll, with these

1 witnesses as with other witnesses, use that
2 discretion.

3 Mr. Bossons, could you proceed. We
4 have until approximately 4:00 p.m.

5 MR. DALE BOSSONS: Okay, thank you.
6 Mr. Chairman, members of the Board, I would first like
7 to thank the Board for granting us the opportunity to
8 speak before you today. My name is Dale Bossons, I am
9 the current chair of the Manitoba Industrial Power
10 Users Group, and I am in attendance today, along with
11 four (4) of our MIPUG company members to express to
12 you our thoughts and concerns regarding the rate
13 request currently before the Board.

14 Slide 2, please. The Manitoba
15 Industrial Power Users Group or MIPUG is an
16 association of twelve (12) major industrial power
17 users representing over 6,000 full-time jobs spread
18 throughout the province. Our members operate their
19 businesses across Manitoba and are often the key
20 employers in their communities.

21 Slide 3, please. This association has
22 acted as an Intervenor representing the interests of
23 industry and our employees before this Board on many
24 occasions over the last thirty (30) years. Our
25 intention is to provide a fact-based perspective that

1 considers the needs and impacts of electrical power
2 supply and its cost to our members.

3 One (1) point of note -- of interest is
4 that MIPG membership has grown considerably over the
5 last eighteen (18) months as companies have become
6 increasingly concerned in regards to the potential
7 electricity rate increases will have on their
8 companies and are looking for representation to have
9 their voices heard.

10 Slide 4, please. MIPUG's core focus
11 specifically on electricity rates and the reliability
12 of supply. We are not opposed to rate increases, in
13 fact, we have openly supported rate increases in the
14 past. We recognize the need for reinvestment in
15 Hydro's assets and we applaud their desire to maintain
16 a long-term reliable power supply system.

17 What is important to MIPUG members is
18 that revenue requirements and rates are based on the
19 true cost and with a long-term outlook to the lifespan
20 of the assets. We desire rates that are fairly
21 distributed across classes. We encourage the
22 inclusion of options to assist energy intensive
23 businesses with mutually beneficial cost mitigation
24 programs such as the curtailable rate program, which
25 is currently capped, and we seek stable predictable

1 energy rates that allow us to manage our business and
2 plan for our futures.

3 Slide 5, please. And why does any of
4 this matter? It matters because the economic
5 contribution that MIPUG members represent is very
6 important to the province of Manitoba. As mentioned
7 earlier, MIPUG members employ over six thousand
8 (6,000) Manitobans with \$345 million in salaries and
9 an additional \$72 million in contract labour costs,
10 representing an additional thirteen hundred (1300)
11 jobs. We contr -- we contribute \$223 million in taxes
12 and have invested over \$6.4 billion of capital into
13 the province. We are high contributors to the local
14 province -- province's GDP and provide \$165 million
15 per year in revenue to Hydro. We are an integral part
16 of the province's economic engine and we help to bring
17 prosperity to our province and its citizens.

18 Slide 6. The impact of these proposed
19 rate increases to our members is potentially game
20 changing. Over the next ten (10) years the difference
21 in costs to the operations of the GSL classes we
22 represent of the proposed 7.9 percent compared to the
23 previous 3.9 percent rate increase that has been
24 brought before this Board is almost \$850 million.

25 We have one (1) member company here

1 today that will incur additional costs of over \$170
2 million due to the proposed rate increase. This will
3 impact decision-making regarding future investment in
4 these operations and, for some, it threatens their
5 very future.

6 A concentrated load impact resulting
7 from a load reduction or a plant closure has not even
8 been considered in Hydro's models, as far as we are
9 aware.

10 Slide 7, please. For many MIPUG
11 members energy costs were the reasons that their
12 companies invested in the province in the first place.
13 For some energy intensive industries, electricity
14 makes up a very high percentage of the operating cost.
15 For these commodity businesses, there is very little
16 opportunity to pass along these rate increases.

17 Manitoba is a province that has many
18 challenges from an industrial operational perspective.
19 We're often far more -- we are often far from our
20 markets. We operate our plants in challenging
21 conditions. We struggle to find highly skilled
22 employees and we find that there are limited oper --
23 options to allow us to offset our energy costs.

24 We have chosen to invest and grow our
25 businesses here, partially, due to what has

1 traditionally been a favourable electricity rate.
2 This Manitoba advantage is currently under threat.
3 Today we have four (4) of our member companies here to
4 express to you their direct concern: ChemTrade
5 Logistics, Maple Leaf Foods, Koch Industries and
6 Gerdau Long Steel. All twelve (12) members would've
7 gladly spoken today, but our time is limited. I
8 believe ChemTrade Logistics will speak first.

9 THE CHAIRPERSON: Thank you.

10 MR. MICHAEL ST. PIERRE: Thank you,
11 Dale. Dear Mr. Chairman and members of the Board.

12 Slide -- just go to slide 2 if you can,
13 please. Thank you. My name is Michael St. Pierre, a
14 group vice-president with ChemTrade, a Canadian
15 domiciled company with sales of \$1.5 billion and
16 listed on the Toronto Stock Exchange. We operate more
17 than sixty (60) facilities in North America. Our
18 facility in Brandon, Manitoba is the largest plant
19 making sodium chlorate in the world, and as such, it
20 has high global visibility.

21 We have grave concerns regarding the
22 effects of the excessive proposed electricity rate
23 increases, as well as the reasons offered to underpin
24 Manitoba Hydro's rate proposal. My comments today
25 will -- will address two (2) main areas:

1 First, the economic contribution that
2 are Brandon facility generates and the detrimental
3 impact these costs increases will have.

4 Secondly, our perspective and concern
5 regarding the long-term effect of multiple aggressive
6 power rate increases on Manitoba's image as a
7 desirable jurisdiction in which to invest and expand
8 business.

9 Slide 3, please. Sodium chlorate, the
10 product manufactured at our Brandon facility, is used
11 almost exclusively in the bleaching of wood pulp.
12 Used to produce paper, tissue and other products. A
13 commodity market where everyone competes globally on
14 delivered costs. Costs are driven by raw materials,
15 economies of scale and transportation costs.

16 Slide 4, please. Sodium chlorate is
17 produced by an electro chemical process whereby sodium
18 chloride, or table salt, is combined with water and is
19 then exposed to electrical power. This process is
20 used -- uses electricity to transform the salt into
21 sodium chlorate. The importance of electrical power
22 to our process cannot be overstated.

23 The electrical power is the dominant
24 raw material for our -- for our sodium in Brandon,
25 accounting for 70 percent of our raw material or our

1 variable manufacturing cost. Every 1 percent increase
2 in the price of electricity has a negative impact to
3 our costs of more than \$700,000 a year.

4 The rate increases being proposed
5 signify a \$5.6 million increase to us in year one
6 alone. This is staggering. Similarly, a reduction in
7 our production rate of 10 percent would result in a \$7
8 million revenue that will be forgone to Manitoba
9 Hydro. Electrical power is such an important raw
10 material for us that we have had discussions over the
11 years with Manitoba Hydro to understand their views,
12 outlook and direction before we made any investment to
13 expand our economies of scale. We sought input from
14 Manitoba Hydro about the benefits we could bring the
15 power system of Manitoba and their future capacity and
16 rate forecast.

17 There are no customers for chlorate in
18 Manitoba and, therefore, all of the product
19 manufactured in Brandon, some 320,000 tons of sodium
20 chlorate annually, is shipped outside the province.
21 Seventy-five percent of this is shipped into the US.
22 ChemTrade currently operates three (3) sodium chlorate
23 facilities in North America. This time last year we
24 actually had four (4). In 2017, unfortunately, we
25 closed one of these facilities because of the

1 noncompetitive cost position.

2 Decisions to invest and grow the
3 Brandon facility has always considered the significant
4 disadvantage of weather and geography countered with
5 the excellent cooperation and long-term view of
6 support of Manitoba Hydro. We are having to re-
7 evaluate this equation, again, for ongoing investment
8 decisions in light of Hydro's actions and our
9 corresponding loss of confidence in the future.

10 Next slide, please. Slide 5, yep.
11 Our Brandon plant celebrates its 50th anniversary in
12 2018. We are very proud of this and our history of
13 collaboration and benefits for Hydro and the province.
14 Our facility is a significant contributor to the
15 economy of Brandon and with the province.

16 In addition to consuming approximately
17 5 percent of the province's electrical load and
18 providing over \$70 million a year of revenue to
19 Manitoba Hydro, the facility contributes \$600 million
20 to the Canadian GDP. It contributed more than 130
21 million direct benefit to Canada; two-thirds of which
22 stays in the province and 13 percent of which is
23 Brandon itself.

24 We spent approximate \$10 million a year
25 on capital at the facility and would like to spend

1 more. In 2016 we paid more than \$2 1/2 million
2 dollars in taxes and the average salary of our
3 workforce is significantly higher than the 2015
4 Manitoba median family income. We provide strong
5 support as well at sponsoring community organizations
6 and activities.

7 Slide 6, please. Needless to say, our
8 Brandon plant has not just happened. It has been
9 planned. It has been purposeful. It has been
10 transparent and it has been mutually beneficial.

11 While Brandon is our largest chlorate
12 plant, we do use our three (3) plants as part of a
13 system. We have the ability to shift production
14 within the system and will continue to actively manage
15 our system to obtain the lowest delivered cost to our
16 customers.

17 Obviously, any shift of production out
18 of the province is lost revenue for Hydro, as well as
19 the rest of the province. We will spend a certain
20 amount of subsistence capital for sure, as long as the
21 plant operates. And we have publicly announced
22 intentions to invest an additional \$50 million into
23 our facility. These discussionary investments have
24 plans and timelines to implement.

25 However, we find it difficult to

1 proceed in light of the numerous and significant
2 electricity cost increases announced by Hydro. We,
3 and our competitors across North America and
4 internationally, are watching what Manitoba will do.
5 The signal PUB will send to industry regarding current
6 rates, as well as future projected rate increases,
7 will clearly signal the province's desire to compete
8 with other jurisdictions and attract competitive and
9 additional investments. The world is watching.

10 Slide 7, please. Our competitors
11 operate in different geographies and they too are
12 driven by their delivered cost. We see moderate
13 tariff increases or none at all in many competing
14 jurisdictions. As per IHS, a consulting company, the
15 largest chlorate producing countries in Europe are
16 seeing decreasing power costs in 2018 and 2019.

17 Furthermore, in the US, many
18 jurisdictions allow for large consumers electricity to
19 pay lower than published tariff -- tariff rates and
20 that is achieved through private, confidential
21 contracts. Economic activity is key to the province's
22 future success and the zero-sum game being proposed by
23 Manitoba Hydro is detrimental to all stakeholders. We
24 need to consider North America and global
25 competitiveness.

1 Slide 8, please. Our discussions with
2 the executive levels at Manitoba Hydro left us with
3 two (2) impressions: Executive seem to assume that
4 driving excessive rates at Hydro will automatically
5 benefit the province as a whole. We have two (2)
6 comments to make about that assumption.

7 First, we would've thought that the
8 provincial elected government and not Hydro executive
9 were the proper representative -- representatives of
10 the citizens of Manitoba.

11 Secondly, the Hydro executive seem to
12 assume that a Hydro rate increase would benefit the
13 province without any consideration of a potential
14 reduction in current or future economic activity that
15 increased Hydro rates could create.

16 Furthermore, Hydro purports that they
17 needed to make successive substantial rate increases
18 to act like a publicly traded company and restore its
19 balance sheet through increasing the retained
20 earnings.

21 There are numerous comments we can make
22 about this as well -- this assertion, but we will only
23 make a few.

24 First, Hydro is not a public publicly
25 traded company, and there is no mandate from the

1 province, that we know of, that directs the Hydro
2 executive to act as a public traded company. Further,
3 many of their actions are contrary to how, in our
4 view, a publicly traded company would operate. For
5 example, Hydro's decision to keep investing in the
6 Keeyask dam despite BCG's report stating that could
7 have stopped is inconsistent with a publicly traded
8 company decision. It would've saved 3.4 to 4.2
9 billion in extra costs for power that was not needed
10 and has no return. A public -- publicly company --
11 sorry, a publicly traded company would have made a
12 decision to stop, despite the sunk cost. We believe
13 they did not stop this investment precisely because
14 they are not a publicly traded company and believed
15 they could pass on these costs to ratepayers.

16 In addition, the focus on balance sheet
17 retained earnings is ill-conceived. Others will
18 comment with more expertise on this subject, but the
19 wholly arbitrate timeline to build retained earnings
20 driven by an artificial and noncommercial assumption
21 of asset life leads to nonsensical nonpublic company
22 actions.

23 Slide 9. The energy market is changing
24 fast. We see global changes across North America and
25 here in Canada. Solar energy is moving down the cost

1 curve even faster than wind has done previously and
2 the future of the energy market is lower cost not
3 higher.

4 In our dealings with Manitoba Hydro, we
5 have not heard any long-term competitive strategy.
6 Higher rates will only speed up alternative thinking
7 and decrease economic activity in Manitoba and
8 discourage new businesses from locating here.

9 We fear that significant and multiple
10 rate increases will drive industry out of the province
11 and decrease the baseload electricity demand that the
12 province currently enjoys. This will place even more
13 burden on those of us who want to live, work and
14 operate in this great province.

15 Manitoba has a truly huge opportunity.
16 It has the opportunity to use its plentiful green
17 power, which also happens to have low incremental cost
18 to attract and grow the economic wealth of the
19 province over the long-term. This conversation needs
20 to happen, and we believe the PUB has a distinct role
21 to play.

22 We need Manitoba to a place where doing
23 business is a good thing for all. The path forward
24 cannot be insular and must recognize the changing
25 environment which we are all competing over the next

1 ten (10), twenty (20) and fifty (50) years. We are
2 looking to the PUB for leadership and a clear signal
3 to what investment atmosphere you're looking to
4 establish.

5 Slide 10. In summary, we believe that
6 the reasons given to increase rates by 7.9 percent
7 compounded over multiple years is flawed to the core.
8 We believe that Hydro is not and should not act as a
9 public -- publicly traded company. It is not one.
10 Further, its actions are not consistent with those of
11 a publicly traded company and its economic assumptions
12 have no basis and commercial reality.

13 We believe that more electricity demand
14 is good for Hydro and the province. Massive increases
15 in rates is not the way to encourage that. In fact,
16 it is contradictory to achieving that goal.

17 We believe Manitoba has a competitive
18 advantage with a low cost, green electricity --
19 electricity supply and should use this as a tool to
20 drive economic growth in the province in a fast
21 changing marketplace.

22 Finally, in addition to those
23 statements applicable to all industry, we believe that
24 the electro chemical industry must continue to be
25 encouraged to produce in Manitoba. At a time when

1 Hydro is worried about the out-of-province sales of
2 power, the production of chlorate in the province for
3 sales outside is effectively a long-term efficient
4 sale of power to geographies not reachable by Hydro
5 directly.

6 The industry has, and can continue, to
7 facilitate these notional power sales without any
8 additional investment by Hydro and infrastructure to
9 reach those distant geographies. The battle cannot be
10 between Manitoba Hydro and Manitoba industry in the
11 zero-sum game.

12 We urge the PUB to help set a path
13 forward which allows for cooperative effort to attract
14 business by utilizing the green and low cost
15 electricity supply as a strategic tool. The markets
16 are changing quickly, and we need your help not to
17 only remain relevant but to thrive and drive growth.
18 The electricity rate must be kept as low as possible
19 to ensure a relative cost advantage and to offset
20 geographic disadvantage. Thank you.

21 THE CHAIRPERSON: Thank you, sir. I
22 think what we'll do is we'll hold questions from
23 everybody until the panel's finished.

24 MR. DARREN MACDONALD: Good afternoon.
25 I liked to thank the Board for allowing a energy

1 intensive and trade exposed company to address the
2 Board with -- with a -- an industrial manufacturing
3 perspective. And when I say "energy intensive trade
4 exposed," I'm referring to a company that has a high
5 degree of exposure to electricity prices, and it has
6 no ability to pass through incremental costs to our
7 customers because we're trading a commodity that's
8 traded globally. So I just wanted to start with that
9 -- with that perspective.

10 My name is Darren MacDonald. I'm the
11 Director of Energy and Environment for Gerdau Long
12 Steel North America. We have facilities, twenty (20)
13 of them, spread between Canada, US and Mexico that I
14 have responsibility for.

15 And me -- behind me is Gavin Tobin,
16 vice-president of the Selkirk facility, in case we
17 have some -- some questions after that -- that get
18 into business, local business. Gavin's here to also
19 support me with those specific questions.

20 So, Gerdau itself is a -- a mini mill
21 steel producers, that means we are a recycler by -- by
22 design. We are the second largest mini mill steel
23 producer in North America. We have a capacity of
24 about 10 million tons of finished steel capacity. We
25 employ about 10,000 people, and we are one (1) of the

1 largest special steel suppliers in -- in North
2 America. You can see on the -- on the chart there the
3 -- the types of products that we make; rebar, angles,
4 channels, that sort of thing.

5 Next slide, please. Gerdau has a
6 global presence. You can see on this chart mostly
7 North and South America but we have sixty (60) steel
8 mills worldwide. And we have invested and continue to
9 invest where we have a low cost structure, and that's
10 very, very important. We need -- it's where we have
11 one and where we look to the future of a stable and
12 competitive cost structure is where we make
13 investments.

14 Internally, I have the responsibility
15 to make my management team aware of anywhere where we
16 see a risk to that stable cost structure, and I can
17 tell you that Manitoba is now on the list for the
18 first time in -- since I've been in charge of the --
19 the position which is 2001 until today.

20 So it is now both rising electricity
21 costs and the potential carbon tax impact on our
22 location here in Manitoba that are -- are two (2)
23 concerns for us. We have a large exposure to natural
24 gas costs and logistics. So that's why the carbon tax
25 is an issue for us as well.

1 Next slide, please. So this slide's
2 talking a little bit about history. The facility here
3 in Selkirk's been in -- in operation since 1907;
4 acquired by Gerdau in 1995 and -- and continues to be
5 operated by Gerdau. You can see on the right-hand
6 side the contributions to the -- social responsibility
7 contributions that the facility is making and some of
8 the products that the mill makes in the bottom left-
9 hand corner.

10 Next slide, please. So this is where
11 I'm -- I'm talking about the recycling facility. You
12 can see on the far left that we take cars and - car
13 bodies and -- and appliances, we shred material and we
14 feed that shredded material into an arc furnace. The
15 arc furnace is 50 megawatts of electricity and that's
16 the main input to converting the scrap material to
17 molten metal. We take that molten metal and -- and
18 cast it into a billet and heat that billet up to the -
19 - the right temperature for rolling into those
20 products that we -- we saw on the previous page. So
21 we have a very large impact of -- of electricity costs
22 on our overall manufacturing costs.

23 We ship the remains -- we ship the
24 product out on -- on rail or by truck and so some of
25 our -- our costs of doing business in Manitoba since a

1 lot of the product gets shipped to the US is
2 transportation related.

3 Next slide, please. Economic impact in
4 the province. So \$44 million in wages; half a billion
5 dollars -- half a million dollars in property tax; 13
6 million in -- in Capex Invested; and a \$8 million a
7 year power bill.

8 For sensitivity understanding, \$.01
9 cent per kilowatt hour change in electricity costs
10 means \$1.8 million a year to our bottom line. We have
11 four hundred and thirty-six (436) employees at the
12 steel plant, and an additional three hundred (300)
13 employees at downstream locations that are basically
14 customers of ours because we are located here in
15 Manitoba. So, they are dependent on us -- us being
16 here.

17 We also support other -- other
18 Winnipeg-based industries, a little over seven hundred
19 and twenty-one (721) vendors in the province of
20 Manitoba. So a significant buy in the province.

21 As I said before, we rec -- we recycle
22 four hundred thousand (400,000) tons of scrap per
23 year. Without us being here that material would have
24 to go offsite, out of province. And we have over a
25 hundred and fifty (150) trucks and twenty-five (25)

1 railcars per week feeding that facility.

2 Next slide, please. This is the
3 problem slide. This -- grey bars on this chart is
4 Gerdau's actual cost of electricity at the twenty (20)
5 facilities in North America, our average cost. And
6 you can see that in 2016 -- as of 2016, we've had
7 year-over-year decreases in North America. Low
8 natural gas prices, the influx of wind power and solar
9 power in the regions that we operate our making
10 Manitoba's cost look higher and, quite frankly, are
11 higher in comparison to the average.

12 So what we've done on this slide is
13 taken the 7.9 percent increases year-over-year for
14 five (5) years and showed how that compares to the
15 forecasts of price in our other locations. Of course,
16 it's a forecast so the grey bar is based -- based on
17 the fact that we are seeing more wind, more solar,
18 which is free energy and seeing the -- the gas prices
19 in the -- in the forward curve to be fairly flat.
20 This is our forecast to the future.

21 So this one is deeply concerning for
22 us. This is why Manitoba's on the risk alert
23 awareness for our senior management team. And I can
24 tell you that if we see a situation like this, Gerdau
25 has twenty (20) facilities in North America, we can --

1 we can make investments at any one (1) of those and
2 those Capex decisions are based on where we see a
3 bright future and -- and a good return on that
4 investment and this is a concern for us.

5 If you don't invest in a steel mill
6 significant investment year after year, you start a
7 downward spiral, because that facility becomes less
8 competitive with the remaining facilities. And we
9 have the ability to shift our production to other
10 facilities and -- and we do that routinely.

11 I'll -- I'll make a comment not -- not
12 as a threat but just as a reality. In 2007 I had to
13 make this same sort of report to our senior management
14 team for facility in Perth Amboy, New Jersey, and in
15 large part due to our electricity cost situation in
16 forecasts in that situation we shut that mill down.
17 So, electricity costs are really important and can
18 have a very big effect on where we invest and -- and
19 which mills we continue to load or operate.

20 Next slide, please. Having said that,
21 Gerdau does everything in its power to control our
22 costs. We have sixty (60) facilities worldwide, as I
23 said. We have specialists that -- that go from mill
24 to mill to mill helping us reduce our costs, helping
25 us manage our efficiency, helping us operate those

1 facilities as cost-effectively as we can.

2 And just as an example, we control the
3 demand in -- in our facility here in Selkirk. The
4 demand charge, the rate structure in Manitoba is
5 actually punitive for us. We're a cyclical business.
6 In a downturn economy we pay a demand charge that is
7 significant; where other locations we pay on a total
8 variable basis, this one, hits us when we're down and
9 so the -- the rate design is tough on -- on a
10 manufacturer.

11 Energy efficiency. We do everything we
12 can, as I said, to -- to lower our costs.

13 Curtailable rate program. The Manitoba
14 facility is the only one that we have in North America
15 that does not have an opportunity to manage its cost
16 using a curtailable rate. We have demand response
17 opportunities -- a whole host of them. We have
18 interruptible contracts. We have some way to manage
19 our costs or get credit for our ability to interrupt
20 in every jurisdiction we operate in North America
21 except here. So that's a significant difference and
22 it's -- it -- it leaves us with no way to -- to
23 control our costs.

24 The time-of-use rates was a proposal
25 that we supported and -- and were very interested in.

1 I know that Manitoba Hydro worked hard on that, got it
2 Board approved but was never implemented.

3 And incentive rates. I can tell you
4 there's jurisdictions that we operate in and I gave an
5 example here in TVA, Tennessee Valley, there's a
6 Valley investment initiative that provides an economic
7 incentive based on your FTEs, full-time equivalents;
8 the Capex that you put into your plant; how much
9 electricity consume; all of those are -- go into their
10 black box, but they -- they provide you a significant
11 reduction in your electricity bill for operating and
12 making investments in -- in their jurisdiction.

13 Next slide, please. So what can be
14 done? Number 1, we appreciate the -- the reduction to
15 the rate increase request down to 3.46, but even --
16 even increases at that level hurt our competitiveness
17 going forward.

18 We -- we're looking for more risk
19 sharing. If you look at these -- these bullets in the
20 top paragraph here, "reduce or eliminate the hundred
21 basis points added for the Hydro debt guarantee." It
22 used to be fifty (50).

23 Corporate capital tax reduction and
24 elimination of that for Keeyask or the new
25 transmission lines, plural would -- would -- would

1 help reduce costs.

2 Reduce water rental fees. When we look
3 at just those that is \$0.18 of every dollar we pay on
4 electricity goes to just those bullets. So we're
5 being, you know, we're making a large contribution and
6 effectively tax in -- in those three (3) bullets
7 alone.

8 The fourth one is, you know, this
9 debt/equity ratio of going for a twenty (20) year
10 lifespan over which to get to a 75 percent debt level
11 is, in our opinion a lot -- a lot more in line with
12 the life expectancy of the equipment and doesn't hurt
13 -- harm ratepayers by jamming -- frontloading the
14 costs.

15 Industrial rates, I talked about those
16 three (3) options already. Something that we could do
17 here, look at each one (1) of those components.

18 And I'll leave you with a final issue
19 for us. The first quarter of 2014 where we had the
20 polar vortex and we -- we saw those outlandish electri
21 -- or sorry, natural gas prices. Those also hurt the
22 energy intensive trade exposed companies and so
23 keeping an eye on the efforts at the NEB to maintain
24 lower and stable rates for natural gas is helpful as
25 well.

1 So thank you, and I'd be happy to
2 answer any questions later.

3 MR. GERALD SAMUEL: Mr. Chair, members
4 of the Board and others. I'm Gerald Samuel, I
5 represent Koch Fertilizer Brandon as a member of the
6 leadership team.

7 I would like to start by providing an
8 overview of our Brandon plant and continue with the
9 role of energy in our business and close with the
10 current issue and challenges that are coming out of
11 Manitoba Hydro rate increase.

12 We are a continuous operation plant.
13 We produce anhydrous ammonia, urea and other
14 fertilizers. In 2017, we achieved a milestone of
15 fifty (50) years of successful operation in Brandon.
16 We provide employment to more than two hundred and
17 fifteen (215) permanent employees and contractors. We
18 also employ more than one thousand (1,000) contractors
19 during out plant shutdowns, periodic plant shutdowns.

20 We are close to our market, but we are
21 far from natural gas generating -- generating source.
22 We are part of a network of five (5) fertilizer
23 plants. The only one (1) in Canada. Our shareholders
24 have shown willingness to invest in the Brandon plant.
25 Recently, we had a start-up of a \$30 million air

1 machine. It's an example.

2 Brandon needs to be competent within
3 our fleet of plants for future sustaining capital
4 investments. Shareholder -- shareholders would rather
5 invest into other locations with higher internal rate
6 of return.

7 What's the role of energy to Koch?
8 Electricity and natural gas are the (2) key energy
9 sources for the operation, and natural gas is also a
10 process feedstock for us. Electricity is a
11 substantial input to the operation, about 20 percent
12 of our cost, utility cost. If the cost of electricity
13 increases, there is minimal opportunity to reduce our
14 load. There's no option of switching suppliers.

15 So the issues and challenges, there is
16 a general concern about high ongoing regulatory cost
17 in Canada. No ammonia plants have been installed in
18 Canada during the latest business cycle.
19 Implementation of carbon tax in Manitoba and Canada,
20 federal multisector air polluting regulations may
21 require potential upgrades to existing boilers and
22 heaters in our plant, running into millions of
23 dollars. Clean fuel standard initiatives are being
24 proposed. Now, increased Hydro rates that's coming
25 over and above all this, that's an adverse impact of

1 over -- it's -- it's a more than \$20 million in the
2 next ten (10) years, this proposed increase.

3 The impacts -- significant impact on
4 cost structure, which will negatively affect the
5 attractiveness of capital investments, and ultimately
6 impact the long-term competitiveness of the site. The
7 nature of ammonia technology provides limited
8 opportunity to offset any electrical rate --
9 electrical rate increases through energy reduction.

10 So the take-away that I would like to
11 leave with you is fertilizer is a global market.
12 Increased regional costs through higher rates or taxes
13 cannot be passed along to customers, and it affects
14 our competitiveness. Thank you.

15 THE CHAIRPERSON: Thank you, sir. Mr.
16 Curran-Blaney?

17 MR. MORGAN CURRAN-BLANEY: First of
18 all, thank you for allowing us to come here and -- and
19 speak to you and present. I'd like to present Maple
20 Leaf Foods.

21 So we can go to the next slide. So
22 I'll just give you a quick company overview. Maple
23 Leaf Foods is Canada's leading consumer packaged goods
24 company. We've got operations all across Canada, and
25 we export our -- our products to twenty (20) global

1 markets, including the US, Mexico, and Asia. In the
2 Province of Manitoba alone, we have five (5) feed
3 mills, over a hundred barns, a prepared meats
4 facility. We have the largest primary processing
5 plant in Canada. That's where I'm from. And we also
6 have a regional office.

7 In Manitoba, we employ approximately
8 four thousand (4,000) people. That represents almost
9 one-third (1/3) of Maple Leaf's workforce. We
10 represent approximately \$753 million in direct
11 economic benefits, and approximately one (1) and a bil
12 -- \$1 1/4 billion dollars in indirect economic benets
13 -- benefits to the Province.

14 Slide -- so the Brandon plant, we're --
15 we're about 650,000 square feet. We sit on 320 acres.
16 Like I say, we're Canada's largest primary processing
17 plant for -- for hogs, and we started in 1999. We
18 double-shifted the plant in 2008. So we employ
19 approximately nineteen hundred and fifty (1,950)
20 hourly workers, and -- and a hundred and fifty (150)
21 salaried workers there.

22 Okay. Next slide, please. So our
23 business in the pork industry, we're global,
24 commodity-driven, free-market industry. So our
25 pricing is based on the USDA market index, and that's

1 used to derive the base meat of our price. Our
2 opportunity on -- on the business side to increase our
3 margins is to move cuts from -- from primal, bone-in
4 states to further converted value-added products. So
5 basically, taking a bone-in loin and making pork
6 chops, or making a belly into bacon, okay?

7 One (1) of the biggest advantages we
8 have in -- in the Brandon facility is our abil --
9 ability to produce chilled pork for the Japanese
10 market. It's a very labour-intensive and energy-
11 intensive product, requiring a very controlled cooling
12 program.

13 Next slide. So just to give you an
14 idea of our process, in the Brandon plant, hogs are
15 received. They go through the front-end kill.
16 They're -- they're slaughtered, eviscerated, and then
17 they hit the blast chill, and -- and so for a hundred
18 and eight (108) minutes, these pigs go through a
19 conveyor system that -- that chills the product down
20 to minus forty (-40), high wind speeds, and -- and
21 really, what does is it crust freezes the -- the
22 carcass, and that's necessary for this Japanese
23 chilled pork market.

24 They then go into our cooler and -- and
25 the hogs are then chilled down for eighteen (18) to

1 twenty (20) hours. They -- they reach an internal
2 temperature of about 4 degrees Celsius. Then the next
3 day, we push them out onto the cut floor, and that's
4 where we add value.

5 So the carcass is broken up, deboned,
6 packaged, and then goes out through our shipping,
7 okay? So the process from -- from the -- the cut
8 floor to packaging is about seven (7) minutes, from --
9 from a carcass into -- into a box. So we're -- we're
10 a high line speed plant, and there's not many like us
11 in North America.

12 So the challenges that we face, Hydro
13 represents our highest utility cost in Brandon. So
14 it's approximately \$4.6 million annually. And again,
15 as I mentioned before, it's primarily used in the
16 powering of equipment and refrigeration.

17 So our refrigeration, we're the second
18 largest ammonia plant in North America. We have about
19 72 metric tons of -- of ammonia used in our chilling
20 process. And like I said, our snap chill, that blast
21 chill uses -- approximately one third (1/3) of our
22 Hydro cost is just doing that.

23 Global competition in the -- in the
24 pork markets has many disadvantages to Canadian
25 companies. One (1) of the few key advantages that we

1 have being located in Manitoba is our electricity
2 rate. But even with that favourable rate, as I'll
3 show you in the next slide, we still have one (1) of
4 the highest utility costs among North American meat
5 packers.

6 So -- so we -- we subscribe to a
7 company called Agri-Stats, as do twenty-six (26) other
8 North American primary processors, and we submit our
9 financials. We submit our -- our yields, our labour
10 reports to this company, and they publish a report so
11 we can get an idea of our competitive set. So you can
12 see this graph here. On the -- on the top graph, the
13 green bars represent Maple Leaf's energy cost, okay?
14 And that's utility costs per -- per kilogram killed.
15 Okay?

16 The -- the blue -- the light blue
17 dashed line is last year's costs so you can see how
18 well we did versus last year, but the key things to
19 note here, the red line, or the top 25 percent
20 represent about eight (8) meat packers, the top of the
21 group. And you can see how far our energy cost --
22 utility cost per kilogram is compared to them.

23 The orange line is the US, and -- and
24 you can see the US meat packers, of which the majority
25 of -- of these are, their energy costs. And then the

1 dark blue line is the Canadian set. So even though we
2 have some of the -- the, you know, the most -- the
3 most competitive pricing, we still have some of the
4 highest utility costs, okay, in -- in the Brandon
5 facility.

6 Okay. Next slide. So aside from --
7 from our -- from our costs, the other operating
8 challenge that we have being in Brandon, Manitoba is
9 our access to labour. It's -- it's probably one (1)
10 of our biggest challenges in -- in Maple Leaf today,
11 and -- and what we're looking to do to fill that gap
12 is automation, okay? So we're looking to -- to
13 convert over -- upgrade people's skill set and -- and
14 move them into -- to jobs that we can't automate, and
15 automate those jobs that we can. With the power
16 requirements that we -- we look for these robots, the
17 proposed rate increase would negatively affect these
18 projects, and would also create additional ongoing
19 costs through our products.

20 Next slide. The impact for the rate
21 increase to us, as I mentioned before, we operate on a
22 commodity-based market. Cost increase cannot be
23 passed on. I mean, we're -- we're held to competitive
24 set, again, the US, Canada. Canadian pork, however,
25 is priced at a premium, and that's merely due to the

1 quality of the product when we compare it to the US
2 pork. So we do -- we do get a premium compared to our
3 US competitors.

4 I was in Japan three (3) weeks ago and
5 -- and the market feedback that we got from our
6 customers is we are at the point of inflection between
7 price and quality, and they're actually -- we have --
8 we have importers there that are starting to move away
9 from Canadian pork and get into US pork. So the
10 threat is real that -- that we are actually not able
11 to get these -- these prices for the -- the difference
12 in quality, okay?

13 The impact to the rate increase to
14 Maple Leaf's operations in Manitoba is about \$4
15 million over five (5) years. The Brandon plant alone
16 would experience an increase of \$2 million.

17 Maple Leaf -- we operate under a zero-
18 based budgeting scheme. So any additional cost to the
19 system has to be found within the system. And in the
20 short term, the impact is likely felt in discretionary
21 spend, employee headcounts, reduce capital spending,
22 community donations. The long term, we would look at
23 potentially pulling back some of the work in Brandon.
24 So we will remain killing and cutting pigs in Brandon,
25 but it's what other value-added processes do we do?

1 What other expansions to be look for, okay, and/or
2 look at alternate power source generation to fill that
3 gap. So that's something that we've looked for in
4 Ontario where we have experienced a -- a rate
5 increase.

6 Next slide. So as I mentioned, in
7 Ontario, we've seen this rate increase, and -- and
8 there's ways that -- that government has eased the
9 impact. They've offered offsetting incentives for us.
10 Some have been user reclassifications to favour larger
11 consumers with a new rate structure, demand/response
12 programs.

13 So the first one, our -- our user
14 reclassification, we've -- we have realized about a
15 million dollars in savings across seven (7) plants.
16 The demand/response, we've been able to enrol eight
17 (8) plants in that, and we've seen a -- a savings of
18 about two hundred and fifty thousand (250,000), okay?
19 They're also talking to us about exploring a -- a
20 virtual net metering. This would be the ability to
21 produce renewable electricity for the grid anywhere in
22 the Province and receive a credit against our
23 consumption. So something that -- that they're
24 working with us on right now today.

25 Next slide. But I don't want to leave

1 this is an us versus them. We certainly value the
2 positive relationship we've had with Manitoba Hydro.
3 We have worked very closely with our reps. Any time
4 we've had power issues or emergency upsets, they've
5 been there two, three o'clock in the morning, helping
6 us get this back up and running.

7 We understand the need for reasonable
8 increases, but it's got to be done in conjunction with
9 industry, not in a vacuum. So I appreciate the time
10 and -- and effort of everybody, and thank you very
11 much.

12 THE CHAIRPERSON: Thank you, sir. I
13 would ask the parties, Intervenors, and Manitoba Hydro
14 if they have any questions for any of the witnesses.
15 Manitoba Hydro...?

16 MS. MARLA BOYD: Thank you. Good
17 afternoon, gentlemen. I have a few questions that
18 I'll direct to -- perhaps to deal with the specific
19 businesses. And I have a couple just for the panels
20 generally.

21 First off -- first off, Mr. St. Pierre,
22 on slide 5 of your presentation, and we don't need to
23 go there -- maybe we can go there quite quickly. Very
24 good. Thank you.

25 You indicate there that you have a

1 payroll of \$7.5 million and hundred and fifteen
2 thousand dollars (\$115,000) being the annual salary.
3 By my calculation, that means you have roughly sixty-
4 five (65) employees. Is that right? No, feel free --

5 MR. DALE BOYD: We work -- we work
6 together, yeah.

7 MR. MICHAEL ST. PIERRE: He makes me
8 do --

9 DALE BOYD: We have, actually have
10 eighty-one (81) employees on site.

11 MS. MARLA BOYD: And can you tell me
12 where ChemTrade's head office is located?

13 MR. MICHAEL ST. PIERRE: Toronto.

14 MS. MARLA BOYD: Thank you. Mr.
15 Curran-Blaney, you mentioned a couple of statistics
16 relating to utility cost.

17 MR. MORGAN CURRAN-BLANEY: Yes.

18 MS. MARLA BOYD: First off, on slide
19 6, you indicate that Hydro represents your highest
20 utility cost?

21 MR. MORGAN CURRAN-BLANEY: Yes.

22 MS. MARLA BOYD: Can you specify, does
23 that mean electricity and natural gas, or is that
24 electricity only?

25 MR. MORGAN CURRAN-BLANEY: Yes, that's

1 electricity only.

2 MS. MARLA BOYD: Okay. And when you
3 say it -- your highest cost, are you comparing it to
4 other plants, or are you -- what are you comparing to?

5 MR. MORGAN CURRAN-BLANEY: Just within
6 Brandon itself, all of our utility costs.

7 MS. MARLA BOYD: And your other
8 utility costs would be natural gas, water, sewer?

9 MR. MORGAN CURRAN-BLANEY: Yes.

10 MS. MARLA BOYD: Anything else?

11 MR. MORGAN CURRAN-BLANEY: No, that's
12 about it.

13 MS. MARLA BOYD: So when we flip over
14 to slide 7, and we show the Agri-Stats that show
15 utility cost per kill, is that a combination of all of
16 those utility costs?

17 MR. MORGAN CURRAN-BLANEY: Yes, it is,
18 yeah.

19 MS. MARLA BOYD: To the panel
20 generally, we noticed throughout your presentations
21 that there is no information offered that would
22 provide your revenue, your net revenue, or your
23 profitability that would give the Board an opportunity
24 to have a context to compare your cost of electricity
25 compared to your revenue. And I appreciate that may

1 be private, but is there anyone that is prepared to
2 share that information to provide the Board the
3 context?

4 MR. MICHAEL ST. PIERRE: I can. So
5 there -- we don't disclose them to market. So our
6 investors don't have that information, so we won't
7 disclose that.

8 Having said that, I think the point
9 that certainly I was trying to make was that in
10 discussions -- reverse engineering our P&Ls to look at
11 what we could afford is not the same as looking at the
12 competition we're facing, both at the market and the
13 supply side.

14

15 (BRIEF PAUSE)

16

17 MS. MARLA BOYD: Thank you, gentlemen.
18 Those are our questions.

19 THE CHAIRPERSON: Any questions from
20 the Consumers Coalition? Mr. Cordingley...? I'll ask
21 the panel if they have any questions. No, you can --
22 well, it's a question of who's going to steal my
23 question, either you or Dr. Grant, so you can steal
24 it.

25 THE VICE-CHAIRPERSON: Mr. St. Pierre,

1 I believe you said that you had four (4) plants, and
2 one (1) plant closed because of there were
3 noncompetitive conditions. Can you give a sense of
4 what those noncompetitive conditions were? And in
5 particular, of course, I'm interested in whether or
6 not one (1) of them was an electricity price increase.

7 MR. MICHAEL ST. PIERRE: For that
8 particular one, it wasn't. It's in Nanaimo, and so
9 the customers basically went away, and so to get there
10 -- and -- and to look at that plant moving, certainly
11 there's cost increases versus other ones in terms of
12 electricity, but the transportation is another factor,
13 there.

14 Suffice it to say, though, that the
15 customers that we were servicing from that mill, we --
16 we just shifted that load to other plants. So that
17 was an example where we've gone from four (4) to three
18 (3), but we're -- an example of shifting load.

19 THE VICE-CHAIRPERSON: Thank you.
20 Yeah, Mr. MacDonald, you spoke on one (1) of your
21 slides about time of use rates that were approved by
22 the Manitoba Hydro Board, but never implemented?

23 MR. DARREN MACDONALD: Yes.

24 THE VICE-CHAIRPERSON: Were you given
25 a sense of why those rates were not implemented?

1 MR. DARREN MACDONALD: No. We've --
2 we've talked about it several times over the years,
3 but I have no idea why we -- we didn't implement it.
4 They were fully developed and -- and it would have
5 been beneficial for a -- a manufacturer that is
6 cyclical to -- to adjust its load in it during a
7 downturn, but I'm not -- I'm not sure why was it was -
8 - was not approved or implemented -- or sorry, not
9 implemented.

10 THE VICE-CHAIRPERSON: Thank you. And
11 still on the issue of time of use rates, Mr. Samuel, I
12 believe you said that you had minimal opportunities to
13 reduce your load if electricity prices went up, but
14 would time of use rates be of help to you?

15 MR. GERALD SAMUEL: It -- it really
16 would not help, I think. It would not help, because
17 we -- what -- what happens is that -- the load is
18 fixed. We cannot reduce it any further. We have come
19 to the stage when we cannot reduce the loads any
20 further. And so therefore, that the time of use -- it
21 would -- it's not going to help.

22 THE VICE-CHAIRPERSON: So your use is
23 steady through a twenty-four (24) hour period?

24 MR. GERALD SAMUEL: Yes. You're
25 right.

1 THE VICE-CHAIRPERSON: Okay. Thank
2 you. And finally, Mr. Curran-Blaney, you mentioned at
3 the end of your presentation that you understand the
4 need for reasonable rate increases. Could you give a
5 sense of what you would see as a reasonable rate
6 increase?

7 MR. MORGAN CURRAN-BLANEY: I think the
8 historical -- you know, the historical increases that
9 we've seen in the past is something that we've been
10 able to work with and -- and find within.

11 THE VICE-CHAIRPERSON: You also said
12 that if prices of Hydro were to increase, you would
13 remain in Brandon, but you would potentially not do
14 increases in your plant size that you might otherwise
15 do. Is that because of the supply of quality hogs in
16 the area?

17 MR. MORGAN CURRAN-BLANEY: No, it
18 would -- it would be -- we would look at where else
19 can we do that value-added work for -- for a reduced
20 cost? So we would still -- our -- our facility, it's
21 -- it's fairly new in -- in terms of -- of meat
22 packing plants. We're not going anywhere, and -- and
23 we would continue to process hogs there. It's just,
24 what else do we do in that plant, and what other work
25 do we do beyond that -- that cooler -- that cooler

1 wall?

2 THE VICE-CHAIRPERSON: Okay. Thank
3 you.

4 THE CHAIRPERSON: Dr. Grant...?

5 BOARD MEMBER GRANT: Are you sure
6 you're done?

7 THE CHAIRPERSON: I haven't even
8 started.

9 THE VICE-CHAIRPERSON: I think he was
10 talking to me.

11 THE CHAIRPERSON: You're talking to --

12 BOARD MEMBER GRANT: Well --

13 THE CHAIRPERSON: -- whatever.

14 BOARD MEMBER GRANT: Yeah.

15 THE CHAIRPERSON: Okay.

16 BOARD MEMBER GRANT: Could I -- I was
17 trying to understand a little bit about some of the
18 location decisions involved when electricity charges
19 are a big part of your bill. And so maybe -- could I
20 do it in the context of sodium chloride, because I
21 think -- it may be that your explanation was so clear
22 that I'm thinking of opening a sodium chloride plant.

23 And so, you know, I just grab a high
24 school chemistry grad, and I was thinking when you
25 were talking that I'd need access to salt. I want

1 some cheap power, cheap electricity, and I guess I've
2 got a final market I want to -- and I'm not sure what
3 the transportation costs are, how -- but those three
4 (3) things, if I was -- can you give me a sense of the
5 relative importance of those three (3) factors? I
6 take it salt is not that crucial to --

7 MR. MICHAEL ST. PIERRE: Well, quality
8 salt is. And so -- and so it all depends on how much
9 capital you put in your plan to clean up the salt to
10 get it to a -- a quality for electrochemistry.
11 Otherwise, just --

12 BOARD MEMBER GRANT: Sorry. Is it
13 expensive to ship? I mean, is it -- is it throwing it
14 into a railway --

15 MR. MICHAEL ST. PIERRE: Well, for
16 salt, the biggest cost is transportation, because the
17 salt itself is not usually expensive. The cost is the
18 treating it when it gets to your facility, and getting
19 it there.

20 BOARD MEMBER GRANT: And so your salt
21 would be -- the salt that you're using is coming from
22 where?

23 MR. MICHAEL ST. PIERRE: Potash mines
24 close by in Man -- or Saskatchewan, for the most part.

25 BOARD MEMBER GRANT: And -- and so the

1 electricity -- I mean, I guess it's hard to say
2 exactly what the calculus is in deciding to --

3 MR. MICHAEL ST. PIERRE: Well, it --
4 it -- well, it -- it's a -- it's a question of
5 delivered costs, and those three (3) I've put out are
6 -- are the main ones.

7 So an example would be, in -- in the
8 case of -- of Brandon, electricity trumps a lot of the
9 other disadvantages. However, depending where the
10 customer is, and so for instance, I -- I believe that
11 something like -- and I have the numbers, but not off
12 the top of my head, 60 to 65 percent of the production
13 of sodium chloride in North America is in Canada, and
14 about the reverse, or 60 percent, or 70 percent of the
15 demand's in the US. And part -- particularly, a lot
16 of the demand for -- for the pulp mill is in the
17 southern US.

18 And so we're competing with mills in
19 Georgia. And we know in public record, and it's not
20 private, and there are some people operating in
21 Manitoba. We know their overall power costs down
22 there are less expensive than here. So it depends by
23 the mill. It depends where it is. And sometimes
24 depends if that mill is near a -- one (1) of our
25 service lines -- rail lines versus a competitor's. So

1 it's not just distance. It's also location versus --
2 versus spurs and -- and rail lines. But that's why
3 we're looking to optimize all the time between
4 customers, locations, and clearly deliver cost total.
5 But as you can see, electricity has a big weighting on
6 it.

7 BOARD MEMBER GRANT: Just one (1)
8 other small question, if I could. You mentioned
9 virtual metering, reverse metering?

10 MR. MICHAEL ST. PIERRE: Yeah. Yeah.
11 Yeah.

12 BOARD MEMBER GRANT: Does this -- does
13 this mean that Ontario would encourage you to put a
14 wind farm in Thunder Bay, and would it be a credit
15 towards your --

16 MR. MORGAN CURRAN-BLANEY: I'm -- I'm
17 far from an expert from it, but yeah, that's -- the --
18 the idea is you could buy -- buy land, put up a new --
19 a renewable energy source, and -- and then you would
20 get a credit back.

21 BOARD MEMBER GRANT: So it could be in
22 the other end of the Province?

23 MR. MORGAN CURRAN-BLANEY: Yeah. It -
24 - it doesn't have to be in the location where your --
25 you are operating.

1 BOARD MEMBER GRANT: Thank you.

2 THE CHAIRPERSON: Gentlemen, you
3 belong to companies that are -- are large and have a
4 number of different locations. So what I'd like to do
5 is ask the same question to each of you. So if you
6 could sort of canvass. And I will put it this way.
7 The question I would ask is: What is your percentage
8 of expenses in Manitoba for electricity? What is your
9 expenses for electricity on a percentage basis at your
10 other plants? How does your -- how does your electric
11 -- how do your electricity costs compare to your
12 competitors?

13 And then the final area is what Ms.
14 Kapitany was on is time of use, whether your other
15 plants use time of use, your experience there, and
16 whether your competitors use time of use.

17 So, Mr. Curran-Blaney, maybe we'll go
18 in reverse order. Can you give me that information?
19 What's your percentage of your total expenses for
20 electricity?

21 MR. MORGAN CURRAN-BLANEY: So for
22 this, I -- I'll actually have to get back to you on
23 this with our other facilities and -- and get some of
24 that, but I will -- Hydro versus our competitors, we
25 actually have a -- a very favourable -- I don't have

1 the exact numbers, but again, I can -- I can look at
2 that, and that's just from our Agri-Stats comparison.
3 So when we do a break out --

4 THE CHAIRPERSON: Sorry -- sorry to
5 interrupt. That would include US competitors?

6 MR. MORGAN CURRAN-BLANEY: That would
7 include US competitors.

8 THE CHAIRPERSON: Okay.

9 MR. MORGAN CURRAN-BLANEY: Yes. And -
10 - and for time of use, we historically haven't done
11 it, and we're starting to do that in Ontario. We
12 haven't really explored what that would look like here
13 in -- in our Manitoba operations.

14 THE CHAIRPERSON: Okay. And if you
15 wanted to explore it in your decision-making process,
16 how long would it take you -- your company to look at
17 it?

18 MR. MORGAN CURRAN-BLANEY: We would
19 prob -- we would have to study it. We'd have to
20 probably launch it as a project to make sure that, you
21 know, what -- what does it impact for labour? What
22 does it impact for product quality? You know, much --
23 much like Gerald, our -- our energy has to remain on
24 to cool product --

25 THE CHAIRPERSON: That's right.

1 MR. MORGAN CURRAN-BLANEY: -- twenty-
2 four (24) hours.

3 THE CHAIRPERSON: It's a twenty-four
4 (24) hour a day --

5 MR. MORGAN CURRAN-BLANEY: Yeah.

6 THE CHAIRPERSON: -- plant, yeah.

7 MR. MORGAN CURRAN-BLANEY: Yeah.

8 THE CHAIRPERSON: Mr. Samuel, do you
9 know what the percentage of your total expenses for
10 Manitoba's electricity?

11 MR. GERALD SAMUEL: See, most of the
12 answers, I'd have to come back actually, because --

13 THE CHAIRPERSON: Okay.

14 MR. GERALD SAMUEL: -- we have --

15 THE CHAIRPERSON: Good --

16 MR. GERALD SAMUEL: -- four (4) plants
17 in the US, and one (1) -- one (1) here. So a lot of
18 information has to be compared with the US.

19 THE CHAIRPERSON: Yeah. No, if you
20 could, I'd appreciate it. And -- and I know you
21 mentioned you don't use time of use, given the nature
22 of your industry.

23 Mr. MacDonald, percentage of your
24 expenses for electricity here?

25 MR. DARREN MACDONALD: Right. So --

1 THE CHAIRPERSON: You're on.

2 MR. DARREN MACDONALD: Yeah. We have
3 -- our -- our largest cost is the scrap material. The
4 second is -- is labour, and third behind that, at a
5 much smaller percentage, around 8 percent for Manitoba
6 --

7 THE CHAIRPERSON: Okay.

8 MR. DARREN MACDONALD: -- is
9 electricity, but it -- electricity and natural gas
10 costs are really the one that can make a difference,
11 because we -- the -- the labour costs aren't
12 significantly different; the scrap costs are
13 significantly different, but the energy costs and --
14 and the efficiency and the way that we use that are
15 two (2) things that we really focus on as more of a
16 controllable cost.

17 THE CHAIRPERSON: M-hm.

18 MR. DARREN MACDONALD: If you look at
19 that chart that I put up, in 2018, Manitoba's costs
20 are pretty much equal to the average cost that we're
21 paying in the US.

22 THE CHAIRPERSON: Okay.

23 MR. DARREN MACDONALD: So it would be
24 a very comparable number with a very small increase
25 from where we are today. Manitoba used to hold the

1 pole position in our graph from lowest to highest
2 electricity costs, and now there are multiple
3 jurisdictions in North America below Manitoba's costs,
4 which has -- has been a significant change.

5 THE CHAIRPERSON: And was electricity
6 one (1) of the reasons you came to Manitoba?

7 MR. DARREN MACDONALD: That's one (1)
8 of the reasons -- I mean, been over a hundred and
9 eleven (111) years here, you know, so I -- I can't --

10 THE CHAIRPERSON: You were here before
11 electricity?

12 MR. DARREN MACDONALD: -- fully answer
13 -- fully answer that question, however, I -- I can say
14 it's one (1) of the reasons that we, you know,
15 competitive electricity is one (1) of the reasons that
16 we've continued to invest, and a lot of confidence
17 that that price would stay low and competitive to make
18 up for the transportation costs associated with being
19 located here and a lot of our -- our customers south
20 of the border.

21 THE CHAIRPERSON: Mr. St. Pierre,
22 what's the percentage of costs?

23 MR. MICHAEL ST. PIERRE: So I'm going
24 to -- I'm going to give it in tiers, because we have
25 many plants, and they're all different products.

1 THE CHAIRPERSON: Okay.

2 MR. MICHAEL ST. PIERRE: So -- so --

3 THE CHAIRPERSON: It's a more
4 complicated question, than I --

5 MR. MICHAEL ST. PIERRE: But I'll make
6 it simple. So like Brandon, that type of thing, it's
7 the same percentage across those plants, because it's
8 stoichiometric. It's part of the chemistry.

9 THE CHAIRPERSON: Okay.

10 MR. MICHAEL ST. PIERRE: So the
11 percentage is going to be around 70 percent for
12 manufacturing variable cost.

13 THE CHAIRPERSON: Yeah.

14 MR. MICHAEL ST. PIERRE: And those
15 plants are in British Columbia, Manitoba, and Quebec.

16 THE CHAIRPERSON: And how does -- how
17 does your electricity costs for Manitoba compare to BC
18 and Quebec?

19 MR. MICHAEL ST. PIERRE: So in -- in
20 those jurisdictions -- so the tariff rate, for sure,
21 is -- is lower. I mean, that's published and that's
22 clear, right?

23 THE CHAIRPERSON: Yeah.

24 MR. MICHAEL ST. PIERRE: So it depends
25 on what we're allowed to do with the freshet in BC,

1 for instance, and -- and curtailable power. So it
2 depends what levers you have to use.

3 It has historically always been the
4 least expensive world scale plant, Manitoba has been,
5 right?

6 THE CHAIRPERSON: Manitoba has been?

7 MR. MICHAEL ST. PIERRE: For sure,
8 right? And that's why we've kept on expanding it,
9 because it's been that advantage. And so with that
10 variable advantage and the economies of scale, because
11 we've done our part in investing in that facility to -
12 - to drive your -- your cost -- fixed cost per ton
13 down even -- commensurate with it. So it has been.

14 That being said, if you look at --
15 depending on how you want to project. And I know
16 you've been very clear about looking only at one (1)
17 year, unfortunately, our capital is looking out ten
18 (10), twenty (20) years.

19 The signals that Quebec's, for
20 instance, signaling at .8 percent, and the deals we're
21 making signaling much more stable environment. So
22 Manitoba has historically always been the lowest-cost
23 plant because of scale and because of cost, bar none.

24 So now when we look at what's going on
25 with the current rate, plus what's happening in many

1 jurisdictions in the US, one (1) of the -- one (1) of
2 the phases that we -- we actually -- part of the plant
3 in Brandon was moved from Louisiana because of
4 electricity -- what -- what year?

5 MR. DALE BOSSONS: 2005.

6 MR. MICHAEL ST. PIERRE: 2005, and we
7 moved it to Brandon. And -- and if we were to bring
8 that back now, it -- it would operate cheaper than it
9 does in Brandon. So it -- the -- and -- and what
10 you're looking at is an equilibrium in the market
11 based on what the economics have been. And as they
12 change, everything's changing.

13 So what we see as a competitor is
14 because everyone is looking at Manitoba, our customers
15 look at us different because they're wondering what's
16 going to happen. Our competitors are acting a bit
17 different. And some of our competitor costs -- we
18 don't actually know, because they're private
19 contracts, but we're looking at the activity, and --
20 and I won't say I'm scared. I'm concerned, right? So
21 -- so we see that, and people are watching.

22 THE CHAIRPERSON: Okay. Final
23 question to you, sir, was time of use.

24 MR. MICHAEL ST. PIERRE: No effect at
25 all. We run -- run --

1 THE CHAIRPERSON: Okay.

2 MR. MICHAEL ST. PIERRE: -- around the
3 clock, so it's -- probably, we -- we supported it,
4 because I think it's good for industry for people who
5 can use it --

6 THE CHAIRPERSON: Yeah.

7 MR. MICHAEL ST. PIERRE: -- yeah, but
8 it actually hurt us.

9 THE CHAIRPERSON: Okay. Sir, go
10 ahead.

11 BOARD MEMBER MCCUTCHEON: So following
12 up on the Chair's question about competitiveness, and
13 -- and competitors, and other plants that you have, we
14 had testimony earlier in this hearing on carbon
15 footprint. So Manitoba, on -- on a electricity basis,
16 has very green energy.

17 So maybe -- maybe two (2) parts to
18 this, but one (1), what would your sense be both on
19 your competitors and your other plants available to
20 you for this production on the electricity basis, how
21 the electricity will be being produced, will -- will
22 be coal, natural gas, mainly when you're looking at
23 these other jurisdictions?

24 MR. DARREN MACDONALD: Are -- are you
25 talking specifically our competitors or our -- our

1 other locations we're --

2 BOARD MEMBER MCCUTCHEON: Probably
3 both, if you could --

4 MR. DARREN MACDONALD: Okay, well --

5 BOARD MEMBER MCCUTCHEON: Comment on
6 that.

7 MR. DARREN MACDONALD: -- specific to
8 -- to Manitoba, we have an extremely low carbon
9 footprint with -- with a hundred percent Hydro,
10 basically, and -- and a process for making steel
11 that's highly electrical intensive as the conversion.

12 So we would have a -- a very, very low
13 carbon footprint for made in Manitoba steel. Our
14 competitors in the Midwest US will have a higher
15 carbon footprint in the southern and -- and Midwest,
16 because they have a higher, obviously, fuel mixed with
17 some coal and some -- some natural gas in it. So
18 Manitoba has a -- a very big advantage from a carbon
19 footprint perspective.

20 Compared to Ontario, you know, they
21 were 91 percent nonfossil last year. So those --
22 those steel mills -- our steel mills in -- in Ontario
23 are also in a very competitive situation. So it all -
24 - it all depends, basically, the fuel mix, where it's
25 made, and the distance that the material has to -- has

1 to be transported really make the big -- two (2)
2 biggest differences to carbon footprint.

3 MR. MICHAEL ST. PIERRE: And if I may,
4 so because of the way our operations work, and we're
5 using electricity, our carbon footprint's really in
6 our transportation. So we're going to be penalized by
7 the railways, because we're moving it. And that's
8 true across the other jurisdictions in Canada, because
9 they're also hydroelectric driven in terms of the two
10 (2) jurisdictions I spoke about earlier. And a lot of
11 our compet -- competition is in the US, and they're
12 not even on the same playing field, right?

13 BOARD MEMBER MCCUTCHEON: Okay. Okay.
14 Thank you. So I think the point was, and the
15 testimony we heard before was carbon leakage. So if
16 we -- if things happen in this Province where we're
17 dealing with largely green energy, and -- and have
18 green industry, that if we end up forcing this
19 production to somewhere else, we've actually self-
20 defeated the purpose of having green energy here. So
21 -- and part of that discussion was the use of the
22 carbon taxes coming online and how we could use that
23 to support keeping green industries in this Province.
24 That -- that was the basis of my question.

25 THE CHAIRPERSON: Thank you very much,

1 gentlemen. It was -- it was very important to hear
2 from you, and we appreciate your participation, your
3 presentations, and your assistance to the Board.

4 Thank you.

5 We're going to take a -- a brief recess
6 until 4:15, and then we'll resume for the last three
7 (3) presentations. Thank you.

8

9 --- Upon recessing at 3:56 p.m.

10 --- Upon resuming at 4:15 p.m.

11

12 THE CHAIRPERSON: If we -- if we could
13 continue. The next -- the next witness is Benoit
14 Lentz. Mr. Simonsen, if he could swear Mr. Lentz in
15 please.

16

17 BENOIT LENTZ, Sworn.

18

19 THE CHAIRPERSON: Welcome, Mr. Lentz.
20 We would ask if you spend about ten (10) minutes and
21 give us your presentation then we'll see if we have
22 any -- anyone has questions for you. Thank you, sir.

23

24 PRESENTATION BY MR. BENOIT LENTZ:

25 MR. BENOIT LENTZ: Thank you, Mr.

1 Chairman and thanks to you and all the members of --
2 of the Board for allow -- allowing me to be here today
3 and please let me start by introducing what is
4 Roquette and who is Roquette and myself.

5 So I'm Benoit Lentz. I'm global energy
6 manager and Roquette is a family-owned company founded
7 eighty (80) years ago in France. In a nutshell what
8 we do is we -- we process raw materials into plant-
9 based ingredients to sell to nutrition house and food
10 markets. Roquette is about twenty (20) plants
11 worldwide and employs eight thousand (8,000) people.
12 We have a turnover of 3.5 billion Euro which is
13 approximately \$5 million Canadian dollars and that
14 makes us the fifth global player in our local
15 business, which is starch business.

16 And also, and that's the reason why I'm
17 here today, a pioneer pea proteins. So Roquette has
18 adopted a long-term vision and approach of paramount
19 innovation and investment and to do that, we invest
20 about 10 percent of our revenue in industrial capital
21 and research development.

22 So the -- the reason I'm here today,
23 you may read it or you may have heard about it, in
24 January 2017, Roquette decided to invest \$400 million
25 Canadian dollars here in Manitoba in Portage La

1 Prairie to build a new facility. This unit will be
2 dedicated to pea processing and will allow us to
3 transform pea, for example, from Manitoba and
4 Saskatchewan, in -- to serve the growing demands for
5 meat alternatives driven by new eating behaviour,
6 sustainability concerns and health consciousness.

7 So initially, the site will employ
8 about one hundred and fifty (150) people from a wide
9 array of profiles so, engineers, technician,
10 operators, administrative profile. And in addition to
11 that, about the same number of indirect position
12 linked to transportation, utilities and so on.

13 And during the construction phase, we
14 forecast about three hundred (300) contracted jobs
15 during a two (2) year period. So regarding the raw
16 materiel supply that's -- that's going to come in --
17 in a significant part from Manitoban farmers and last,
18 but not least, in regards of our social responsibility
19 with the community in Portage. We have already
20 started to support an after school program for kids.

21 So our decision to locate this
22 investment in Manitoba resulted from -- from four (4)
23 main criterias. The first one was a reliable
24 sustainable and competitive hydraulic facility
25 provided by Manitoba Hydro.

1 The second one was a strong logistic,
2 with access to multi-model transportation links
3 throughout North America.

4 The third one, obviously, was the raw
5 material availability, the peas.

6 And the fourth one was the business
7 friendly spirit from Manitoba -- Manitoba province and
8 at the locale administration and authorities.

9 Basically, the raw materials
10 availability led us to area of choices comprising
11 Prairie provinces and the equivalent area in the
12 southern side of the border; so in the United State.
13 And what led us specifically among that to Manitoba
14 was our perception of stable and reliable electricity
15 supply.

16 Indeed, after raw materials,
17 electricity is by far our biggest valuable cost. We
18 have energy intensive process to separate and give
19 value to all the components of the pea in order to
20 provide our customer with highly purified ingredients
21 to meet the requirement in nutritional function and
22 functional values.

23 To achieve this, we have a lot of
24 energy intensive processes such as washing, drying,
25 heating, crushing, sieving, centrifugation and so on.

1 So for us, for Roquette, Manitoba low and stable cost
2 of electricity was a chance to have competitiveness
3 against our competition, for example, based in the US
4 or in China where they operate without carbon tax,
5 where they operate the ability to resort to cheap
6 fossil fuels such as coal.

7 So in taking our final investment
8 decision, we obviously had conducted comparative
9 analysis and we had heard and we had read about the
10 environment and the previous years of rate increase
11 and the request of an incremental 3.95 percent per
12 annum over a certain number of years. And although we
13 were not familiar with Manitoba situation, we
14 understood that the final call would be the Public
15 Utility Board that would likely arbitrate between 0
16 and 3.95 percent.

17 So our decision was based on this
18 equilibrium and we had no information that led us to
19 believe that twice this maximum rate could happen here
20 and that's significantly -- that would significantly
21 impact our operation and profitability here.

22 This would have two (2) obvious
23 consequence. The first one, as I said in the
24 beginning, we have a long lasting story of investing
25 into our facilities and with twenty (20) plants

1 throughout the world, of course, any further
2 investment is guided by the profitability of the plant
3 and the business line linked to the plant and this
4 rate increase would significantly impact the
5 competitiveness and, hence, render us much less likely
6 any further investment there.

7 And secondly, a key decision for such
8 an investment is obviously based on a perception of an
9 environment and our perception is that Canada is a
10 very stable business environment and the full extent
11 of this rate increase would clearly change for us the
12 picture there.

13 So, in short, Roquette's involvement
14 within Manitoba economy reflects its strong
15 willingness to for a long time presence and to have
16 an impact -- a positive impact on its environment, but
17 we are very concerned about this electricity rate
18 increase that would undermine the advantage of
19 Manitoba, which is first and foremost its stable and
20 reliable competitive electricity. And that would put
21 a big disadvantage versus for example the US and would
22 -- yeah, would really hurt our viability. And that's
23 it.

24 THE CHAIRPERSON: Thank you, sir. Any
25 questions from, okay, Consumers Coalition, MIPUG,

1 Manitoba Hydro. No questions? Ms. Kapitany...?

2 THE VICE-CHAIRPERSON: Thank you and
3 welcome to Winnipeg. I believe I heard you say that
4 your expectation when you were making the plans to
5 come to Portage la Prairie was that there would be a
6 rate increase between 0 percent and 3.95 percent?

7 MR. BENOIT LENTZ: Well, it's -- it's
8 our internal perception was that the 3.95 percent, the
9 history and what -- what was known would mostly be the
10 worse case and arbitration would be between 0 and
11 that. It was just a perception that we had.

12 THE VICE-CHAIRPERSON: So at the 3.95
13 percent, then your business case for the plant in
14 Portage la Prairie was solid?

15 MR. BENOIT LENTZ: It -- it was a
16 sensitivity that -- that we took into account to build
17 the business case and to take this idea.

18 THE VICE-CHAIRPERSON: Merci.

19 THE CHAIRPERSON: Can you tell me when
20 you would've started the process to look at Portage la
21 Prairie?

22 MR. BENOIT LENTZ: The -- the decision
23 was announced in January 2017, and we have extended --
24 I was not part of the project to check the various
25 possibilities, but I understand it was mostly done in

1 2016.

2 THE CHAIRPERSON: Okay. At -- at the
3 time -- you mentioned four (4) factors: stable and
4 reliable hydro, transportation, raw materials and
5 business friendly spirit.

6 Were all of those factors of equal
7 value or were they of different values. So, for
8 example, if you were looking at our scale is it --
9 you'd say 25 percent to this, 25 percent to this, 20 -
10 or was, you know, for example, were the most important
11 things hydro and raw material or transportation and
12 raw material.

13 I'm trying to figure how you -- how you
14 would have weighted the decision or how the company
15 would have weighted the decision and I understand the
16 stable and reliable hydro was one (1) of the four (4),
17 I'm just trying to figure out how important it was in
18 one (1) of those four (4).

19 MR. BENOIT LENTZ: Okay, is -- is
20 just, again, my perception because there is no strict
21 metrics to -- to give ponderation to logistics versus
22 business friendly administration, but, the -- it was
23 mandatory to have pea but -- and Canada is the number
24 1 producer in -- in pea but peas produce in the
25 Prairie provinces and the -- south of the border, the

1 state that would commodity that.

2 So once we had pinpoint this area where
3 the peas were available, then to me the key point was
4 sustainable and competitive electricity energy.

5 THE CHAIRPERSON: Okay. Can you tell
6 us of your total expenses, what percentage is -- is
7 Manitoba Hydro?

8 MR. BENOIT LENTZ: Based on the
9 business plan because we don't know yet exactly our
10 consumption --

11 THE CHAIRPERSON: Right.

12 MR. BENOIT LENTZ: -- we think about
13 10 to 15 percent.

14 THE CHAIRPERSON: Okay. And do you
15 have locations in the United States?

16 MR. BENOIT LENTZ: In Iowa.

17 THE CHAIRPERSON: In Iowa. And how
18 does the Manitoba site compare to the Iowa site in
19 terms of costs?

20 MR. BENOIT LENTZ: In term of
21 electricity Manitoba is cheaper than Iowa for sure.

22 THE CHAIRPERSON: Okay. And if the
23 rates in -- if the rates are increased, are they --
24 are they getting closer to Iowa, are they still
25 cheaper than Iowa?

1 MR. BENOIT LENTZ: It -- already with
2 current prices it was a close call so it -- it -- it's
3 changing the picture significantly in term of energy,
4 but I think that even with the increase they would be
5 bit cheaper than Iowa if we consider a similar demand
6 and consumption profile.

7 THE CHAIRPERSON: Okay. I take it
8 that they have raw material in Saskatchewan as well?

9 MR. BENOIT LENTZ: Yes, Saskatchewan
10 is the biggest pea producer.

11 THE CHAIRPERSON: So what is the
12 reason why you would locate in Manitoba versus
13 Saskatchewan?

14 MR. BENOIT LENTZ: That one is energy.

15 THE CHAIRPERSON: It's the energy
16 costs?

17 MR. BENOIT LENTZ: Yeah.

18 THE CHAIRPERSON: Okay. Dr. Grant...?

19 BOARD MEMBER GRANT: Just in the
20 context, your final markets maybe where, for the
21 Portage plant say?

22 MR. BENOIT LENTZ: Most of it -- by
23 most it means -- majority, I don't want to -- to give
24 too specific information, but it's out of the Canada.
25 Most is the US. The demand for alternatives to meat

1 protein is mostly grow -- it's mostly growing in the
2 US.

3 BOARD MEMBER GRANT: And the
4 transportation costs are significant there as -- or is
5 it more at getting the pea to mark -- pea to the
6 factory?

7 MR. BENOIT LENTZ: Transportation
8 costs are significant, yeah.

9 BOARD MEMBER GRANT: The final --to
10 the final market.

11 THE CHAIRPERSON: Transportation is --
12 is it mostly truck or is it rail?

13 MR. BENOIT LENTZ: I -- I --

14 THE CHAIRPERSON: You don't know?

15 MR. BENOIT LENTZ: No, I'm -- I'm not
16 sure about that and it's really not my field.

17 THE CHAIRPERSON: Okay. Any other
18 questions. No? Thank you very much, sir, that was
19 very formative.

20 MR. BENOIT LENTZ: Appreciated.

21 THE CHAIRPERSON: So we're ahead of
22 time. Is John Gray in the room.

23

24 (BRIEF PAUSE)

25

1 THE CHAIRPERSON: Please proceed.

2

3 JOHN GRAY, Sworn

4

5 THE CHAIRPERSON: Thank you for
6 coming, Mr. Gray. Dr. Grant is extremely excited to
7 have another economist in the room. Good you --

8 DR. JOHN GRAY: He may have some
9 difficult questions for me, we'll see.

10 THE CHAIRPERSON: Well, good you take
11 about ten (10) minutes or so and give us your
12 presentation and then we'll see if there are
13 questions. Thank you, sir.

14

15 PRESENTATION BY DR. JOHN GRAY:

16 DR. JOHN GRAY: Yes. Well, you -- you
17 see before you the overhead outline of what I intend
18 to carry -- what I intend to cover and moving first,
19 just a brief thing on my credentials.

20 So I've been teaching economics at the
21 University of Manitoba for a number of years. I have
22 a background in -- PhD in Economics, and also Master's
23 degree in Business Administration and -- and finally,
24 way back when, a Forester degree. So I have, you
25 might say, a checkered background, okay. And some

1 experience in consulting with provincial governments,
2 internationally as well, for World Bank and other
3 organizations, okay.

4 First point I'm speaking about is the
5 disproportional impact of electricity on heating
6 customers. And I'm speaking personally and if I was
7 in the position of being an Intervenor I might be able
8 to speak on behalf of the other electric heating
9 customers throughout Manitoba, but there are a number
10 of them, and -- and you have information on that I
11 daresay already.

12 A substantial number of those are rural
13 customers and I would -- I would say that they have
14 maybe a disproportional impact possibly -- so I -- I
15 don't have information on this, but possibly in a
16 income they may be -- the rural customers may be lower
17 income customers. I -- I can't say on that, okay.

18 I think I have seen something of
19 Hydro's suggestion or proposal for an electrical
20 heating rate, which I find from the -- at least from
21 the preliminary information that I did see that it's
22 rather token -- minimal and token.

23 And another point that troubled me when
24 I did see the initial one was that it put -- pits one
25 (1) set of customers against another one which I don't

1 think is a very appropriate way to handle things,
2 okay.

3 General impact of the rate increase on
4 consumers' budgets and inflation, and the provincial
5 economy was the other point that I'm going to touch
6 upon and there may be some questions on that, I
7 suppose, okay.

8 The proposed rate increase of which
9 you're familiar 7.9 percent per year, which is roughly
10 50 percent over the five (5) years. Well, I -- I
11 would say it would have a significant impact on
12 Manitoban's budgets. Manitobans are fairly tightly
13 budgeted at the moment, I think that's fair to say, in
14 terms of mortgage, consumer debt and so forth. So,
15 there is not much room in Manitoba's budget. So, it's
16 bound to have an impact on the rest of their
17 consumption and, therefore, on the rest of the
18 Manitoba economy.

19 So, in a sense that I would argue that
20 this is a -- from the point of view of the economy, a
21 deflationary one in the sense that it's going to
22 impact upon jobs, spending, consumer spending and
23 other things, okay. Yet on the other hand, it's going
24 to be inflationary in that these price increases are
25 going to be into -- wrapped into the consumer price

1 index. So Man -- Manitobans are going to feel their
2 budget pinched and -- and the -- perhaps some job
3 losses as a result of that. And at the same time,
4 find that prices are rising mainly, of course, the
5 electricity rise, okay.

6 Third, I'm moving to the impact that
7 Hydro's advantage is an opportunity, okay. The -- the
8 proposed price increase over the short term will give
9 people little opportunity for reduced consumption, but
10 I -- I believe over time and especially if we're
11 looking at a five (5) year horizon, there -- there's
12 going to be significant impact on Hydro's sale of
13 electricity, okay.

14 Reduce consumption and the cost of
15 renewables which is on the -- is certainly on the
16 decline. The cost of renewable energy is, from other
17 sources, is going to impact upon the -- and I give a
18 reference here to an article in the Economist
19 magazine. There's been a series and I -- I --
20 elsewhere in the presentation, I present references to
21 those as well that show some of the significant
22 impacts and opportunities for renewable resources.

23 So, I think Hydro may be under
24 estimating, in my mind, some of the impacts of their
25 price increase on their own sales of electricity,

1 okay.

2 So -- and thirdly, the point is that
3 this is going to be a significant loss in Hydro's
4 advantage of a low-cost province and we're competing
5 with other provinces, Quebec in particular, probably,
6 but also elsewhere, okay. Interestingly enough, just
7 this last Friday, I received a -- received a piece
8 from the CIBC Wood Gundy Investment firm talking about
9 the location of energy for production of Bitcoins
10 which, of course, we all know is very much in the
11 evidence, okay, and some Chinese companies are looking
12 at sighting electricity plants on top of gas wells in
13 Alberta to produce electricity to produce Bitcoins and
14 the other component mentioned in the article is Hydro
15 Quebec has been approached about providing electricity
16 for Bitcoin production. So that's just one (1) point
17 of the competitive advantage of Manitoba that is going
18 to be, I feel, somewhat threatened by this.

19 We have an important resource there and
20 we've been very proud of that. It would be a shame to
21 lose that competitive advantage, okay.

22 Thirdly, there's the impact of Hydro's
23 advantage of which I mention briefly. Several ones
24 I've mentioned and I -- I'm quoting again from several
25 series of articles in the Economist magazine that talk

1 of the technological changes and the drama -- impacts
2 of that, okay.

3 MR. KURT SIMONSEN: Couple of minutes
4 please, Mr. Gray, or Dr. Gray.

5 DR. JOHN GRAY: Particularly electric
6 motors and I was thinking in the previous presentation
7 of the processing plant -- Maple leaf processing plant
8 that there's opportunities for much more -- much
9 improved energy efficiency and electric motors that
10 are -- they're taking place, okay.

11 Charging. There's charging stations
12 and opportunities for Hydro in terms of electric cars,
13 potential advantages significant in terms of electric
14 cars, okay. And recent articles that charging --
15 charging stations and induction charging is another
16 possibility on the -- that is -- that is in the --
17 right on the forefront of introduction.

18 So you can imagine yourself perhaps one
19 (1) day fairly shortly driving through Tim's lineup
20 and asking for a medium coffee with sugar and cream
21 and 15, 20, 30 kilowatt hours of electricity for your
22 car, okay. Now, it may take a little more time so you
23 may have to go inside and order it online or order it
24 online ahead of time in order to get that, but there
25 is one (1) advantage.

1 And turning to the next page. Just to
2 highlight that there is some significant figures on
3 the lines there. You'll see the top -- the top lines
4 are forecasts of electric vehicle sales in -- by
5 Bloomberg's and the upward adjustment that took place
6 just over one (1) year. OPEC adjustment upward is the
7 second one down, but all three (3) of those shows
8 significant increases over the next few years. So,
9 Hydro has lots of opportunities if it can maintain its
10 price advantage.

11 And finally, I'm ending up with the
12 Hydro's problem and -- and this is the thrust that's
13 before you -- you people, before the Public Utilities
14 Board, Hydro's problem of cash flow and the capital
15 problem, okay.

16 And I offer or I throw out a possible
17 solution because what a number of the private sector
18 corporations have been doing and faced with similar
19 problems of cash flow problems is to focus on their
20 core assets and diverse of non-core assets. So, I'm
21 not sure whether this is within the preview of the
22 Public Utilities Board, but perhaps Hydro could think
23 about that and maybe divest some of its non-core
24 assets.

25 Now, the one that comes to mind off the

1 top of my head is the natural gas utility, okay, which
2 is in competition with the other side of Hydro, the
3 electric utility. And I've always wondered, in my
4 mind, whether there's par -- possibilities and whether
5 Hydro might be inclined towards cross-subsidization of
6 electricity for export by promoting natural gas, okay.

7 And as a electric customer, electric
8 heating customer, I wonder whether that promotion is
9 part of a problem of cross-subsidization. Now, I know
10 the Board has had to struggle with this and,
11 hopefully, very successfully, but just that I'm not
12 sure whether that's within the preview of the Board to
13 decide on that. But I just throw that out for
14 interest and now we're ready for questions, I guess.

15 THE CHAIRPERSON: Thank you, Dr. Gray.

16 MS. KATRINE DILAY: And, Mr. Chairman,
17 I just -- we have no questions. I just wanted to --
18 to say -- my name is Katrine Dilay. I'm one of the
19 lawyers for the Consumers Coalition. We just wanted
20 to thank you for your -- for your presentation today.

21 THE CHAIRPERSON: Manitoba Hydro...?

22 MS. MARLA BOYD: We have no questions,
23 thank you.

24 THE CHAIRPERSON: Do you have any
25 questions? Dr. Grant...? Okay, I have a question.

1 And Dr. Grant keeps stealing my questions or I like to
2 think so.

3 Electric cars. I read the Economist
4 too so --

5 DR. JOHN GRAY: Oh, okay.

6 THE CHAIRPERSON: -- the Economist
7 loves -- hates Donald Trump and loves electric cars.
8 But I had experience with a project in -- in Israel
9 which was an electric car --

10 DR. JOHN GRAY: YES.

11 THE CHAIRPERSON: -- which ended up
12 losing about \$1 billion. And I know -- I keep hearing
13 stories about the bright future of electric cars but I
14 remember the days of Ballard where people are looking
15 at battery storage and it seems to me that the future
16 of electric cars depends, to a large degree, on
17 battery storage and how far you can go before you have
18 to fill up.

19 DR. JOHN GRAY: Yes, right.

20 THE CHAIRPERSON: Because the evidence
21 we've had actually, I believe in this hearing, was
22 that a fast charge is -- is five (5) hours and a slow
23 charge can take up to 24 hours. And to install a unit
24 that does fast charge is -- is probably more than most
25 people can -- can afford.

1 How confident are you that in the near
2 future we're going to have batteries that can hold the
3 charge for long enough that electric cars become
4 reality? I just preface that I remember in the '60s
5 people would ask, what's going to happen by the end of
6 the centuries and everybody was talking about sort of
7 flying cars and that was how people thought we'd get
8 around. Well, that didn't happen.

9 So I'm just wondering if electric cars
10 really are going to be -- you know, I can't remember
11 what they say, 50 percent of the market in 2040 or
12 whether it's just simply more a wish than reality.

13 DR. JOHN GRAY: Yeah. Well, you know,
14 I -- I'm not an expert on electric batteries and so
15 forth, but -- that -- this is based upon what I read
16 and studied.

17 There is one (1) or two (2) of the
18 other articles I can provide the Board with the
19 references, in fact, I could perhaps even send you a
20 PDF versions of these if -- if this excites the Board
21 in any way. But there are significant impacts and
22 that. The aircraft industry is now exploring electric
23 planes as well, okay. There -- and the -- oh dear me,
24 sorry, the -- not Boeing, the other one?

25 THE CHAIRPERSON: Lockheed Airbus.

1 DR. JOHN GRAY: No, no, the -- Airbus,
2 yeah, Airbus is -- is installing an electric engine --
3 electric operated jet engine in one (1) of their
4 planes already to -- and -- and that also depends on
5 lightweight, very lightweight batteries.

6 The other important thing that I saw
7 for Hydro was induction charging. So you don't need
8 to plug it in, you just need to park it over top of
9 the induction coil which is just as efficient as that.

10 THE CHAIRPERSON: Okay. Dr. Grant...?

11 BOARD MEMBER GRANT: I think I'd be
12 more convinced with your futuristic scenario. You've
13 got to drop the Tim Hortons thing because it will be
14 gone and I guess you'll be pulling into the marijuana
15 shop to smoke a doobie and get your car recharged.

16 But it brought me to one (1) question,
17 these cars better fly because we have a whole economy
18 based on taxing gasoline to pay for the roads. How
19 would you -- how are you going to pay for all
20 infrastructure?

21 DR. JOHN GRAY: Well, you may end up
22 taxing a electric use of -- for cars, who knows,
23 whatever. Or there may be increased road taxes or
24 tolls or whatever you get -- that's beyond my --
25 beyond my sense of vision at the moment, but that's

1 another public finance issue for me perhaps in the
2 future.

3 No, the major point I'm making is that
4 -- that these opportunities are sitting there, are
5 developing rapidly and Hydro if it blows its advantage
6 is not going to be in the position to take full
7 advantage of this, whereas at the moment towards the
8 future, it seems to me that Manitoba has a unique
9 advantage in the centre of the country with the lowest
10 -- hopefully, the lowest electricity costs anywhere,
11 okay, to sell more electricity for automobiles and for
12 -- for other uses, for electric motors, maybe for
13 making -- producing Bitcoins and using the electric
14 extra heat that's generated to produce marijuana,
15 goodness knows what all but this is flying off into --
16 literally flying off into the realms of possibility.

17 But, my major point is that it seems to
18 me, from all that I've done and thought about and
19 studied, that there are opportunities out there for
20 the future that Hydro is not really looking at and
21 their price increase endanger that future. That's --
22 that's the key point.

23 BOARD MEMBER GRANT: Okay, I -- I just
24 want to bring you back to the -- I'm going to say,
25 back to earth, come -- back to the provincial economic

1 impacts of a rate increase, would you not argue that
2 the best way to think about this problem, it's akin to
3 a tax. It's transferring money from one (1) group of
4 Manitobans to another group, but the money is really
5 staying within the province.

6 And so the best way to think about is
7 really is a redistribution. It's not some additional
8 cost, and unless those two (2) parties have radically
9 different spending patterns and habits and
10 propensities, there is no economic impact.

11 How would you respond to that?

12 DR. JOHN GRAY: Well, generally we'd -
13 - as economists we tend to think that consumers will
14 spend it much more quickly, I suppose. And --

15 BOARD MEMBER GRANT: Well, do you
16 remember --

17 DR. JOHN GRAY: -- and if people's
18 budgets are stretched and they have to cut back on
19 other necess -- things that they might consider
20 necessities, or if they, you know, if they can't
21 change their mortgage payments, they've got to cut
22 back on something else. It might be -- well, even cut
23 back on some other spending in -- in restaurant meals.
24 I was going to say on food, but maybe not on foods
25 maybe on -- on that.

1 BOARD MEMBER GRANT: But you're
2 transferring that money to Hydro who is going to spend
3 it.

4 DR. JOHN GRANT: Yeah, yeah, could.

5 BOARD MEMBER GRANT: So isn't it --
6 unless they've got radically different consumption
7 patterns or propensity --

8 DR. JOHN GRAY: But where's Hydro
9 going to spend it?

10 BOARD MEMBER GRANT: Oh, they'll spend
11 it.

12 DR. JOHN GRAY: They'll spend it,
13 yeah. Apparently up north is where they're going to
14 spend it, right.

15 THE CHAIRPERSON: Thank you, Dr. Gray.
16 We appreciate you coming here today --

17 DR. JOHN GRAY: Okay. Okay, well --

18 THE CHAIRPERSON: -- and speaking too
19 us. Thank you, sir.

20 DR. JOHN GRAY: I -- I do appreciate
21 the challenge that you people face. So, good luck.

22 THE CHAIRPERSON: Yes. Yes. Thank
23 you very much, sir.

24 We have one (1) other person who's
25 scheduled for five o'clock. I don't know, Mr.

1 Simonsen, have we heard from Mr. Marshall?

2 MR. KURT SIMONSEN: Is George Marshall
3 here?

4 THE CHAIRPERSON: No, he isn't. Well,
5 he's scheduled for 5:00 so we will wait until 5:00
6 and so if you want to mill about for a few minutes,
7 you may, but we'll wait until five o'clock for him.
8 Thank you.

9

10 --- Upon recessing at 4:54 p.m.

11 --- Upon resuming at 5:04 p.m.

12

13 THE CHAIRPERSON: Okay, it's 5:05.
14 Mr. Marshall isn't here, unfortunately, if -- if he
15 does come, we can at a later time, we can have him
16 file materials.

17 So, I'm going to adjourn the hearing
18 until 9:00 a.m. on Monday when we will start closing
19 argument. Thank you all, have a good weekend.

20

21 --- Upon adjourning at 5:05 p.m.

22

23

24

25

1 Certified Correct,

2

3

4

5

6 _____

7 Cheryl Lavigne, Ms.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25