



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

re:

MANITOBA HYDRO

2023/24 and 2024/25

GENERAL RATE APPLICATION

Hearing

Before Board Panel:

Robert Gabor, KC - Board Chairperson

Marilyn Kapitany - Board Vice Chair

Carol Bellringer - Board Member

Hamath Sy - Board Member

George Bass, KC - Board Member

HELD AT:

Public Utilities Board

400, 330 Portage Avenue

Winnipeg, Manitoba

May 17th, 2023

Pages 686 to 886

1 APPEARANCES

2

3 Bob Peters) Board Counsel

4 Sven Hombach)

5

6 Brent Czarnecki) Manitoba Hydro

7 Odette Fernandes)

8 Deanna Hiebert)

9

10 Byron Williams) Consumers Coalition

11 Chris Klassen)

12

13 Antoine Hacault) MIPUG

14 Melissa Beaumont)

15

16 Carly Fox) Assembly of

17 Emily Guglielmin) Manitoba Chiefs

18

19 Markus Buchart) MKO

20

21 Thomas Reimer (np)) GSS and GSM

22 Robert Walichnowski (np)) customer classes

23

24 William Haight (Np)) Daymark Energy

25 Bradley McClelland) Advisors

1	Table of Contents	
2		Page No.
3	List of Exhibits	689
4	List of Undertakings	690
5		
6	Discussion	691
7		
8	CONTINUED MANITOBA HYDRO EXPORT, DROUGHT & HYDROLOGY	
9	PANEL:	
10	HAL TURNER, Affirmed	
11	NIKHIL KARANWAL, Affirmed	
12	KEVIN GAWNE, Affirmed	
13	CHERYL SANCLEMENTE, Affirmed	
14		
15	Continued Cross-examination by Mr. Bob Peters	713
16	Cross-examination by Ms. Guglielmin	773
17	Cross-examination by Dr. Byron Williams	813
18	Cross-examination by Mr. Antoine Hacault	846
19		
20		
21		
22	Certificate of Transcript	886
23		
24		
25		

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MH-31	Response to Manitoba Hydro	
4		Undertaking 1	692
5	MIPUG-12	2017/'18 and 2018/'19 GRA IR response	
6		by Manitoba Hydro to PUB Round II	
7		question 77.	875
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1		LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION	PAGE NO.
3	4	Manitoba Hydro to advise whether or not	
4		Manitoba Hydro in creating its	
5		application asked Efficiency Manitoba	
6		to provide different estimates of the	
7		resources it could provide with respect	
8		to demand side management, related to	
9		demand and related to energy	870
10	5	Manitoba Hydro to confirm if in the	
11		2020 Efficiency Manitoba Demand Site	
12		Manager Forecast that the numbers came	
13		from Efficiency Manitoba	870
14	6	Manitoba Hydro to advise which of the	
15		two it has chosen and if the answer	
16		falls under CSI, to file a response	
17		under CSI.	879
18	7	Manitoba Hydro to provide an indication	
19		of the relative marginal values of	
20		capacity versus energy, which one's	
21		higher. If it falls under CSI, to file	
22		a response under CSI.	884
23			
24			
25			

1 --- Upon commencing at 9:01 a.m.

2

3 THE CHAIRPERSON: Good morning,
4 everyone. I guess before we start, I don't know if
5 there are any administrative matters to -- to deal
6 with. I -- I notice a few items from Hydro. I don't
7 know if there's going to be reference to it, or these
8 are intended as exhibits or --

9 MS. ODETTE FERNANDES: Good morning,
10 Mr. Chairman. I believe one of the ones you have in
11 front of you, which is the CVs for the panel, was
12 filed yesterday --

13 THE CHAIRPERSON: Okay.

14 MS. ODETTE FERNANDES: -- as Exhibit
15 29.

16 THE CHAIRPERSON: Thank you.

17 MS. ODETTE FERNANDES: But we do have
18 a response to Manitoba Hydro Undertake -- Undertaking
19 number 1 --

20 THE CHAIRPERSON: Yeah.

21 MS. ODETTE FERNANDES: -- which was
22 asked of Ms. Grewal on the first day of the hearing
23 regarding non-Indigenous employees and individuals
24 falsely claiming to have -- sorry -- Indigenous
25 identity.

1 So I would ask that that be marked as
2 Manitoba Hydro Exhibit number 31.

3 THE CHAIRPERSON: Thank you.

4

5 --- EXHIBIT NO. MH-31: Response to Manitoba Hydro
6 Undertaking 1

7

8 MS. ODETTE FERNANDES: And on one
9 final note, I had a brief discussion with Mr. Peters
10 this morning, and with leave of this Board, Mr. Gawne
11 would just like to -- there was some discussion back
12 and forth with Mr. Peters yesterday. So if you could
13 indulge Mr. Gawne just to I believe clarify the record
14 a little bit.

15 THE CHAIRPERSON: Certainly.

16

17 (BRIEF PAUSE)

18

19 MR. KEVIN GAWNE: Thank you. I'm
20 bringing props to the discussion here. I just wanted
21 to help the understanding of -- I wanted to help --

22 THE CHAIRPERSON: As long as it's not
23 a gambling ad, we're okay. Okay.

24 MR. HAL TURNER: I think we know what
25 engineers like to do in their free time now.

1 MR. KEVIN GAWNE: It's -- it's not a
2 gambling act. So we had a fair bit of discussion
3 yesterday about priorities and judgment involved by
4 the operations planning engineers and how we consider
5 these priorities.

6 So I -- out of -- by way of simple
7 example, I'd like to try and clarify the regular
8 process of going through time and updating water
9 conditions and making these decisions, and
10 specifically when operations become governed by
11 reliability.

12 And we use that phrase in tab 5 of our
13 Application at page -- at page 25, so we walk through
14 how operations, you know, sort of occurred through the
15 drought of 2021, starting with below-average snow
16 melts. And -- and then conditions were observed and
17 we started to reduce our exports and we started to
18 increase our imports, and we eventually were
19 projecting imports during the on-peak.

20 So, let's totally forget about all the
21 complexities of the hydro system that I kind of
22 started talking about 'cause I love to talk about it,
23 but let's imagine we have one (1) generating station,
24 one (1) reservoir, one (1) river flowing into that
25 reservoir. And the Manitoba load is attached to that

1 generation station, and the export market is attached
2 to both Manitoba load and the generating station.

3 So we have to make reservoir-release
4 decisions every week. Even not changing the release
5 of water out of a reservoir is a decision, so time is
6 marching on and we have to plan the water accordingly.

7 So how does this work when we say
8 economics? Well, it's -- it's a product of an
9 optimization. We say, well, if I release water now,
10 we can -- maybe we can export a little more and make
11 some more revenues.

12 And the optimization, the objective of
13 that optimization -- in -- in math, it's called the
14 objective function -- the objective is to maximize net
15 export revenues.

16 But it's not just that. It's subject
17 to a whole raft of constraints; subject to we have to
18 meet Manitoba loads, subject to we have to operate a
19 reservoir within that max and min level, subject to
20 the capability of the system of producing power. So
21 that's an optimization.

22 And then, well, how do we deal with the
23 fact that, you know, we have to plan the operation
24 over an entire -- you know, months. There's a whole
25 fiscal year. We have to plan our operation over the

1 whole year.

2 And we know we can't forecast flows
3 accurately for that long duration, so the next -- you
4 know, the next month or so we're informing our low
5 forecasts with this hydrologic modelling that I was
6 talking about.

7 So we have a decent view of where flows
8 are for the next couple of weeks, and then what we do
9 is we transition to a bunch of different potential
10 flow cases in the future.

11 So imagine we've got this single
12 reservoir system. Forget about the forty (40) years
13 and the hundred years. Imagine we're only working
14 with four (4) different flow cases, and there's --
15 here they are in front of us.

16 There's this really high flow case.
17 It's full, pretty decent average flow case, a little
18 bit lower than average flow case, and then there's
19 this other flow case that's pretty empty, okay? And
20 what we say is each one of these in the next eight (8)
21 months -- let's say there's eight (8) months left to
22 the fiscal year -- each one of these has a 25 percent
23 chance of occurring.

24 So our -- right now, today, on
25 Wednesday, our -- our energy operations planners are

1 meeting with our hydrologists and they're saying,
2 what's the outlook for flows for the next couple of
3 weeks? And, you know, looking at details and
4 conditions, okay, here's our updated flow forecast for
5 the next month or so and we're going to transition to
6 case, you know, 1, 2 and 3 and 4, and the 4 is the --
7 the low flow case, and we're going to plan our
8 operation and we're going to put this all into our
9 optimization model.

10 And we're going to say how much water
11 should we release this week to maximize the net export
12 revenues. And, well, in this drought case, you should
13 actually be not releasing more water. You should
14 probably even be reducing your reservoir releases.

15 So, if you optimize it for this case,
16 it's going to be, you know what, hold back water minus
17 for the flood case. Well, if you hold on to water
18 now, you're going to spill it later, so let it out.
19 And, you know, these are intermediate cases.

20 So, the optimization's saying, well,
21 you know, for this case let it all out, for this case
22 hold it back. And what we do is we say, well, you
23 know what, we're not -- we're not gambling. We're not
24 betting on this or this or we're not hoping for this.

25 We're saying each one of these can --

1 can happen, we know that, what's the best expected
2 decision this week. Okay. So, we met with a
3 hydrologist on Wednesday. Friday we're going to go
4 and meet with the whole group and talk about our
5 decision.

6 And we say, you know what, the optimal
7 case -- our optimal decision this week is to increase
8 flows a little bit out of Lake Winnipeg. You know,
9 the -- the best economic condition is to increase
10 flows out of Lake Winnipeg, and we do that, and we
11 execute that.

12 Then we get back into the cycle. And
13 next week we update our flow forecast and we go
14 through it again. And then the next week we rerun it
15 again, optimize. Oh, you know what, conditions are
16 starting to turn drier because I've used up my
17 reservoir, and now these low flow cases are coming
18 into play.

19 And they're saying, well, if you
20 continue to operate at this amount of flow, you're
21 going to end your horizon being kind of low on your
22 reservoirs. And that's going to cost a lot of money
23 in the future to -- to offset that because it's always
24 about trading off energy from time now to the future
25 when you're talking about hydro.

1 So, now we're getting into the zone
2 where, you know what, our economic optimization says
3 we should start to reduce flows because the cost of
4 this scenario, and this scenario, the dry scenario and
5 the extra dry scenario is starting to influence our
6 decisions to reduce flows, so we reduce flows.

7 And that was kind of the case in the
8 spring and when we were starting to have generation be
9 below budget and we were starting to import a little
10 more power in the off-peak and we are reducing our
11 off-peak exports.

12 And then eventually, we get into July
13 or June and we get to bullet 1, 2 -- the second last
14 bullet on page 25 of tab 5 where we say we reduced
15 reservoir outflows -- pardon me -- as dry conditions
16 persisted.

17 So, now we're -- we've met with our
18 hydrology folks. We've updated our flow forecasts.
19 And we've said, you know what, our best expected
20 decision is still to release water out of Lake
21 Winnipeg because, you know, it could turn to a flood
22 and, man, we'll do well if that happens. And
23 actually, we'll avoid spilling in the future if we
24 operate now and keep flows coming out of Lake
25 Winnipeg. We'll avoid that lost revenue in the

1 future.

2 And the decent water conditions -- we
3 still let more water out of Lake Winnipeg. And even
4 in that low flow condition, you know, we can just hold
5 flows right now, and that's the best economic case.

6 Weighed all these decisions by 25
7 percent, this drought condition is saying, no. It's
8 continuing to say reduce flows, reduce flows.

9 But the point here is that, as we test
10 each one of these cases, it may be that the economic
11 weighted decision in that week was, you know, hold
12 flows, hold flows out of Lake Winnipeg.

13 However, we test our case. And we say,
14 okay, let's do that then. We'll hold flows out of
15 Lake Winnipeg at, let's say, 30,000 cubic feet per
16 second. That's economically -- using the equally
17 weighted probability of doing all these things, we'll
18 do that. But then we're going to test and make sure
19 that we don't break this system for this low flow
20 case.

21 So, we look at our -- well, if we do
22 this now and we hold that outflow for a couple weeks
23 and we come back and it's still really dry and we're
24 still down this path of dryness, well, we can't undo
25 what we did two (2) weeks ago. Now, we're governed by

1 reliability.

2 So, even if this isn't the most
3 economic thing to do on an expected basis, we are
4 protecting that storage so that we can make it through
5 a drought and we can have enough storage available if
6 that drought continues in the future.

7 So that's kind of how the optimization
8 and the interplay between drought conditions occur in
9 our operations planning.

10 I hope that's helpful to the Board in
11 some understanding.

12 VICE CHAIR KAPITANY: I should ask Bob
13 if I can ask a question.

14 THE CHAIRPERSON: I did ask Bob.

15 VICE CHAIR KAPITANY: Oh, did you?

16 THE CHAIRPERSON: I said to Bob, Can I
17 ask a question?

18 VICE CHAIR KAPITANY: Well, then, you
19 go ahead.

20 THE CHAIRPERSON: No, then you go
21 ahead. It's phrased better.

22 VICE CHAIR KAPITANY: That was an
23 excellent -- really excellent explanation and super
24 helpful. So I have actually a couple questions.

25 One is I understand optimization very

1 well. And so, my question is you said that your
2 starting point, though, is maximizing net export
3 revenue. So that -- so that's the starting point.

4 And then, you optimize that, subject to
5 a whole bunch of different conditions that you talked
6 about. Was I correct in hearing that?

7 MR. KEVIN GAWNE: That's correct.
8 That's how the problem's formulated. Maximize net
9 export revenue.

10 Domestic revenue doesn't come into play
11 in the decision because that's treated as a
12 constraint.

13 VICE CHAIR KAPITANY: And that's
14 whether you're in adverse water conditions or normal
15 water conditions?

16 MR. KEVIN GAWNE: Correct.

17 VICE CHAIR KAPITANY: Okay.

18 MR. KEVIN GAWNE: Objective function.

19 VICE CHAIR KAPITANY: So my other
20 question -- and this went back to a slide that you had
21 showed in your presentation yesterday when you were
22 talking about the expertise at Manitoba Hydro. And
23 then, we talked later about drought being your biggest
24 risk at the Corporation.

25 Do you have a meteorologist on staff at

1 Manitoba Hydro?

2 MR. KEVIN GAWNE: By profession, we
3 don't have a meteorologist on staff. But we do have -
4 - I'm going to get in trouble for saying this -- but
5 on the floor where this hydrology group exists, I
6 think we probably have -- I'm going to guess that we
7 have the highest per square footage of post-graduate
8 folks in the building.

9 So it's a high concentration of pretty
10 high-end hydrology and water experts. So -- and some
11 of those folks do have training in -- in meteorology.

12 You know, to answer your question
13 directly, we don't have meteorologists on staff, but
14 there is tons of meteorologic services out there that
15 we rely on and tie our models into.

16 So we're using, you know, Environment
17 and Climate Change Canada's models that they run and
18 we -- that -- we ingest that information into our
19 systems, so.

20 VICE CHAIR KAPITANY: So you contract
21 those kind of services?

22 MR. KEVIN GAWNE: We...

23

24 (BRIEF PAUSE)

25

1 MR. KEVIN GAWNE: Sorry for the
2 delayed response but... For the most part, the -- the
3 information that we're ingesting in terms of the
4 meteorology and the modelling, it's not contracted.
5 It comes from Environment and Climate Change Canada
6 and other forecast providers, I believe.

7 But you can imagine that there is a
8 whole team of meteorologists and -- and they're trying
9 to prepare these forecasts for use by industry, by,
10 you know, safety organization, every -- you know,
11 farming.

12 So we rely on that, what I assume is a
13 massive team of people with huge servers and -- and
14 models running, global circulation models and regional
15 climate models that feed into -- that we -- we take
16 that information in and put it into hydrology models.

17 And again, I think that's written up in
18 -- in Appendix 5. -- 5.4 -- 5.4. And I believe there
19 was some followup questions from the PUB asking about,
20 Well, what's used in your forecasting? And we
21 addressed those and I can --

22 VICE CHAIR KAPITANY: And you've got
23 all those smart people on your floor too.

24 MR. KEVIN GAWNE: And we've got a lot
25 of smart people on our floor. And some are here as

1 well.

2 VICE CHAIR KAPITANY: Thank you very
3 much.

4 THE CHAIRPERSON: So, I -- I can see
5 Ms. Fernandes' hand in this going, keep it really
6 simple. That was -- that was very helpful.

7 The -- the question I have is, you
8 know, you comment -- you -- you talked about meeting
9 weekly and that and the decision going forward. I
10 guess the question is: How is the decision made?

11 I mean, I understand the factors you're
12 looking at, but is there a person who finally makes
13 the decision? Is it a collective decision where
14 there's a consensus made in terms of what happens with
15 the reservoir or is there a per -- is there a -- a
16 formula where, you know, at this point you drop it.
17 I -- that -- that's what I'm interested, sort of in
18 that area.

19 And then the second part is, when does
20 Mr. Turner get involved? When does the -- when does
21 the senior executive team hear about this, you know,
22 instead of a, well, here's the report and we look at a
23 bunch of reports. I mean, you -- you know, you're
24 talking about sort of the spring time frame June, you
25 know, and I don't know if Mr. Peters will -- will deal

1 with it and I'll come back after and talk about it.

2 I'm interested in sort of the -- as
3 well as the summer time frame and what the decision
4 making is -- is there, because all of a sudden, you
5 know, there was the comment that by, you know, July,
6 August, you knew it -- we're in a drought. It's --
7 we're not getting the rain. We -- we can't get
8 enough.

9 I don't -- I'm just trying to figure
10 out who makes the decision. Is it still at your
11 level, Mr. Gawne, is it at the senior executive level,
12 is it the CEO because the interplay with the PUB
13 happened sort of in the September time frame. You
14 know, we don't have an application until November.

15 So, anyways, I -- the only thing I'm
16 asking right now is: Who makes the -- who makes the --
17 the weekly decisions? Is it you or is it specific
18 people or is it sort of a -- a group decision?

19 MR. KEVIN GAWNE: It would help, Ms.
20 Schubert, could we pull up the direct presentation --
21 or Manitoba Hydro's direct. Looking for just a slide
22 to maybe help the discussion a little bit here. You
23 can go to slide 6 please, Ms. Schubert.

24 So, thank you for your questions, Mr.
25 Chair. Excellent questions. And I'll ask that Mr.

1 Turner help out with this certainly.

2 As far as the week-to-week decision
3 making, we have a team of -- their titles are called
4 Energy Operations Planning Engineers. They have a
5 background in, like, civil engineering and energy
6 optimization and water modeling.

7 So, ultimately they're -- they're
8 charged with the decision of week to week, how much
9 flow should be released out of these major reservoirs.
10 And those decisions are made with information and
11 input from all these experts across the organization
12 as you can see here.

13 So that -- the idea is, here's our
14 optimal decision. I -- the Operations Planning
15 Engineers have considered these -- the priorities that
16 we have and those decisions are reviewed with this
17 team and if, you know, Indigenous Community Relations
18 is aware of something going on, say at Pimicikamak
19 Cross Lake and, you know, at -- we should -- we should
20 delay a flow increase here because there's some
21 festival or something going on. Like, it's that kind
22 of feedback that happens there.

23 Or we're hearing concerns around here,
24 how can we address that. Our fisheries experts are
25 saying, you know what, it's spawning time on the Lower

1 Churchill River, can we, you know, does it make a
2 difference volume wise when we get the water out of
3 Southern Union Lake, but maybe we could do something
4 here to help from a -- an environment perspective.

5 So that, that feedback is taken in, but
6 ultimately the decision and the instruction on release
7 -- releasing water is sent from that operations
8 planning engineer to the generation dispatch kind of
9 area.

10 However, and that's -- so that's
11 saying, is that decision entirely at that level.
12 Certainly, you know, I take responsibility for the --
13 the -- those decisions. When they're bigger decisions
14 we elevate the discussion certainly.

15 But I think what's more -- it's not --
16 it's not a kind of freeform, one person's decision.
17 We have these licences that govern our operations and
18 these operating priorities that we operate to. So
19 that is -- and those licences are the licences, but
20 the operating priorities and our assumptions for
21 drought, for instance, and our -- and our assumptions
22 on what we're using for expert price forecasts, those
23 are all reviewed at the Director and above levels.

24 So, they've got some kind of play-book,
25 if you will, a guidebook and, you know, if we're

1 looking to stray from that, of course, we would be
2 escalating any decisions around that.

3 Now, when it comes to really look -- I
4 don't know how you make the case -- but large
5 decisions or we're into drought or we're into a major
6 flood, then we are engaging directly with Executive.
7 We saw that in 2021. Our VP called a team of VPs
8 together. I think the meeting was officially planned,
9 like the notice was sent out in July -- but we in
10 August -- the beginning of August, and -- and those
11 folks got together.

12 So, with that -- and those decisions I
13 -- how those decisions were made at that level,
14 though, is like we -- I came to this team of VPs and
15 said this is our agreed-upon planning criteria, this
16 is our level of energy security we're planning for,
17 and this is how the operation of the system is going
18 to look for the next number of months and, you know,
19 got that endorsement, let's say. It wasn't an
20 approval request but we reviewed that.

21 It's not directed to increase flows or
22 decrease flows or anything like this but -- so, that,
23 hopefully how the decision-making gets made and, then,
24 when to get Executive involved in the drought, you
25 know, clearly, conditions were continuing to be dry

1 and -- and it's not my call to -- to decide whether a,
2 you know, a hundred million dollar variance on our
3 budget is material or not. That's, you know, that
4 goes outside of our scope of involvement.

5 And, then, on the other side of the
6 spectrum in term -- in flood, similarly, we're having,
7 you know, the potentially major impacts on our
8 projects or impacts on stakeholders and that's, you
9 know, that's an extreme event that creates a whole
10 different set of interesting discussions that,
11 obviously, we're involving our Senior Executive, in
12 those situations.

13 THE CHAIRPERSON: Thank you very much.
14 Oh, sorry. Mr. Sy...?

15 BOARD MEMBER SY: Yeah. Okay. Sorry.
16 Thanks, Mr. Gawne, for remember -- reminding me of the
17 two (2) functions, back in my school days, but my
18 question is about this operation planning process.
19 It's very well, you know, put together.

20 We have been told, and you have
21 mentioned, that drought is your biggest risk -- most
22 significant risk, and we have been also informed that
23 Manitoba Hydro is putting together an Enterprise Risk
24 Management and, obviously, drought is going to be
25 Number One.

1 So, once that Enterprise Risk
2 Management is put in place, and drought has been
3 identified as a potential risk, then this plan is put
4 aside because, now, it's really how are you going to
5 manage, you know, operations going forward knowing
6 that we are at the beginning of what could be a
7 potential drought.

8 Enterprise Risk Management is looking
9 at, once a risk is identified, there are different
10 processes that have to be -- that have to go through,
11 including assessing it, planning, and acting on.

12 So, right there, back in February or
13 March, there should be a team that will be going
14 through estimating the impact of the drought in the
15 whole system and -- and, assuming that it is what is
16 going to happen, and then put a plan in place.

17 So, I guess what I'm trying to, you
18 know, get is, once Enterprise Risk Management is put
19 in place, Manitoba Hydro would be better suited to
20 manage the drought, which is risk for this -- for its
21 organization. Is that -- is that a fair assessment?

22

23

(BRIEF PAUSE)

24

25

MR. KEVIN GAWNE: Thank you, Mr. Sy.

1 I'll -- I'll try to --

2 BOARD MEMBER SY: Mr. Sy.

3 MR. KEVIN GAWNE: My apologies, Mr.

4 Sy.

5 BOARD MEMBER SY: That's fine.

6 MR. KEVIN GAWNE: Thank you for your
7 question. It's an excellent question. Certainly we
8 deal with uncertainty every day in our operations, so
9 that immediately brings up the question of risk and
10 how is risk assessed.

11 So to answer your question, will this
12 be put aside, our process and our drought management
13 plan, I don't -- I don't believe so. It will still be
14 used to guide our operations.

15 But what -- like what we experienced
16 for instance during the -- the '21 drought in bringing
17 that team of vice presidents together -- and I think
18 we've said this in our Application -- was the risk --
19 our risk program in action, or our risk management
20 framework in action, so -- or, pardon me, the risk
21 committee in action.

22 So we have an enterprise -- enterprise
23 risk committee that will be -- or is in place as part
24 of our enterprise risk framework, and if we were to
25 experience a drought in '23/'24, we would be going to

1 that committee as opposed to striking this committee
2 that we've talked about here.

3 Like that enterprise risk committee
4 exists, and -- and that would be the committee where
5 we would bring in front of them potential, you know,
6 financial impacts of drought, for instance.

7 So -- and if how well that -- like what
8 will change once the next drought happens and our
9 enterprise framework is fully built out, I think in my
10 mind what will -- it'll be a little more enterprise-
11 wide uniform at our decision making and how it impacts
12 for example the financial outcomes can be assessed
13 based on a risk tolerance that's being consistently
14 applied for other risks across risk tolerance or risk
15 measurement, consistently applied across other areas
16 of the enterprise.

17 So if that helps. Yeah, I don't -- I
18 don't believe these processes are going to stop. I
19 think they will inform the more formalized risk
20 committee that will assist in these guiding our -- our
21 operations through events like droughts.

22 THE CHAIRPERSON: Sorry. Mr.
23 Peters...?

24 MR. BOB PETERS: Yes, thank you.

25

1 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

2 MR. BOB PETERS: Good morning to the
3 witness panel Manitoba Hydro representatives, all that
4 are present and those who are on the live stream.

5 Just a couple of points, Mr. Gawne, to
6 follow up this morning. And while we have on the
7 screen a slide 6 from Manitoba Hydro Exhibit 30, this
8 page shows us that there are the -- I think your words
9 were the operations team, if I -- if I've got it
10 correct, is handling essentially the first -- the
11 bullet about collaboration between experts across the
12 enterprise. That's on your operations team to gather
13 the data.

14 Is that what you -- what you were
15 explaining to the Board this morning?

16 MR. KEVIN GAWNE: Yes. Our energy
17 operations planning engineer is kind of chairing that
18 meeting that involves these professionals from across
19 the enterprise, so.

20 MR. BOB PETERS: And you're part of
21 that?

22 MR. KEVIN GAWNE: They let me come to
23 those meetings, yes. I -- I do participate regularly.

24 MR. BOB PETERS: I'm sorry, you do
25 which?

1 MR. KEVIN GAWNE: Yes, I'm -- I'm an
2 attendee at these meetings. That's -- sorry, I didn't
3 answer your question directly. I'm a part of this
4 group of people that meet, explained in that second
5 bullet.

6 MR. BOB PETERS: We call that the --
7 you call that the energy operations team?

8 MR. KEVIN GAWNE: Okay. Yes. I
9 manage the department called Energy Operations
10 Planning, and those energy operations planning
11 engineers who coordinate this meeting on a weekly
12 basis report to me.

13 MR. BOB PETERS: All right. I
14 understand your point. And you said to the Chair I
15 think in one of your ques -- or answers this morning
16 that at some point in time you elevated to the
17 executive.

18 Have I got that correct?

19 MR. KEVIN GAWNE: Yeah. Yesterday we
20 explained reporting on water conditions is a routine
21 thing. It goes up at least monthly, and as -- as
22 conditions get further and further let's say on one
23 end or the other, flood or drought, then the
24 communications start to increase.

25 And this is becoming an issue, so -- so

1 elevating to the executive level was through
2 discussions through my director and VP about this --
3 about the conditions that were continuing to occur.

4 MR. BOB PETERS: That elevation,
5 though, to the executive resulted in an executive
6 being part of those meetings starting in August of
7 2021?

8 MR. KEVIN GAWNE: Yes. The -- the
9 meetings were called by our executive of asset
10 planning and delivery at the time. The meeting notice
11 I believe went out in July, and we met first on August
12 4th officially.

13 MR. BOB PETERS: And before that, it
14 would have been your energy operations planning team
15 that would have been doing the meeting and sending the
16 reports as they -- as they decided?

17 MR. KEVIN GAWNE: Well, sending the
18 reports as they consistently do on a monthly basis,
19 yes, but there's -- you know, there's standard reports
20 with spaghettis and calling up the -- our leadership
21 to inform them about changing conditions and stuff
22 like this. That happens kind of outside of those
23 routine reports.

24 So it's -- those communications were
25 happening certainly, and as conditions continued to be

1 dry, the -- the frequency of those communications was
2 increasing.

3 MR. BOB PETERS: All right. Thank
4 you. And...

5

6 (BRIEF PAUSE)

7

8 MR. HAL TURNER: Mr. Peters, maybe
9 I'll just add, remembering I -- I came in in November,
10 but the energy operations team and the experts, they
11 all meet. And then, after that meeting, we'll get
12 together that group of executives and they'll share
13 with us, you know, their perspectives on potential
14 actions or -- or things we should do to try and manage
15 the risk.

16 So the -- the executives are not in
17 with all the experts while they're having those
18 conversations. We're having a conversation after the
19 fact where the experts have sort of aligned on some
20 options, and then we'll provide our perspectives on --
21 you know, they may come to us with a recommendation:
22 we think we should do some hedging or we think we
23 should adjust our flow this way.

24 And then we have the right group of
25 executives in the room to think about all those

1 upstream and downstream implications of those
2 decisions and share our perspectives.

3 MR. BOB PETERS: And, Mr. Turner, that
4 didn't start until August of 2021. And I recognize
5 you weren't in the room at that time, but that was the
6 time line.

7 MR. HAL TURNER: That is my
8 understanding, yes.

9 MR. BOB PETERS: All right. Thank
10 you. Yesterday, Mr. Turner, we had some discussion
11 about a quarterly report. It was found on page 29 of
12 Board counsels' book of documents, Exhibit PUB-19-2 --
13 not that I need to necessarily go there.

14 But, Mr. Turner, these quarterly
15 reports are regular occurrences, correct?

16 MR. HAL TURNER: Correct.

17 MR. BOB PETERS: And does Manitoba
18 Hydro executives stick to a time line for the
19 completion of the quarterly reports? And I'm thinking
20 specifically of the time line that is set out in the
21 Crown Corporation's Act, and maybe Ms. Schubert could
22 locate that and -- okay.

23 I'm just drawing to your attention, Mr.
24 Turner, a section about quarterly reports being
25 prepared within forty-five (45) days of the end of the

1 quarter. Is that a time line that you adhere to?

2 MR. HAL TURNER: My area doesn't not
3 prepare -- sorry, does not prepare the quarterly
4 report, so I -- I think Mr. Tess is going to have to
5 speak to that.

6 MR. BOB PETERS: All right. All
7 right. Let's turn to a different topic but related to
8 Manitoba Hydro's actions in the drought.

9 And -- excuse me -- is it correct, Mr.
10 Gawne, that one of Manitoba Hydro's responses to the
11 drought was to place financial hedges related to the
12 imports of electricity and also for the natural gas
13 that might have to be used in the Brandon turbines?

14 MS. CHERYL SANCLEMENTE: Yes, we
15 placed financial hedges for the power portion and
16 physical hedges for the gas portion.

17 MR. BOB PETERS: Sorry, Ms.
18 Sanclemente. I -- you placed financial hedges for the
19 electricity portion and physical hedges on the gas
20 portion, meaning on the gas side you physically
21 purchased -- you signed contracts to purchase gas that
22 would be delivered to Manitoba?

23 MS. CHERYL SANCLEMENTE: We purchased
24 gas that had a firm -- firm transport component, so,
25 yes.

1 MR. BOB PETERS: But the electricity
2 hedges were financial derivative products?

3 MS. CHERYL SANCLEMENTE: That's
4 correct.

5 MR. BOB PETERS: Which meant that you
6 could settle them financially without ever having to
7 take delivery of electrons?

8 MS. CHERYL SANCLEMENTE: Correct.

9 MR. BOB PETERS: Now, Ms. Sanclemente
10 -- and I want to be very cautious that we are on the
11 public record and I am not soliciting from you any
12 non-confidential evidence.

13 Are you comfortable with that?

14 MS. CHERYL SANCLEMENTE: I think so.

15 MR. BOB PETERS: All right. We'll
16 have an opportunity I think later this week to get
17 into some of those questions.

18 On -- on page 32 of the Board counsels'
19 book of documents, again, Volume 2, would it be
20 correct to interpret Manitoba Hydro's hedging was akin
21 to an insurance policy to try to protect Manitoba
22 Hydro's net income?

23 MS. CHERYL SANCLEMENTE: Yes, that's
24 correct.

25 MR. BOB PETERS: And when hedging, Ms.

1 Sanclemente, Manitoba Hydro would lock in the exact
2 price it'll pay for the electricity or the gas on the
3 day that is included in the hedge?

4 MS. CHERYL SANCLEMENTE: Yes, that's
5 correct.

6 MR. BOB PETERS: And there's a margin
7 price on top of that for the cost of placing the
8 hedge, as well, correct?

9 MS. CHERYL SANCLEMENTE: No.

10 MR. BOB PETERS: There's no -- there's
11 no premium on top of the purchase?

12 MS. CHERYL SANCLEMENTE: There is not.
13 It's -- it's a fixed price. So, whatever the price is
14 of the contract, it is fixed.

15 MR. BOB PETERS: And if there is any
16 premium, it would be included in that fixed price?

17 MS. CHERYL SANCLEMENTE: Yes.

18 MR. BOB PETERS: And would you agree,
19 Ms. Sanclemente, that the market price on the day the
20 hedge relates to is almost certainly going to be
21 different than the hedge price?

22 MS. CHERYL SANCLEMENTE: I'm not sure
23 I understand your question.

24 MR. BOB PETERS: When Manitoba Hydro
25 places a hedge, it doesn't know with any certainty

1 what the market price is going to be on the day that
2 the hedge is going to mature.

3 MS. CHERYL SANCLEMENTE:
4 (INDISCERNIBLE). Is that what you mean?

5 MR. BOB PETERS: Pardon me?

6 MS. CHERYL SANCLEMENTE: I'm sorry.
7 Do you mean that when we place a hedge from a forward
8 perspective, we don't know what the actual price will
9 be the day that that energy is delivered or purchased?

10 MR. BOB PETERS: That's my question
11 rough -- still clumsy, but that was try -- what I was
12 trying to get at.

13 MS. CHERYL SANCLEMENTE: Yes, that's
14 correct.

15 MR. BOB PETERS: You don't know in
16 advance whether the market price is going to be higher
17 or lower than the hedge price?

18

19 (BRIEF PAUSE)

20

21 MS. CHERYL SANCLEMENTE: Sorry, can
22 you repeat the question, please.

23 MR. BOB PETERS: When -- I think I
24 asked you that -- just to follow up on our discussion,
25 that on the day that Manitoba Hydro places the hedge

1 for some future date, Manitoba Hydro just doesn't know
2 in advance what that market price is going to be on
3 that future date?

4 MS. CHERYL SANCLEMENTE: Yes, that's
5 correct.

6 MR. BOB PETERS: What Manitoba Hydro
7 knows is exactly how much it's going to have to pay on
8 that future date because that's the price locked into
9 the hedge?

10 MS. CHERYL SANCLEMENTE: Yes.

11 MR. BOB PETERS: And that's
12 regardless, Ms. Sanclemente, as to whether the market
13 price is lower than the hedge price or higher than the
14 hedge price, Manitoba Hydro will pay the hedge price?

15 MS. CHERYL SANCLEMENTE: It is a fixed
16 price, yes.

17 MR. BOB PETERS: And then after the
18 hedge is settled Manitoba Hydro can calculate whether
19 the hedges have saved Manitoba ratepayers money or
20 whether they have cost Manitoba consumers money?

21 MS. CHERYL SANCLEMENTE: Yes.

22 MR. BOB PETERS: And I'm hoping you
23 don't divert me to Mr. Tess, with no disrespect to
24 him, but would the -- would the results of the hedging
25 show up in the fuel and power purchases line of the

1 financial statements, or do you know?

2 MS. CHERYL SANCLEMENTE: I'm going to
3 say I'm -- I'm not exactly sure where that will end
4 up. I -- I'm not sure. But the results of -- yeah,
5 I'm not sure.

6 MR. BOB PETERS: All right.

7

8 (BRIEF PAUSE)

9

10 MR. BOB PETERS: I might come back to
11 that, Ms. Sanclemente, and ask you to accept something
12 subject to check, but that gives you homework, not me.

13 So, in terms of these hedgings, by the
14 time that Manitoba Hydro witnesses appeared before the
15 Board in December of 2021, at the last interim rate
16 application, Manitoba Hydro had already placed some
17 hedges. Are you familiar with that?

18 MS. CHERYL SANCLEMENTE: What was the
19 date of the meeting?

20 MR. BOB PETERS: The first testimony I
21 believe was December 10th --

22 MS. CHERYL SANCLEMENTE: Then, yes, we
23 had. Yes --

24 MR. BOB PETERS: -- 2021.

25 MS. CHERYL SANCLEMENTE: -- we had --

1 we had put additions on, yes.

2 MR. BOB PETERS: Now, I want to be
3 careful, Ms. Sanclemente. We understand Hydro wants
4 to keep the exact timing and the exact volumes of the
5 hedges confidential so other market participants, such
6 as counter parties, don't use that information against
7 Manitoba Hydro. Is that fair?

8 MS. CHERYL SANCLEMENTE: Yes.

9 MR. BOB PETERS: Right. That applies
10 to both the timing and the volumes?

11 MS. CHERYL SANCLEMENTE: Yes.

12 MR. BOB PETERS: All right. So, then
13 we might talk about some of that a little bit in -- in
14 the CSI session. But staying with what's publically
15 available, on page 35 of Board counsels' book of
16 documents we've got some forward price curves.

17 You're familiar with those, Ms.
18 Sanclemente?

19 MS. CHERYL SANCLEMENTE: Yes.

20 MR. BOB PETERS: And Manitoba Hydro
21 hasn't disclosed any public dates of its hedges, but I
22 guess just under that, on page -- sorry, on that same
23 page under that chart, Manitoba Hydro's indicating
24 that the hedges were placed in the late summer or fall
25 of 2021.

1 And you're comfortable with those
2 parameters?

3 MS. CHERYL SANCLEMENTE: Yes.

4 MR. BOB PETERS: Now, with this chart,
5 Ms. Sanclemente, the months on the horizontal 'X' axis
6 is -- relates to 2021, for November 2021, December
7 2021. And then it shifts into January of 2022, for
8 February and March of 2022?

9 MS. CHERYL SANCLEMENTE: Yes.

10 MR. BOB PETERS: And so, what you're
11 showing the Board is that you certainly wouldn't have
12 all of this information available at the same time,
13 but you've overlaid the different times that you get
14 forward price curves, correct?

15 MS. CHERYL SANCLEMENTE: Yes.

16 MR. BOB PETERS: All right.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: So, let's speak
21 hypothetically only, Ms. Sanclemente.

22 If Manitoba Hydro placed hedges in
23 let's say August of 2021, you would be using the dark
24 blue solid line as the price curve, and that would
25 tell you the prices that would have been available had

1 Manitoba Hydro placed hedges in August of 2021?

2

3

(BRIEF PAUSE)

4

5 MS. CHERYL SANCLEMENTE: Yes, that's
6 correct.

7

8 MR. BOB PETERS: And the same would
9 apply if you waited until September of 2021. You'd
10 have the prices that are put on the red line on the
11 chart?

11

MS. CHERYL SANCLEMENTE: Yes.

12

13 MR. BOB PETERS: And it follows then,
14 if you waited until October 2021, the prices that
15 would be available would be on the green line?

15

MS. CHERYL SANCLEMENTE: Correct.

16

17

(BRIEF PAUSE)

18

19

20 MR. BOB PETERS: Does it follow, Ms.
21 Sanclemente, then that the later in the fall of 2021
22 that the hedges were placed, the more expensive the
23 hedged energy would cost?

23

MS. CHERYL SANCLEMENTE: Yes.

24

25

(BRIEF PAUSE)

1 MS. CHERYL SANCLEMENTE: I'd like to
2 add, that -- I mean, that's not necessarily a rule.
3 This is what we're looking at or what occurred in
4 2021, but that's not necessarily how the markets
5 always unfold in this time period.

6 MR. BOB PETERS: Okay.

7 MR. NIKHIL KARANWAL: If I could add,
8 Mr. Peters, I think we have to go back and look at the
9 circumstances when we were in that time frame. Just a
10 year before, we had the excess freeze, so that was one
11 (1) other thing.

12 On top of that, the macro environment
13 in terms of geopolitical situation was changing.
14 Russia was cutting down gas for Euro.

15 And what we are also seeing at the
16 bigger level is that the power sector in North America
17 is getting -- is actually connected to gas, and so
18 there was -- it was a very volatile environment at
19 that time.

20 And I think Ms. Sanclemente, on her
21 presentation, slide number 19, I believe, showed how
22 volatile the environment was looking at that time
23 because of the fact of excess freeze the year before
24 and how the things were shaping up in the geopolitical
25 situation.

1 And that's the reason as we were going
2 from August to September and October what we were
3 seeing is how volatile the power sector could be in
4 wintertime as we were getting it.

5 And plus, as we know, that January and
6 February could have been pretty, like, frozen months
7 for us, we were lucky that it didn't turn out that
8 way.

9 So, the -- the whole spectrum, that was
10 evolving month to month. And we were watching how the
11 prices are evolving in the export markets. We were
12 watching what was -- the situation of our water was in
13 the system. And that's the reason as these hedges
14 were placed they were not rushed, but they were very
15 thought through.

16 I hope that provides you some more
17 context around what -- where we were at that time and
18 how we were looking at the future. Thank you.

19 MR. BOB PETERS: Thank you, Mr.
20 Karanwal. Ms. Sanclemente, if Manitoba Hydro placed
21 hedges in August of 2021, they -- they could have
22 locked in to the monthly prices that show up on the
23 blue line.

24 MS. CHERYL SANCLEMENTE: That's
25 correct. Prices go up and down. So, in this case,

1 yeah, if we -- if we had perfect information, we could
2 have walked in in August and -- and we would have paid
3 less for our hedges. But we don't know where prices
4 are going to go. We know where they have been
5 historically, but we don't know where they're going to
6 go in the future.

7 What -- what might seem like a high
8 price today could actually be a very good price two
9 (2) weeks from now. Especially with how volatile
10 power prices can be.

11 So what we do is we don't take a price
12 view -- we do -- we do two (2) things. We look at our
13 hedges from a mechanistic perspective and a gradual
14 perspective. Mechanistic being we don't take a price
15 view. We -- we put positions on slowly over time.
16 Gradual -- we want to do it gradually because we're
17 not completely certain on what our water situation is
18 going to be.

19 So if we go, let's say, in August and -
20 - and purchase a whole bunch of energy but then, all
21 of a sudden, it rains in September, October and now we
22 have too much of a commitment from the purchase side.

23 So slowly, over time, we put small --
24 small positions on to -- to make sure we're meeting
25 that -- the water perspective or the water situation.

1 As well as we don't take a price view. We -- we put
2 positions on from a price perspective solely over time
3 too.

4 MR. KEVIN GAWNE: Thanks for your
5 help. Sorry, just --

6 MR. BOB PETERS: And you can, Mr.
7 Gawne. But Ms. -- Ms. Sanclemente, you're -- the last
8 phrase tailed off a little bit in my ears here.

9 You do take a price view at some point
10 or not at all?

11 MS. CHERYL SANCLEMENTE: We do -- do
12 not.

13 MR. BOB PETERS: Okay. Thanks.

14 MS. CHERYL SANCLEMENTE: Slowly over
15 time, we put positions on because we don't know where
16 prices are going.

17 MR. BOB PETERS: Sorry, Mr. Gawne, I
18 cut you off.

19 MR. KEVIN GAWNE: I just thought I
20 would add a little bit about -- Ms. Sanclemente
21 mentioned the water variability. And we still don't
22 know.

23 So if we go back to page 41 of the
24 Board counsels' book of documents, had that blue -- if
25 we look to August 2021 and that blue cloud, had it

1 been very narrow or one line, for instance, then the
2 water and energy operations folks could have went to
3 Ms. Sanclemente's team and said, Listen, we're --
4 we're certain we're going to need whatever number of
5 gigawatt hours of energy this -- this winter so it's
6 guaranteed.

7 Well, that's still not the case. We
8 don't have that certainty. Even because we can have
9 rain in August and we can have rain in September and
10 October. And so, there's still uncertainty in the
11 volume requirements for the winter.

12 So the -- the approach is to, you know
13 -- as we're going towards the, you know, end of that
14 water year, we're starting to get more -- more
15 certainty in the range of outflows and the range of
16 volume requirements, either for export or import, and
17 we're providing that information to the trading team.

18 And then, they're able to use that
19 distribution of imports, if you will, to help inform
20 the decision on when to -- when and -- and to start
21 and how to continue to pace in and layer in these
22 hedges as -- as the rain season comes to a close.

23 MR. BOB PETERS: All right. Thank you
24 for that -- for that.

25 Ms. Sanclemente, I take it then that

1 the weather forecast will inform the volume of hedges
2 that are being considered?

3 MS. CHERYL SANCLEMENTE: In -- in the
4 forward time frame that we're taking those hedges. So
5 we're putting hedges on in the -- like -- like you had
6 said, between the end of --

7 MR. BOB PETERS: Again, I don't want
8 to bring any information that shouldn't be on the
9 public record. So please be guided by that.

10 MS. CHERYL SANCLEMENTE: You mentioned
11 end of -- end of summer into fall.

12 MR. BOB PETERS: Sure.

13 MS. CHERYL SANCLEMENTE: And -- and
14 I'm comfortable with that.

15 You -- you don't know where weather is
16 going to impact. You don't know exactly what -- what
17 weather is coming your way.

18 MR. BOB PETERS: Ms. Sanclemente, when
19 you are looking into that future, does Manitoba Hydro
20 assume it's going to be the warmest winter on record
21 and, therefore, the volumes will need to reflect that?

22 MS. CHERYL SANCLEMENTE: The volumes
23 we're provided with from Mr. Gawne's group is based on
24 median weather. It could be -- it could be higher, it
25 could be lower. But it's -- it's median weather.

1 (BRIEF PAUSE)

2

3 MR. BOB PETERS: As we see on page 36

4 -- oh, I'm sorry.

5

6 (BRIEF PAUSE)

7

8 MR. BOB PETERS: Ms. Sanclemente, I'd
9 like to turn with you to page 36 of Board counsel book
10 of documents.

11 This is a public disclosure of Manitoba
12 Hydro's hedging performance, correct?

13 MS. CHERYL SANCLEMENTE: Yes, that's
14 correct.

15 MR. BOB PETERS: And the results show
16 that the hedging resulted in electricity costing
17 Manitoba Hydro \$19.8 million more than had Manitoba
18 Hydro not hedged, correct?

19 MS. CHERYL SANCLEMENTE: Yes, that's
20 for gas and electricity both.

21 MR. BOB PETERS: All right. Thank you
22 for that clarification.

23 MS. CHERYL SANCLEMENTE: I'd like to
24 also point out though that that is the financial loss.
25 But when we purchase hedges in the market, while they

1 are financial from a -- from the power perspective, it
2 was financial. There is a benefit, from a physical
3 standpoint, of -- of securing those hedges.

4 MR. BOB PETERS: All right. I'm going
5 to need you to help -- explain that to me.

6 You're suggesting that by having a
7 derivative instrument of an electricity forward hedge,
8 that can assist the operations planning team in terms
9 of what has to happen with the water in Manitoba?

10 MS. CHERYL SANCLEMENTE: Correct.

11 MR. BOB PETERS: Okay. Then I -- I
12 think I have your point.

13 And the point you also made is that the
14 numbers that are before the Board on page 36 of Board
15 counsels' book of documents are for natural gas, as
16 well as -- physical natural gas, as well as the
17 electricity?

18 MS. CHERYL SANCLEMENTE: Correct.

19 MR. BOB PETERS: All right. And Ms.
20 Sanclemente, I'm going to push you on this one again.

21 You couldn't tell me whether this \$19.8
22 million financial loss was expensed against fuel and
23 power purchases in 2021.

24 MS. CHERYL SANCLEMENTE: It -- it was.

25 MR. BOB PETERS: You're now sure it

1 was? Okay.

2 And so, put another way, Manitoba
3 Hydro's net income in the year in which this Board
4 gave an interim rate increase was reduced by \$19.8
5 million from what it otherwise would have been had
6 there been no hedges.

7 MS. CHERYL SANCLEMENTE: That --
8 that's correct. I think I want to point to -- if we
9 can go to Daymark-AMC-112 in the IRs, the Daymark IRs?

10 I think what I want to get to is this
11 is a -- this -- this was a cost and there is a cost to
12 hedging.

13 But right here, in the response, it's -
14 - it shouldn't be looked at as a result of -- of lost
15 money. It's more of a charge for the insurance. And
16 the \$20 million charge that occurred could have --
17 could have paled in comparison to the negative
18 consequences to Manitoba Hydro.

19 MR. BOB PETERS: Thank you. I've got
20 your point.

21 That \$19.8 million, to your knowledge,
22 was not recorded in the 2022/23 fiscal year financial
23 statements, it would have been reported in the
24 2021/'22 financial statements?

25 MS. CHERYL SANCLEMENTE: Yeah, Mr.

1 Peters, I think that's a question for the Revenue
2 Requirement Panel.

3 MR. BOB PETERS: Okay. Please remind
4 us later, Ms. Fernandes, so we don't forget.

5 I think that's as far as I'm going to
6 go on the hedging at this time. I want to turn to
7 precipitation forecasting and go to page 39 of the
8 book of documents.

9 Mr. Gawne, you had mentioned in your
10 comments yesterday that you were aware that this Board
11 had some concerns about long-term precipitation
12 forecasting capabilities at Manitoba Hydro and whether
13 any improvements could be made.

14 And they also, on that same page at the
15 bottom, were wanting to look at that forty (40) year
16 flow record compared to a hundred and eight (108) year
17 flow record. You're aware of those, right?

18 MR. KEVIN GAWNE: Yes.

19 MR. BOB PETERS: And the upshot of it
20 on page 40 of Board counsels' Book of Documents, was
21 that in response to a review and vary application,
22 Manitoba Hydro took the position that it was perhaps
23 premature for the Board to -- to go to get expert
24 evidence on the topic of drought forecasting options
25 because Manitoba Hydro had more information that it

1 could provide to the Board.

2 You'd agree with that, sir?

3 MR. KEVIN GAWNE: Yes, that's what's
4 written here.

5 MR. BOB PETERS: And Manitoba Hydro,
6 you don't disagree with that, sir?

7 MR. KEVIN GAWNE: No.

8 MR. BOB PETERS: And, in this
9 application, this General Rate Application, Mr.
10 Gawne, Manitoba Hydro did present additional
11 information and evidence and that was found, as you
12 pointed out in Appendix 5.4 as an example.

13 MR. KEVIN GAWNE: Yes, Appendix 5.4
14 was largely developed to assist the Board in having
15 the details and the tech -- technical information
16 behind the hydrology forecasting.

17 And we -- we also engaged with our --
18 our peer in -- in the industry in -- in the industry
19 of hydrology, Dr. Rene Roy. And that's -- that expert
20 has appeared before this Board in the past, and -- and
21 NFAT hearings I believe was here, pardon me, maybe it
22 was Keeyask. Yeah, it was an NFAT hearing where he
23 assisted the -- with discussions on climate change, I
24 believe.

25 Yeah, so Dr. Roy provides a pure

1 assessment of our hydrology piece at -- at the very
2 end of Appendix 5.4. And it's -- it's quite a heavy
3 read, but I think he does well to try and summarize
4 it.

5 And I do want to, on the record, thank
6 Dr. Roy for his -- I'm going to say, Dr. Roy, pardon
7 me, and -- and I'm -- I -- 'cause the translation is
8 not going to work well with my French pronunciation,
9 but Dr. Roy provided this assessment. We engaged with
10 him and the -- the review that he did was done out of
11 interest to help the science.

12 I -- I'll -- I'll share that I had an
13 engage -- when we first called him up and -- and this
14 is an individual we've worked with for decades, our
15 hydrology team. And asked, well, how are we going to
16 compensate you for your work here? And he said, no.
17 I don't think I should be paid anything 'cause this is
18 -- he's thinking of it as a research peer review.

19 So he accepted no -- there's no -- he's
20 not a consultant. He's an independent peer reviewer
21 and -- and he is -- his interest is to better the
22 science. And his -- his resume is an impressive one
23 if you think about it. He was the lead for the
24 hydrology forecast team at Hydro Quebec, which is, by
25 some measures, the second largest hydro producer in

1 the world. And he's advised, you know, the federal
2 government on climate change matters and stuff like
3 this.

4 So, I just wanted to thank him for that
5 contribution and, you know, if you get lost in the
6 sixty (60) charts that precede his review, I -- I do
7 encourage the Board to take a -- take a read of -- of
8 his summary assessment.

9 MR. BOB PETERS: Mr. Gawne, would it
10 be fair to say that if Manitoba Hydro had reliable
11 precipitation forecasts, as early as possible, it
12 would make better decisions going forward?

13 MR. KEVIN GAWNE: Sorry, do you mean -
14 - can you help me with the -- as early as possible?

15 MR. BOB PETERS: Well, if Manitoba
16 Hydro had a better sense of what precipitation was
17 coming, then that would assist in determining what
18 your operations team would do with holding back water
19 or releasing water; that follows, does it not?

20 MR. KEVIN GAWNE: Yes.

21 MR. BOB PETERS: From reading the
22 appendices that you've directed the Board to, Manitoba
23 Hydro is not convinced that that expertise exists to
24 allow it to have the certainty of precipitation
25 forecasting in advance that would make that operations

1 decisions easier.

2 MR. KEVIN GAWNE: Yes, when we're
3 looking at making operating decisions considering the
4 entire horizon, that we have to make plan for, those
5 long range precipitation forecasts are not accurate
6 enough to rely on. But this short term forecast, as -
7 - as I mentioned, we are using now in our hydrologic
8 forecasting and factoring that into -- to our
9 operations.

10 MR. BOB PETERS: Mr. Gawne, that --
11 that leads us to page 43 of Board counsels' Book of
12 Documents and a matter you and the Vice Chair were
13 talking about earlier this morning with your water
14 bottle props.

15 And, I'm not going to disagree with you
16 on the record that Appendix 5.4 was a heavy read, but
17 this chart that Ms. Schubert has put before us breaks
18 down the forecasting period into what I assumed was
19 four (4) time frames, but I only want to focus on the
20 first two (2) with you.

21 Are you comfortable with that, sir?

22 MR. KEVIN GAWNE: Yes.

23 MR. BOB PETERS: And the first two
24 (2), one of them is called the near term, which is the
25 zero (0) to sixty (16) days of forecasting, correct?

1 MR. KEVIN GAWNE: Correct.

2 MR. BOB PETERS: And that's the solid
3 blue line. And we see a -- a vertical line that's
4 labeled now, so let's pretend that's where we are.

5 And so going forward from now, for the
6 next sixteen (16) days, there is a solid blue line
7 that exists, correct?

8 MR. KEVIN GAWNE: Yes, that's correct.
9 And just, by the way, this is a schematic. This is
10 not actual, it's just for illustration purposes.

11 MR. BOB PETERS: Oh, I know if the
12 engineers got a hold of it, it would be a lot more
13 lines, but let's -- let's just stick with the few that
14 we have.

15 That blue line is based on computer
16 modeling of actual measurement results. Is that --
17 have I got that right?

18 MR. KEVIN GAWNE: It's -- yes, but not
19 all of it. It's based on computer modeling results
20 that account for actuals that have occurred up to time
21 now, essentially, the conditions in the basin that --
22 soil moisture and these sorts of things are modeled
23 based on information that was collected in history.

24 And then for the sixteen (16) days of
25 that solid line, that is -- it's called a

1 deterministic forecast, but it's based on short term
2 climate and -- global and regional climate modeling.

3 MR. BOB PETERS: And Mr. Gawne, that
4 solid red line for the -- for the next sixteen (16)
5 days that we're talking about, this first zero (0) to
6 seventeen (17) days, that reflects the statistical
7 method of regression analysis, again, of past actual
8 flows. Is that your understanding?

9 MR. KEVIN GAWNE: That's correct.

10 MR. BOB PETERS: And the purpose is to
11 result in a single flow projection?

12 MR. KEVIN GAWNE: No, the -- the
13 purpose here is to generate a series or a -- of -- of
14 forty (40) different flow cases. And, sorry, that's -
15 - there's not forty (40) lines here, but eventually
16 you want to have forty (40) different traces of flows
17 over which you can plan the operation, as I was
18 explaining.

19 So, instead of four (4), we want --
20 we're using forty (40) different cases. And the
21 reason why there's a statistic trace there is --
22 the reason why there is a statistical trace for that
23 red line that you see, the solid red line leading up
24 to sixteen (16) days is to have enough history to go
25 back in time to have at least four (4) years of

1 record.

2 The most recent thirty (30) years is
3 informed by this physical based hydrologic modelling
4 so. We're -- we are still using the statistical
5 method for the early ten (10) years of that forty (40)
6 year series to construct a flow scenario.

7 If you can -- maybe it will help the
8 Board. I realize this is quite a complex chart but
9 I'll try. There's one. This is just for, say, one
10 little -- one tributary on our system, say it's a
11 river in -- in the Winnipeg River Basin, where we have
12 our new hydrologic modelling set up to do physical-
13 based in-flow forecasting.

14 So, we have this trace of flows for
15 that solid blue sixteen (16) days and those expand out
16 into multiple different flow scenarios, based on all
17 the different historical climate conditions that have
18 occurred, and we create this individual chart of flows
19 that could occur for that tributary, however, we only
20 have 30 days -- 30 years, pardon me, of historic
21 climate data to drive those models.

22 So, we also have this red line, which
23 is based on the traditional regression based flow
24 forecasting that we've explained to this Board before,
25 and that's used to constr -- to create additional flow

1 scenarios, and you can see that -- that -- let's look
2 at the top trace, at the top of this whole thing.
3 You've got one red line that's broken, and that's the
4 extension of your statistical flow forecast, and,
5 then, it ties into what's called historic flows.

6 So, it -- it merges into that -- or it
7 blends into that green line -- green dashed line, but,
8 for that historic year we had enough data -- we had
9 the data in place, and we have the hydrologic
10 modelling. So, we're using that hydrologic modelling,
11 which is the blue broken line, to blend into historic
12 flows for that particular year. So, it's a flood
13 year.

14 So, actually, that high red broken line
15 doesn't get used in our -- in our planning. It gets
16 tossed, but, if you go to the bottom -- the bottom red
17 broken line, it's going along and it, eventually,
18 merges into that historic drought year. So, it
19 merges, kind of, before April 1st, 2023, into a broken
20 green line.

21 But, for that scenario, we don't have
22 the historic climate record to drive our hydrology
23 models. So, we actually don't have a physical-based
24 hydrologic model scenario run for that particular
25 case, so we're hanging on to the statistical driven

1 case, so that we have a full set of forty (40) years
2 to work with. There's a lot of information in that
3 chart.

4 MR. BOB PETERS: Thank you for your
5 review of that, Mr. Gawne. The point you made with
6 the Vice Chair was that the meteorological data that
7 is used for precipitation across your watershed, that
8 occurs in the first 16 days on this chart, does it
9 not?

10 MR. KEVIN GAWNE: Perhaps I'll clarify
11 that. So, the first sixteen (16) days, that solid
12 blue line, starting at time now, and those are the
13 models that the folks who are running back at the
14 office today, on Wednesday -- or providing that
15 information, those are based on the hydrologic models,
16 so, modelling that hydrologic cycle with the near-term
17 precipitation forecasts, and it's driving those
18 models.

19 And, then, beyond that 60 (sic) days,
20 things start to fan out, into different trades of
21 flows, and those are based on actual historic climate
22 data that's driving the hydrologic model. So, you can
23 imagine the -- the top blue line -- the top blue line
24 of the fan of blues that starts after sixteen (16)
25 days. How is that constructed? Well, our hydrologic

1 model is set up. It's got -- it's reflecting the
2 amount of soil moisture that's there. It's reflecting
3 the amount of snow that's on the ground, and, then, we
4 take that model and we say, okay, I want -- I want to
5 model forty (40) different years so I'm going to use
6 the climate data, the temperature and the
7 precipitation data from, say, 1992, and I'm going to
8 force that into my hydrology model.

9 So, I'm going to -- so, it's an input.
10 So, it rained this amount, put that into my hydrologic
11 model and that's how the -- the basin's going to
12 respond with that historic climate data.

13 So, it's not a historic flow record.
14 It's a flow projection, based on historic climate
15 drivers, measured precipi -- pardon me -- measured
16 precipitation back in the 1992 or whenever that was.
17 I hope that helps.

18 MR. BOB PETERS: It does and, thank
19 you, Mr. Gawne. The other issue that we took from
20 that Board Order was the Board wanted to understand
21 better the results of the 40 year flow records
22 compared to the 100 year flow records. Correct?

23 MR. KEVIN GAWNE: Correct.

24 MR. BOB PETERS: And, on page 45 of
25 Board counsels' book of documents, Manitoba Hydro has

1 plotted both the hundred (100) year and the forty (40)
2 year, correct?

3

4 (BRIEF PAUSE)

5

6 MR. KEVIN GAWNE: Yeah. Those are the
7 net extra-provincial revenues simulated for -- I
8 believe that's fiscal year '23/'24, if you scroll down
9 a little bit.

10 MR. BOB PETERS: It is. On Figure 3
11 at the top I think it'll tell you that.

12 MR. KEVIN GAWNE: Yeah. So fiscal
13 year '23/'24 simulated using either the forty (40)
14 year -- recent forty (40) year record or the hundred
15 and ten (110) long-term flow record.

16 MR. BOB PETERS: It uses both, right?
17 The forty (40) year is based on the blue and the
18 hundred (100) plus year is the green line.

19 MR. KEVIN GAWNE: Correct.

20 MR. BOB PETERS: Manitoba Hydro did
21 not do a retrospective analysis of which one is more
22 accurate, did it?

23

24 (BRIEF PAUSE)

25

1 MR. KEVIN GAWNE: I'm sorry, Mr.
2 Peters. Can you please restate the question?

3 MR. BOB PETERS: Just asking whether
4 or not Manitoba Hydro has done a retrospective
5 analysis to see which of those two (2) methodologies
6 resulted in a more accurate forecast.

7 MR. KEVIN GAWNE: For '23/'24 --

8 MR. BOB PETERS: Sorry.

9 MR. KEVIN GAWNE: -- so you're talking
10 about during the '21 drought?

11 MR. BOB PETERS: No. Let me -- let's
12 not have regard to the year at the top of the page.

13 MR. KEVIN GAWNE: So in general?

14 MR. BOB PETERS: Pardon me?

15 MR. KEVIN GAWNE: In general, what's --

16 MR. BOB PETERS: Yeah.

17 MR. KEVIN GAWNE: -- more accurate?

18 MR. BOB PETERS: In general, which is
19 more accurate, the hundred (100) year or the forty
20 (40) year?

21

22 (BRIEF PAUSE)

23

24 MR. KEVIN GAWNE: I think, Mr. Peters,
25 we -- we did address this question in PUB-159 -- 1-59.

1 We -- we did review with the Public Utility -- Utility
2 (sic) Board's independent expert consultant the issue
3 of the forty (40) year versus the hundred (100) year
4 and -- and, you know, how much it would make a
5 difference on the -- like the sensitivity of our net
6 export revenue projection and -- and the reasons why
7 we are using forty (40) year record versus a hundred
8 and ten (110) or a hundred (100) plus.

9 And I don't have Daymark's words in
10 front of me here but, you know, the assessment was it
11 was appropriate. Dr. Roy also reviewed that practice,
12 I believe, in a section of 5.4.

13 So whether it was a formal
14 retrospective analysis, I think I'll have to lean on
15 what we had responded to or how we --

16 MR. BOB PETERS: All right. Well,
17 let's -- let's turn, Mr. Gawne, to page 46 of Board
18 counsels' book of documents.

19 The -- the right-hand side of this
20 page, which was -- was forecasting total hydraulic
21 generation, the dark blue bar in the 2021/'22 time
22 frame, that was based on a forty (40) year flow
23 record, correct?

24

25

(BRIEF PAUSE)

1 MR. KEVIN GAWNE: Yes. So that range
2 was based on the forty (40) year record.

3 MR. BOB PETERS: And the -- the chart
4 was suggesting that Manitoba Hydro's total hydraulic
5 generation would come in somewhere between 28 and 40
6 terawatt hours using the lighter shaded pink, if I
7 may, rectangular box, somewhere between 28 and 40
8 terawatt hours?

9 MR. KEVIN GAWNE: That's correct.

10 MR. BOB PETERS: And that was using
11 the forty (40) year flow record?

12 MR. KEVIN GAWNE: It was -- yes, it
13 was using the approach where we transitioned to forty
14 (40) year flow record, yeah.

15 MR. BOB PETERS: And Manitoba Hydro
16 got it wrong on this chart, page 46?

17 MR. KEVIN GAWNE: In what way did we -
18 - sorry -- we got it wrong is in our hydro generation
19 came in...

20 MR. BOB PETERS: Came in about 1.5
21 terawatt hours lower than the lowest range derived
22 from the forty (40) year forecast?

23 MR. KEVIN GAWNE: One (1) second.

24

25 (BRIEF PAUSE)

1 MR. KEVIN GAWNE: I'm going to ask Ms.
2 Schubert to pull up our direct evidence presentation,
3 please.

4

5 (BRIEF PAUSE)

6

7 MR. KEVIN GAWNE: Slide 16, please.
8 So I think this is where we're -- the area we're
9 talking about, just shown in a different view. If --
10 if we're looking at fiscal year 20...

11 MR. BOB PETERS: '21/'22 would be the
12 year I was talking to you about.

13 MR. KEVIN GAWNE: ...'21/'22 -- yeah.
14 Actually, this doesn't help us because the range
15 estimate that was prepared in your book of documents
16 was using a forecast that was produced earlier than
17 these ones shown. My apologies. So --

18 MR. BOB PETERS: All right. Mr. --

19 MR. KEVIN GAWNE: -- so the range --
20 the range of outflows -- or the hydrologic record that
21 was used to produce that range resulted in a minimum
22 of about twenty (20) -- yeah, 28 terawatt hours, and
23 our actual production, if I remember correctly, was
24 twenty-six point six (26.6) -- twenty-six point five
25 (26.5) or twenty-six point six (26.6).

1 MR. BOB PETERS: So the forty (40)
2 year flow record results didn't capture what was
3 actually happening?

4 MR. KEVIN GAWNE: The range estimate
5 we provided didn't capture -- there's other factors to
6 consider beyond hydrology, Mr. Peters.

7 And as I was explaining yesterday in
8 talking about the severity of that drought, had we
9 even used the hundred and ten (110) record, we
10 wouldn't have had, you know, the precipitation
11 conditions that existed in 1894 or '97 or whenever
12 that was that were experienced ultimately in 2021 in
13 the Winnipeg River.

14 So the range estimate that we show
15 here, the hydrology that ultimately occurred was
16 different than the hydrology used here, but there's
17 other factors like outages to generation and ice
18 restrictions affecting hydro -- hydro generation
19 through the winter of 2021/'22 that ultimately results
20 in the annual hydroelectric generation on the system.

21 MR. BOB PETERS: Mr. Gawne, Manitoba
22 Hydro hasn't done a retrospective analysis, I take it,
23 and the IR you referenced doesn't indicate to me what
24 the result would be. But Manitoba Hydro doesn't want
25 to do that retrospective.

1 Would that be fair?

2 MR. KEVIN GAWNE: I -- I think I can
3 tell you right now that if we had used the full
4 hundred and ten (110) flow year record to prepare the
5 range estimate that's shown here, the -- the bottom
6 end of that light shaded red box would be lower. I
7 don't need to do a retrospective. We -- you know, we
8 don't need to do a retrospective to determine that.

9 But what we did do was a retrospective
10 of our operations through '21 and looking at, well,
11 had we not gone with -- had we not employed our
12 physical based inflow forecasting and the approach of
13 using these multiple flow scenarios in assisting our
14 decision-making through that period, instead gone back
15 to the previous approach of using the long-term flow
16 record purely and the regression-based flow
17 forecasting approach to design our critical drought,
18 our operations would not have been any better and we
19 would not have been restricting flows earlier.

20 So, you know, trying to test and -- and
21 do a postmortem on our operations, the use of the
22 forty (40) year record through our operating horizon
23 was superior to the previous methods of using purely
24 regression-based flow forecasting.

25 MR. BOB PETERS: Yeah, Mr. Gawne,

1 regardless -- and I'm not criticizing the operations
2 and what -- or what was or wasn't done, but isn't the
3 objective to get the best forecast possible, and that
4 would be of your net export revenues that you -- your
5 -- your group is responsible for?

6 MR. KEVIN GAWNE: Yes, the objective
7 would be to get -- of our net export revenue
8 projections, certainly we're wanting to provide
9 accurate forecasts to the extent we can with the
10 information that we have in front of us.

11 And I think we went through this at
12 great length in the 2021 interim rate application why
13 use of the forty (40) year record is superior to the
14 long-term record. We're able to reflect the storage
15 conditions in the Winnipeg River basin because it's a
16 higher resolution data set.

17 We're able to use this physical-based
18 inflow forecasting to prime the system, if you will,
19 or reflect the basin conditions.

20 So, having that higher resolution
21 shorter record allows us to better operate. And --
22 and in our analysis that's summarized in -- in
23 appendix 5.4 and subsequently reviewed by both Dr. Roy
24 and Daymark, that the use of the forty (40) record
25 provides a suitable range for the purposes of

1 budgeting and is -- the benefits that it provides in
2 our ability to account for water in the Winnipeg River
3 basin, you know, justify its use over the full long-
4 term record.

5 And there's other reasons, stationarity
6 or the climate change effects and the like, and that's
7 reviewed quite extensively by Dr. Roy -- Roy.

8 And ultimately, we are providing an
9 average -- we're not using average flows. We provide
10 to our financial teams the average revenues and
11 average costs of that net export revenue equation that
12 we showed on yesterday based on a range of flow
13 conditions.

14 And I think the delta between the two
15 (2) cases -- we had it up here on the distribution --
16 is in the order of 10 or \$15 million on a -- on a year
17 where we're producing power with revenues of the 2 to
18 \$3 billion range.

19 I'm not saying \$16 million isn't
20 significant but, sir, I would -- I would maintain that
21 there is a lot of other factors that play into our
22 long-term financial forecasts. And I think the -- the
23 benefits that using that shorter record provide
24 outweigh the -- the costs of a slightly different
25 projection depending on which record we're using.

1 MR. BOB PETERS: Does that forty (40)
2 year record --

3 MR. HAL TURNER: Mr. Peters, sorry, if
4 I -- if I could just add. Ms. Schubert, could you
5 bring up DEA number 2, please, and turn to page 20 and
6 21.

7

8 (BRIEF PAUSE)

9

10 MR. HAL TURNER: Thank you. So,
11 Daymark was involved in extensive discussions with
12 Manitoba Hydro staff. And they've done a great job on
13 pages 20 and 21 speaking to the forty (40) year flow
14 record versus the hundred and ten (110) year flow
15 record.

16 I'm not going to read it all now, but
17 if we could go to page 21. And if we go down to the
18 last paragraph, I'm just going to repeat what they
19 said. So:

20 "We find that the Manitoba Hydro's
21 justification for this change is
22 satisfactory. There are significant
23 benefits to the spacial and temporal
24 data granularity in the forty (40)
25 record and as discussed above."

1 And that above is the two (2) pages.
2 So, there's an excellent summary of the benefits of
3 this model on these two (2) pages that would help the
4 Board. Thank you.

5 MR. BOB PETERS: Mr. Gawne, is that
6 forty (40) year flow record going to grow year by
7 year; it's going to rolling forward?

8

9 (BRIEF PAUSE)

10

11 MR. KEVIN GAWNE: I'll have the team
12 behind me help out with the reference, but we haven't
13 made that determination, Mr. Peters. I think, as time
14 progresses and we can hang on to this higher
15 resolution data that I talked about that can feed our
16 hydrologic models, we may extend the horizon.

17 It's kind of a function of a number of
18 factors, computational power and all these things, so
19 we -- we'll continue to look at that. And -- and
20 we've committed to -- or explained, sorry, in tab 5 of
21 our application an initiative underway right now
22 called the Corporate Flow Record Improvement
23 Initiative, CFRI, where we are looking at their
24 historic record and the suitability and duration
25 appropriate for operations.

1 What I do want to add here though is,
2 although we're using that forty (40) record for our
3 operations planning and for our budgeting, we haven't
4 -- we're not ignoring our most severe drought, so our
5 -- our reliability planning and our long-term system
6 planning.

7 Our long-term system planning is still
8 recognizing the full record of hydrology. So, the
9 '40/'41 critical drought year is still a part of our
10 long-term planning and our reliability operations.

11 MR. BOB PETERS: In the relative few
12 minutes I have before we have a morning recess I want
13 to turn, please, to page 54 of the book of documents.
14 Mr. Karanwal, this might be something for you to
15 discuss with me.

16 On page 54, at the bottom of the chart
17 on the 2023/'24 test year and the '24/'25 test year,
18 it suggests to this Board -- if we can just see it a
19 little bit more, the surplus -- system surplus line.
20 I'll ask Ms. Schubert to try to bring that... Yes.
21 Thank you.

22 We see 164 megawatts in the '23/'24
23 test year, Mr. Karanwal?

24 MR. NIKHIL KARANWAL: That's right.

25 MR. BOB PETERS: And 153 in the next

1 text year, '24/'25?

2 MR. NIKHIL KARANWAL: That's right.

3 MR. BOB PETERS: You said yesterday
4 you're out trying to sell that?

5 MR. NIKHIL KARANWAL: We're in
6 discussion; that's right.

7 MR. BOB PETERS: You haven't sold it?

8 MR. NIKHIL KARANWAL: We are in
9 discussion yet.

10 MR. BOB PETERS: And you know that the
11 financial forecast before this Board assumes you're
12 going to get exactly zero dollars for that capacity?

13

14 (BRIEF PAUSE)

15

16 MR. NIKHIL KARANWAL: So, Mr. Peters,
17 if you look at it, and this is the winter peak
18 capacity we're talking about, and it's a very tense
19 river. And what we're looking is to find an
20 opportunity for a similar capacity instead.

21 MR. BOB PETERS: All right. So,
22 you're telling the Board that the 164 for the 2023
23 year is restricted to winter capacity, and you think
24 that's too small to go out and sell?

25

1 (BRIEF PAUSE)

2

3 MR. NIKHIL KARANWAL: I think Ms.
4 Sanclemente will provide some more clarity on that.
5 Thank you.

6 MS. CHERYL SANCLEMENTE: Okay. So,
7 the 2023/'24 year, there -- the -- we -- there's no
8 ability to market that energy -- or sorry, that --
9 that capacity, and the reason why is because the
10 markets are already closed. We would have had to have
11 had that committed before the end of 2022.

12 MR. BOB PETERS: All right. What
13 about the -- the next test year, Ms. Sanclemente, the
14 '24/'25?

15 MS. CHERYL SANCLEMENTE: That -- I
16 mean, that amounts a sliver of capacity available.
17 And -- and there's a fair amount of uncertainty in
18 Manitoba load for that time period.

19 MR. BOB PETERS: So I'm interpreting,
20 from that answer, that neither you nor Mr. Karanwal
21 are out there trying to sell that winter capacity
22 because it's too small.

23 MS. CHERYL SANCLEMENTE: It's -- it's
24 quite small. We are always in conversations with our
25 counter parties and -- and if we see an opportunity

1 and it does -- we're willing to take that risk. We
2 certainly will look at it.

3 But -- but that is a very small portion
4 of capacity. And -- and Manitoba load can change
5 significantly in that time frame. So we -- we need to
6 be careful to protect Manitobans that we -- to make
7 sure that we can serve the load of Manitobans first.

8 MR. BOB PETERS: So you're holding it
9 back for -- for reserve purposes?

10 MS. CHERYL SANCLEMENTE: We're still
11 looking at opportunities, but for the most part, it is
12 a very small amount. And Manitoba load can change, so
13 we -- we have to consider that in our assessment.

14

15 (BRIEF PAUSE)

16

17 MR. BOB PETERS: Ms. Sanclemente,
18 on page 51 of the Board counsel book of documents, we
19 see that Manitoba Hydro has capacity sales, including
20 to Basin Electric, that are under -- that are small in
21 volume and that -- those contracts could be met out of
22 the surplus that's available in the forward test year.

23 MS. CHERYL SANCLEMENTE: Yes, it's --
24 it's definitely an opportunity. I'm not saying that
25 we wouldn't pursue smaller capacity sales. But we do

1 have to -- in -- when we took these positions, we --
2 it was a different scenario. We -- we felt we could
3 protect Manitoba load or have enough for Manitoba load
4 on our system.

5 Now, as we go forward with these
6 commitments in place, we're looking at whether we
7 should take on more in that time frame.

8 MR. NIKHIL KARANWAL: Mr. Peters, I
9 could build up a little bit on that.

10 The question really comes in and we
11 have limited capacity left in the wintertime. How
12 much risk are we willing to take and how much we want
13 to push it.

14 MR. BOB PETERS: Mr. Karanwal, on page
15 61 of Board counsels' book of documents, you're
16 actually quoted in a news article. So
17 congratulations. You're the only one of the panel, I
18 think, that is. You were quoted in saying:

19 "Manitoba Hydro is here to help out
20 our friends in Minnesota."

21 Correct?

22 MR. NIKHIL KARANWAL: That's right.

23 MR. BOB PETERS: And in light of what
24 Ms. Sanclemente -- I'm sorry, in light of what Ms.
25 Sanclemente -- apologies -- told us, how are you going

1 to help Minnesota if you don't have any capacity that
2 you're -- you're able to sell?

3 MR. NIKHIL KARANWAL: So my remarks
4 regarding that is about summer capacity. Not
5 necessarily winter capacity, sir.

6 MR. BOB PETERS: All right. So just
7 for the -- for the record, on page 56 of our book of
8 documents, we see the summer capacities listed and
9 they are close to 500 megawatts. Although, I guess,
10 the first test year has already closed.

11 And so, you've got nothing for the
12 first 2023/24 test year, correct?

13 MR. NIKHIL KARANWAL: That's right.

14 MR. BOB PETERS: And so, now you're
15 looking at the 2024/25 test year, where you have
16 approximately 496 megawatts of summer capacity
17 available, correct?

18 MR. NIKHIL KARANWAL: That's right.

19 MR. BOB PETERS: And under the MISO
20 rules, summer capacity sales are -- are now permitted.
21 They don't have to be year round, correct?

22 MR. NIKHIL KARANWAL: That's right.
23 This is a construct. Yeah, that's right.

24 MR. BOB PETERS: My last topic, with
25 the Chair's indulgence, will be to turn to -- let's go

1 to page 65 of Board counsels' book of documents. And
2 this relates to solar energy prices. And I believe
3 this panel volunteered to speak to that; although, Ms.
4 Fernandes is giving me a look that might -- I might
5 have that incorrect.

6 MS. ODETTE FERNANDES: We'll let you
7 start and then I'll see how many times I hit the
8 button.

9 MR. BOB PETERS: Thank you.

10

11 CONTINUED BY MR. BOB PETERS:

12 MR. BOB PETERS: In addition to
13 Manitoba Hydro's imports from MISO, Manitoba Hydro
14 also buys domestically, correct?

15 MR. KEVIN GAWNE: Yes, we purchase the
16 surplus power off of (INDISCERNIBLE) energy resources
17 off -- sorry, behind the metre solar power.

18 MR. BOB PETERS: Ms. Schubert, if we
19 could go to Manitoba Hydro's slide presentation,
20 Exhibit 30, and slide 25 for just a minute. Something
21 came up.

22 In discussions with your president, I
23 had suggested that Manitoba Hydro imports electricity
24 almost daily. Was I wrong, Mr. Gawne or Ms.
25 Sanclemente?

1 MS. CHERYL SANCLEMENTE: I can answer
2 that. It -- it really depends on our water situation.
3 The tie lines are being used in one direction or the
4 other for sure, but it does depend on whether we're
5 importing on a daily basis --

6 MR. BOB PETERS: The importing is a
7 regular occurrence though?

8 MS. CHERYL SANCLEMENTE: Again, it
9 depends on the water situation.

10 MR. BOB PETERS: All right. And if
11 you import from MISO, you're getting whatever
12 generation mix is online in MISO when it ships the
13 electrons?

14 MS. CHERYL SANCLEMENTE: That's
15 correct.

16 MR. BOB PETERS: You don't stream
17 clean electrons versus dirty electrons?

18 MS. CHERYL SANCLEMENTE: There is no
19 mechanism to do that.

20 MR. BOB PETERS: All right. And this
21 chart shows us that 66 percent of MISO is thermal
22 based, correct?

23 MS. CHERYL SANCLEMENTE: Correct.

24 MR. BOB PETERS: And when we talk
25 about Manitoba energy, there are commercial wind farms

1 in Manitoba and there are also customers that are
2 putting on solar behind the metre, would that be
3 correct?

4 MR. KEVIN GAWNE: That's correct, Mr.
5 Peters.

6 MR. BOB PETERS: And Manitoba Hydro
7 used to have programs related to the installation of
8 solar panels, but now that's over at Efficiency
9 Manitoba. Also correct?

10

11 (BRIEF PAUSE)

12

13 MR. KEVIN GAWNE: Yeah, the programs
14 are run by Efficiency Manitoba.

15 MR. BOB PETERS: And is it correct
16 that it's Manitoba Hydro, not Efficiency Manitoba,
17 that sets the rate that is paid to customers for their
18 excess energy?

19 MR. KEVIN GAWNE: That's correct.

20 MR. BOB PETERS: And in the book of
21 documents, on page 65 -- Board counsels' book of
22 documents, Exhibit PUB-19-2 -- there is some
23 information that was provided in an Information
24 Request as to what those rates have been historically.

25 And if we can turn to page 66, Ms.

1 Schubert, we see that the current rate, at the bottom
2 of page 66, is that Manitoba Hydro's excess energy
3 price is six-point-five (6.5) cents -- oh, it's six-
4 point-five (6.5) cents per kilowatt hour. I'm sorry,
5 the decimal points --

6 MR. HAL TURNER: Mr. Peters, I'm
7 sorry. I'm just going to interject for a second.

8 I -- the market sets the price for the
9 excess energy. Not -- not -- Manitoba Hydro obviously
10 participates in the market, but if you think about
11 solar energy, you know, it's not a dispatchable
12 (phonetic) resource. It's there when the sun shines.

13 You know, in our climate, if we're in
14 spring, it's my -- you know, one of my favourite times
15 of year. I think we all -- you know, in March and
16 April, you can feel the heat of the sun. And you feel
17 that in July and August.

18 You don't feel the heat of the sun so
19 much in January and February, right, when we really
20 need that capacity net energy.

21 So it's a product that is -- the value
22 that we pay reflects the value that that product
23 reflects. And so, it's a market-based price.

24 We -- we generally take that excess
25 solar energy -- we get most of it when we have lots of

1 energy in the spring and the summer. And so, what
2 typically happens is that energy gets sold on the
3 export market as a opportunity sale. And so, the
4 price that we pay reflects that.

5 So I would -- I would suggest that the
6 market sets the price for the excess energy.

7 MR. BOB PETERS: Well, I'm not sure I
8 agree with you, Mr. Turner. And the reason I say that
9 is, on the sheet that's in front of you on the screen,
10 a solar customer will be selling their surplus energy
11 back to Manitoba Hydro for basically the next year at
12 six-point-five (6.5) cents a kilowatt hour, correct?

13 MR. HAL TURNER: That's correct. And
14 I believe --

15 MR. BOB PETERS: It's not based on the
16 forward part --

17 MR. HAL TURNER: I believe that -- I
18 believe that price is the average price from the
19 previous year.

20 MR. BOB PETERS: Okay. But it's a
21 historic view, not a forward view.

22 MR. HAL TURNER: Correct.

23 MR. BOB PETERS: All right.

24 MR. HAL TURNER: So the historic
25 market has set that price.

1 MR. BOB PETERS: All right.

2 MR. KEVIN GAWNE: If I could just --
3 sorry, if I could just add. So yes, Manitoba Hydro
4 doesn't calculate or doesn't clear the market. The
5 market clears as it does and the historic pricing is
6 the underlying information that forms this average.

7 Manitoba Hydro -- Manitoba Hydro's use
8 of this excess energy price is set based on the value
9 that that wind, or pardon me, that solar is pushing
10 back into our system. So, it's the -- it's the --
11 it's the process that Manitoba Hydro is setting. It's
12 not the actual price. That's a product of the
13 historic market clearing.

14 MR. BOB PETERS: You're saying, Mr.
15 Gawne, that Manitoba Hydro does the math with the
16 benefit of the rear view mirror.

17 MR. KEVIN GAWNE: Do the math and --
18 and we stand by the evaluation of what that product is
19 that's coming on to the -- our grid.

20 MR. BOB PETERS: And why doesn't
21 Manitoba Hydro use Manitoba Hydro's marginal cost of
22 generation?

23 MR. KEVIN GAWNE: That -- it's a --
24 it's a good question, Mr. Peters. There are some --
25 the -- Manitoba Hydro's marginal cost of generation

1 is, for one thing, it's a sensitive -- sensitive data
2 commercially sensitive information, so there's that
3 dimension to it.

4 Secondly, it's based on a forecast.
5 It's not to say that that's not a good forecast, but
6 it's based on forecasts. And whereas this approach
7 provides a, you know, information that's based
8 publicly available information that's reflective of
9 the value that that resource, or that type of
10 technology and -- is providing to the Manitoba Hydro
11 system.

12 MR. BOB PETERS: Manitoba Hydro could
13 also use the surplus energy program, Mr. Gawne, for
14 determining the price for their solar?

15 MR. KEVIN GAWNE: Are you suggesting
16 that surplus energy program be used because it's
17 reflective of -- of the short run marginal value of
18 energy? Is that where you're going, sir?

19 MR. BOB PETERS: Yes. It's a public
20 document, I believe.

21 MR. KEVIN GAWNE: It is a public
22 document, yes. That -- and it's also, you know, a
23 product of water conditions in Manitoba. It's a
24 product of the various things that go into the
25 determination of what that surplus energy price is.

1 And -- subject to check, I believe that
2 surplus energy price does include a component of --
3 distribution, pardon me, so that -- that's where
4 things might kind of fall apart a bit, as far as
5 connecting the -- the dots with -- with solar surplus
6 putting -- put onto our grid versus what the surplus
7 energy program is.

8 And -- like, just in summary the -- the
9 surplus -- or the excess energy price that Manitoba
10 Hydro pays for this energy that's being put on our
11 system is reflective of the value that that
12 electricity provides to Manitoba Hydro, and therefore,
13 all our customers.

14 It's set with -- that's the
15 foundational principle is -- what -- what is this
16 product, what's the features of this product that
17 we're taking on to our system and what is its value
18 and we will, you know, pay for that product
19 appropriately according to its value.

20 MR. BOB PETERS: I think we agree, Mr.
21 Gawne, that it just -- it's a lagging indicator is
22 what Manitoba Hydro would be using. Correct?

23 MR. KEVIN GAWNE: Yes, that's correct,
24 sir.

25 MR. BOB PETERS: And what we see on

1 page 71 of Board counsels' Book of Documents, is that
2 Manitoba Hydro's price that it's currently offering is
3 in -- in excess of the energy charge.

4 For example, charge to -- to some
5 general service customers that aren't paying the
6 distribution. We see the balance of kilowatt hours at
7 4.4593 cents a kilowatt hour.

8 And Manitoba Hydro will be paying
9 customers in excess of that amount. Correct?

10 MR. KEVIN GAWNE: I see those numbers
11 and, yes, according to the pricing --

12 MR. BOB PETERS: All right. Mr.
13 Chair, I've run up against my time and I do want to
14 thank Manitoba Hydro's witness panels for their
15 responses. Those conclude my questions of them.

16 I also would like to thank my friends
17 across at the Assembly of Manitoba Chiefs for allowing
18 me to tread a little bit this morning longer. I hope
19 it hasn't too much interfered with theirs and I'll
20 leave it to Ms. Fox and Ms. Guglielmin after the break
21 to -- to deal with that. Thank you.

22 THE CHAIRPERSON: Okay. Thank you.
23 We'll -- we'll adjourn until 11:00 a.m. and then --
24 Ms. Fox, will you be doing the cross -- Ms. Guglielmin
25 will be doing the cross. Okay.

1 The only thing I would ask is consider
2 where you would want a break for lunch, because I
3 think you're going to be going over the -- sort of,
4 over one (1) hour. So, just think in terms of your --
5 of your cross, because I don't want to -- to upset it.
6 So you may want to pick a natural point.

7 So, anyways, we'll adjourn until 11:00.
8 Thank you.

9

10 --- Upon recessing at 10:50 a.m.

11 --- Upon resuming at 11:06 a.m.

12

13 THE CHAIRPERSON: Thank you. Ms.
14 Guglielmin, please start.

15

16 CROSS-EXAMINATION BY MS. EMILY GUGLIELMIN:

17 MS. EMILY GUGLIELMIN: Hello. My name
18 is Emily Guglielmin, and I'm here with my colleague
19 Carly Fox, and together we represent the Assembly of
20 Manitoba Chiefs. I'll be asking all the questions
21 during this panel.

22 My questions are for anyone on the
23 panel. I'm not directing them to anyone in
24 particular. And I also want to note that I will be
25 asking high-level questions about export markets and

1 export forecasts, but I'm not intending to ask any
2 questions that would result in Manitoba Hydro
3 divulging commercially-sensitive information.

4 I'm going to start off with some high-
5 level questions. Do you agree that Manitoba Hydro's
6 export activities play a material role in determining
7 rate increases both in this Application and through
8 the forecast horizon?

9 MR. KEVIN GAWNE: Agreed.

10 MS. EMILY GUGLIELMIN: And I think I
11 heard Mr. Turner say yesterday that, in most years,
12 Manitoba Hydro customers have excess electricity
13 available that can take advantage of market prices.

14 Is that correct?

15 MR. HAL TURNER: Correct. Manitoba
16 Hydro has excess electricity, not necessarily our
17 customers.

18 MS. EMILY GUGLIELMIN: And can you
19 confirm that this means that Manitoba Hydro's assets
20 are currently overbuilt for domestic consumption?

21 MR. HAL TURNER: I -- I can't confirm
22 that. This is probably a question better for Mr.
23 Gawne, but I'll give it a shot.

24 As I spoke about in my opening remarks,
25 we need to be able to provide electricity to our

1 customers under all weather conditions. So our system
2 is designed for those abnormal conditions such as a
3 drought or a winter polar vortex.

4 So I would suggest it's not overbuilt.
5 It's built appropriately for the constraints that we
6 need to operate under. When we don't have those
7 abnormal weather conditions, there is excess energy
8 available.

9 MS. EMILY GUGLIELMIN: That would be
10 during average flow conditions?

11 MR. HAL TURNER: During all flow
12 conditions better than abnormal.

13 MR. KEVIN GAWNE: If I could just add
14 to Mr. Turner's response. It's not only the water
15 supply conditions, but it's -- it's at time of peak
16 load. So, we have to worry about capacity as well.

17 MS. EMILY GUGLIELMIN: Do you agree,
18 if Manitoba Hydro's assets are undervalued in
19 neighbouring markets, it would shift a greater
20 percentage of costs to Manitoba Hydro's total asset
21 base, and then that would be shifted to Manitoba Hydro
22 ratepayers?

23 MR. KEVIN GAWNE: I wouldn't frame it
24 that way. I think it would result in a lower amount
25 of export revenues to subsidize or to the benefit of

1 domestic customers. So the customers' embedded costs
2 would -- would have to be -- more of those embedded
3 costs would have to be covered by our domestic
4 customers because we would have less export revenue
5 coming in to help pay for those costs.

6 MR. NIKHIL KARANWAL: If -- if I may
7 add, the export revenue that brings in actually
8 subsidizes the rates for Manitobans by over 20
9 percent.

10 MS. EMILY GUGLIELMIN: And reducing
11 the costs to ratepayers through export revenues, do
12 you agree that would have a significant impact for
13 vulnerable ratepayers that struggle to pay their
14 bills?

15 MR. HAL TURNER: I'm sorry. Would you
16 mind repeating that? Mr. Gawne and I were discussing
17 something and I missed the beginning. I apologize.

18 MS. EMILY GUGLIELMIN: Do you -- do
19 you agree that reducing the costs to ratepayers
20 through export revenues will have a significant impact
21 for vulnerable ratepayers that struggle to pay their
22 bills?

23 MR. HAL TURNER: I think it would
24 impact all of our customers.

25 MS. EMILY GUGLIELMIN: I'd like to

1 turn to Exhibit AMC-2-10, and down to the response.

2 So to summarize, this Information
3 Request indicates that Manitoba Hydro conducted a
4 current state analysis of existing export contracts to
5 identify revenue optimization. And Manitoba Hydro
6 concluded that these contracts continue to provide
7 value and do not need to be further optimized.

8 Is that correct?

9 MR. NIKHIL KARANWAL: That's right.
10 So we conducted a -- we conducted a study, and what we
11 found is that our top six (6) or seven (7) of these
12 contracts are above market price, and they continue to
13 provide value for Manitobans.

14 MS. EMILY GUGLIELMIN: I did hear you
15 say earlier this morning net export revenue is the
16 starting point for all flow conditions, and then it's
17 adjusted for other priorities.

18 So when we talk about revenue
19 optimization, are we talking about extracting the most
20 possible value from Manitoba Hydro's assets in
21 neighbouring wholesale markets and then adjusted for
22 those other priorities?

23 MR. KEVIN GAWNE: I'm sorry. I think
24 you might have to break that question down for me a
25 little bit.

1 MS. EMILY GUGLIELMIN: I'm just getting
2 at what is revenue optimization. When we're talking
3 about optimizing export contracts, are we talking
4 about extracting the most possible value from Manitoba
5 Hydro's assets in neighbouring wholesale markets, and
6 then understanding that there's other priorities along
7 with that?

8

9

(BRIEF PAUSE)

10

11

MR. KEVIN GAWNE: Hopefully this
12 answers your question, but we're trying to optimize
13 the -- optimize the value of our system which
14 ultimately may result in export revenues, and those
15 export revenues benefiting our customers and our
16 domestic customers.

17

So, as I introduced in our original
18 slides and our direct evidence, we -- we look at
19 things from the system perspective, and being a hydro
20 system, those neighbouring markets are a very large
21 part of how we balance supply and demand.

22

So we're -- we're trying to optimize
23 how we operate in the operating time frame to -- to
24 achieve as much and best net export revenue as
25 possible to subsidize our domestic customers,

1 essentially.

2 And when it comes to the long-term
3 contracts, those contracts are evaluated using, again,
4 those same long system analysis that considers those
5 other priorities of reliability and energy security
6 and adheres to those constraints.

7 And if there's a contract that shows
8 value, then those contracts would be considered
9 economic and -- and benefit our overall finances and
10 ultimately lower our projected revenue requirements
11 coming from domestic rates.

12 MS. EMILY GUGLIELMIN: And has
13 Manitoba Hydro ever engaged a third party to review
14 its optimization of export activities?

15

16 (BRIEF PAUSE)

17

18 MR. KEVIN GAWNE: Well, firstly, it
19 was a lot of work, but it was a -- a good engagement
20 with Daymark Energy Advisors. We didn't engage with
21 them, but they did review our operations and planning
22 and the tools we use. So that would be the most
23 recent review, I think.

24 And I'm -- I'm certain there's a
25 number, and I'm not remembering them all, but

1 definitely in 2010 there was a -- what I would call a
2 mega-hearing -- I believe it was 2010, and I'll be
3 corrected if I'm wrong -- where we had Manitoba Hydro
4 engage with KPMG to review our operations.

5 I think prior to that -- or an
6 optimization in exports. Prior to that, ICF was
7 engaged to review our risk practices, I believe.

8 And outside of those two (2) reviews of
9 our optimization and export activities, there was
10 other consultants engaged by the Public Utilities
11 Board. Their independent expert consultant was a
12 couple of fellows by the name of Kubursi and Magee.

13 In 2010, they reviewed our operations,
14 and it involved again them coming into our shop and us
15 showing them all these models and reports and what we
16 do, and they produced a report for the Public
17 Utilities Board at that time.

18 MS. EMILY GUGLIELMIN: So for this
19 hearing, Daymark was the only third party that
20 reviewed it.

21 Would you agree that they did not
22 perform a systemic review of how Manitoba Hydro is
23 managing all of its assets in relation to export
24 markets?

25

1 (BRIEF PAUSE)

2

3 MR. HAL TURNER: Can you expand on
4 what you mean by that systemic analysis, please?

5 MS. EMILY GUGLIELMIN: Yes. What I'm
6 getting at is that -- was it a fully in-depth and
7 systemic review of export forecasting and how all of
8 Manitoba Hydro's assets are being managed in relation
9 to export markets?

10 MR. KEVIN GAWNE: Daymark Energy
11 Advisors's scope of work included twelve (12) items,
12 and among them was a -- in terms of the export price
13 forecast, I think the -- the given was that they're --
14 export price forecasts are -- are assumed to be a
15 given, and that wasn't tested.

16 However, they were asked to identify if
17 there's anything worthy of further investigation or
18 concern. I apologize, I forget the specific words.
19 And they didn't identify any concerns with our export
20 price forecast.

21 They did review in quite -- I would --
22 I would characterize as quite significant detail how
23 we go about forecasting net export revenues in the
24 process and the modelling work that goes into that as,
25 you know, this involved us sharing -- is it over

1 fifteen hundred (1,500) electronic files, and many of
2 those were data type files that go into ultimately
3 forming our financial forecast, so the export revenue
4 projections that go into that.

5 They did not -- they were not asked to
6 review our asset management, if that's where you're
7 going with your question, or anything like that. It
8 was more our operations and our forecasts of export
9 revenues.

10 MS. EMILY GUGLIELMIN: Thank you. I'd
11 like to turn to Exhibit AMC-2-1. Okay.

12

13 (BRIEF PAUSE)

14

15 MS. EMILY GUGLIELMIN: Go ahead.
16 Okay. Manitoba Hydro has indicated here that one (1)
17 area of risk identified as being a top risk in
18 previous risk reporting which has now potentially
19 declined in both impact and likelihood is the
20 potential for reduced excess to export markets.

21 Is that correct?

22

23 (BRIEF PAUSE)

24

25 MS. EMILY GUGLIELMIN: The bottom of

1 page 1, sorry.

2

3

(BRIEF PAUSE)

4

5 MS. EMILY GUGLIELMIN: Can you scroll
6 down, please.

7

8

(BRIEF PAUSE)

9

10 MR. HAL TURNER: So, I think I spoke
11 about it in my -- not I think. I know I spoke about
12 in my opening remarks how the economic regulatory and
13 political climate of the US is something that impacts
14 our price uncertainty.

15 And so, I think what we're saying here
16 is that the -- we're talking about access to the US
17 market and -- and a reduction in risk in that
18 political climate.

19 So, yes, we believe that -- that we --
20 the risk of not having access to that market is
21 reducing.

22 MS. EMILY GUGLIELMIN: So, is it fair
23 to say then that Manitoba Hydro's assessment is at
24 risk from export markets has actually declined
25 compared to Manitoba Hydro's assessments prior to this

1 application?

2 MR. HAL TURNER: I -- I think it's
3 fair to say that the -- that specific risk we were
4 speaking to about having access to the market is
5 declined. The overall risk I'm not sure we're saying
6 it would decline. There's many factors, many things
7 that we'd have to consider when we look at the overall
8 risk.

9 MR. KEVIN GAWNE: If I could add. I
10 think in our application we speak to the volume of
11 opportunity, energy where we do not have fixed price
12 contracts in place. So, that volume of opportunity is
13 going to continue into the future, and we don't have a
14 certainty on the price.

15 And -- and there is -- I think the view
16 of the evolving mix of resources that are in the
17 neighbouring systems is such that there is greater
18 downside price risk perhaps relative to previous
19 hearings and previous forecast just with that massive
20 build out of variable renewable resources.

21 MR. NIKHIL KARANWAL: If I could add
22 some more colour. I think, as you're not aware, the
23 Inflation Reduction Act that came last year, I think
24 that is really affecting the renewables which are
25 coming into the US.

1 And the business model that Manitoba
2 Hydro had over the last decade or two (2) decade, that
3 needs to be evolve because the market around us are
4 evolving.

5 And that presents a unique skill --
6 risk for us, as well, because we are not only the game
7 in the town that is renewable but to see an influx of
8 solar, wind, and other things coming in. Thank you.

9 MS. EMILY GUGLIELMIN: Thanks. I'll
10 turn now to Exhibit AMC-2-16. Just to the, yeah,
11 start of the response.

12 In this response, it's my understanding
13 that Manitoba Hydro's position is that internal
14 constraints on its system are limiting Manitoba
15 Hydro's ability to sign long-term export contracts.

16 Is that correct?

17

18 (BRIEF PAUSE)

19

20 MR. HAL TURNER: I'm not sure I would
21 characterize it as constraints on our system. I think
22 what we're -- we've talked about, and -- and, again, I
23 spoke to that yesterday in my opening remarks, is we
24 anticipate that we're going to more closely lead the
25 demand -- the change in demand in Manitoba.

1 So, we anticipate more frequent smaller
2 increment -- incremental additions to our system.

3 Now, in the past, we would -- we have
4 built large hydro. And that means we've had a
5 significant amount of time to grow into that load, and
6 we don't see that happening in the -- in the future.

7 So, it's more about how we see our
8 system evolving per se than constraints from the
9 existing system.

10 MS. EMILY GUGLIELMIN: So, the
11 constraint is supply, basically?

12 MR. HAL TURNER: Correct.

13 MS. EMILY GUGLIELMIN: And is it also
14 correct to say that Manitoba Hydro is not assuming any
15 form of medium or long-term export contracts for
16 energy once the current contracts expire?

17

18 (BRIEF PAUSE)

19

20 MR. KEVIN GAWNE: That's correct. Our
21 financial forecast scenario as part of this GRA
22 doesn't assume that there'll be contracts in place.
23 So, what we're showing in our financial projections
24 included in this application is contracts that are
25 signed.

1 If -- if we did have contracts in
2 place, or term sheets, those would be included in our
3 financial plan.

4 MS. EMILY GUGLIELMIN: So, beyond
5 2025, is Manitoba Hydro assumed to be selling all of
6 its excess energy on spot or day-ahead markets?

7

8 (BRIEF PAUSE)

9

10 MR. NIKHIL KARANWAL: So, as we had
11 discussed before that, because of system construct and
12 because the way that energy mix is evolving in the
13 MISO market, there might be a requirement for the new
14 type of products on the market, which is not very
15 clear at this point.

16 But we are frequently in touch with our
17 partners to see what that could evolve like. And if
18 there's an opportunity, we will try to grab it.

19 MR. HAL TURNER: Sorry, I'll just add
20 one (1) thing. I think the SPC contracts extend past
21 2025. I'm trying to look to Mr. Nikhil for a head
22 nod. The SaskPower sales. So, they are some
23 contracts that extend past 2025.

24 MS. EMILY GUGLIELMIN: Okay. And I
25 think this is basically what you were just speaking

1 to, which is that:

2 "The continued option of -- adoption
3 of zero marginal cost resources [so
4 that's largely wind and solar] in
5 the wholesale market will put
6 downward pressure on spot and day-
7 ahead energy prices in the future."

8 Is that correct?

9 MR. KEVIN GAWNE: Yes, that's correct.

10 MS. EMILY GUGLIELMIN: So, I would
11 turn to Exhibit AMC-6-4.

12

13 (BRIEF PAUSE)

14

15 MS. EMILY GUGLIELMIN: And -- oh, I
16 think it's the AMC-Daymark Information Request. There
17 we go, yeah.

18 So, in this response, to summarize,
19 Daymark highlighted the reality that while energy
20 prices are likely to decline, the value of capacity is
21 expected to increase.

22 Would you agree with that summary?

23

24 (BRIEF PAUSE)

25

1 MR. KEVIN GAWNE: I'm sorry, I'll have
2 to ask, too, that you state your question again,
3 sorry.

4 MS. EMILY GUGLIELMIN: My question is:
5 Basically, while energy prices are likely to decline,
6 the value of capacity prices are expected to increase.
7 Is that correct?

8

9

(BRIEF PAUSE)

10

11 MR. KEVIN GAWNE: Yeah, I -- I think --
12 -- I don't want to get into any sensitive information
13 about capacity price forecasts, but I think the -- the
14 view is that energy prices have downward pressure
15 because of those renewable energy resources coming
16 online.

17 So on a relative basis, it's --
18 capacity may be more valuable relative to the average
19 energy price, if that helps.

20 MS. EMILY GUGLIELMIN: Thank you. And
21 I think Mr. Peters discussed the short-term capacity
22 values.

23 But can you confirm that Manitoba Hydro
24 is including no capacity value in its longer term
25 future net export revenue forecast for this

1 application?

2 MR. KEVIN GAWNE: So, of course,
3 there's the capacity revenues that we're receiving now
4 and will be under our long-term contracts that are in
5 place right now. So there's -- there's significant
6 capacity revenue associated with those contracts.

7 But in terms of any surplus capacity, I
8 think Mr. Karanwal spoke of a sliver of capacity
9 available in the winter. There's no -- there's no
10 capacity revenue associated with -- with that -- with
11 that amount. I think we're talking in the range of
12 130 megawatts. There's no -- no capacity assigned to
13 that because there's no contracts.

14 MS. EMILY GUGLIELMIN: Okay. And for
15 the purposes of this application, is Manitoba Hydro
16 considering or estimating any form of revenue from
17 annual capacity auctions in either the MISO or Ontario
18 markets?

19 MR. KEVIN GAWNE: No.

20 MS. EMILY GUGLIELMIN: So I emailed
21 two (2) documents in advance of today. The first
22 document I'd like to bring up is the 2022 Annual
23 Planning Outlook for MISO, which, I believe will be
24 Exhibit AMC-7.

25 And I also indicated in advance that we

1 were just looking at page 44, which is PDF 45, I
2 believe, of this document. And -- sorry, just the
3 paragraph above the graph.

4 And essentially, what I'm looking at is
5 this outlook calls for the need for thousands of
6 megawatts of new capacity even if all current assets
7 remain in place. Do you agree with that summary?

8

9 (BRIEF PAUSE)

10

11 MS. CHERYL SANCLEMENTE: Yes, it
12 appears they're forecasting a summer deficit.

13 MS. EMILY GUGLIELMIN: So in summary,
14 would that mean that Ontario's likely facing capacity
15 deficits in the short to immediate term at least?

16 MS. CHERYL SANCLEMENTE: That --
17 that's correct. It's important to mention, if we're
18 going the direction of Manitoba selling into this
19 market or there's a capacity or an amount -- there's
20 an amount of energy or capacity that we can sell, the
21 Ontario market -- we -- we can only, from our side of
22 the province or from our province, can only sell a
23 total of 50 megawatts into this market.

24 But even with the 50 megawatt sale into
25 this markets, there is a number of, I guess,

1 uncertainties around transacting in this market from a
2 capacity standpoint.

3 MS. EMILY GUGLIELMIN: Thank you. The
4 second new document I provided was MISO's 2022/23
5 Planning Resource Auction Results. And that will be
6 Exhibit AMC-8.

7 And page 9 of that document, it shows
8 that the risk of load shedding is possible in zone 1,
9 which I understand to be the Minnesota zone.

10 Is that an accurate summary?

11

12 (BRIEF PAUSE)

13

14 MS. CHERYL SANCLEMENTE: Can you go to
15 page 6 of this document, please.

16 So on the right-hand side of -- of this
17 -- this page, you'll see a chart that shows zone 1
18 through 10. And you can see that, in zone 1, the dot
19 -- the green, which is committed capacity, is above
20 the line of capacity that needs to be met.

21 So what that means is there isn't a
22 deficit in zone 1. The actual deficit exists in zone
23 4. And -- and ultimately, some of the -- the other
24 zones will deliver or be committed to deliver into
25 zone 4 to -- to capture that deficit.

1 So ultimately, in zone 1, we are not --
2 that zone is not short capacity.

3 MS. EMILY GUGLIELMIN: Thank you for
4 the clarification. Could we turn to Exhibit PUB-17-8.

5

6 (BRIEF PAUSE)

7

8 MS. EMILY GUGLIELMIN: And so, here at
9 response 'A', Daymark concludes that the most recent
10 MISO load forecast does not anticipate that the
11 northern MISO annual peak will occur in the winter at
12 any point over the twenty (20) year forecast horizon.

13 Do you agree with Daymark's opinion?

14

15 (BRIEF PAUSE)

16

17 MR. KEVIN GAWNE: Maybe while Ms.
18 Sanclemente is -- is verifying, I could help. If we
19 could have Ms. Schubert pull up PUB-MH-1-48A. If we...

20

21 (BRIEF PAUSE)

22

23 MR. KEVIN GAWNE: So if you look at
24 this table here, There's a discussion. The question -
25 - the original question was about explaining -- I

1 believe it was related to details on higher winter
2 planning reserve margins in MISO and how that affects
3 Manitoba Hydro.

4 So all power systems are planned such
5 that they have enough capacity to meet firm load in
6 their system, plus a planning reserve margin. And
7 that's determined, as necessary, to reliably operate
8 the power system.

9 So MISO has gone and looked at their
10 system and their role as, kind of, overall looking at
11 the system of their balancing area and saying, We've
12 looked at the characteristics of our supply, and in
13 the winter, seven (7) of the last fifteen (15)
14 emergencies we've had on our system have occurred in
15 the winter. So we've got an issue here.

16 And part of it relates to the type of
17 generation that's in there and -- you know, I won't go
18 into the details. But there's been issues in winter
19 and -- and particularly in the MISO north -- north
20 regions.

21 So, having issues in the winter, we're
22 now going to a seasonal market. We're going to look
23 at how much planning reserve margin we require in each
24 season. And our analysis has indicated, they need a
25 41.2 percent planning reserve margin to be able to

1 reliably operate the system. So, that's 41.2 percent
2 times their system peak demand.

3 So, you don't usually just plan to have
4 enough capacity to meet the actual, you know, measured
5 metered electrical load at the customer level, you
6 need to have a certain amount of margin above that to
7 reliably operate.

8 So, that's the total capacity you need.
9 And, in this instance, you can see here, in the summer
10 2023, the analysis indicates they needed a hundred and
11 forty-three thousand (143,000) megawatts to reliably
12 operate through the summer.

13 And, in winter, projecting the need is
14 a hundred and forty-six thousand (146,000) megawatts,
15 to deal with these things that I spoke of where
16 they're having challenges in the winter.

17 So, in fact, looking at total demand on
18 the system, their winter capacity demand is higher now
19 than in the summer.

20 So, you know, we don't dispute with --
21 with the -- the statements that Daymark's indicated
22 that looking at the actual load, there's -- there's
23 still summer peaking.

24 But when you look at how do we reliably
25 operate the system and plan to have enough capacity to

1 be able to keep the -- literally, keep the lights on
2 through the winter. You need more margin and -- and
3 it's the -- it's the -- it's the total that you have
4 to look at when you have these discussions, I think.

5 MS. EMILY GUGLIELMIN: Thank you. But,
6 can you confirm that Manitoba Hydro will have surplus
7 capacity and energy in the summer months over the
8 forecast horizon?

9

10 (BRIEF PAUSE)

11

12 MR. KEVIN GAWNE: Do we have the
13 surplus summary capacity agreed, energy becomes a more
14 complicated question to answer.

15 So, if -- if we're looking at a -- at a
16 summary capacity sale, you have to understand it --
17 well, how much energy do we have -- do we need to have
18 in place to deliver on that capacity sale, 'cause
19 ultimately it's the -- it's the energy that's, you
20 know, running people's toasters.

21 So, we need to have that there as well
22 and -- and so if -- if Mr. Grenwal (phonetic) or -- or
23 Ms. Sanclemente come to our resource group and say,
24 you know, we have this summer sale we might be able to
25 do and we've -- showing that we have this hundreds of

1 megawatts, couple hundred megawatts of surplus
2 capacity for the summer.

3 Well, we'll look at that, but we'll
4 evaluate the -- the economics of that and our ability
5 to supply the energy that has to go with that capacity
6 sale, so it's -- you have to look at it from a system
7 perspective. I don't know, we should do a word count
8 on how many times I've said system, so far, but hope
9 that helps.

10 MS. EMILY GUGLIELMIN: And I guess
11 what I'm getting at, is there the opportunity over the
12 longer term forecast for Manitoba Hydro to enter into
13 some capacity sales to fulfill that summer demand in
14 the -- in the MISO region?

15 MR. KEVIN GAWNE: We're showing
16 there's surplus summer capacity that we should
17 continue to engage with our counterparts in the -- in
18 the MISO region and try and leverage the value of that
19 surplus, surplus to Manitoba needs.

20 MR. NIKHIL KARANWAL: And just to put
21 more clear on that. We are having discussions
22 regularly what can be done about that.

23 MS. EMILY GUGLIELMIN: Thank you. So,
24 move on now to Exhibit PUB-9-19. To the response.
25 Yeah.

1 And, basically, what I got from this
2 one, I think scroll down a little further.
3 Essentially what I'm looking for is -- it's my
4 understanding that Manitoba -- oh, there we go, right
5 there.

6 That Manitoba Hydro has concluded that
7 a seasonal capacity auction in MISO or Ontario is not
8 an alternative to firm sales. Is that correct?

9 MS. CHERYL SANCLEMENTE: Would you be
10 able to re-frame that question, please?

11 MS. EMILY GUGLIELMIN: M-hm. Well
12 basically what I -- what I'm wondering is has Manitoba
13 Hydro concluded that a seasonal capacity auction in
14 MISO or Ontario, is not an alternative to firm sales?

15

16 (BRIEF PAUSE)

17

18 MS. CHERYL SANCLEMENTE: There --
19 there's other factors and circumstances that we would
20 need to explore before we could come to that
21 conclusion unfortunately -- CSI. So we would have to
22 have that discussion on Friday.

23 MS. EMILY GUGLIELMIN: Okay. Thank
24 you. And, I think this wouldn't be CSI. It's just a
25 confirmation, but Manitoba Hydro has, for the purposes

1 of this application, assumed it would not sell
2 seasonal capacity for the purpose of forecasting.

3 MR. KEVIN GAWNE: That's correct.

4 Okay. Mr. Turner consulted me here, I -- I think we
5 haven't assumed capacity revenues associated with
6 those surpluses.

7 We're not saying that we will not try
8 and, you know, explore opportunities to -- to again
9 maximize value out of that system so.

10 MS. EMILY GUGLIELMIN: Okay.

11 MR. HAL TURNER: And -- and if I could
12 just add maybe, Ms. Schubert, if you could pull up
13 Daymark 2, page 38, but then scroll down just to the
14 last sentence there in the second last paragraph.

15 There's lots of uncertainty with these
16 seasonal capacity sales and so, and Daymark did a
17 great job summarizing it. Basically saying it's
18 impossible to form a monetary value for potential new
19 products for any participants, including Manitoba
20 Hydro.

21 So, we're not assuming that we won't
22 sell the product, it's just impossible to value the
23 product at this time.

24 MS. EMILY GUGLIELMIN: And I just
25 wanted to turn to Exhibit PUB-4-46A and at that -- the

1 bottom of page 3, oh, yeah, right there that -- yes.

2 So, in this response, Manitoba Hydro
3 discusses some challenges it sees with the summer
4 seasonal capacity markets. I think that's sort of
5 what you were getting at right? Yeah.

6 Can you confirm that MISO uses an
7 effective load carrying capability or ELCC when
8 determining the value of capacity by different
9 resource types?

10 MR. KEVIN GAWNE: Okay, I think we can
11 agree, in general, with that statement, but understand
12 that they're looking at their capacity market and --
13 and there's white papers coming out even a few weeks
14 back, so there is an evolution going on, I think, in
15 MISO's treatment of capacity.

16 MS. EMILY GUGLIELMIN: Okay. And ELCC
17 is in its simplest of form, the amount of capacity a
18 resource can provide when power is most needed.

19 Is that correct?

20 MR. KEVIN GAWNE: Yes, that's correct.
21 So, ELCC just effective load carrying capability just
22 so we're on the same page.

23 MS. EMILY GUGLIELMIN: Okay, so, as an
24 example a solar panel provides little or no out peak
25 during peak demand hours, so its ELCC would be low, is

1 that correct?

2

3

(BRIEF PAUSE)

4

5

MR. KEVIN GAWNE: My understanding is
6 MISO assumes, for new solar installations or new solar
7 projects, 50 percent of the installed capacity as --
8 as summer capacity value for those solar farms.

9

And then, after that, I think when
10 there's operating history, it's based on its
11 performance. That isn't to say, though, that that's
12 an ELCC study-based value.

13

I think, as we see higher volumes of
14 solar penetration, as with other renewables, as you
15 get more saturated in those types of resources, the
16 effect of load-carrying capability declines more and
17 more of that resource that you add on to your system.

18

MS. EMILY GUGLIELMIN: Thank you.
19 That was actually my next question.

20

MR. KEVIN GAWNE: Okay. Did I answer
21 it?

22

MS. EMILY GUGLIELMIN: Yeah. So --
23 so, I can skip ahead a bit, which is just to ask that,
24 since Manitoba Hydro has an asset that can provide its
25 full amount of stall -- installed capacity, during

1 peak demand hours, it has a relatively high ELCC.

2 Is that correct?

3

4 (BRIEF PAUSE)

5

6 MR. KEVIN GAWNE: So, I think the
7 question was: Is it a high value per our hydro units,
8 and, yes, it is.

9 MS. EMILY GUGLIELMIN: And do you
10 expect that to change materially from its current
11 level?

12 MR. KEVIN GAWNE: I -- I think, you
13 know, what affects the ELCC on a -- any generator is
14 its performance and how you study that performance.

15 So, if -- if it was such that you
16 performed a -- a study to determine what's -- or
17 update our effective load-carrying capability of our
18 hydro units, for example, and inform -- information
19 used in those studies are the forced outage statistics
20 of that generation and if our forced outage rates were
21 to go up, for instance, then, effectively, you know,
22 the load-car -- carrying capability of those resources
23 would decrease.

24 MS. EMILY GUGLIELMIN: Okay. But,
25 otherwise, it would?

1 MR. HAL TURNER: If -- if I may add, I
2 think, you know, we're making an assumption. We -- I
3 spoke about this yesterday. We're assuming that our
4 existing assets are going to continue to perform.

5 One of the key enablers of that is that
6 we're able to invest appropriately to deal with our
7 aging assets. So, if we don't invest enough, then the
8 ELCC could drop -- or their capacity -- the ability to
9 provide capacity when we need it most could drop. So,
10 it's very important that we continue to invest.

11 MS. EMILY GUGLIELMIN: Thank you. So,
12 would you agree that the combination of declining
13 ELCCs for solar resources, as more and more come on,
14 due to current tax incentives and, then, the status
15 quo ELCC for Manitoba Hydro's assets, if we assume
16 that performance will remain the same, do you agree
17 that, all else being equal, this will increase
18 Manitoba Hydro's capacity value in the future?

19

20 (BRIEF PAUSE)

21

22 MR. KEVIN GAWNE: I'm sorry. I think
23 we'll have to ask that you re-frame the question.

24 MS. EMILY GUGLIELMIN: Sure. I think
25 I can shorten it up. So, we just discussed the

1 likelihood that as solar resources come on, the ELCC
2 will decline. If all else remains the same, Manitoba
3 Hydro's ELCC should continue to remain relatively
4 high.

5 And so, what I'm asking is, all else
6 being equal, given these two (2) scenarios, do you
7 expect that Manitoba Hydro's capacity value will
8 increase in the future?

9 MR. KEVIN GAWNE: Okay. So, when
10 we're speaking of solar and the declining ELCC of
11 solar, we're talking about solar and the neighbouring
12 markets, correct?

13 MS. EMILY GUGLIELMIN: Yeah.

14 MR. KEVIN GAWNE: We're not talking
15 about solar --

16 MS. EMILY GUGLIELMIN: Yeah, sorry.

17 MR. KEVIN GAWNE: Okay. So I
18 understand.

19 MR. HAL TURNER: I just have a
20 clarifying question. You said the value of our
21 capacity will increa -- or our capacity value
22 increase.

23 So, are you talking about the amount of
24 capacity or what it's worth?

25 MS. EMILY GUGLIELMIN: What it's

1 worth.

2 MR. HAL TURNER: Okay. Thank you.

3 MR. KEVIN GAWNE: Okay. All else being
4 equal, if there's a higher demand for capacity in the
5 market because whatever the resource mix is and its
6 ability to produce capacity then, yes, the value of
7 capacity will increase.

8 But will the value of capacity,
9 increasing in the MISO market, for instance, affect
10 Manitoba Hydro? Well, that depends if we have
11 capacity to sell into that market. So, of course you
12 need a megawatt number to multiply it by a price.

13 And -- and if -- as we're showing in
14 our direct evidence, we have a need for capacity
15 potentially in the early 2030, so that's surplus
16 capacity. On an annual basis, it's not necessarily
17 there for use to sell.

18 MS. EMILY GUGLIELMIN: Okay. I wonder
19 if this is a good time to go for a break?

20 THE CHAIRPERSON: Certainly. Do you
21 know approximately how much more cross you have?

22 MS. EMILY GUGLIELMIN: Like -- I'm
23 hoping no more that fifteen (15) minutes.

24 THE CHAIRPERSON: Well, did you want
25 to finish it now?

1 MS. EMILY GUGLIELMIN: Sure.

2 THE CHAIRPERSON: And then we'll break
3 for lunch after you're finished.

4

5 CONTINUED BY MS. EMILY GUGLIELMIN:

6 MS. EMILY GUGLIELMIN: So, I'll turn
7 to Exhibit PUB-9-56. And I believe, yes, this is
8 information from Manitoba Hydro that it is expanding
9 the capacity of the Pointe du Bois Renewal Energy
10 Project.

11 Is that correct?

12

13 (BRIEF PAUSE)

14

15 MR. KEVIN GAWNE: So it -- yeah, the
16 pre -- the Pointe du Bois Renewable Energy Project, or
17 PREP, involves adding eight (8) units to that station,
18 which would increase the capacity, relative to where
19 it is today.

20 But I -- I would add that there's a lot
21 of units that are not in service there now, so it's
22 less of an increase relative to what the station was
23 putting out when all those units were available and
24 running.

25 MS. EMILY GUGLIELMIN: Is that project

1 being used explicitly to sell into neighbouring
2 markets to offset costs?

3

4

(BRIEF PAUSE)

5

6 MR. KEVIN GAWNE: So, we -- we operate
7 -- or Pointe du Bois and the PREP Project will be a
8 part of the overall system, right. So, it'll add to
9 the total, but it's not that the megawatts coming out
10 of Pointe du Boise are painted and sent to our
11 neighbours south, or west, or east.

12 So, it's a part of the integrated
13 system. The energy from that project, a portion of
14 that will be opportunity energy, so it'll be there in
15 decent water years, but not in drought. So, that
16 opportunity energy will go into that bucket of surplus
17 above Manitoba's needs and will be valued at the
18 export energy price.

19 And in the interim period while we have
20 this sliver of surplus before 2030, you know, we --
21 there'll be that marginal amount of extra capacity
22 available from Point du Bois.

23 I think there -- I -- maybe I could get
24 some help from the back, but there was an IR response
25 because the PREP project is in our base assumption.

1 It's in our base case existing -- existing system
2 capacity supply and demand analysis that was submitted
3 as MFR-43. But...

4

5

(BRIEF PAUSE)

6

7 MR. KEVIN GAWNE: Yeah, I -- I
8 apologize. I lost my train of thought. So, had --
9 had we not assumed that PREP would be part of our
10 supply system, the need date for new capacity would be
11 earlier. I think we would have been telling this
12 Board that we have deficits starting in 2027 -- in
13 2027. Then we get back into the black. And then I
14 think our need date would have been 2029 for capacity.

15

So, with the addition of the PREP
16 project, it's -- as a starting point, our -- our
17 potential need date for capacity is 2030.

18

MS. EMILY GUGLIELMIN: Oh, thank you.
19 To a different topic, Daymark has suggested that
20 Manitoba Hydro's using a conservative approach in its
21 export planning.

22

Do you agree with Daymark's suggestion?

23

24

(BRIEF PAUSE)

25

1 MR. KEVIN GAWNE: Can you -- can you
2 help us and just take us to that portion of the
3 report.

4 MS. EMILY GUGLIELMIN: If we could go
5 -- I -- I'll just bring the IR, Exhibit AMC-6-8. Or
6 it might be a little bit quicker to...

7

8 (BRIEF PAUSE)

9

10 MS. EMILY GUGLIELMIN: Maybe I have
11 the -- oh, yeah, so it's just at the bottom end.
12 Although your assumptions are reasonable, it is
13 conservative.

14 MR. KEVIN GAWNE: I -- I think -- and
15 I will speak in general terms. I think they agreed
16 that our assumptions are reasonable and appropriate
17 for the use in financial forecasting. And they
18 encouraged Manitoba Hydro to find value for existing
19 assets and -- and potentially pursue summer export
20 sales.

21 MS. EMILY GUGLIELMIN: Do you agree
22 it's -- that your outlook has been conservative?

23 MR. KEVIN GAWNE: I don't believe our
24 outlook on net export revenues is conservative. I
25 believe it's appropriate and reasonable and based on

1 the best information that we have available to us.

2 If we were to assign value or premiums
3 to the surplus energy or some value of capacity for
4 what little surplus capacity we're showing as
5 available, that would be nice to show that, but that
6 would be hoping for a revenue that we can't be assured
7 is going to materialize.

8 And I don't think that would be
9 appropriate for financial forecasting. So, I think
10 what we put forward is -- is reasonable, and that was
11 agreed to by -- or I believe, in general, confirmed by
12 Daymark as being a reasonable forecast.

13 MS. EMILY GUGLIELMIN: And sort of on
14 the flip side of that scenario, if net export revenue
15 turns out to be above Manitoba Hydro's current
16 forecast, do you agree that taking a conservative
17 position today would be likely to result in current
18 ratepayers overpaying compared to future ratepayers?

19 MR. HAL TURNER: I think that question
20 would be better posed to the Rate Requirement Panel.

21 MS. EMILY GUGLIELMIN: Okay. And
22 maybe this would, also.

23 But essentially, a conservative
24 forecast today, it would result in potential for
25 higher than necessary rates for customers?

1 MR. HAL TURNER: Again, I think that
2 would be better served by the other panel.

3

4 (BRIEF PAUSE)

5

6 MS. EMILY GUGLIELMIN: And I just want
7 to turn -- I only have a couple more questions -- turn
8 to Exhibit AMC-6-14.

9 In this response, Daymark indicates
10 that Manitoba Hydro's hedging strategy could benefit
11 from an updated or formalized approach.

12 Do you agree with that suggestion?

13

14 (BRIEF PAUSE)

15

16 MS. CHERYL SANCLEMENTE: Manitoba
17 Hydro acknowledges Daymark's recommendation. And
18 there is work being led by the enterprise risk
19 management division related to enterprise risk and
20 tolerance, enterprise risk manage -- or enter --
21 excuse me -- enterprise risk appetite and tolerance.

22 And we're working too from an energy
23 trading perspective. And they're looking at shaping
24 what the outcomes will be. So, we are definitely
25 working on it, and we do take their -- their point

1 seriously.

2 MS. EMILY GUGLIELMIN: Okay. Thank
3 you. And my last question, it relates to Exhibit PUB-
4 4-20. And in this response, Manitoba Hydro indicated
5 that:

6 "Rate increases of 1.4 percent
7 annually could reach the 80 percent
8 debt target but would fail to meet
9 the 70 percent debt target by 2039
10 and beyond."

11 And I'm not asking you if that's
12 correct because I understand that's not. But as a
13 summary of this, do you agree that's what's written
14 there?

15

16 (BRIEF PAUSE)

17

18 MR. KEVIN GAWNE: I'm sure you
19 summarized it well.

20 MS. EMILY GUGLIELMIN: My question is:
21 Do you agree that this is assuming a very conservative
22 or negative view on export revenues that Manitoba
23 Hydro may earn over the forecast horizon?

24

25 (BRIEF PAUSE)

1 MR. KEVIN GAWNE: I -- I think -- I
2 don't think we can comment specifically around these
3 details. It is best put to the Revenue Requirements
4 Panel.

5 But as I said earlier, I think they
6 forecasted net export revenues, which is prepared by
7 folks on this Panel and their teams, as -- as
8 reasonable and appropriate for financial plan.

9 MS. EMILY GUGLIELMIN: Thanks. Those
10 are all of my questions.

11 THE CHAIRPERSON: Thank you. We'll
12 adjourn until 1:05. Thank you.

13

14 --- Upon recessing at 12:08 p.m.

15 --- Upon resuming at 1:02 p.m.

16

17 THE CHAIRPERSON: Thank you. Mr.
18 Williams...?

19

20 CROSS-EXAMINATION BY DR. BYRON WILLIAMS:

21 DR. BYRON WILLIAMS: Good afternoon,
22 members of the panel. Mr. Turner, I'm not going to
23 ask you many questions. I hope you won't be hurt, but
24 let's start off with you just with one.

25 MR. HAL TURNER: I've got pretty thick

1 skin, so --

2 DR. BYRON WILLIAMS: Okay.

3 MR. HAL TURNER: I think I'll be okay.

4 DR. BYRON WILLIAMS: When Manitoba
5 Hydro refers to the export market, you're referring to
6 the marketplace for electrical power beyond the
7 borders of Manitoba, whether that's our American
8 friends through the mid-continent system operator or
9 neighbouring Canadian markets in Saskatchewan and
10 Ontario, agreed?

11 MR. HAL TURNER: Agreed.

12 DR. BYRON WILLIAMS: And when supply
13 exceeds Manitoba customers' needs, the ability to
14 access and sell into the export market provides
15 Manitoba Hydro with revenues that are key to its
16 finances, correct?

17 MR. HAL TURNER: I would just offer a
18 slight tweak on that. It's when supply exceeds our
19 firm commitments. So sometimes that may exclude firm
20 export customers as well, but other than that, agreed.

21 DR. BYRON WILLIAMS: Okay. I'll
22 accept that slight tweak. And when Manitoba
23 internally is experiencing drought or emergency
24 conditions, the ability to access and buy from the ex
25 -- export market makes an essential contribution to

1 the reliable provision of power in Manitoba, agreed?

2 MR. HAL TURNER: Agreed.

3 DR. BYRON WILLIAMS: Mr. Gawne, I'm
4 not sure I want to take any of us back to 2017/'18,
5 but at a high level, you remember the public hearing
6 into Manitoba Hydro's '27/'18 (sic) and 2018/'19
7 General Rate Application?

8 MR. KEVIN GAWNE: Yes, I recall that,
9 but not every detail.

10 DR. BYRON WILLIAMS: Well, I want to
11 take you forward from that and -- and look at some
12 changes. And -- and one (1) of the changes since that
13 time I'll suggest to you is that Manitoba Hydro has
14 completed the Manitoba-Minnesota Transmission Project,
15 or MMTP, agreed?

16 MR. KEVIN GAWNE: Agreed. That came
17 into service in June of 2020.

18 DR. BYRON WILLIAMS: And when we talk
19 about the Manitoba-Minnesota Transmission Project, it
20 would be fair to say that it is a major 500-kilovolt
21 transmission line that interconnects Manitoba Hydro
22 with Minnesota Power's Great Northern transmission
23 line, agreed?

24 MR. KEVIN GAWNE: Agreed.

25 DR. BYRON WILLIAMS: And it would be

1 fair to say that Manit -- the MMTP, or Manitoba-
2 Minnesota Transmission Project, has been critical to
3 Manitoba Hydro's ability to interconnect with the MISO
4 market, agreed?

5 MR. KEVIN GAWNE: Yes. It's a
6 significant component of our interface to the MISO
7 market, yes.

8 MR. BOB PETERS: And that connection
9 between the Manitoba-Minnesota Transmission Project
10 and the Great Northern transmission line significantly
11 increased Manitoba Hydro's ability to import more
12 energy, agreed?

13

14 (BRIEF PAUSE)

15

16 MR. KEVIN GAWNE: Yeah. The -- the
17 construction of MMTP provided another 700 megawatts of
18 firm import capability, essentially doubling our firm
19 import capability.

20 It's not to say it's something that can
21 be done in all hours. Back to the supply-demand
22 balance that we talked about on -- in our direct,
23 you're either pulling power into the province or
24 you're pushing power out of the province. You can't
25 do both at the same time.

1 So to the extent we have obligations to
2 push power out of the province and -- and deliver on
3 our firm contracts, as Mr. Turner was alluding to, we
4 can't pull power in on that same line at the same
5 time.

6 DR. BYRON WILLIAMS: So in essence, of
7 course, you're agreeing that it doubled the import
8 transmission capability of Manitoba Hydro, correct?

9 MR. KEVIN GAWNE: Correct. And,
10 sorry, pardon me, on the US interface.

11 DR. BYRON WILLIAMS: On the US
12 interface, and I apologize for the imprecision.

13 And it also led to opportunities for
14 firm transmission coming north at times of need,
15 agreed?

16

17 (BRIEF PAUSE)

18

19 MR. KEVIN GAWNE: Yes. Manitoba Hydro
20 has the use of firm transmission, up to 1,400
21 megawatts, but we don't necessarily have capacity
22 contracts up to that amount which involves someone
23 dedicating capacity on their system to back up that
24 import.

25 DR. BYRON WILLIAMS: But that number

1 of firm transmission up to 1,400 or 1,398 megawatts is
2 a -- is a key factor in terms of imports for Manitoba
3 Hydro, agreed?

4 MR. KEVIN GAWNE: Agreed.

5 DR. BYRON WILLIAMS: Mr. Karanwal --
6 and if I mispronounce your name, you'll -- you'll
7 correct me. Okay. Thank you.

8 You're aware that as a consequence of
9 completing and being -- and committing to and
10 completing the Manitoba-Minnesota transmission line,
11 Manitoba Hydro was also able to enter into a 250-
12 megawatt system power sale to Minnesota Power, agreed?

13 MR. NIKHIL KARANWAL: That's right.

14 DR. BYRON WILLIAMS: And the MMTP, or
15 Manitoba-Minnesota Transmission Project, enables other
16 energy sale, energy exchange agreements with -- with
17 Minnesota Power, correct?

18 MR. NIKHIL KARANWAL: That's right.

19 DR. BYRON WILLIAMS: Mr. Gawne, the --
20 the availability of firm or dependable transmission
21 capacity is important to Manitoba Hydro for
22 reliability and -- and planning purposes, agreed?

23 MR. KEVIN GAWNE: That's correct.

24 DR. BYRON WILLIAMS: And it would be
25 fair to say that because of that dependable import

1 capability of the MMTP, Manitoba Hydro is more
2 resilient today in the face of drought or emergency
3 than -- than it was prior to 2020, correct?

4

5 (BRIEF PAUSE)

6

7 MR. KEVIN GAWNE: Mr. Williams, all
8 else being equal, the increased firm capacity is
9 adding to the reliability, yes. Other things have
10 changed, of course, since we last met in 2017.

11 DR. BYRON WILLIAMS: I agree that I
12 was much better looking, for example, at that point in
13 time. And I'm not sure who this goes to, but another
14 major milestone that Manitoba Hydro has achieved since
15 that GRA a -- a few years ago is the completion of the
16 Birtle Transmission Project, correct?

17 MR. KEVIN GAWNE: That's correct.

18 DR. BYRON WILLIAMS: And that was
19 completed sometime in 2021; agreed? March, if you're
20 looking.

21 MR. KEVIN GAWNE: I'm going to say
22 March 2021.

23 DR. BYRON WILLIAMS: Thank you.

24 MR. KEVIN GAWNE: March 29th.

25 DR. BYRON WILLIAMS: Oh, very precise.

1 And with the additional transmission, just to back up
2 a second, the Birtle transmission project would be a
3 230 kV transmission line and it runs from a bit south
4 of Birtle to the Saskatchewan border where it connects
5 with the SaskPower system, agreed?

6 MR. KEVIN GAWNE: Yeah. That line is
7 230 kV and it runs from Birtle, Manitoba, to their
8 Saskatchewan Tantalion station.

9 DR. BYRON WILLIAMS: And by "their",
10 you're referring to Saskatch -- SaskPower, correct?

11 MR. KEVIN GAWNE: That's correct.

12 DR. BYRON WILLIAMS: And with the
13 additional transmission capacity provided by Birtle,
14 that transmission project, Hydro was able to enter
15 into a 215 -- one five (15) for the reporter --
16 megawatt sale to Sask -- SaskPower Corporation,
17 correct?

18 MR. KEVIN GAWNE: That's mostly
19 correct, Mr. Williams. 190 megawatts of that was made
20 possible through the construction of the Birtle
21 Tantalion line, but there's a 25-megawatt component of
22 that SPC sale for delivery at the north interface of
23 Saskatchewan.

24 DR. BYRON WILLIAMS: So just so I'm
25 clear, the -- the new transmission line enabled the --

1 about 190 megawatts, and you're saying that the rest
2 of it was delivered through another -- would have been
3 deliverable through another line.

4 Is that what you're saying?

5

6 (BRIEF PAUSE)

7

8 MR. KEVIN GAWNE: I understand that
9 the Birtle Tantalton line provided an additional 90
10 hundred (sic) megawatts -- 90 to a hundred megawatts
11 prior to the two fifteen sale. Just hold on one (1)
12 sec, sorry.

13 DR. BYRON WILLIAMS: I can probably
14 help you with that, sir. You want to talk about --

15 MR. KEVIN GAWNE: I'm looking for --

16 DR. BYRON WILLIAMS: -- sale as well.

17 Okay.

18 MR. KEVIN GAWNE: Well, there was --
19 there's a hundred megawatt sale to Saskatchewan that
20 existed prior to the commencement of the two fifteen
21 sale. Just one (1) moment, please.

22

23 (BRIEF PAUSE)

24

25 DR. BYRON WILLIAMS: Figure 510 is a

1 good one to look to.

2

3

(BRIEF PAUSE)

4

5 MR. KEVIN GAWNE: Yeah, my apologies.

6 I was -- I was getting a little tripped up with

7 numbers. So, the SaskPower hundred sale terminates

8 in 2040. And so, the incremental capacity that the

9 Birtle Tantalton line provides provided that

10 additional export capability to deliver on 190

11 megawatts of the 215 megawatt sale.

12 DR. BYRON WILLIAMS: And so, just to

13 be clear, and I apologize if my questions were a bit

14 confusing.

15 The Birtle line has obviously been a

16 key playing in enhancing access and -- and getting

17 that dependable sale to Saskatchewan Power of 200 some

18 megawatts, agreed?

19 MR. KEVIN GAWNE: Yeah. It was -- it

20 was necessary to have that additional SPC sale. It's

21 not providing the import capability. It's -- it's a

22 different --

23 DR. BYRON WILLIAMS: Yeah.

24 MR. KEVIN GAWNE: -- situation than

25 the MMTP line.

1 DR. BYRON WILLIAMS: And just in terms
2 of the two (2) contracts with Saskatchewan Power, one
3 (1) is a hundred megawatt sale running from 2020 to
4 2040, correct?

5 MR. KEVIN GAWNE: Yes, that's correct.
6 And Daymark's -- well, sorry, is this the book of
7 documents? Daymark's report at page 50 includes a
8 summary of those contracts.

9 DR. BYRON WILLIAMS: And the second
10 sale is the 250 (sic) megawatt sale which is actually
11 running from June 2022 upwards of thirty (30) years or
12 to -- as much as thirty (30) years, agreed?

13 MR. KEVIN GAWNE: I think, Mr.
14 Williams, you said 250, but that's 215.

15 DR. BYRON WILLIAMS: I hope I said 215
16 but, if not, I -- I would appreciate the correction.
17 Thanks. And are you confirming the 215?

18 MR. KEVIN GAWNE: Confirming, yes.

19 DR. BYRON WILLIAMS: Mr. Karanwal, as
20 -- as compared to opportunity sales, these long-term
21 dependable sales to Saskatchewan on average provide
22 additional value to Manitoba Hydro, agreed?

23 MR. NIKHIL KARANWAL: That's right.

24 DR. BYRON WILLIAMS: And they also
25 provide value, I'll suggest to you, in terms of price

1 stability and certainty as compared to opportunity
2 sales, correct?

3 MR. NIKHIL KARANWAL: That's right.

4 DR. BYRON WILLIAMS: And the big
5 picture and in the face of dynamic market conditions,
6 these sales provide an important and long-term hedge
7 against revenue uncertainty, agreed?

8 MR. NIKHIL KARANWAL: That's right.

9 DR. BYRON WILLIAMS: I wonder if we
10 can turn in tab 5 of Manitoba's materials to figure
11 5.15. Ms. Schubert, as always, is ahead of me. And
12 I'm not sure who this should be to, but if it's Mr.
13 Gawne or Ms. -- Ms. Sanclemente, I'm -- I'm happy with
14 either of you, but let's start with Mr. Gawne.

15 Mr. Gawne, yesterday you spoke to Mr.
16 Peters regarding the 2003/'04 drought, and you
17 discussed its significant financial impacts on
18 Manitoba Hydro. Do you remember that, sir?

19 MR. KEVIN GAWNE: Yes.

20 DR. BYRON WILLIAMS: And, Mr. Gawne,
21 you were around during that time and -- with the
22 Corporation.

23 And -- and you have, at a high level,
24 some familiarity with those events?

25 MR. KEVIN GAWNE: Yes, I'm quite

1 familiar with those events. I was around. I had hair
2 then.

3 DR. BYRON WILLIAMS: I thought you
4 were. And I think -- sir, I'll say -- I'll suggest to
5 you, as well, that since '03/'04, Manitoba Hydro,
6 without asking you to elaborate, but has spent a lot
7 of time trying to learn from the experience of the
8 '03/'04 drought.

9 Would that be fair, sir?

10 MR. KEVIN GAWNE: Yeah, I think
11 Manitoba Hydro's continued to learn and that was an
12 experience that we learned from.

13 DR. BYRON WILLIAMS: And one (1) of
14 the challenges during the '03/'04 drought, of course,
15 was, when Manitoba Hydro wanted to import power from
16 its American friends, the import of that power was --
17 was very expensive, agreed?

18

19 (BRIEF PAUSE)

20

21 MS. CHERYL SANCLEMENTE: I'll -- I'll
22 attempt an answer to that. Since 2003, a lot of
23 things have changed. It was -- in 2003, it was
24 primary a bilateral market.

25 Now, with the emergence of the standard

1 markets, we've come across a lot -- or been able to
2 enjoy a lot more flexibility.

3 So, we can -- instead of being required
4 to purchase from counter parties directly on the -- on
5 the south side of our transmission line, we're able to
6 -- to go and purchase from an overall market that can
7 supply us, which is -- and provided a large amount of
8 flexibility.

9 The other -- the -- the other point is,
10 when you go and you purchase from counter parties,
11 they require more of a fixed -- a fixed schedule. So,
12 they'll sell 50 megawatts to us seven o'clock through
13 twenty-two o'clock at night.

14 And -- and in the markets, we can
15 actually go to the markets and purchase whatever
16 megawatts are economic in whatever hour, so -- so that
17 was a huge advantage.

18 And then, in addition to that, in 2003
19 we owned -- we did not own the firm transmission on
20 the southern part of our line. But over time, since
21 2003, we worked with our counter parties and, also,
22 purchased from our transmission owners firm
23 transmission.

24 So, we have ownership of the firm
25 transmission and we have access to the markets on our

1 own, which has been a huge change.

2 DR. BYRON WILLIAMS: Thank you, Ms.
3 Sanclemente. And -- and hopefully your lawyer won't
4 chastise me for this. You're sharing pearls of
5 wisdom, and I just might move the mic a little bit
6 just to make sure the court -- court reporter catches
7 all your words. So, thank you for that. And -- and
8 that is very helpful.

9 And just to go back to my original
10 question which you answered the spirit of, but I just
11 want to go back for a second.

12 One (1) of the realities of the '03/'04
13 drought experience was Manitoba Hydro had very -- very
14 expensive cost of imports in -- in part due to the
15 lack of flexibility in the market and that you had to
16 buy directly for your partners, agreed?

17 That was one (1) of the big financial
18 consequences -- challenges of the '03/'04 drought,
19 correct?

20

21 (BRIEF PAUSE)

22

23 MS. CHERYL SANCLEMENTE: The purchase
24 prices were definitely one of the contributing factors
25 to 2003 and the cost of the drought.

1 An actual comparison, I think we'd have
2 to go back and -- and look at --

3 DR. BYRON WILLIAMS: Not necessary. I
4 just wanted to get a high level look. And thank you
5 for -- for your -- your answer.

6 And just to finish this particular
7 thought, so one of the strategic objectives of
8 Manitoba Hydro since that '03/'04 drought, was to
9 enhance import capability including through -- one
10 element of that was securing firm import transmission
11 service through enable reliable economic imports.
12 Agreed?

13 MS. CHERYL SANCLEMENTE: Yes, both for
14 exports and imports, agreed.

15 DR. BYRON WILLIAMS: And again,
16 recognizing that it is for exports and imports, the
17 MMTP was also very important by increasing import
18 transmission capacity, agreed? For the purposes of
19 drought resilience, correct?

20 MR. KEVIN GAWNE: I would agree with
21 that, Mr. Williams.

22 DR. BYRON WILLIAMS: Thank you. And
23 Ms. Sanclemente, I think it's you, but it -- it'll be
24 whoever it is on your panel.

25 If we direct our attention to figure

1 5.15 -- and I know Mr. Peters has discussed this with
2 you so I'll try not to trench on where he has gone.
3 But if we're looking for the levels of off-peak
4 imports, that will be in the colour yellow, agreed?

5 You're nodding your head. Is that a
6 "yes"?

7 MS. CHERYL SANCLEMENTE: Yes.

8 DR. BYRON WILLIAMS: And on-peak
9 imports are in red, correct?

10 MS. CHERYL SANCLEMENTE: Correct.

11 DR. BYRON WILLIAMS: And if we look on
12 the 'X' axis, we can see the monthly physical exports
13 and imports as measured in gigawatt hours, correct?

14 MS. CHERYL SANCLEMENTE: Yes.

15 DR. BYRON WILLIAMS: Okay. And if we
16 look at the 'Y' axis, that is just the particular
17 month of the time period running from April of 2021
18 through to August of 2022, agreed?

19 MS. CHERYL SANCLEMENTE: Yes.

20 DR. BYRON WILLIAMS: And, of course,
21 this captures the -- the drought period and beyond it
22 that Manitoba experienced in -- Manitoba Hydro
23 experienced in 2021/22, agreed?

24 MS. CHERYL SANCLEMENTE: Yes, agreed.

25 DR. BYRON WILLIAMS: And if -- just to

1 get a sense of this -- by August of 2021, in terms of
2 on-peak imports, Manitoba Hydro was looking at a
3 little less than 200 gigawatt hours that month.

4 Would that be fair?

5

6 (BRIEF PAUSE)

7

8 MR. KEVIN GAWNE: I think that's
9 correct, sir.

10 DR. BYRON WILLIAMS: And similarly,
11 we're looking at a bit less than 200 gigawatt hours
12 per month for on-peak imports in -- in August of 2021,
13 agreed?

14 MR. KEVIN GAWNE: Correct.

15 DR. BYRON WILLIAMS: And by its peak
16 on or about -- well, in January of 2021, (sic) as we
17 move along to the right, Hydro was relying upon off-
18 peak imports for over 400 gigawatt hours that month,
19 agreed?

20 MR. KEVIN GAWNE: Mr. Williams, I
21 think you may have said January '21, but --

22 DR. BYRON WILLIAMS: January '22.
23 Thank you for correcting me. My apologies.

24 MR. KEVIN GAWNE: Yeah. So our off-
25 peak physical imports in January of '22 were, yeah,

1 slightly in excess of 400 gigawatt hours.

2 DR. BYRON WILLIAMS: And if we want to
3 look for the high month for on-peak physical imports,
4 we're probably looking at November of 2021 in excess
5 of 300 gigawatt hours, is that right?

6

7 (BRIEF PAUSE)

8

9 MR. KEVIN GAWNE: That's correct.
10 Where we're -- I just want to be precise in the
11 discussion here and it's -- the chart is prepared by --
12 - sorry, was prepared using net -- or pardon me --
13 using physical transactions. So the -- the axis is
14 monthly physical exports and imports.

15 We'll see where it goes, but there is -
16 - as we were speaking of this morning -- hedging.

17 DR. BYRON WILLIAMS: You don't have to
18 worry about the hedges. That's --

19 MR. KEVIN GAWNE: Don't have to worry
20 about the hedges, okay.

21 This is physically going in and out of
22 -- or pardon me -- physical transactions being
23 scheduled in and out of the province.

24 DR. BYRON WILLIAMS: And at times
25 during the drought, Manitoba Hydro was running that --

1 that import capacity full out, right up to thirteen-
2 ninety-eight (1,398), agreed?

3 MR. KEVIN GAWNE: At times. It's not
4 always possible to load that line up.

5 DR. BYRON WILLIAMS: Now, Mr. Gawne,
6 as we reflect upon the drought, at a high level,
7 obviously, this large volume of imports was there to
8 assist Manitoba Hydro in -- in meeting reliability
9 needs in the face of reduced hydraulic generation,
10 agreed?

11 MR. KEVIN GAWNE: Agreed.

12 DR. BYRON WILLIAMS: And again, the
13 availability of these imports -- including through
14 MMTP -- played both an important reliability and
15 financial role for Manitoba Hydro during the '21/'22
16 drought, correct?

17 MR. KEVIN GAWNE: That's correct.

18 DR. BYRON WILLIAMS: You're far more
19 resilient than you were in the face of the '03/'04
20 drought, in part because of the -- the import
21 capabilities and the flexibility in the marketplace,
22 agreed?

23 MR. KEVIN GAWNE: Well, the
24 flexibility in the marketplace, I don't know if we can
25 get into details. But from an economic perspective,

1 it provided value because we had more options to
2 purchase power from an open market as opposed to
3 bilaterally.

4 Physically, you know, the -- the lines
5 were there in 2003/04, but now we've added MMTP, so we
6 have that ability to pull more power in.

7 But there have been things -- like,
8 that's twenty (20) years ago, Mr. Williams. And
9 Manitoba load has grown since then and there's, you
10 know, other aspects of our system that have changed
11 since 2003/04, so.

12 But on a, you know -- in a
13 hypothetical, all else being equal, having the MMTP
14 line provided security and additional firm energy
15 during the drought.

16 DR. BYRON WILLIAMS: And moving from
17 the hypothetical to the more mundane reality of -- of
18 the financial results, for '21/'21, having that import
19 capability also meant that Manitoba Hydro did not have
20 to use more expensive thermal generation from Brandon,
21 for example, right?

22

23 (BRIEF PAUSE)

24

25 MR. KEVIN GAWNE: So, sorry. It was

1 more economic to import and gave us access to more
2 off-peak energy that was more economic relative to our
3 combustion turbines.

4 Is that the essence of your question,
5 Mr. Williams?

6 DR. BYRON WILLIAMS: I wish I would
7 have asked the question that well, sir, but that's a
8 great -- if you're saying, Yes, agreed, that's a great
9 answer.

10 MR. KEVIN GAWNE: Okay. Yes. I'll
11 answer yes to my own question.

12 DR. BYRON WILLIAMS: Thank you. And --

13 MR. KEVIN GAWNE: But -- but Mr.
14 Williams, the combustion turbines, although they did
15 not run very much, I think it was -- I'm -- this is
16 top of my head -- 30 gigawatt hours that -- that
17 winter -- that year even -- they did provide a role.
18 They backstopped against the loss of import capability
19 other contingencies that were certainly plausible.

20 So, it's just -- you don't want to just
21 look at the output of a station and assume that if
22 there was no output, it didn't have a role, it had a
23 very important role.

24 MR. BYRON WILLIAMS: Thank you for
25 that. Mr. Karanwal, the US energy marketplace remains

1 important to Manitoba Hydro. Agreed?

2 MR. NIKHIL KARANWAL: That's right.

3 MR. BYRON WILLIAMS: And energy

4 markets are dynamic entities, correct?

5 MR. NIKHIL KARANWAL: That's right

6 and becoming even more dynamic now.

7 MR. BYRON WILLIAMS: And it's really
8 important for your team to be nimble in responding to
9 the dynamics of the American marketplace. Correct?

10 MR. NIKHIL KARANWAL: That's right.

11 MR. BYRON WILLIAMS: And you have to
12 be responsive to dynamic market realities on a daily,
13 monthly, and long-term basis. Agreed sir?

14 MR. NIKHIL KARANWAL: That's right.

15 MR. BYRON WILLIAMS: And with --
16 without asking you to elaborate, I'll just ask you to
17 confirm that an important part of Hydro's relationship
18 with the US market, historically, has involved the
19 sharing of seasonal capacity with various US partners.
20 And -- and by that, I mean, sir, sharing your surplus
21 summer capacity with their surplus winter capacity.

22 Agreed?

23 MR. NIKHIL KARANWAL: That's right.

24 MR. BYRON WILLIAMS: And,
25 historically, and today, the advantage of seasonal

1 diversity exchanges has been to defer the need of
2 incremental capacity both for Manitoba and for its
3 MISO partners. Agreed?

4 MR. NIKHIL KARANWAL: That's right.

5 MR. BYRON WILLIAMS: And as you've
6 discussed probably twice today already, as we sit here
7 today Manitoba Hydro has surplus summer capacity
8 looking out -- out to 2040. Agreed?

9 MR. NIKHIL KARANWAL: For a long term
10 -- that's right.

11 MR. BYRON WILLIAMS: And we can expect
12 all other things being equal, to quote Mr. Gawne, that
13 that summer capacity will grow as dependable sale
14 agreements expire in '24/'25 and around '29/'30.

15 Agreed?

16 MR. KEVIN GAWNE: That's true, the
17 summer surplus capacity numbers will increase as those
18 contracts expire.

19 MR. BYRON WILLIAMS: Thank you. And
20 Mr. Karanwal, I'm not asking for a lengthy answer
21 here, but I'm just asking for you to -- to confirm
22 without elaborating, that there currently are ongoing
23 challenges in the US market that make it more
24 challenging to -- to achieve the sale of surplus
25 seasonal capacity. Agreed?

1 MR. NIKHIL KARANWAL: That's right.

2 MR. BYRON WILLIAMS: And you said
3 yesterday, that Manitoba Hydro, despite these
4 challenges, is pursuing replacement seasonal diversity
5 arrangements and noted that success in finding
6 replacements would mean deferring the need for
7 additional capacity resources for several years.

8 Do you -- do you recall saying
9 something to that effect?

10 MR. NIKHIL KARANWAL: That's right.

11 MR. BYRON WILLIAMS: Thank you. And,
12 sir, recognizing that the potential for some of the
13 northern utilities within MISO to evolve into winter
14 peaking utilities, would it be fair to suggest that
15 Manitoba Hydro might have to look farther afield
16 within MISO to achieve those seasonal diversity
17 exchanges?

18 MR. NIKHIL KARANWAL: I think it really
19 depends where the opportunities comes from.

20 MR. BYRON WILLIAMS: And sitting here
21 today, sir, and recognizing how nimble your team is,
22 are -- are you -- optimistic about the opportunities
23 for seasonal diversity exchanges in the evolving MISO
24 marketplace?

25 MR. NIKHIL KARANWAL: Mr. Williams,

1 I'm optimistic and I'm hopeful, but as you know, hope
2 is not a strategy. So, we continue to have discussion
3 with the partners.

4 MR. BYRON WILLIAMS: Thank you. Mr.
5 Gawne, just to finish up with -- with -- with you, you
6 recall an extensive discussion with Mr. Peters
7 yesterday regarding the impact of operating planning
8 decisions on long established operating priorities,
9 such as safety, supply, the environment and economics.

10 MR. KEVIN GAWNE: I do.

11 MR. BYRON WILLIAMS: And you
12 entertained us this morning with your -- with your
13 water bottle discussion as well.

14 Do you recall that, sir? Your prop.

15 MR. KEVIN GAWNE: My props, I do
16 recall that, yeah. I don't know if there's water
17 bottles to file as exhibits, but I do recall the
18 discussion.

19 MR. BYRON WILLIAMS: We contemplated
20 that, sir, but I think we can -- we can -- just keep
21 the visual image.

22 MR. KEVIN GAWNE: We'll keep the water
23 for generation.

24 MR. BYRON WILLIAMS: In both those
25 conversations you talked about licences governing your

1 operation. Do you recall that, sir?

2 MR. KEVIN GAWNE: Yes.

3 MR. BYRON WILLIAMS: And among those
4 licences, would be licences for Lake Winnipeg
5 regulation and for the Churchill River diversion.

6 Agreed?

7 MR. KEVIN GAWNE: Agreed.

8 MR. BYRON WILLIAMS: And Mr. Gawne,
9 obviously as we've discussed previously, you've been a
10 -- an employee of Manitoba Hydro for quite some time,
11 twenty-five (25) years or so, sir?

12 MR. KEVIN GAWNE: Sure.

13 MR. BYRON WILLIAMS: And you're now
14 making decisions on a weekly basis in terms of flows
15 out of Lake Winnipeg. Agreed? With your team.

16 MR. KEVIN GAWNE: Yeah, that's a
17 responsibility of our team. Yeah.

18 MR. BYRON WILLIAMS: If we back up a
19 step and think of the Lake Winnipeg Regulation
20 Project, as a whole, a key purpose of that project was
21 to increase outflows from -- from Lake Winnipeg.

22 Agreed?

23 MR. KEVIN GAWNE: Agreed. The part --
24 it was a multi-purpose project, if you will. There
25 was impacts in the '50s of flooding around Lake

1 Winnipeg, so part of the arrangement to -- and have
2 use of that lake has, for our power production
3 purposes, was to increase the outflow capability in
4 the summer and the ability to manage floods and reduce
5 high water level impacts around Lake Winnipeg. So,
6 it's a dual-purpose reservoir.

7 MR. BYRON WILLIAMS: And would it be
8 fair to say that the Lake Winnipeg Regulation Project
9 significantly increased the maximum volume of outflows
10 from Lake Winnipeg?

11 MR. KEVIN GAWNE: Well, putting
12 evaporation aside, the same amount of water is going
13 to come out regardless of how we change the outlet,
14 eventually, through time --

15 MR. BYRON WILLIAMS: But at --

16 MR. KEVIN GAWNE: -- correct.

17 MR. BYRON WILLIAMS: -- at any point
18 in time, sir.

19 MR. KEVIN GAWNE: Yeah, the intensity
20 of outflow can be higher for lower levels of Lake
21 Winnipeg through the excavation of the outlet channels
22 at the north end of Lake Winnipeg.

23 So, for a given water level on Lake
24 Winnipeg, we can operate the Jenpeg station and the
25 spillways there to -- to pass more water out of Lake

1 Winnipeg than if those channels weren't there and
2 Jenpeg didn't exist, the water levels at Lake Winnipeg
3 would have to go higher and -- before that level of
4 discharge could be achieved.

5 MR. BYRON WILLIAMS: And the increased
6 outflows from Lake Winnipeg, within the context that
7 you've discussed, is integral to the optimizing of
8 power generated from Manitoba Hydro. Agreed?

9 MR. KEVIN GAWNE: So there -- there's
10 a few elements to that question. And it's our ability
11 to -- Manitoba Hydro's ability to operate for power
12 purposes and that provides some storage to weather
13 through a drought.

14 And a -- a big major aspect of the Lake
15 Winnipeg Regulation Project was the excavation of
16 those channels increasing the outflow capability of
17 Lake Winnipeg during the winter.

18 And it's prior to the project that, you
19 know, ice would form and essentially clog up the
20 outlet and we need that water during the winter,
21 particularly, to generate when Manitoba's load is
22 highest.

23 MR. BYRON WILLIAMS: And you would
24 have no doubt that there are downstream consequences
25 on the people, lands and waters from that -- those

1 increased outflows, Mr. Gawne.

2 MR. KEVIN GAWNE: Agreed.

3 DR. BYRON WILLIAMS: And without going
4 into great detail, you're also familiar with the
5 operations of the Churchill River diversion, sir?

6 MR. KEVIN GAWNE: Yes. Yes.

7 DR. BYRON WILLIAMS: And the Churchill
8 River diversion project contributes to the
9 optimization of power generated on the Nelson, by
10 diverge -- diverting much of the flow from the
11 Churchill River, through the Burntwood, into the
12 Nelson. Agreed?

13 MR. KEVIN GAWNE: Agreed. It's at op
14 -- I guess, optimization of the development of hydro
15 in Northern Manitoba, as opposed to constructing dams
16 on the Churchill River -- the lower Churchill River.
17 I believe the economics of the project of the day was
18 to divert water towards the Nelson and to -- thereby,
19 concentrating where development could occur.

20 DR. BYRON WILLIAMS: And those, sir,
21 increased outflows from the Churchill River diversion,
22 onto the Nelson, are critical to both the reliable
23 service and financial well-being of Manitoba Hydro?

24 MR. KEVIN GAWNE: The diversion being
25 critical to the reliable service to Manitobans?

1 DR. BYRON WILLIAMS: The increased
2 flows. Yes.

3 MR. KEVIN GAWNE: Yes. I would -- we
4 just got to be cautious that we're not talking about a
5 scenario where, had the CRD diversion not been
6 constructed, we would have been in -- in an unreliable
7 state today. There would have been something built by
8 the planners and planned years ago, because they know
9 if they didn't get that water from the Churchill, they
10 would have to come up with another development
11 scenario.

12 So that, as we're sitting here today,
13 or a couple of years ago, when we were in a drought,
14 instead of getting 30 -- 34,000 cubic feet per second
15 in the winter from the Churchill River, we would have
16 had an alternative supply to help serve Manitobans.

17 DR. BYRON WILLIAMS: And, just to
18 conclude, would it be fair to say that the joint
19 operation of Lake Winnipeg reg -- reg -- regulation
20 and the Churchill River diversion has profoundly
21 altered the downstream environment, through both
22 increased flows and by changing seasonal flow
23 patterns?

24 MS. ODETTE FERNANDES: Yeah, Mr.
25 Williams, I'm failing to see how this is relevant to

1 the application before the Board.

2 DR. BYRON WILLIAMS: But, if -- if the
3 witness is declining to answer, that's fine, but the
4 point we were trying to make is that the weekly op --
5 ultimately, these operations have profoundly altered
6 the environment in a very significant way and that,
7 ultimately, Manitoba Hydro, through its licensing,
8 picked -- made ec -- made economic choices instead of
9 environmental choices. If the witness has declined to
10 answer the question, though, that's okay.

11 MR. KEVIN GAWNE: Sorry, Mr. Williams,
12 there's more in that summary than the original --

13 DR. BYRON WILLIAMS: Let me -- let me
14 just put it this way. It --

15 MR. KEVIN GAWNE: The water regime --

16 DR. BYRON WILLIAMS: You --

17 MR. KEVIN GAWNE: The water regime has
18 changed downstream of Lake Winnipeg --

19 DR. BYRON WILLIAMS: And it's had
20 profound effects on the people at Ransom waters.
21 Those folks were downstream. That's been a profound
22 environmental effect.

23 MS. ODETTE FERNANDES: Again, this is
24 not an environmental hearing. We are looking at the
25 rate increase applications before this Board. So,

1 again, I fail to see how this is relevant to the
2 application.

3 DR. BYRON WILLIAMS: It's -- the
4 question's been asked, Mr. Chair. You've heard our
5 reasons why we think it's relevant, in the sense that
6 we -- we're saying that Manitoba Hydro has told us
7 they've got a priority, and at the bottom are economic
8 reasons, although it's a more nuanced discussion,
9 we're just trying to point out the inconsistencies
10 with that. We don't need an answer, sir. That's fine
11 for us.

12 THE CHAIRPERSON: What? Sorry, I
13 don't think I need to make a decision, because Mr.
14 Williams has just said he doesn't need an answer, so.

15

16 (BRIEF PAUSE)

17

18 DR. BYRON WILLIAMS: We -- we have no
19 further questions, if Manitoba Hydro's declining to
20 answer it.

21 THE CHAIRPERSON: Ms. Fernandes, are
22 we okay? Mr. Williams has just concluded his cross-
23 examination.

24 MS. ODETTE FERNANDES: Yes. Thank
25 you.

1 THE CHAIRPERSON: Okay. Thank you.
2 Mr. Hacault...?

3

4 CROSS-EXAMINATION BY MR. ANTOINE HACAULT:

5 MR. ANTOINE HACAULT: Good -- good
6 afternoon, members of the panel. I, unfortunately,
7 won't be able to entertain the crowd with jokes. I'm
8 not good at them. I'm later in the afternoon and
9 everybody is going to fall asleep, but I've to get
10 through this and I appreciate the coor -- cooperation
11 of the witnesses to help me get through this, please.

12 The first document I'll be going
13 through is the Supply and Demand tables. It's MFR-43.
14 And I'll start at that page 2 of 4 and just to get a
15 couple things cleared up with this table.

16 Firstly, we're dealing, as indicated,
17 by the title of that figure with winter demand,
18 correct?

19

20 (BRIEF PAUSE)

21

22 MR. KEVIN GAWNE: That's correct.

23 MR. ANTOINE HACAULT: And it's also a
24 table that assumes no new resources. We can see that
25 in the title, and the third line down from the -- the

1 centre titles there, correct?

2

3

(BRIEF PAUSE)

4

5

MR. KEVIN GAWNE: Yeah, that's

6

correct. Mr. Hacault, as I had mentioned earlier

7

before the lunch break that there is projects that

8

underlie the supply, so the PREP Project is in the

9

supply, but no new resources, correct.

10

MR. ANTOINE HACAULT: Thank you. Now,

11

this is a demand table, correct?

12

And I'd like you to explain what that

13

concept is, as it applies to this table. For example,

14

is it just the top minute in -- in each year, or is it

15

a design minute? Is it based on certain temperatures,

16

certain times of days?

17

Could you provide answers to how

18

'demand' is defined or arrived at in this table?

19

MR. KEVIN GAWNE: Okay. So, it's a

20

supply and demand table, but the demand that's shown

21

is the -- what I would say the normal weather peak

22

hour demand -- peak -- peak demand on the system, so.

23

We could have higher electrical demand

24

in the Province in Manitoba than what's shown here and

25

-- but that's addressed through the planning reserve

1 margin that we protect for, so. So, it's a -- a peak
2 hour analysis essentially.

3 MR. ANTOINE HACAULT: A peak hour
4 analysis based on an average of yours or a -- a
5 historical peak?

6 MR. KEVIN GAWNE: An ave -- in -- a
7 normal weather year, let's say that. We know it gets
8 super cold in the winter, but this isn't the minus 39
9 that happens at the peak hour of consumption.

10 This is the minus 32 that happens, for
11 example, and I'm just throwing the numbers out there.
12 So, when we have our load forecast, and I think it's
13 included as appendix 5.1 to our application.

14 On a forecast basis that's kind of a
15 normal weather peak hour load. And then we have a
16 planning reserve margin that we assign as 12 percent
17 of our -- that peak load. And that planning reserve
18 margin of 12 percent accounts for two (2) things:
19 weather effects on the peak load, so extreme cold. It
20 just so happens it happens to be at the Monday when
21 people are all doing their thing, so that's that
22 aspect of planning reserve margin.

23 And then there's -- the other component
24 of planning reserve margin is to address forced
25 outages on our system. And so, in simple terms it's

1 kind of a normal weather peak. I mean, you can have
2 it really cold. Like we had our -- we had our highest
3 load ever we recorded in Manitoba in -- in 2019,
4 January, when it was minus 39.8 degrees Celsius.

5 And I think that's not a normal peak
6 hour temperature.

7 MR. ANTOINE HACAULT: Help me
8 understand that just a bit more then. If you get that
9 highest peak that you've just talked about, do you
10 work back from that to say, okay, I need a 12 percent
11 reserve and is my average high enough with that
12 reserve to meet that peak so that all the lights stay
13 on.

14 I'm just trying to understand what
15 we're trying to achieve as a target when we're looking
16 at these tables, and how it's calculated.

17 MR. KEVIN GAWNE: Okay. Maybe --
18 maybe if it's -- if it would please the Board, if we
19 could go to our direct-evidence presentation, and I'll
20 have to find the slide number.

21

22 (BRIEF PAUSE)

23

24 MR. KEVIN GAWNE: Slide 27, please.

25

1 (BRIEF PAUSE)

2

3 MR. KEVIN GAWNE: Yeah. Sorry. I
4 thought we would pull up the chart here just to maybe
5 help with the discussion. So this chart on the left
6 is capacity. It's kind of the graphic comparison to
7 the table that we were just at, and the planning -- so
8 we say Manitoba demand, and that's like a normal
9 weather peak that you could expect, we call it -- I
10 think you could call it a P50, 50 percent probability
11 of achieving that peak load.

12 So what does that mean? Well, 50
13 percent of the time, you know, weather might occur on
14 that -- that hour of the year in January where all the
15 businesses are operating and all the lights are on.
16 Oh, but then there's a chance that it's going to be
17 colder than normal at that time, so then you get a
18 load that's higher than that P50 peak.

19 So we're -- we're planning in those
20 tables for the -- that -- that normal weather low, and
21 then we need to have a bit of margin on that -- and we
22 call it planning reserve margin here -- to account for
23 the fact that we know that it can be -- well, it's
24 never normal weather. It can be colder than normal,
25 and that's consistent with utility practice and

1 capacity planning.

2 Resource adequacy studies, you're
3 looking at your peak load condition and factors such
4 as forced outages on your generation combined -- or
5 statistically the chance of that happening at the same
6 time. You have, you know, a weather condition that's
7 such that your load is above the P50 load. That's
8 what we're trying to show here in the supply and
9 demand table.

10 MR. ANTOINE HACAULT: Okay. So it's
11 normalized, but it's a peak hour. It's not just like
12 fifty (50) of the peak hours or --

13 MR. KEVIN GAWNE: Correct.

14 MR. ANTOINE HACAULT: Okay. Thank
15 you. If we go back to MFR-43 on page 2, at the bottom
16 we'll see what you were talking about, sir. There's
17 the second last line at the very bottom, and my eyes
18 are having problems, too, but it says, "Planning
19 reserves at point of supply."

20 Is -- is that the type of number that
21 you were talking about in planning reserve? If we
22 look on top, we see a total of peak demand at point of
23 supply, and then there's a number of five hundred and
24 fifty-one (551) there for the planning reserve. This
25 is a demand table.

1 MR. KEVIN GAWNE: That's correct.

2 MR. ANTOINE HACAULT: Okay. Now, if
3 we go to this table, there's something called existing
4 non-utility generation. That's under the second set
5 of headings under supply. You go five (5) line down -
6 - five (5) lines down and it says, "Base supply power
7 resources," and another three (3) lines down,
8 "Existing non-utility generation."

9 Do you see that, sir?

10 MR. KEVIN GAWNE: I do.

11 MR. ANTOINE HACAULT: Okay. And could
12 you explain is that wind and solar, or is it just
13 wind, like Latelia (phonetic) and St. Leon?

14 MR. KEVIN GAWNE: The existing non-
15 utility generation shown in this table is just the
16 wind farms.

17 MR. ANTOINE HACAULT: Yeah.

18

19 (BRIEF PAUSE)

20

21 MR. KEVIN GAWNE: So if you were to
22 look at that table for the summer period, Mr. Hacault,
23 there -- there will be a fraction of a megawatt, I
24 believe --

25 MR. ANTOINE HACAULT: Okay.

1 MR. KEVIN GAWNE: -- to account for
2 the solar farm where we purchase output from Fisher --
3 I believe it's Fisher River Solar Farm.

4 And so there's a little bit of capacity
5 there that is appropriate to account for in the
6 summer, but that farm is not producing megawatts and
7 the sun's not up when we achieve our peak in the
8 winter, so there's no megawatts associated with that
9 in this table.

10 MR. ANTOINE HACAULT: Thank you for
11 that explanation. Now, the one (1) think I notice if
12 I go right across the table on that line, non --
13 'Existing non-utility generation', we slowly go down
14 from an existing capacity resource of 52 megawatts
15 down to ultimately at the right zero.

16 Can you explain what's happening there?
17 And it comes down in chunks. The first chunk reduces
18 by twenty (20) -- twenty-six (26) slash twenty-seven
19 (27) reduces from 52 megawatts to 31 megawatts.

20 MR. KEVIN GAWNE: Yeah. Those step
21 changes that are associated with the wind PPAs having
22 different expiry times.

23 MR. ANTOINE HACAULT: Okay.

24 MR. KEVIN GAWNE: So it's mainly on
25 wind farmed PPA.

1 MR. ANTOINE HACAULT: So this
2 financial forecast is assuming that there will not be
3 any renewals -- or continuation of that wind farm
4 after the purchase power agreement has ended.

5 Is that what you're telling us?

6

7

(BRIEF PAUSE)

8

9 MR. KEVIN GAWNE: The supply/demand
10 scenario that's included in our financial forecast
11 does not assume that Manitoba Hydro will extend or
12 continue to purchase wind from those farms. It's not
13 to say that those discussions won't happen, but
14 there's been no -- no contracts or term sheets signed
15 of any nature.

16 So, you know, this -- the -- in terms
17 of capacity, what you see here is what underlies the -
18 - the financial forecasts.

19 MR. ANTOINE HACAULT: So am I right in
20 understanding what you want to communicate to the
21 Board is that -- or at least as I see it -- is that
22 it's a conservative outlook, assuming that you're
23 going to have zero percent chance of renewing any of
24 those contracts or extending them.

25 Is -- is that what the assumption is?

1 MR. KEVIN GAWNE: I don't -- wouldn't
2 frame it that way, Mr. Hacaault, because there will be
3 a cost associated with contract extension.

4 So if you -- if we were to show a
5 number including -- like say let's hold 52 megawatts
6 into perpetuity, assuming that the wind producers were
7 to replace their turbines or whatever they have to do
8 to keep those contracts flowing, there would be a cost
9 associated with that. And we would have to put that
10 into our financial forecast.

11 So -- and we -- as I showed in our
12 direct, we had wind farms coming in in the 2033/'34
13 time frame as a proxy energy resource. We accounted
14 for the capacity that would come from that scenario,
15 so that -- that's costed into our plan, and, you know,
16 whether it's coming off St. Joseph or St. Leon or
17 another farm, I don't think it makes a -- I don't
18 think it impacts the -- the financial --

19 MR. ANTOINE HACAULT: You might have
20 jumped forward to another slide that I was going to
21 bring you to, the Appendix 5.6. It's the --

22 MR. KEVIN GAWNE: But -- and if I --
23 if I can just finish --

24 MR. ANTOINE HACAULT: Yeah.

25 MR. KEVIN GAWNE: -- I don't believe

1 that this is in any way a conservative assumption
2 because we're not extending -- we're not showing those
3 contracts continue because we would have to come up
4 with a price to make that happen.

5 And -- and so who's - you know, we
6 don't know if that would be -- what that price would
7 be 'cause there's no contract, so we can't just show
8 the wind farm output continuing into perpetuity
9 without assigning a cost to that is -- is my point.

10 So, I don't think it's conservative if
11 -- if -- I think -- I think if -- no, I'll just leave
12 that at that. I don't think the -- the assumptions
13 around our wind -- wind farms are conservative in our
14 financial plan.

15 MR. ANTOINE HACAULT: But if we go to
16 appendix 5.6, this is where you say you start adding
17 wind. So, on page 1 of 2 of appendix 5.6, we'll see
18 that, if we go across the top, and we have to go total
19 new wind, the first number I see in 2033/'34.

20 Do you see that, sir?

21 MR. KEVIN GAWNE: I do, yeah.

22 MR. ANTOINE HACAULT: You're adding
23 capacity value of 20 megawatts, correct?

24 MR. KEVIN GAWNE: That's correct, yes.

25 MR. ANTOINE HACAULT: And at that

1 time, if we go down to the existing contracts, we've
2 got 31 megawatts of existing power for wind, correct?

3 MR. KEVIN GAWNE: That's correct. And
4 I'll just remind that -- the Board that the -- the
5 addition of those wind farms shown for this scenario,
6 where we see that new wind in 23/34 (sic), that was
7 added primarily for energy purposes. But as a
8 consequence of those farms being there, we'll account
9 for the capacity they would provide.

10 MR. ANTOINE HACAULT: And that
11 capacity continues to increase for new builds from
12 2033/'34 up to and including 2041/'42, correct?

13 MR. KEVIN GAWNE: New power resources.
14 We've assumed a power purchase agreement, so just to
15 be clear, they're not new builds by Manitoba Hydro.
16 The assumption is wind -- wind would be purchased
17 through a PPA.

18 MR. ANTOINE HACAULT: Okay. And at
19 the same time, when you reach at the end of this
20 table, being 2041/'42, you've built up PPAs, as you
21 refer to them, up to 161 megawatts.

22 And you've assumed no renewals of
23 existing PPAs and farms for wind, correct?

24

25

(BRIEF PAUSE)

1 MR. KEVIN GAWNE: Mr. Hacault, we --
2 we -- whether it belongs under line 3 of total new
3 wind or -- or it's an extension of the existing wind
4 farms, it's providing that it would be providing
5 energy into the future.

6 There would be a cost to -- obviously,
7 to extend the existing contracts. The -- the source
8 of the costs for the PPAs are based on publically
9 available wind energy prices.

10 So, presumably -- like, I can't speak
11 to how this would be procured in the future. This is
12 decades away. And this is a placeholder for our GRA.
13 Pardon me. This is a proxy energy resource for the
14 purposes of this GRA.

15 We haven't committed to entering into
16 new PPAs at farms located in Greenfield locations. We
17 haven't made those sorts of decisions yet, so.

18 But the underlying cost for those
19 resources are based on, I would think, information
20 that anyone willing to, or interested into, either
21 building or maintaining wind farms in this province
22 would -- would be looking to -- to achieve in a
23 contract with -- with Manitoba Hydro.

24 MR. ANTOINE HACAULT: Thank you for
25 that answer. I'm going to need to move on because I'm

1 not going to get into further questions about the
2 difference between having new windmills built and
3 doing PPAs with existing windmills, all that. That
4 would be a too detailed discussion.

5 But one thing I want to get back to is
6 with respect to MFR 43, page 2 of 4, being the winter
7 demand. The shortfalls start coming in 2030/'31,
8 correct?

9 MR. KEVIN GAWNE: That's correct.

10 MR. ANTOINE HACAULT: And in terms of
11 utility planning, that is pretty quick, right? If we
12 had to build, we'd have to start right now.

13 Do you agree with that, sir?

14

15 (BRIEF PAUSE)

16

17 MR. KEVIN GAWNE: I think the time to
18 put some certain resources is shorter than the -- the
19 seven (7) years out that we have, but that is not that
20 long away from a utility planning perspective. I
21 would agree with that.

22 MR. ANTOINE HACAULT: Okay. And we
23 also see contracted exports are declining. And Ms.
24 Grewal, in her testimony, indicated that there's
25 assumption of no new capacity backed exports coming

1 online. Can you confirm that? And that doesn't have
2 to be you. It can be Mr. Karanwal.

3

4 (BRIEF PAUSE)

5

6 MR. KEVIN GAWNE: The financial plan
7 doesn't assume placeholder capacity --

8 MR. ANTOINE HACAULT: And on this
9 chart we also see -- and it's past the halfway mark
10 under the demand. There's, three (3) lines down,
11 "2021 Curtailable Rate Program option A forecast."

12 Do you see that, sir?

13 MR. KEVIN GAWNE: Yes, I do.

14 MR. ANTOINE HACAULT: Okay. And we
15 see, if we go to the right, that the Curtailable
16 Program benefits end in about three (3) years from
17 now, 2026/2027, correct?

18 MR. KEVIN GAWNE: This table, the
19 benefits that you're mentioning of ending in 2026/'7,
20 so the \$160 million -- or pardon me, 162 megawatt
21 reduction, yeah, they -- they cease in '26/'27, and so
22 too would the costs -- or the credits paid to those
23 customers of that program in our -- in our base case.

24 But in our resource scenario, and I'm
25 probably jumping ahead to where you want to go, we're

1 assuming those Curtailable Rate Program amounts of 162
2 megawatts at -- will continue into perpetuity in our
3 underlying plan.

4 MR. ANTOINE HACAULT: So, do you have
5 any explanation for this Board as to why you're
6 capping that value of 162 megawatts in this table as
7 of 2026/2027? That affects the rest of the table and
8 your -- your capacity calculations.

9

10 (BRIEF PAUSE)

11

12 MR. KEVIN GAWNE: So, just so we're
13 clear, this is the kind of no new resources, that
14 scenario that we're looking at here. It's not -- what
15 underlies the GRA scenario in the financial plan is
16 the subsequent table that shows the Curtailable Rates
17 Program continuing into the future.

18 I think your question was, it's -- is
19 it -- why are we showing a cap of 162 megawatts? Was
20 that --

21 MR. ANTOINE HACAULT: And then
22 stopping it because it affects the rest of your table.
23 The rest of your table would have a corresponding
24 adjustment of 162 if that's what you're doing for the
25 basis of the application.

1 It's not consistent, correct?

2 MR. KEVIN GAWNE: This is not -- like,
3 this table here is not the basis of the application.
4 The basis of the application is -- and appendix 5.6 to
5 our GRA, which includes the CRP --

6 MR. ANTOINE HACAULT: I think we can
7 move on. I'll go to slide 24 of Exhibit 30, which was
8 the presentation by your Panel.

9 This is consistent with the table we
10 were looking at. It's a winter capacity profile. And
11 it shows the same need date of 2030/'31, correct?

12 MR. KEVIN GAWNE: That's correct.

13 MR. ANTOINE HACAULT: And around
14 2027/'28 there's a spike in the Manitoba demand.

15 Why would that be so?

16 MR. KEVIN GAWNE: That would be
17 because the assumption in this table is that's the CRP
18 program extends through to '26/'27. And then goes to
19 zero (0).

20 MR. ANTOINE HACAULT: Okay. That -- I
21 was trying to understand, but -- so when you say CRP,
22 the Curtailable Rate Program that we just looked at in
23 the first table, MFR-43. Those ending at that date.

24 So that's why we -- we see that the
25 Manitoba demand increases fairly significantly at that

1 point.

2 But would you've also explained is that
3 that -- we shouldn't look at that for purposes of the
4 Application. The Application for the rates actually
5 assumes that CRP -- so the Curtailable Rate Program --
6 will continue and that will lower the capacity
7 requirement in Manitoba. Correct?

8 MR. KEVIN GAWNE: Yeah, we would not -
9 - like, this information was assembled for explanation
10 of -- primarily of -- related to our existing export
11 contracts. When Mr. Karanwal walked us through us --
12 we would not come to this Board with a twenty (20)
13 year financial scenario that was assuming we would not
14 have enough capacity for the second half of that
15 scenario. That wouldn't be a prudent thing to do.

16 We wouldn't -- we wouldn't come to the
17 Board and say, You know what, we -- we're just going
18 to assume that the red line can fall below the -- our
19 firm capacity. So this is not -- this -- this piece
20 of information doesn't underlie the financial scenario
21 that we're looking at.

22 MR. ANTOINE HACAULT: Okay. And as
23 has been discussed, and is put on this slide, there's
24 two (2) sales to Saskatchewan shown on this slide,
25 correct? SPC --

1 MR. KEVIN GAWNE: That's correct.

2 MR. ANTOINE HACAULT: -- is the
3 acronym. And one -- the 100 megawatt sale goes to
4 2040, correct?

5 MR. KEVIN GAWNE: Correct.

6 MR. ANTOINE HACAULT: And the 215
7 megawatt capacity sale ends in 2052, correct?

8 MR. KEVIN GAWNE: That's correct.

9 MR. ANTOINE HACAULT: And the -- if we
10 go back to MFR-43, page 2, at the bottom -- and this
11 is where we see a shortfall.

12 By the time we hit that crossroads,
13 we're seeing a 370 megawatt shortfall, correct?
14 That's in 2033/34?

15 MR. KEVIN GAWNE: That's correct.

16 MR. ANTOINE HACAULT: That basically -
17 - that shortfall -- if we didn't have the Saskatchewan
18 sales, there really wouldn't be much of a shortfall at
19 all, correct?

20

21 (BRIEF PAUSE)

22

23 MR. KEVIN GAWNE: So there's --
24 there's a shortfall shown here in '33/'34 of 370
25 megawatts. And if we were to take all our SPC sales -

1 - sorry, were you asking about all SPC sales?

2 MR. ANTOINE HACAULT: Yeah.

3 MR. KEVIN GAWNE: So totalling 315
4 megawatts. Then we would still have a shortfall of 55
5 megawatts, but we would also not have the -- you know,
6 the revenues associated with those SaskPower sales,
7 which are included in our financial scenario.

8 MR. ANTOINE HACAULT: All right. Mr.
9 Chairman, I just want to take thirty (30) seconds to
10 look at my questions because I really expected my
11 cross-examination -- and some questions go a lot
12 quicker than I thought and I have to pare down and --
13 to be able to -- to finish soon, within my time
14 allotment.

15 So if can just have thirty (30)
16 seconds, and I'll decide what I'm going to conclude in
17 asking.

18

19 (BRIEF PAUSE)

20

21 MR. ANTOINE HACAULT: Sir -- sorry,
22 I'll -- I've decided where I'm going to try to go to
23 finish as quickly as possible.

24 What -- I'll provide just a little bit
25 of background before I -- I ask my question.

1 In NFAT demand side management was not
2 shown as a resource and that was commented on by the
3 panel, that it should be shown as a new resource
4 that's available.

5 In the tables, you'll agree that DSM --
6 the demand side management -- is not shown as an new
7 resource, but rather as a reduction in demand,
8 correct?

9 MR. KEVIN GAWNE: For the no new
10 resources table?

11 MR. ANTOINE HACAULT: For both of
12 them.

13 MR. KEVIN GAWNE: No, I --

14 MR. ANTOINE HACAULT: In the -- in the
15 -- yeah. Five-point -- five-point-six (5.6). And
16 even -- so if -- in both tables, even with resources,
17 we go down and Efficiency Manitoba is under the
18 'demand' heading in the second half of the table. Not
19 under the 'new resources' or 'resources', correct?
20

21 (BRIEF PAUSE)

22
23 MR. ANTOINE HACAULT: You see, in the
24 top left-hand side, we have 'new resources', we have
25 'new hydro' --

1 MR. KEVIN GAWNE: Correct.

2 MR. ANTOINE HACAULT: -- we have 'new
3 thermal', 'new wind', 'new non-utility generation'.

4 And then, we go down halfway through
5 the table where it says 'demand', and the second line
6 says, 2020 Efficiency Manitoba demand side management
7 forecast.

8 So it's treated as a -- as a reduction
9 in demand in your tables, correct?

10 MR. KEVIN GAWNE: That's correct. And
11 -- and I apologize if I confused demand response with
12 DSM here. I've been known to do that.

13 But we do show demand response -- like,
14 new demand response starting in '28/'29, and that's
15 helping supply and demand add up. So that's a few
16 rows down.

17 MR. ANTOINE HACAULT: Okay. Those are
18 both under 'demand'.

19 Now, the one thing that Manitoba Hydro
20 has not done in these tables and that we had done in
21 previous hearings, they showed different levels of
22 demand side management as -- as different resource
23 levels. If you invest so much, you can get 1 1/2
24 percent, if you invest so much, you can get 2 percent.

25 Hydro has chosen not to treat DSM as a

1 resource in this Application, correct?

2

3

(BRIEF PAUSE)

4

5 MR. KEVIN GAWNE: I'm not -- I'll have
6 to say at the outset, I'm not that familiar with the
7 tables and showing different levels of DSM and whether
8 that was the place -- that was the way these tables
9 were presented when -- when PowerSmart or demand side
10 management programming was under the responsibility of
11 Manitoba Hydro. I may be wrong.

12 Like, I honestly don't know whether --
13 whether they were broken out before Efficiency
14 Manitoba took over, but -- took that role.

15 You know, but this -- you know, this
16 demand side management forecast is included for the
17 purposes of this scenario. It's not a referred
18 development plan that we're looking at here, Mr.
19 Hacaault. This is a scenario -- this is our best
20 information that we had at the -- available to us to
21 present to this Board to assist in -- in the Rate
22 Application for the test years we have.

23 MR. ANTOINE HACAULT: One last
24 question on this. Are you able to tell the Board
25 whether you asked Efficiency Manitoba for more than

1 one estimate on it being a resource with respect to
2 capacity and/or energy?

3

4 (BRIEF PAUSE)

5

6 MR. KEVIN GAWNE: Sorry for the delay,
7 Mr. Hacault. We do want to provide good answers to
8 the -- to your questions and perhaps we should take
9 that one away and consult with others to assist in the
10 response of what -- what was discussed.

11 And maybe you can rephrase the question
12 or restate the question and we'll take that back.

13 MR. ANTOINE HACAULT: No, you can
14 undertake to advise whether or not Manitoba Hydro in
15 creating its application asked Efficiency Manitoba to
16 provide different estimates of the resources it could
17 provide with respect to demand side management,
18 related to demand and related to energy.

19 THE CHAIRPERSON: Sorry, could I ask a
20 supplementary question to that?

21 The second line that Mr. Hacault
22 referred to 2020 Efficiency Manitoba Demand Site
23 Manager Forecast. I just want to confirm that that
24 number came from Efficiency Manitoba.

25 Are those numbers going -- those

1 projections came from Efficiency Manitoba?

2

3 (BRIEF PAUSE)

4

5 MR. KEVIN GAWNE: I think we'll
6 undertake to provide the best response we can to that
7 question.

8 MR. ANTOINE HACAULT: Okay --

9 THE CHAIRPERSON: -- and that will be
10 part of Mr. Hacaault's undertaking. That -- that will
11 be the second undertaking to you. Okay.

12 MR. ANTOINE HACAULT: Yes, okay.
13 Thank you.

14

15 --- UNDERTAKING NO. 4: Manitoba Hydro to advise
16 whether or not Manitoba Hydro in
17 creating its application asked
18 Efficiency Manitoba to provide
19 different estimates of the resources
20 it could provide with respect to
21 demand side management, related to
22 demand and related to energy

23

24 --- UNDERTAKING NO. 5: Manitoba Hydro to confirm if
25 in the 2020 Efficiency Manitoba

1 Demand Site Manager Forecast that the
2 numbers came from Efficiency Manitoba

3

4 CONTINUED BY MR. ANTOINE HACAULT:

5 MR. ANTOINE HACAULT: Could we go to --
6 Book of Counsels' Book 6, Tab 4 at page 36. Yes, at
7 the bottom, that's fantastic. Thank you, Ms.
8 Schubert.

9 With respect to the value that's shown
10 for 2022 at \$5.80, is there an energy component and
11 demand component built in that number?

12 Sorry, it's 5 cents .8 right? It says
13 dollars on top, but --

14 MR. KEVIN GAWNE: Sorry, I was -- Mr.
15 Hacault, I was trying to find the -- the document.
16 This is PUB page 36 of which Book of Documents?

17 MR. ANTOINE HACAULT: Oh, this is a --
18 a book of documents that was compiled by --

19 MS. MELISSA BEAUMONT: For the rates --

20 MR. ANTOINE HACAULT: -- Book 6.

21 MS. MELISSA BEAUMONT: -- cost of
22 service panel.

23 MR. ANTOINE HACAULT: Not for this --
24 it -- it was part of -- I just located it in the
25 documents that were prepared by the PUB.

1 MR. KEVIN GAWNE: Okay, sorry, so
2 we'll have to get you to restate your question. Just
3 a bear with me one second.

4 Okay, so please, yeah, restate your
5 question.

6 MR. ANTOINE HACAULT: Okay, I had
7 asked, with respect to this table directing your
8 attention to the bottom right-hand corner at the 5.80,
9 that's cents per kilowatt Canadian. Correct?

10 MR. KEVIN GAWNE: Correct.

11 MR. ANTOINE HACAULT: And I asked
12 whether there was an energy component and a demand
13 component built into that number.

14 MR. KEVIN GAWNE: I believe so, yes.

15 MR. ANTOINE HACAULT: Okay. And with
16 respect to the energy component, is it tied to long
17 term exports or short term?

18

19 (BRIEF PAUSE)

20

21 MR. KEVIN GAWNE: The energy component
22 is tied to our marginal value of energy over that
23 horizon. So that's -- just hold on one second.

24 MR. ANTOINE HACAULT: I don't want you
25 to get into CSI.

1 MR. KEVIN GAWNE: Yeah, that's where
2 I'm concerned. I just --

3 MR. ANTOINE HACAULT: But -- but if --
4 if you're able to answer generically whether it's tied
5 into long term import/exports or short term exports,
6 that would suffice.

7 MR. KEVIN GAWNE: I'd say tied not to
8 our existing long term export commitments, it's based
9 on opportunity exports.

10 MR. ANTOINE HACAULT: And -- and
11 that's...

12 Mr. Chairman, I'm looking at the time
13 and I've passed my allocation. It may be that I can
14 deal with this with another panel and have some off-
15 the-record discussions because it seems that questions
16 I didn't -- didn't think would take very long, such as
17 this last one, are taking two (2) or three (3) minutes
18 to answer. So, maybe it's better to have a
19 discussion.

20 THE CHAIRPERSON: Well -- well, Mr.
21 Hacault, your allocation and my allocation are
22 different numbers. According to mine, you've got
23 eighteen (18) minutes left.

24 MR. ANTOINE HACAULT: Okay.

25 THE CHAIRPERSON: So --

1 MR. ANTOINE HACAULT: Okay.

2 THE CHAIRPERSON: You -- you know, if
3 -- if you want to stop now, that's fine.

4 MR. ANTOINE HACAULT: No, I want to --
5 I thought I was finished.

6 THE CHAIRPERSON: The -- the concern I
7 have with the interaction of Hydro is, I think they're
8 trying to give you the answer as best as they can, but
9 they're getting close to the CSI line. I don't know,
10 that's sort of my interpretation. If -- if they can
11 give you a simple answer to -- to satisfy you, but,
12 you know.

13

14 CONTINUED BY MR. ANTOINE HACAULT:

15 MR. ANTOINE HACAULT: Are you able to
16 give me an answer?

17 MR. KEVIN GAWNE: So, there's an
18 energy component to that 5.8 cents per kilowatt hour
19 and there is a capacity component to that.

20 And -- and that's based on the marginal
21 value of capacity over that thirty (30) year horizon.
22 And so, I don't know if that answers your question,
23 sir.

24 MR. ANTOINE HACAULT: But, okay, so
25 it's a long term. 'Cause I was just trying to --

1 because the table shows thirty (30) years so -- if
2 you're going out to --

3 MR. KEVIN GAWNE: It was --

4 MR. ANTOINE HACAULT: -- thirty (30)
5 years, I would have assumed that it was some kind of a
6 long term number. I -- that was my intuition, but --

7 MR. KEVIN GAWNE: Yes.

8 MR. ANTOINE HACAULT: -- I don't know
9 if you can give me more detail than what you've
10 already done.

11 Now, if I go to -- perhaps we can get a
12 little bit more detail on this through a publicly
13 filed document on this issue. It was in the 2017/'18
14 and 2018/'19 GRA. It was a response by Manitoba Hydro
15 to PUB Round II question 77.

16 And this is a IR that was posed with
17 respect to marginal values and how Manitoba Hydro
18 changed its methodology in 2017 for the generation
19 capacity marginal value.

20 And I direct your attention to the
21 paragraph that starts with the words, "The 2017 update
22 includes a change in the methodology". I'd ask for
23 the record that this be marked as Exhibit 12.

24

25 --- EXHIBIT NO. MIPUG-12: 2017/'18 and 2018/'19 GRA

1 IR response by Manitoba
2 Hydro to PUB Round II
3 question 77.
4

5 CONTINUED BY MR. ANTOINE HACAULT:

6 MR. ANTOINE HACAULT: And then once
7 you've had a chance to read that paragraph, I'll ask
8 you a couple questions.
9

10 (BRIEF PAUSE)
11

12 MR. ANTOINE HACAULT: Now, in this
13 response, it indicated that the generation capacity
14 marginal value was based on the deferral of a peaking
15 type natural gas combustion turbine built in 2030/'31,
16 but what part of that answer still holds true today?

17 Is it everything, except for the date?

18 MR. KEVIN GAWNE: I believe it's
19 the...

20

21 (BRIEF PAUSE)
22

23 MR. KEVIN GAWNE: Sorry, Mr. Hacault,
24 it's the -- based on, yes, deferral of value of a
25 peaking type gas combustion turbine, the lesser of

1 that or the capacity raised forecast.

2 MR. ANTOINE HACAULT: And that's the
3 CSI stuff, is the capacity forecast pricing?

4 MR. KEVIN GAWNE: Actual --

5 MR. ANTOINE HACAULT: That's what we
6 see blocked up.

7 MR. KEVIN GAWNE: -- actual value for
8 that.

9 MR. ANTOINE HACAULT: Okay, and,
10 continuing on in this response, and it -- sorry, on
11 the same page, Ms. Schubert, but in this paragraph,
12 the next...

13

14 (BRIEF PAUSE)

15

16 MR. ANTOINE HACAULT: Are you able,
17 without getting into CSI, to say which of the two (2)
18 hydro has chosen, because you've given two (2)
19 options?

20 MR. KEVIN GAWNE: The less -- the
21 lesser of the two.

22 MR. ANTOINE HACAULT: Yeah. That's
23 what you said. You said it was the lesser --

24 MR. KEVIN GAWNE: -- and which one
25 came out --

1 MR. ANTOINE HACAULT: -- of the
2 capacity marginal value is based on the deferral of a
3 peaking type natural gas -- gas combustion turbine
4 built in 20/31 (sic) or '30/31 or you said the
5 capacity value, the lesser of the two.

6 Are you able to put on the public
7 record which of the two (2) you've chosen, as Manitoba
8 Hydro?

9 MR. KEVIN GAWNE: Sorry, Mr. Hacault,
10 I don't think we can provide that in public.

11 MR. ANTOINE HACAULT: And when did
12 this new approach arise or when was it created aft --
13 was it just for this hearing or was it shortly after
14 the last GRA of 2017/2018?

15 MR. KEVIN GAWNE: Sorry, sir. The
16 information I have in front of me doesn't tell me when
17 that occurred. You -- all I can say is I don't think
18 it was done specifically for this GRA but I can't say
19 in what year that -- that addition of the lesser of
20 the two (2) was implemented in our marginal costs --
21 marginal value.

22 MR. ANTOINE HACAULT: If -- if you're
23 able to provide a public response to that, I'd
24 appreciate if you would take it back and see whether
25 it's possible. If you can't, then you'll just

1 respond, sorry, we couldn't provide a --

2 MR. KEVIN GAWNE: Okay.

3 MR. ANTOINE HACAULT: -- a public --
4 public response to it. So, I have, for the record,
5 that Undertaking?

6 MR. BOB PETERS: Mr. Hacault and Mr.
7 Chair, if the Panel is not able to put that answer on
8 the public record, on behalf of the Board, I would ask
9 them to file it as confidential information, so the
10 Board would have it, depending on the submissions that
11 you'll make relative to that, Mr. Hacault.

12 MR. ANTOINE HACAULT: That would be
13 appreciated.

14 MS. ODETTE FERNANDES: That's fine.

15

16 --- UNDERTAKING NO. 6: Manitoba Hydro to advise
17 which of the two it has chosen and
18 if the answer falls under CSI, to
19 file a response under CSI.

20

21 CONTINUED BY MR. ANTOINE HACAULT:

22 MR. ANTOINE HACAULT: Now, continuing
23 to kind of understand that a bit better, is the
24 generation capacity tied to the deferral, because
25 we're talking about the next marginal cost, to the

1 deferral -- deferral of a Manitoba based generation
2 source?

3 MR. KEVIN GAWNE: So, the lesser of
4 the two (2) would be the -- the assumption of the
5 referral would be a combustion turbine built in -- in
6 Manitoba.

7 MR. ANTOINE HACAULT: Okay. And then
8 -- I'm trying to think this out with all these
9 pressures of net zero and everything else.

10 Given the increased pressure to achieve
11 net zero and eliminate GHG, emitting natural gas
12 turbines, can you comment on the appropriateness of
13 still using a natural gas turbine as next available
14 resource as a marginal cost?

15

16 (BRIEF PAUSE)

17

18 MR. HAL TURNER: I'm going to take a
19 crack at this. I think the short answer is, yes. At
20 this point there is no regul -- regulations federally
21 or provincially that would preclude this type of
22 resource.

23 Our mandate is to be -- provide
24 reliable electricity at the lowest cost. This is the
25 lowest cost capacity resource. So, I believe it's

1 appropriate to use. If at some point in the future
2 regulations change or something like this is
3 precluded, then of course we would consider something
4 else.

5 But given our mandate, I think the
6 answer is, yes, it's appropriate.

7 MR. ANTOINE HACAULT: I'm also trying
8 to better understand, without getting into CSI the
9 market value, because you said the capacity value
10 going forward.

11 I don't know if I'm misunderstanding
12 the evidence, but from a Manitoba perspective, the
13 capacity -- the ability to sell capacity and the value
14 of that is pretty minimal right now.

15 Am I right in understanding that?

16 MR. KEVIN GAWNE: I think what we've
17 seen is there's not a lot of surplus capacity for year
18 round. So, in terms of the quantity of capacity
19 that's available to enter into new contracts, there's
20 not a lot of quantity for annual capacity.

21 Does that answer your question?

22 MR. ANTOINE HACAULT: Yeah, so I'm --
23 call me the dumb guy on the street. I'm just trying
24 to connect the dots here. If we're trying to say,
25 well, we'll tie it into the value of capacity and we

1 can't sell capacity really, because we've got none
2 left and it's minimum value, how can we even do it?

3 MR. KEVIN GAWNE: Well, I -- I -- sir,
4 it's based on the lesser of the capacity cost, the
5 deferral of new capacity in Manitoba and -- or the
6 capacity price forecast. It's not to say that we
7 would -- you know, the -- is that a capacity import
8 that's being driven by that marginal change in load.

9 So, it's a -- it's a value of capacity
10 in the market produced by our five (5) consensus
11 forecasts and we're -- we're taking the lesser of the
12 two.

13 MR. ANTOINE HACAULT: That's probably
14 as far as I can take it without getting to CSI. Thank
15 you.

16 THE CHAIRPERSON: Sorry, Mr. Hacault,
17 you've -- you're -- you've got five (5) minutes left.

18

19 CONTINUED BY MR. ANTOINE HACAULT:

20 MR. ANTOINE HACAULT: But you would
21 agree with me then that given your evidence that
22 natural gas turbine is the lowest cost capacity
23 resource, capacity would get more expensive if we
24 couldn't use that lowest resource as a option.

25 MR. KEVIN GAWNE: I think that's a

1 fair statement.

2 MR. ANTOINE HACAULT: Now, going back
3 to Board book of counsel, page 36. Now, could you
4 confirm that when these numbers get converted, it's
5 based on 100 percent load factor?

6 If you could go to the next page, Ms.
7 Schubert, I think it'll confirm this for the witness,
8 top of the table.

9 MR. KEVIN GAWNE: Confirmed.

10 MR. ANTOINE HACAULT: Okay. And we
11 see all the redacted values which are confidential,
12 but can you give any indication on the public record
13 of the relative marginal values between summer versus
14 winter? Is one higher than the other, and which one?
15 I think you can do that without CSI.

16 MR. KEVIN GAWNE: Yeah. I would -- I
17 can share that winter would be higher than summer.

18 MR. ANTOINE HACAULT: Yeah. And can
19 you give us any -- any indication of the relative
20 marginal values of capacity versus energy, which one's
21 higher?

22

23 (BRIEF PAUSE)

24

25 MR. KEVIN GAWNE: Sorry, Mr. Hacault,

1 I'm not comfortable answering the question at this
2 time.

3 MR. ANTOINE HACAULT: Okay. Okay.
4 Can we do the same thing as last time? Can you
5 undertake to look to provide that answer? If you
6 can't provide a public answer, provide a CSI answer
7 that can be viewed by the Board?

8 MR. KEVIN GAWNE: Yes, we can
9 undertake.

10 MR. ANTOINE HACAULT: Okay. So, for
11 the record, undertaking so we can pick that up.

12

13 --- UNDERTAKING NO. 7: Manitoba Hydro to provide an
14 indication of the relative marginal
15 values of capacity versus energy,
16 which one's higher. If it falls
17 under CSI, to file a response under
18 CSI.

19

20 CONTINUED BY MR. ANTOINE HACAULT:

21 MR. ANTOINE HACAULT: I have another
22 question. If winter has higher marginal values, has
23 there been consideration of designing domestic rates
24 to reflect the seasonality such as higher rates for
25 the four (4) coldest months to better reflect marginal

1 costs and rates? If not, why not.

2

3

(BRIEF PAUSE)

4

5 MR. KEVIN GAWNE: Sir, if we could
6 hang on to that question for the rates panel, I'll --
7 I think that --

8

MR. ANTOINE HACAULT: Will do.

9

THE CHAIRPERSON: Okay. Does the
10 Panel have any questions? Re-examination at all?

11

12

(BRIEF PAUSE)

13

14 MS. ODETTE FERNANDES: No, there's
15 nothing. Thank you.

16

THE CHAIRPERSON: Thank you. It's
17 been a long day. I want to thank the panel and I want
18 to thank Ms. Fernandes.

19

We're going to adjourn until nine
20 o'clock tomorrow morning, and according to my
21 schedule, tomorrow morning we will be hearing from
22 Daymark for public evidence. So thank you. Have a
23 good evening.

24

25 --- Upon adjourning at 2:50 p.m.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

Certified Correct,

Wendy Woodworth, Ms.