



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

re:

MANITOBA HYDRO

2023/24 and 2024/25

GENERAL RATE APPLICATION

Hearing

Before Board Panel:

Robert Gabor, KC - Board Chairperson

Marilyn Kapitany - Board Vice Chair

Carol Bellringer - Board Member

Hamath Sy - Board Member

George Bass, KC - Board Member

HELD AT:

Public Utilities Board

400, 330 Portage Avenue

Winnipeg, Manitoba

May 24th, 2023

Pages 1378 to 1651

1 APPEARANCES

2 Bob Peters) Board Counsel

3 Sven Hombach)

4

5 Brent Czarnecki) Manitoba Hydro

6 Odette Fernandes (np))

7 Deanna Hiebert (np))

8 Gwen Muirhead (np))

9

10 Byron Williams) Consumers Coalition

11 Chris Klassen)

12

13 Antoine Hacault) MIPUG

14 Melissa Beaumont)

15

16 Carly Fox (np)) Assembly of

17 Emily Guglielmin) Manitoba Chiefs

18

19 Markus Buchart) MKO

20

21 Thomas Reimer) GSS and GSM

22 Robert Walichnowski (np)) customer classes

23

24 William Haight (np)) Daymark Energy

25 Bradley McClelland (np)) Advisors

1	Table of Contents	
2		Page No.
3	List of Exhibits	1382
4	List of Undertakings	1383
5		
6	CONTINUED MANITOBA HYDRO ASSET MANAGEMENT & CAPITAL	
7	PANEL:	
8	HAL TURNER, Resumed	
9	JIM PAWLUK, Resumed	
10	KRISTA HALAYKO, Resumed	
11	ALASTAIR FOGG, Resumed	
12	CYRIL PATTERSON, Resumed	
13	TANIS BRAKO, Resumed	
14	SARAH VINE, Resumed	
15		
16	Cross-examination by Dr. Byron Williams	1386
17	Cross-examination by Mr. Thomas Reimer	1454
18	Cross-examination by Mr. Antoine Hacault	1517
19		
20	CONSUMERS COALITION PANEL:	
21	PETER HELLAND, Affirmed	
22	CHRIS OAKLEY, Affirmed	
23		
24	Examination-in-chief by Dr. Byron Williams	1566
25	Certificate of Transcript	1651

1	LIST OF EXHIBITS	
2	EXHIBIT NO.	PAGE NO.
3	CC-13	References from Five (5) Public
4		Utilities Board Orders from 116/'08 to
5		59/'18 1386
6	CC-14	Excerpt from 'Manitoba Hydro's 2015
7		General Rate Application', Planning and
8		Operations Panel 1386
9	MIPUG-13	MIPUG Book 1564
10	CC-15	Midgard's Presentation 1575

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1		LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION	PAGE NO.
3	16	Manitoba Hydro to provide third quarter	
4		report for 2022/23 fiscal year	1395
5	17	Manitoba Hydro to advise if the sub-	
6		transmission level performance	
7		included in distribution SAIFI or	
8		SAIDI, or is it at the transmission	
9		level or both	1526
10	18	Manitoba Hydro to answer the question:	
11		the ten dollars (\$10) per kilowatt, and	
12		if it goes in greater granularity, what	
13		numbers are used for that greater	
14		granularity	1557
15	19	Manitoba Hydro to provide what	
16		assumptions are used for both items,	
17		frequency and duration costs.	1562
18	20	Does Manitoba Hydro input different	
19		levels of value of lost load or	
20		different levels of voltage service	
21		when it comes to making investment	
22		decisions; if so, advise	1563
23			
24			
25			

1 --- Upon commencing at 9:00 a.m.

2

3 THE CHAIRPERSON: Good morning. Mr.

4 Peters...?

5

6 CONTINUED MANITOBA HYDRO ASSET MANAGEMENT AND CAPITAL

7 EXPENDITURE PANEL:

8 HAL TURNER, Resumed

9 JIM PAWLUK, Resumed

10 KRISTA HALAYKO, Resumed

11 ALASTAIR FOGG, Resumed

12 CYRIL PATTERSON, Resumed

13 TANIS BRAKO, Resumed

14 SARAH VINE, Resumed

15

16 MR. BOB PETERS: Yes, thanks you, and

17 good morning. Still seated before the Board today is

18 Manitoba Hydro's Asset Management and Capital

19 Expenditure Panel. Yesterday, Board counsel included

20 questions of the panel of witnesses, as did the

21 Assembly of Manitoba Chiefs.

22 So this morning we are starting with

23 the Consumers Coalition questions, and it's seen on

24 the screen, followed by the General Service Small/

25 General Service Medium representative's questions, and

1 then followed by the Manitoba Industrial Power Users
2 questions.

3 What is not shown before the Board on
4 the screen is -- is the afternoon intention at this
5 point to introduce and seat the Midgard panel, and we
6 welcome the Midgard witnesses who have joined us
7 seated in the back of the room.

8 They will work with counsel for the
9 Consumers Coalition, and our intention is that by mid-
10 afternoon we would be able to hear their direct
11 evidence presentation. And at the end of that, that
12 will conclude our day, so we will start tomorrow
13 morning with -- with cross-examination of the -- the
14 Midgard panel.

15 So I trust that's helpful. If there's
16 questions on process, please let me know. Thank you.

17 THE CHAIRPERSON: Mr. Czarnecki, are
18 there any documents to put in?

19 MR. BRENT CZARNECKI: I think there
20 was a couple, but I'll wait till the morning break,
21 Mr. Chairman. One (1) area quickly -- Ms. Brako had
22 one (1) minor clarification from her testimony
23 yesterday. If she could make it now, it will be
24 brief.

25 THE CHAIRPERSON: Yeah, okay. Ms.

1 Brako...?

2 MS. TANIS BRAKO: Good morning.
3 Yesterday I had spoken to our customer complaint
4 registry relative to a question of whether or not we
5 could identify which region our customers were from.

6 So while we don't have a reserve
7 indicator in that customer complaint registry, we do
8 collect information such as address and premise number
9 which we could manually pull to -- to identify where
10 the customers are in the province. So just wanted to
11 clarify that. Thank you.

12 THE CHAIRPERSON: Thank you. Sorry,
13 thank you very much.

14 Mr. Williams...?

15 DR. BYRON WILLIAMS: Good morning, Mr.
16 Chair and members of the Panel. Mr. Peters stole my
17 thunder a little bit, but I do want to introduce just
18 in the back row Mr. Peter Helland who's I think
19 farthest from you, courteously raising his hand. And
20 to his left is Mr. Christopher Oakley, and they'll be
21 appearing this afternoon to give evidence.

22 Mr. Chair, in terms of exhibits, we
23 have two (2) exhibits we'd like to enter as aids to
24 cross-examination. We've shared them with Manitoba
25 Hydro in advance, and Mr. Czarnecki was -- has shared

1 with me that he doesn't object to them being admitted.

2 So one (1) document is -- is references
3 from five (5) Public Utilities Board Orders from
4 116/'08 to 59/'18, and we'd propose that be marked as
5 Consumer Coalition number 13. It's the white page,
6 Mr. Chair.

7

8 --- EXHIBIT NO. CC-13: References from Five (5)
9 Public Utilities Board
10 Orders from 116/'08 to
11 59/'18

12

13 DR. BYRON WILLIAMS: And then a second
14 document is an excerpt from what is titled 'Manitoba
15 Hydro's 2015 General Rate Application', the Planning
16 and Operations Panel, and we propose that be marked as
17 Consumer Coalition 14, Sir.

18

19 --- EXHIBIT NO. CC-14: Excerpt from 'Manitoba
20 Hydro's 2015 General Rate
21 Application', Planning and
22 Operations Panel

23

24 CROSS-EXAMINATION BY DR. BYRON WILLIAMS:

25 DR. BYRON WILLIAMS: If I could ask

1 Ms. Schubert to pull up Consumer Coalition First Round
2 Information Request to Manitoba Hydro 126 -- 126(b),
3 attachment 1.

4 And, Ms. Brako, I think I can see you
5 way -- that's you way back in the back there. You're
6 raising your hand. Okay. I can't hear you though.
7 Can -- is your mic...

8 MS. TANIS BRAKO: Can you hear me now?

9 DR. BYRON WILLIAMS: Just barely.

10 MS. TANIS BRAKO: Okay. I'll -- I'll
11 speak up --

12 DR. BYRON WILLIAMS: Thank you.

13 MS. TANIS BRAKO: -- as required,
14 yeah.

15 DR. BYRON WILLIAMS: And, Ms. Brako,
16 you'll see before Manitoba Hydro's customer
17 satisfaction and perceptions report for the second
18 quarter of the '22/'23 year, agreed?

19 MS. TANIS BRAKO: Agreed.

20 DR. BYRON WILLIAMS: And it's dated
21 September 2022?

22 MS. TANIS BRAKO: Correct.

23 DR. BYRON WILLIAMS: And I wonder if I
24 could ask Ms. Schubert to go to page 22 of 26. And,
25 Ms. Brako, this customer satisfaction and perceptions

1 tracking, it's a quarterly report of Manitoba Hydro?

2 MS. TANIS BRAKO: That's correct.

3 DR. BYRON WILLIAMS: And you ask a
4 series of questions over time, and so you -- you track
5 the responses over time, agreed?

6 MS. TANIS BRAKO: We do, yes.

7 DR. BYRON WILLIAMS: And what we see
8 here on appendix A to -- to this -- to this survey
9 from the -- the second quarter of 2022 is, on the
10 left-hand side, we -- we see certain measures that
11 Manitoba Hydro tests over time, including reliability,
12 price of electricity, agreed?

13 MS. TANIS BRAKO: That's correct.

14 DR. BYRON WILLIAMS: And going across
15 the top left to right, in the first column, we will
16 see the results of those measures from the first
17 quarter -- or from the second quarter of the
18 particular year, in this case, 2022 second quarter,
19 agreed?

20 MS. TANIS BRAKO: That's correct.

21 DR. BYRON WILLIAMS: And what you're
22 doing is comparing it to a rolling average being the
23 third column, agreed?

24 MS. TANIS BRAKO: Yes.

25 DR. BYRON WILLIAMS: And then you also

1 compare it in the -- the fourth column over that you'd
2 compare the second quarter average to the five (5)
3 year mean as well as they typical range, agreed?

4 MS. TANIS BRAKO: Correct.

5 DR. BYRON WILLIAMS: And then finally,
6 you -- you take a look at two (2) year trends and five
7 (5) year trends and -- and other information as we
8 move along to the right, agreed?

9 MS. TANIS BRAKO: That's right.

10 DR. BYRON WILLIAMS: And so, if we go
11 to the second row, being reliability of electricity,
12 what -- what that is telling us is that, in terms of
13 that metric as measured by Manitoba Hydro for the
14 second quarter, the response of -- in -- in terms of
15 consumers' perceptions of the reliability of
16 electricity was 8.62, agreed?

17 MS. TANIS BRAKO: Correct.

18 DR. BYRON WILLIAMS: Is that out of a
19 scale of 10?

20 MS. TANIS BRAKO: Yes, that's correct.

21 DR. BYRON WILLIAMS: And going one
22 column over, the second quarter average of 8.62 is
23 being compared to the rolling average of 8.67, agreed?

24 MS. TANIS BRAKO: Yes.

25 DR. BYRON WILLIAMS: And if we -- what

1 we see in the -- the fourth column is that the -- the
2 five (5) year mean for reliability of electricity is
3 8.68, agreed? Oh, five (5) -- the five (5) year
4 average, right?

5 MS. TANIS BRAKO: Yes. Correct.
6 Average, yeah.

7 DR. BYRON WILLIAMS: Yeah, mean.

8 MS. TANIS BRAKO: Yeah. Yeah.

9 DR. BYRON WILLIAMS: And the lower
10 range over the last five (5) years has been 8.52,
11 correct?

12 MS. TANIS BRAKO: So, that would be
13 the second quarter average versus five (5) year mean
14 typical -- and typical range. So, the first number
15 would be your second quarter average.

16 DR. BYRON WILLIAMS: No, the -- just
17 without meaning to correct you, the second quarter
18 average is 8.62, correct?

19 MS. TANIS BRAKO: Yes.

20 DR. BYRON WILLIAMS: Okay.

21 MS. TANIS BRAKO: Versus -- yes --

22 DR. BYRON WILLIAMS: And so, what
23 you're seeing --

24 MS. TANIS BRAKO: Correct.

25 DR. BYRON WILLIAMS: -- in the fourth

1 column, the 8.52, is the low end of the range over the
2 last five (5) years, correct?

3 MS. TANIS BRAKO: Correct.

4 DR. BYRON WILLIAMS: And the higher
5 end of the range is 8.83, correct?

6 MS. TANIS BRAKO: Yes. Correct.

7 DR. BYRON WILLIAMS: Okay. So, that
8 8.62 from the second quarter would be within the five
9 (5) year range, right?

10 MS. TANIS BRAKO: That's correct.

11 DR. BYRON WILLIAMS: Okay. Ms. Brako,
12 we're not going to spend as much time on other aspects
13 of this table, but if we go down to, "Price of
14 electricity," which is the second last measure.

15 Do you see that?

16 MS. TANIS BRAKO: I do.

17 DR. BYRON WILLIAMS: In terms of
18 consumer perception in terms of the price of
19 electricity, they gave it a score of 6.29 out of 10,
20 agreed?

21 MS. TANIS BRAKO: Correct.

22 DR. BYRON WILLIAMS: Okay. And in
23 terms of overall service, going to the top of the
24 measures, the score there was 8.14, agreed, out of 10?

25 MS. TANIS BRAKO: Overall service,

1 yes.

2 DR. BYRON WILLIAMS: Okay. And again,
3 that was for the second quarter --

4 MS. TANIS BRAKO: Correct.

5 DR. BYRON WILLIAMS: -- of 2022?

6 MS. TANIS BRAKO: Yes.

7 DR. BYRON WILLIAMS: Thank you. Now
8 I'm going to ask you to turn to page 7 of 26 of this
9 document with Ms. Schubert and I. And you'll see here
10 that, in terms of the survey, they're reporting that
11 respondents continue to report very high satisfaction
12 levels with electric power reliability, power quality,
13 and speed of power restoration.

14 Do you see that, Ms. Brako?

15 MS. TANIA BRAKO: I do, yes.

16 DR. BYRON WILLIAMS: And again, if
17 we're looking for the reliability of electricity -- as
18 I struggle with my progressive lenses -- but that's
19 the second column over.

20 And again, we see that eight-point-six-
21 two (8.62) represented in that column, agreed?

22 MS. TANIA BRAKO: Correct.

23 DR. BYRON WILLIAMS: Okay. If we can
24 go to slide 8 for just one second, Ms. Brako. And in
25 terms of the bullets, I want to direct your attention

1 to the second-last bullet, which is -- and you'll --
2 you'll agree with me, it's stating that respondents
3 report much lower satisfaction with Manitoba Hydro
4 consulting with customers before making decisions that
5 impact them. Do you see that reference?

6 MS. TANIA BRAKO: I do, yeah.

7 DR. BYRON WILLIAMS: And I've stated
8 that correctly?

9 MS. TANIA BRAKO: Yes.

10 DR. BYRON WILLIAMS: And if we were
11 looking for those numerical responses, we would see
12 that, on the extreme right of -- of the bigger -- on
13 the right-hand side of the table.

14 And consults with customers, that's
15 where we see that score of six-point-two-zero (6.20),
16 agreed?

17 MS. TANIA BRAKO: Yes.

18 DR. BYRON WILLIAMS: Slide 10, Ms.
19 Brako -- and we'll follow-up on a conversation you had
20 with the Board -- Board members, as well as Mr. Peters
21 yesterday.

22 Directing your attention to the fourth
23 bullet on this page, I'll suggest to you -- and I'll
24 ask you to confirm -- that this tells us that over a
25 third (1/3), 34 percent, of respondents still report

1 their household is experiencing an energy burden.

2 Do you see that?

3 MS. TANIA BRAKO: Correct, yes.

4 DR. BYRON WILLIAMS: Thank you. Now,
5 Ms. Brako, to -- in terms of this report, it's from
6 the second quarter of 2022.

7 Presumably, Manitoba Hydro would have
8 received at least reports from the third quarter of
9 2022?

10 I -- I see you nodding your head, is
11 that a "yes"?

12 MS. TANIA BRAKO: Yes.

13 DR. BYRON WILLIAMS: And would you
14 have received reports from the fourth quarter of 2022
15 yet?

16 MS. TANIA BRAKO: Not yet. Yes.

17 DR. BYRON WILLIAMS: Through your
18 counsel to -- to you, by way of undertaking, could you
19 provide us with that third quarter report for the
20 '22/'23 fiscal year?

21 MS. TANIA BRAKO: Yes. We -- we
22 certainly can.

23 DR. BYRON WILLIAMS: Okay. Thank you
24 for your courtesy.

25 MS. TANIA BRAKO: Yes.

1 --- UNDERTAKING NO. 16: Manitoba Hydro to provide
2 third quarter report for
3 2022/23 fiscal year
4

5 CONTINUED BY DR. BYRON WILLIAMS:

6 DR. BYRON WILLIAMS: Mr. Turner, and
7 to the front row, I'm not -- Mr. Fogg, I'm not going
8 to have a lot of questions for you until right to the
9 end. But you can study up on the Portage Extension,
10 if you're looking for a bit of homework. Consumer
11 Coalition 1-85, page 29 to 31, if you're looking for
12 it. Don't need to go there yet.

13 And I will -- Ms. Vine, I will have
14 some questions for you in a few minutes.

15 And then, certainly, for Mr. Pawluk and
16 Ms. Halayko, I'll have some.

17 But I think it's you, Mr. Turner.
18 You'll direct me if I'm going to the wrong person
19 though, agreed? Mr. Turner --

20 MR. HAL TURNER: Agreed. Sorry, I
21 will just -- and briefly, good morning, everyone.
22 Another beautiful Manitoba morning.

23 And I just want to say, Mr. Chair, I
24 took your advice. I'm on my second tea today before
25 the break. So cognitively, I should be much closer to

1 full throttle today.

2 DR. BYRON WILLIAMS: Mr. Turner, as an
3 exhibit -- I have coffee here as well, if you need
4 some. So just in case.

5 Mr. Turner, you're aware that tab 7.4
6 of the Manitoba Hydro Application contains the 2022
7 report by AMCL on capital asset management? You'll
8 accept that, subject to check, sir?

9 MR. HAL TURNER: On asset management,
10 yes.

11 DR. BYRON WILLIAMS: Asset management.

12 MR. HAL TURNER: Correct.

13 DR. BYRON WILLIAMS: And, of course,
14 Manitoba Hydro has had the opportunity to review that
15 AMCL report -- AMCL report and its commentary on
16 Manitoba Hydro, agreed?

17 MR. HAL TURNER: Agreed.

18 DR. BYRON WILLIAMS: You've studied it
19 carefully, correct?

20 MR. HAL TURNER: I've read it numerous
21 times, yes.

22 DR. BYRON WILLIAMS: And in Manitoba
23 Hydro's view, I'll ask you to confirm it -- the report
24 represents a sound and fair assessment of where
25 Manitoba Hydro stood in terms of capital asset

1 management or asset management maturity, as at the
2 time of the writing of the report. Agreed?

3 MR. HAL TURNER: Agreed.

4 DR. BYRON WILLIAMS: And this report,
5 of course, sir, would be an important tool for
6 Manitoba Hydro as it seeks to improve its capital
7 asset, its asset management practices. Agreed?

8 MR. HAL TURNER: Agreed. We -- we
9 certainly value AMCL's opinion. We saw a lot of value
10 in conducting a maturity assessment and continue to --
11 or we expect to conduct maturity assessments ongoing
12 as we move forward.

13 DR. BYRON WILLIAMS: And, Mr. Turner,
14 we -- I think you and I had a bit of a conversation
15 with -- about this last week, but I'll -- at the --
16 risk of modest overlap, I'll just ask you to confirm
17 that in July of 2018 the Bipole III high voltage
18 direct current transmission line was completed, on or
19 about that date, sir?

20 MR. HAL TURNER: I believe that's
21 correct.

22 DR. BYRON WILLIAMS: And, subject to
23 check, it has a capacity of two thousand (2000)
24 megawatts at the rectifier, sir?

25 MR. HAL TURNER: Sorry. Yes, that's

1 correct.

2 DR. BYRON WILLIAMS: And, again, this
3 is what we did touch on briefly last week, the
4 Manitoba/Minnesota Transmission Project was completed
5 on or about June of 2020, subject to check?

6 MR. HAL TURNER: Correct.

7 DR. BYRON WILLIAMS: And, in terms of
8 increasing Manitoba Hydro's firm import capability
9 from the United States, it expanded that import
10 capability by about seven hundred (700) megawatts,
11 sir. Agreed?

12 MR. HAL TURNER: I -- I believe that's
13 correct. I think it doubled it from seven hundred
14 (700) to fourteen hundred (1400) megawatts.

15 DR. BYRON WILLIAMS: And, in essence,
16 the MMTP or Manitoba/Minnesota Transmission Project,
17 accounts for about a half of Manitoba Hydro's
18 dependable energy import capability, sir. Agreed?

19 MR. HAL TURNER: I believe that's
20 correct. Yes.

21 DR. BYRON WILLIAMS: But, of course,
22 sir, the last achievement of Manitoba Hydro, in terms
23 of big capital projects, was the Keeyask Project
24 which, the last turbine -- turbine went online, on or
25 about, March of 2022. Correct?

1 MR. HAL TURNER: Correct.

2 DR. BYRON WILLIAMS: Subject to check,
3 its capacity is six hundred and ninety-five (695)
4 megawatts, sir?

5 MR. HAL TURNER: Correct.

6 DR. BYRON WILLIAMS: I wonder if I
7 could ask Ms. Schubert to turn to Coalition 1-85, I
8 think attachment 1, page 3 of 51.

9 Mr. Turner, the control budget for
10 Keeyask, the final control budget for it was
11 \$8,726,000,000, sir, agreed?

12 MR. HAL TURNER: I believe the current
13 control budget is 8.19 billion, so that may be a dated
14 number, Mr. Williams.

15 DR. BYRON WILLIAMS: That's okay, sir.
16 So, so let -- let me try it in a bit of a different
17 way.

18 At one point in time, the control
19 budget for Keeyask was set at \$8.726 billion, agreed?

20 MR. HAL TURNER: Agreed.

21 DR. BYRON WILLIAMS: And what this
22 capital just -- CJI or Capital Justification document
23 is telling us, is that the budget for financial
24 reporting purposes of Keeyask has been now revised to
25 \$8.164 billion. Agreed?

1 MR. HAL TURNER: Agreed.

2 DR. BYRON WILLIAMS: And, so that's a
3 downward revision of \$562 million in the -- the last
4 few years, in terms of Keeyask. Agreed, sir?

5 MR. HAL TURNER: Agreed.

6 DR. BYRON WILLIAMS: We don't need to
7 go there, sir, but subject to check, this revision was
8 made on or about June of 2022? It's a couple pages
9 forward in the document of --

10 MR. HAL TURNER: Yeah, I think it --
11 there's dates on a couple of pages for it, but it's
12 subject to check -- check. Agreed?

13 DR. BYRON WILLIAMS: So, but -- an
14 improvement of about half a billion dollars to --
15 since the '17/'18 General Rate Application. Agreed?

16 MR. HAL TURNER: Agreed.

17 DR. BYRON WILLIAMS: And, sir, if --
18 if you could turn with -- with me to Consumer
19 Coalition Exhibit 14, the excerpt from the 2015
20 General Rate Application and page 5. So, just one
21 page over -- sorry, Ms. Schubert, just go to the
22 second page in the document. My apologies.

23 Mr. Turner, you have that before you,
24 sir? You're nodding your head.

25 MR. HAL TURNER: I do.

1 DR. BYRON WILLIAMS: Okay. Back at
2 the time of the 2014/'15, '15/'16 GRA, the estimated
3 budget at that time for Keeyask was about \$6.5
4 billion, sir?

5 MR. HAL TURNER: That's correct.

6 DR. BYRON WILLIAMS: And so,
7 ultimately, Keeyask cost about 1.5 billion more than
8 the estimate portrayed on -- in -- at this point in
9 time, for the purposes of the '14/'15, '15/'16 GRA,
10 sir?

11 MR. HAL TURNER: Correct.

12 DR. BYRON WILLIAMS: Just going to the
13 front page of this exhibit, sir, Exhibit Consumer
14 Coalition 14. Mr. Turner, you'll see a number of
15 witnesses who appeared on behalf of Manitoba Hydro
16 during that proceeding on behalf of the Planning and
17 Operation Panel. You see that?

18 MR. HAL TURNER: I do.

19 DR. BYRON WILLIAMS: And if we took --
20 look, for example, Michele Moran (phonetic), he is no
21 longer with Manitoba Hydro. Is that correct, sir?

22 MR. HAL TURNER: He -- he retired,
23 correct.

24 DR. BYRON WILLIAMS: And Mr. Reed
25 (phonetic) is no longer with Manitoba Hydro?

1 MR. HAL TURNER: He also retired,
2 correct.

3 DR. BYRON WILLIAMS: And Mr. Swatuck
4 (phonetic) is at the University of Manitoba but no
5 longer with Manitoba Hydro?

6 MR. HAL TURNER: That's correct, as is
7 Rob Elder (phonetic), Terry Miles, David Cormie,
8 Darren Rainkie, and Sandie Bauerlein, so Mr. Bowen
9 would be the only remaining person employed with
10 Manitoba Hydro.

11 DR. BYRON WILLIAMS: Thank you for
12 that. And I'll remind Mr. Bowen of that next time I
13 see him at --

14 MR. HAL TURNER: I'll remind him of
15 that tomorrow.

16 DR. BYRON WILLIAMS: Okay. Thank you.
17 Send my regards.

18

19 (BRIEF PAUSE)

20

21 DR. BYRON WILLIAMS: Ms. Vine, I'm
22 going to have more questions for you later. I have
23 one little, I hope, simple one for you right now.

24 From -- from the perspective of
25 Manitoba Hydro, in -- sorry, it's from the perspective

1 of AMCL -- increased asset management capability will
2 enable Manitoba Hydro to gain more value from its
3 capital and operational expenditures and more
4 effectively manage its risk while maintaining current
5 service levels, agreed?

6 MS. SARAH VINE: Agreed.

7 DR. BYRON WILLIAMS: And this can go
8 to Ms. Halayko and Mr. Pawluk. I'm not sure who's --
9 who's the -- but at a high level, the ultimate goal of
10 asset management is to achieve that optimal balance of
11 asset performance, cost, and risk, agreed?

12 MS. KRISTA HALAYKO: Agreed. That's
13 the ultimate goal.

14 DR. BYRON WILLIAMS: And the
15 expectation of Manitoba Hydro is that a mature asset
16 management system will result in lower overall cost to
17 achieve these goals that might otherwise be needed
18 with an immature asset management system, agreed?

19 MS. KRISTA HALAYKO: All else being
20 equal, the equal performance and risk as we get more
21 mature, we will be able to have lower cost, but it's a
22 very complicated balance.

23 DR. BYRON WILLIAMS: And it's the
24 triangular balance that we --

25 MS. KRISTA HALAYKO: And, yeah, we're

1 always balancing. And as our risk is increasing,
2 other things have to flex, as well.

3 DR. BYRON WILLIAMS: Thank you. Ms.
4 Vine, one (1) of the roles of AMCL in -- in its
5 undertaking from Manitoba Hydro was to review the 2016
6 UMS report, agreed?

7 MS. SARAH VINE: That's correct.

8 DR. BYRON WILLIAMS: And so, you're
9 relatively familiar with that report, agreed?

10 MS. SARAH VINE: Yes. Yeah.

11 DR. BYRON WILLIAMS: And, Ms. Halayko,
12 as well, the UMS report is mandatory reading at
13 Manitoba Hydro, agreed?

14 MS. KRISTA HALAYKO: That's correct.

15

16 (BRIEF PAUSE)

17

18 DR. BYRON WILLIAMS: And if -- if Ms.
19 Schubert can just go to the UMS report, tab 7.5, page
20 95. And, as Mr. Turner observed, she beat me to it.

21 In 2016 -- excuse me. Let's go to page
22 95. My apologies. In 2016, UMS reported on its asset
23 management GAP assessment findings to -- to Manitoba
24 Hydro. Agreed, Ms. Halayko?

25 MS. KRISTA HALAYKO: Agreed.

1 DR. BYRON WILLIAMS: And, Ms.
2 Schubert, you can go to page 99, at the top. Yeah,
3 thank you.

4 And -- and at a high level, what UMS
5 was doing back in 2016, was assessing Manitoba Hydro's
6 Asset Management Practices to compare them to Industry
7 Standards and to the ISO 5500 standard.

8 Agreed?

9 MS. KRISTA HALAYKO: Agreed. They
10 also used their own proprietary asset management
11 maturity scale, as Ms. Vine had discussed yesterday.

12 DR. BYRON WILLIAMS: And certainly,
13 UMS was not making these representations to Manitoba
14 Hydro, but on the page before us that you see, they
15 were telling Manitoba Hydro that in ten (10) previous
16 utility management transformations they performed,
17 they had found that utility sign -- significant
18 improvements and productivity, and overall cost
19 savings of 20 to 30 percent over five (5) years with
20 the application of an Asset Management System.

21 Agreed?

22 MS. KRISTA HALAYKO: Yes, that's what
23 it says in the report.

24 DR. BYRON WILLIAMS: And in terms of
25 maturity at the time, Hydro was assessed by UMS as

1 having a score of 1.5.

2 Agreed?

3 MS. KRISTA HALAYKO: Agreed.

4 DR. BYRON WILLIAMS: And I wonder if I
5 can ask Ms. Schubert to take us to page -- PDF page
6 101 of appendix 7.4, and to the key gaps that were
7 identified.

8 And, Ms. Halayko, I'm going to go
9 through them. I'm not going to go through all of
10 them, but I'll ask you to confirm that one (1) of the
11 key gaps identified by UMS in the first paragraph was
12 that the business units, and sometimes the functions
13 within the business units, had been operating with
14 their own objectives and limits for making asset
15 decisions. Agreed?

16 MS. KRISTA HALAYKO: Agreed.

17 DR. BYRON WILLIAMS: And I -- UMS also
18 pointed out to Manitoba Hydro that because of the fact
19 that Asset Management had developed independently in
20 each business unit, and that the asset management
21 functions were split within the business uni -- unit,
22 this led to a lack of standardization of both
23 processes and systems. Agreed?

24 MS. KRISTA HALAYKO: Agreed.

25 DR. BYRON WILLIAMS: And, on the

1 bottom of this page and then the top of the next page,
2 UMS is telling us -- or telling Manitoba Hydro, more
3 importantly, that:

4 "There were no corporate risk
5 standards, tolerance levels, a risk
6 assessment requirement to guide the
7 business units leading to a
8 circumstance where risk was being
9 avoided rather than managed."

10 Agreed?

11 MS. KRISTA HALAYKO: Agreed. That's
12 what UMS said.

13 MR. HAL TURNER: Mr. Williams, sorry.
14 If I could just interject for just a moment. I think
15 yesterday I talked about in our direct evidence how
16 the business model work and the restructuring that Ms.
17 Grewal led has positioned us to mature our Asset
18 Management System at a more rapid pace moving forward.

19 And I think it speaks to some of the
20 challenges here. I think she also spoke about
21 enterprise risk management in her opening testimony.
22 And again, I think trying to get the point across that
23 we recognize some of these challenges and are taking
24 steps to try and close those gaps.

25 DR. BYRON WILLIAMS: Thank you, Mr.

1 Turner, and I'll simply come back to you and -- and
2 Ms. Vine about that, as well -- well as Ms. Halayko.

3 But -- but you'll see here on the --
4 the second full paragraph on this page, one (1) of the
5 concerns expressed by UMS at this point in time, 2016,
6 was that:

7 "Most asset management efforts are
8 focussed on capital spending with
9 minimal attention given to
10 optimizing, operating, and
11 maintenance spending which, of
12 course, is a key part of the asset
13 life cycle."

14 Agreed?

15 MS. KRISTA HALAYKO: Agreed.

16 DR. BYRON WILLIAMS: And then in -- in
17 the second last paragraph on -- just -- no, right here
18 is fine, Ms. Schubert. UMS was also pointing out:

19 "While there was significant effort
20 being made to develop and impl --
21 implement sophisticated tools to
22 support asset management, there was
23 a lack of formal data management and
24 government processes and metrics."

25 Agreed?

1 MS. KRISTA HALAYKO: Agreed.

2 DR. BYRON WILLIAMS: And when Manitoba
3 Hydro sees a reference to sophisticated tools to
4 support asset management, you would have understood
5 that one (1) of those reference would have been
6 Copperleaf 55, which you now know as Copperleaf.

7 Agreed?

8 MS. KRISTA HALAYKO: That is a sophis
9 -- sophisticated tool to support asset management,
10 yes.

11 DR. BYRON WILLIAMS: And Manitoba
12 Hydro was implementing Copperleaf on or about that
13 time. Agreed?

14 MS. KRISTA HALAYKO: We were -- we
15 were starting to implement it as an enterprise. I
16 think that happened around 2018. So we did take the
17 guidance from the UMS report and started making
18 further advancements following that.

19 It's important to remember that this is
20 2016, so we were just -- it was our first maturity
21 assessment, and we took the recommendations to heart.

22 DR. BYRON WILLIAMS: Just to be clear,
23 though, you -- you would acknowledge that Copperleaf
24 was already in play at Manitoba Hydro in 2016?

25 MS. KRISTA HALAYKO: It was -- wasn't

1 fully implemented across the enterprise but, yes, we
2 did own it and we were using it.

3 DR. BYRON WILLIAMS: And in fact, your
4 experience with Copperleaf on the generation side went
5 back some years before that, agreed?

6 MS. KRISTA HALAYKO: Agreed.

7 DR. BYRON WILLIAMS: Now, we'll turn
8 to page 102 if we might under 'Key Recommendations'.
9 And just a couple that I want to direct your attention
10 to. In the second paragraph under 'Key
11 Recommendations', one was:

12 "to provide communication on
13 acceptable risk for Manitoba Hydro
14 by defining a risk tolerance level
15 for key strategic objectives,
16 defining a corporate standard for
17 risk assessment, and creating a
18 corporate standard risk register."

19 Agreed? That was a 2016 UMS
20 recommendation?

21 MS. KRISTA HALAYKO: Agreed.

22 DR. BYRON WILLIAMS: And going down to
23 the last paragraph, another recommendation was:

24 "to develop processes and implement
25 tools to address operations and

1 maintenance spend and the tradeoff
2 between O&M and capital in each
3 business unit."

4 Agreed?

5 MS. KRISTA HALAYKO: Agreed.

6 MR. BOB PETERS: And finally, we'll go
7 to the -- the next page, and just one (1) more, the
8 second last paragraph, another key recommendation was:

9 "to refine the current performance
10 management framework to align asset
11 objectives, plans, and KPIs [key
12 performance indicators] with
13 performance reporting and
14 accountability."

15 Agreed?

16 MS. KRISTA HALAYKO: Agreed.

17 DR. BYRON WILLIAMS: And:

18 "to develop metrics for monitoring
19 asset performance, asset management
20 performance, and management -- asset
21 management system performance."

22 Correct?

23 MS. KRISTA HALAYKO: Correct.

24 DR. BYRON WILLIAMS: Ms. Vine, you're
25 aware that UMS made some twenty-eight (28)

1 recommendations to -- to Manitoba Hydro?

2 MS. SARAH VINE: I am, yes.

3 DR. BYRON WILLIAMS: And one (1) of
4 the conclusions -- I can take you there if you need,
5 but I don't think I need to -- one (1) of the
6 conclusions from the AMCL report was that Manitoba
7 Hydro had completed eight (8), E-I-G-H-T, of the
8 twenty-eight (28) recommendations, agreed?

9 MS. SARAH VINE: I'd have to double-
10 check, but something like that, yes.

11 DR. BYRON WILLIAMS: Okay. You can
12 certainly take that subject to check while I talk to
13 Mr. Turner for a second. And page 5 of 184.

14 MS. KRISTA HALAYKO: This is Ms.
15 Halayko. I'm -- I'm confident to say that it is eight
16 (8), and there's nineteen (19) of the recommendations
17 that are underway presently.

18 DR. BYRON WILLIAMS: Thank you. Mr.
19 Turner, just because it's basically you, me, and Mr.
20 Elder left, I -- I --

21 MR. HAL TURNER: Owen.

22 DR. BYRON WILLIAMS: -- and Mr. Oakley
23 actually, you know, if you get into his resume, you'll
24 see he's been around.

25 MR. HAL TURNER: I'll see Mr. Elder at

1 hockey on Thursday, so I can say hi to him too for you
2 if you'd like.

3 DR. BYRON WILLIAMS: I want to take
4 you for a second to Consumer Coalition 13 and, Mr.
5 Turner, this was provided to your team by your legal
6 counsel, I take it?

7 MR. HAL TURNER: That's correct.

8 DR. BYRON WILLIAMS: I'm not
9 suggesting that you would have had -- memorized five
10 (5) different Public Utility (sic) Board Orders, but
11 you've at least had your -- a chance to familiarize
12 yourself at a high level with this document, sir.

13 Is that correct?

14 MR. HAL TURNER: That is correct.

15 DR. BYRON WILLIAMS: And I just --
16 drawing your attention -- thank you, Ms. Schubert --
17 to Order number 116/'08, page 102.

18 Mr. Turner, at a high level, this is
19 the Public Utilities Board suggesting that there was a
20 need for Manitoba Hydro to undertake periodic asset
21 condition assessments studies. Agreed, sir?

22 MR. HAL TURNER: Agreed.

23 DR. BYRON WILLIAMS: And if we flip to
24 Order 5/12 and page 105 of that Order found in Exhibit
25 Consumer Coalition 14, and you see the Public

1 Utilities Board four (4) years later again asking
2 Manitoba Hydro to file an asset condition assessment.

3 Agreed, sir?

4 MR. HAL TURNER: Agreed.

5 DR. BYRON WILLIAMS: And if we go to
6 2016 Order -- so that two (2) over, Ms. Schubert,
7 Order 59/'16, page 31 of 43.

8 You'll see again, sir, the Public
9 Utilities Board in 2016 asking Manitoba Hydro to file
10 a complete asset condition assessment for generation,
11 transmission, distribution, sir. Agreed?

12 MR. HAL TURNER: Agreed.

13 MS. KRISTA HALAYKO: It's Ms. Halayko.
14 I should also add that when we saw the aid to cross-
15 examination, we endeavoured to look at all of these
16 directives.

17 And it looks to be that the only
18 directive related to asset management that's open
19 presently is Directive 14 of Order 59/'18, and the
20 other ones have either been superceded or closed. So
21 I should add that --

22 DR. BYRON WILLIAMS: And I appreciate
23 that --

24 MS. KRISTA HALAYKO: -- one related to
25 asset management maturity assessment.

1 DR. BYRON WILLIAMS: And I certainly
2 appreciate that, but you'll acknowledge that, over the
3 course of eight (8) years, a number of General Rate
4 Applications, the Public Utilities Board was
5 repeatedly asking Manitoba Hydro to provide an asset
6 condition assessment. Agreed?

7 MS. KRISTA HALAYKO: Agreed.

8

9 (BRIEF PAUSE)

10

11 DR. BYRON WILLIAMS: Ms. Vine, I want
12 to turn you to the AMCL report, page 63. And you see
13 here a listing of the UMS recommendations, agreed?

14 MS. SARAH VINE: Agreed.

15 DR. BYRON WILLIAMS: And AMCL's
16 finding -- and again, you can always refer back to
17 page 4 of -- of your report -- was that Manitoba Hydro
18 had completed eight (8) of the recommendations,
19 agreed?

20 MS. SARAH VINE: That's correct.

21 DR. BYRON WILLIAMS: In terms of the
22 one that -- ones that Manitoba Hydro -- AMCL was of
23 the view that Manitoba Hydro had not completed -- I'm
24 not going to go through all twenty (20), just so --
25 but one (1) of them was task 16:

1 "Integrate O&M into the existing
2 processes used for optimizing the
3 capital spend."

4 Agreed?

5 MS. SARAH VINE: Agreed.

6 DR. BYRON WILLIAMS: And another one
7 was 18:

8 "Establish AHIs for all key assets
9 and transition to economic life to
10 drive decisions."

11 Agreed?

12 MS. SARAH VINE: Agreed.

13 DR. BYRON WILLIAMS: So that's another
14 one that wasn't completed in the view of AMCL?

15 MS. SARAH VINE: In -- in progress,
16 that's correct.

17 DR. BYRON WILLIAMS: It was not
18 completed at the time you were --

19 MS. SARAH VINE: It was not completed.

20 DR. BYRON WILLIAMS: And -- sorry, Ms.
21 Halayko, you want to talk to Ms. Vine?

22 MS. KRISTA HALAYKO: Yes, please.

23 DR. BYRON WILLIAMS: Go ahead.

24

25 (BRIEF PAUSE)

1 THE CHAIRPERSON: Mr. Williams, for
2 the record, do you want to put in what AHI stands for?

3 DR. BYRON WILLIAMS: Thank you. And
4 that was going to be my question, Mr. Chair.

5 THE CHAIRPERSON: Okay.

6 DR. BYRON WILLIAMS: I was just trying
7 to --

8 THE CHAIRPERSON: Yeah.

9 DR. BYRON WILLIAMS: -- thank you,
10 though.

11

12 CONTINUED BY DR. BYRON WILLIAMS:

13 DR. BYRON WILLIAMS: And, Ms. Vine --
14 thank you to the Chair for their guidance. The
15 acronym AHI is -- is short for asset health index,
16 agreed?

17 MS. SARAH VINE: That's correct.

18 DR. BYRON WILLIAMS: And we'll come to
19 what asset health indexes do in a little bit, but
20 that's a standard term in -- in the -- in the
21 profession?

22 MS. SARAH VINE: Yes, it is.

23 DR. BYRON WILLIAMS: Ms. Vine, I'm
24 going to ask you to turn to Appendix A, AMCL, page 33.

25 MR. JIM PAWLUK: Excuse me, Mr.

1 Williams. I just want to back up to the one
2 recommendation in there where it says:

3 "Develop a process to implement
4 tools to address O&M spend and the
5 tradeoff between O&M and capital."

6 We've given examples, like, in Grand
7 Rapids turbine where we do that. We've identified
8 what the O&M tradeoff is and -- and what we're doing
9 there and increased O&M -- or the benefit of O&M by
10 doing the capital. So to say that we don't have any
11 processes would not be correct.

12 And, as well, when we look at our
13 investments, and we've got it in our evidence that we
14 look at whole life cost modelling, that also takes
15 into impact of O&M spends on the capital investment
16 and when the optimum time is.

17 So, we do have these processes in
18 place, so. Maybe they're not fully developed all the
19 way to where we want to get them, but to say we're not
20 doing them would not be fair. And I just wanted the
21 Panel to know that we are doing this work.

22 DR. BYRON WILLIAMS: Mr. Pawluk, thank
23 you for that. Just you'll recall that my question to
24 Ms. Vine was on actually recommendation 16, not 15.

25 Do you recall that, sir? But -- but

1 thank you for that.

2 MR. JIM PAWLUK: Sorry. But 16 is
3 similar, and -- and it applies to both.

4 DR. BYRON WILLIAMS: And, Ms. Vine,
5 AMCL, in terms of its scoring concluded that neither
6 15 or 16 were completed, agreed?

7 MS. SARAH VINE: Not completed.

8 DR. BYRON WILLIAMS: And in terms of
9 integrating O&M into the existing processes used for
10 optimizing capital spend, one of the concerns of AMCL
11 is that the residual risk associated with unfunded
12 capital investment needs or deferral of Cap X
13 (phonetic) is not being reflected in the O&M budget,
14 agreed?

15 MS. SARAH VINE: Agreed.

16 DR. BYRON WILLIAMS: Now, Ms. Vine, I
17 want to take you to appendix A of the AMCL report,
18 page 33, under the heading of, "Enterprise."

19 And, Ms. Vine, if I use the acronym
20 GFAM (sic), you would understand that to be the
21 Global Forum on Maintenance and Asset Management?

22 I don't think your mic is on.

23 MS. SARAH VINE: That's correct.

24 DR. BYRON WILLIAMS: GFMAM. I
25 apologize. That's the correct -- okay.

1 And the exercise that Manitoba -- that
2 AMCL undertook is it examined thirty-nine (39)
3 subjects defined by the GFMAM or asset management
4 maturity, and it did so for the enterprise as a whole,
5 as well as individual elements, like generation,
6 transmission, distribution for electricity, and
7 distribution for natural gas, agreed?

8 MS. SARAH VINE: That's correct, yes.

9 DR. BYRON WILLIAMS: And so, what
10 we're looking at here in appendix A is at the
11 enterprise level, the -- the big system level, agreed?

12 MS. SARAH VINE: Correct.

13 DR. BYRON WILLIAMS: And the maturity
14 scale that AMCL uses, a score of 3 would indicate
15 broad conformance with the ISO 5501 standard, agreed?

16 MS. SARAH VINE: That's correct.

17 DR. BYRON WILLIAMS: Okay. So, I want
18 to take you through just a few of these subjects. And
19 if I could ask Ms. Schubert to turn to page 38 under,
20 "Resource management."

21 And in terms of resource management,
22 Ms. Vine, AMCL, in terms of the maturity rating, gave
23 a rating of 0.8, agreed?

24 MS. SARAH VINE: Agreed.

25 DR. BYRON WILLIAMS: And one (1) of

1 those reasons for doing so, one (1) of the bullets
2 that you cite there, was that Manitoba Hydro did not
3 have sufficient data available to develop the bottom-
4 up resourcing strategy required to sustain current
5 performance levels, agreed?

6 MS. SARAH VINE: Agreed.

7 DR. BYRON WILLIAMS: And when you talk
8 about that kind of data, would it be sure -- would you
9 be referring to the need to capture O&M, operation and
10 maintenance, cost data at a greater level of
11 granularity? Is that what you're speaking of here?

12 MS. SARAH VINE: Not necessarily cost
13 data. So, one (1) of the things that we -- we ask or
14 we look at is, if I took all of the planned work, so
15 that the work that you are intending to do to your
16 assets from a operations and maintenance perspective,
17 a) is that the right amount of planned work,
18 maintenance, proactive maintenance, and b) do you have
19 enough capacity and enough people to be able to do
20 that work as per the plan.

21 And -- and that was -- that was not
22 overly clear.

23 DR. BYRON WILLIAMS: Thank you. If
24 you could turn to page 41 under the subject matter,
25 "Data and information management."

1 And under this subject heading in terms
2 of maturity at the enterprise level, AMCL gave Hydro a
3 score of 1.3. Is that right?

4 MS. SARAH VINE: That's correct.

5 DR. BYRON WILLIAMS: And in the fourth
6 bullet to the right there's a suggestion by AMCL at
7 the time of writing that there was a disconnect
8 between strategic and operational decision-making and
9 the data requirements to support it.

10 Do you see that reference?

11 MS. SARAH VINE: I do.

12 DR. BYRON WILLIAMS: And I wonder if
13 you -- I could ask you just to briefly elaborate on --
14 on the -- the basis for that observation, please.

15 MS. SARAH VINE: What we're looking
16 for is -- is line of sight again, and consistency.
17 So, if a budget has been put together, tracking
18 against that budget to a granular level is important,
19 firstly, to know whether the budget was right and --
20 and your resources and assumptions were right and,
21 also, to -- to know where you're underspending because
22 everywhere you underspend, you're taking a risk.

23 So, the -- the top level decision on
24 things like head count seems to be very disconnected
25 from what you actually need to maintain your current

1 levels of service. It's the -- the decisions seem to
2 be made independently.

3 DR. BYRON WILLIAMS: Thank you for
4 that. I want to turn to -- to page 44. I'd apologize
5 for this being kind of grindy, but I -- I think you
6 love this, don't you?

7 MS. SARAH VINE: It's my job.

8 DR. BYRON WILLIAMS: Yeah. And it's a
9 very important job, and we thank you for it. Under,
10 "Risk assessment and management," AMCL gave Hydro a
11 score of 1.11, agreed?

12 MS. SARAH VINE: Agreed.

13 DR. BYRON WILLIAMS: And there's a lot
14 of bullets there on the right, agreed?

15 MS. SARAH VINE: Agreed.

16 DR. BYRON WILLIAMS: The -- the
17 seventh one down, Ms. Schubert. Just one second.

18 Yes, the seventh one down, Ms. Vine,
19 AMCL observes that current energy stream risk
20 management practice focusses on asset failure risk
21 instead of system failure.

22 That's the observation that AMCL made?

23 MS. SARAH VINE: That's correct.

24 DR. BYRON WILLIAMS: And I wonder if
25 you can elaborate on what you mean by "a system

1 failure versus asset failure" and -- and the
2 implications of this bullet, please.

3 MS. SARAH VINE: Okay. So, when --
4 when we talk about asset failure, we're generally
5 referring to the -- the (INDISCERNIBLE) of the asset
6 itself and the -- the response and the cost associated
7 with getting to site and -- and repairing that asset.

8 What -- what we need to be doing in a
9 more mature market is linking asset failure to service
10 failure, so service to customers, and this is where we
11 take a more systems approach.

12 So, not all assets are equal in their
13 failure. It's -- it's dependent on the number of
14 customers that are dependent on -- that are connected
15 to that asset and a number of other things, like
16 proximity to the nearest depot, which defines how
17 quickly you can get there to repair the asset; whether
18 the -- the asset itself is obsolete; whether you can
19 repair -- repair it, replace it (INDISCERNIBLE) with
20 like.

21 There are a number of factors that --
22 that define the -- the risk exposure to the business
23 of an asset failure. So, it's not just about the
24 asset itself, it's its purpose.

25 DR. BYRON WILLIAMS: And at the time

1 of the writing of this report your observation was
2 that Manitoba Hydro was more focussed on asset failure
3 rather than system failure?

4 MS. SARAH VINE: That's correct.

5 DR. BYRON WILLIAMS: I wonder if we
6 can turn to page 46 under the headline, "Asset
7 performance and health monitoring."

8 And we could talk about this all day,
9 but I just want -- the score that you gave Manitoba
10 Hydro on -- on this category was 1, agreed?

11 MS. SARAH VINE: Agreed. At a
12 enterprise level, yes. I think from memory, at the
13 energy streams level the -- the scores were higher.

14 DR. BYRON WILLIAMS: And would part of
15 this score of 1.0 reflect that a lot of the data
16 wasn't in the CMMS system or, no?

17 MS. SARAH VINE: Not necessarily in
18 the CMMS system. What I couldn't see was a mechanism
19 of taking all of the energy stream -- high energy
20 stream, sorry -- I'm meaning distribution
21 transmission.

22 And -- and plating that up to get a
23 view of your overall organizational risk profile. And
24 is it getting better, or worse?

25 So there's lots of -- lots of good

1 stuff going on at the asset level.

2 But corporately, it was hard to see
3 whether the -- the risk was stable or deteriorating or
4 -- or getting worse.

5 DR. BYRON WILLIAMS: Thank you.

6 MS. KRISTA HALAYKO: Could I just
7 interject? I have the page number for the full
8 assessment here. Maybe we could pull that up because
9 Ms. Vine wasn't able to remember what the overall
10 scores were. It's page 16 of this maturity
11 assessment. I don't know if that -- that is helpful.

12 MS. SARAH VINE: It's not in colour.

13 DR. BYRON WILLIAMS: We're going to go
14 back to the over -- we're going to go back to the
15 override.

16 MS. KRISTA HALAYKO: Can you scroll
17 down to 35?

18

19 (BRIEF PAUSE)

20

21 MS. SARAH VINE: Yes. So you can --
22 you can see on the subject 35, at the bottom there,
23 the -- the scores in the energy streams levels are --
24 are substantially higher.

25 DR. BYRON WILLIAMS: But we're

1 operating this as a -- a system as a whole.

2 MS. SARAH VINE: That's correct.

3 DR. BYRON WILLIAMS: And there are
4 fundamental decisions that need to be made at the --
5 at the -- at that level.

6 MS. SARAH VINE: Absolutely.

7 DR. BYRON WILLIAMS: Okay. Now if we
8 could go in the AMCL report to page 4 of 184 and to
9 the -- farther down this page. And -- and sadly, Ms.
10 Vine, there's no colour.

11 But the Company average score, I want
12 to highlight it in three (3) categories for you. One
13 is asset information. The overall Company score was
14 one-point-three-two (1.32), agreed?

15 MS. SARAH VINE: Agreed.

16 DR. BYRON WILLIAMS: And at -- for
17 risk and review, that score was one-point-four-five
18 (1.45), correct?

19 MS. SARAH VINE: Yes.

20 DR. BYRON WILLIAMS: And for asset
21 management decision making, it was one-point-eight-
22 three (1.83), agreed?

23 MS. SARAH VINE: Yes, that's correct.

24 DR. BYRON WILLIAMS: Ms. Vine, I take
25 you to the reference, if you need it, at page 31 of

1 your report. Let's go there actually. Under -- under
2 'Priority Recommendations'.

3 And I'll just give you a second to read
4 that first paragraph, Ms. Vine, okay? Just take a
5 second and...

6

7 (BRIEF PAUSE)

8

9 DR. BYRON WILLIAMS: You've probably
10 got it memorized.

11 The point that AMCL is making here
12 under 'Priority Recommendations', you're highlighting
13 the interdependency in terms of maturity between asset
14 information, risk and review, and asset management
15 decision making, agreed?

16 MS. SARAH VINE: Agreed.

17 DR. BYRON WILLIAMS: And one of the
18 ultimate points you're making is that the ability to
19 approve -- improve asset management decision making is
20 highly dependent on risk and review, maturity, and on
21 the asset information maturity, agreed?

22 MS. SARAH VINE: Agreed.

23 DR. BYRON WILLIAMS: And in the view
24 of AMCL, it would be fair to say that a complete
25 understanding of asset-related costs, risks, and

1 performance is reliant on adequate asset data, agreed?

2 MS. SARAH VINE: Agreed.

3 DR. BYRON WILLIAMS: Ms. Schubert, if
4 you can turn to Consumer Coalition Information Request
5 Manitoba Hydro 1-103, please. I think it's 'A'.
6 Actually, could you just stay at the preamble for a
7 second.

8 And Ms. Halayko, I want to orient you
9 on this Information Request.

10 You -- you see in this Information
11 Request, just by way of preamble, we're again
12 referring in this Information Request to the
13 interdependence between -- in terms of the maturity
14 between asset information, risk and review, and asset
15 management decision making, agreed?

16 MS. KRISTA HALAYKO: Agreed.

17 DR. BYRON WILLIAMS: And Ms. Schubert,
18 if you can go a couple pages in to wherever the
19 question is. It's a lengthy preamble. Those Midgard
20 people seem to ask very long preambles.

21 What -- what we're asking you to --
22 Manitoba Hydro to do -- and we certainly thank it for
23 this answer -- is to discuss the main barriers to
24 evolving its maturity and -- and identify some of its
25 plans to overcome them.

1 Agreed, that's the thrust of this
2 question?

3 MS. KRISTA HALAYKO: Agreed.

4 DR. BYRON WILLIAMS: And in terms of
5 asset information, the Corporation was targeting to
6 complete its first Asset Information Strategy in early
7 2023, agreed? That's at page 3 of 7 of this document.

8 MS. KRISTA HALAYKO: Agreed.

9 DR. BYRON WILLIAMS: And, Ms. Halayko,
10 is that done?

11 MS. KRISTA HALAYKO: I just was
12 checking. But yes, agreed.

13 DR. BYRON WILLIAMS: And you may want
14 to confer with your legal counsel on this one.

15 But is Manitoba Hydro prepared by way
16 of undertaking to -- to file that? Or you may want to
17 reflect on the -- the break, Mr. Czarnecki.

18 MR. BRENT CZARNECKI: I appreciate the
19 opportunity to reflect on it. It -- it -- we are
20 where we are in this process. I'm imagining we want
21 the Board to have the best information possible. But
22 it is coming in late, so we'll chat about it and we'll
23 see.

24 DR. BYRON WILLIAMS: Okay. Thank you
25 for your courtesy.

1 CONTINUED BY DR. BYRON WILLIAMS:

2 DR. BYRON WILLIAMS: On page 4 of 7,
3 under 'Risk and Review Challenges and Barriers', I
4 want to draw your attention to the fourth bullet.

5 And, Ms. Halayko, Hydro is -- in terms
6 of -- it's identifying here current standardization
7 gaps that limit the current comparability of risk
8 across asset classes as including asset health
9 indices, AHIs, asset criticality, risk analysis, risk
10 evaluation, asset need scoring prioritization, and
11 risk identification and monitoring. Agreed?

12 MS. KRISTA HALAYKO: Yes, that's what
13 we're identifying.

14 When we took the UMS recommendations,
15 they had recommended and -- they had recommended that
16 we harmonize our processes across the different
17 operating units. So transmission generation
18 distribution.

19 And we've taken a full view of that.
20 And what we had found is that we would like to
21 standardize further across so that we can have a
22 harmonized enterprise asset management system. So
23 that's what this is speaking to.

24 DR. BYRON WILLIAMS: Thank you. And
25 that's because to optimize across the -- the

1 enterprise, you have to have a good -- you have to
2 address these gaps, agreed?

3 MS. KRISTA HALAYKO: Agreed.

4 DR. BYRON WILLIAMS: Ms. Vine, in
5 terms of identifying gaps in terms of risk and review,
6 does AMCL agree that these are the -- the big six (6)?

7 MS. SARAH VINE: That -- that would be
8 the -- the ones that I would have picked, yes.

9 DR. BYRON WILLIAMS: Thank you. And I
10 just want to -- either to -- to you or Ms. Halayko, in
11 terms of asset criticality, what does that actually
12 mean?

13 MS. SARAH VINE: Yeah. Sure. So
14 asset -- the term "asset criticality" is used in two
15 different ways, which does -- does cause confusion.

16 Some -- some people refer to critical
17 assets as assets that are in a critical condition and
18 near failure.

19 When, in an asset management context, a
20 critical asset is one that is maybe a single point of
21 failure or -- or its critical to the operation and
22 delivery of service. So it's related to its
23 importance, rather than its current operating state.

24 DR. BYRON WILLIAMS: And when you see
25 that term, you believe it's referring to its

1 importance, agreed?

2 MS. SARAH VINE: It's importance, yes.

3 MS. KRISTA HALAYKO: That would be how
4 we would interpret it as well.

5 I should also add that these are
6 standardization gaps. So when we looked across our
7 whole portfolio of assets at an enterprise view, we
8 looked at where we had pockets of excellence and where
9 we had areas that we had to improve. And we're really
10 looking to standardize and bring everything up a
11 level.

12 And the -- the ones that were
13 excellent, we'll leave them be. But bringing up the
14 whole harmonization of the enterprise system. So
15 these were the standardization gaps. They're not
16 necessarily gaps for all asset classes. But this is
17 where it wasn't standard.

18 DR. BYRON WILLIAMS: And they pose as
19 a barrier in terms of risk and review. Agreed?

20 You're trying to address these gaps
21 because they cause a --

22 MS. KRISTA HALAYKO: Where -- in the
23 pockets where they're not mature, yes, we could
24 improve by having improvement in those areas.

25 DR. BYRON WILLIAMS: Okay. Under page

1 6 of 7, asset management decision making challenges
2 and barriers.

3 Ms. Vine, you see the second bullet,
4 Manitoba Hydro has suggested that data availability is
5 low as -- as the CMS systems are varied and were not
6 universally designed or implemented for asset
7 management purposes. Agreed?

8 MS. SARAH VINE: Agreed.

9 DR. BYRON WILLIAMS: Do you agree with
10 that observation by Manitoba Hydro?

11 MS. SARAH VINE: Yes, they -- they
12 have a number of systems. They're all -- I think it
13 was three (3) from memory, they're all configured
14 slightly differently. And they're not all capturing
15 the same level of detail and information about
16 incidents and -- and failures.

17 DR. BYRON WILLIAMS: And we've already
18 -- I think we've already talked about the alignment
19 between the asset class strategy, so I'll leave that
20 one. And, I thank you and Manitoba Hydro for
21 assisting with that -- that answer.

22 Ms. Schubert --

23 MR. JIM PAWLUK: This -- this is Mr.
24 Pawluk. I just want to add, like, on the data, we do
25 have data. We do have data in our individual systems.

1 We're able to use the data for decision making and we
2 are use -- able to use the data for risk assessments
3 in the vein.

4 What we're trying to close the gap on,
5 is an enterprise view of all the data and bring them
6 all together. Like we -- we do have different systems
7 that ran in different energy streams, which was
8 applicable and appropriate at the time, but trying to
9 look at an enterprise view of asset management and
10 bring it all together, we've got to now cleanse and
11 standardize the data and bring it all together.

12 And, it's not just a matter of saying
13 the data is this and the data is that, it's making it
14 consistent so that it's talking together. But as --
15 as far as being able to make decisions within our
16 energy streams, we're still able to do that and we do
17 have data for that.

18 DR. BYRON WILLIAMS: And we're going
19 to go right there, Mr. Pawluk. So, let's go to
20 Consumer Coalition Information Request of Manitoba
21 Hydro 1-100.

22 And, again, to Ms. Halayko or Mr.
23 Pawluk, in here we were asked to provide an assessment
24 of asset health, index completeness for each asset
25 class population, along with the discussion of

1 deficiencies. Agreed?

2 MS. KRISTA HALAYKO: Agreed.

3 DR. BYRON WILLIAMS: And, we're going
4 to come back to part A of the response in a moment,
5 but I want to go to the table on the next page -- if
6 Ms. Schubert will indulge us.

7 And, Ms. Halayko, I think your legal
8 counsel advised you I might be giving you a very
9 simple math -- math even -- you know --

10 MS. KRISTA HALAYKO: Yeah.

11 DR. BYRON WILLIAMS: --- even Mr.
12 Peters, could handle this math problem perhaps.

13 MS. KRISTA HALAYKO: Of course.

14 DR. BYRON WILLIAMS: The -- but what
15 you see here in the left-hand column are various asset
16 classes ranging from generators to wood poles, et
17 cetera. Agreed?

18 MS. KRISTA HALAYKO: Agreed.

19 DR. BYRON WILLIAMS: And there's
20 twenty-eight (28) categories or sub-categories, you'll
21 accept, subject to checking my math?

22 MS. KRISTA HALAYKO: Agreed.

23 DR. BYRON WILLIAMS: Okay. And, in
24 the next column is the ones where asset health indexes
25 have been established. Agreed?

1 MS. KRISTA HALAYKO: Agreed.

2 DR. BYRON WILLIAMS: The next one is
3 where asset health indexes have been used for decision
4 making. Correct?

5 MS. KRISTA HALAYKO: Agreed.

6 DR. BYRON WILLIAMS: The fourth column
7 is where they're implemented in CMMS. Correct?

8 MS. KRISTA HALAYKO: Yeah.
9 Computerized Maintenance Management System.

10 DR. BYRON WILLIAMS: And -- thank you,
11 'cause I was just going to -- again, and then, the
12 fourth -- the fifth column is where they're fit for
13 purpose.

14 And, if we go -- if we can just scroll
15 through at a high level, Ms. Halayko, in terms of
16 where there are asset health indexes, there would be
17 eleven (11) of the twenty-eight (28) without asset
18 health indexes. Agreed?

19 MS. KRISTA HALAYKO: Agreed.

20 DR. BYRON WILLIAMS: And, if we scroll
21 down on this page, some of the ones without asset
22 health indexes would include underground cable.
23 Agreed?

24 MS. KRISTA HALAYKO: Agreed.

25 DR. BYRON WILLIAMS: And on the next

1 page, those wood poles, there's no asset health index
2 for them either. Correct?

3 MS. KRISTA HALAYKO: Agreed.

4 DR. BYRON WILLIAMS: If we go to the
5 next column asset health indexes used for decision
6 making and go to the top, if you don't mind, Ms.
7 Schubert.

8 Subject to check, there's nineteen (19)
9 of these twenty-eight (28) categories where the asset
10 health indexes are not used for decision making.

11 Would that be fair?

12 MS. KRISTA HALAYKO: That's fair.

13 DR. BYRON WILLIAMS: Okay. And going
14 to the right, to the next column, in terms of CMMS,
15 and if you could just remind me what it stands for
16 again, if you don't mind.

17 MS. KRISTA HALAYKO: Computerized
18 Maintenance Management System.

19 DR. BYRON WILLIAMS: In terms of the
20 asset health indexes being implemented in the CMMS,
21 there's two (2) of them that are -- have been
22 implemented. Agreed?

23 MS. KRISTA HALAYKO: Agreed.

24 DR. BYRON WILLIAMS: Okay. And then
25 if we look at a -- asset health indexes fit for

1 purposes, there's three (3) where you can say,
2 unequivocally, they're fit for purpose. Agreed?

3 MS. KRISTA HALAYKO: There's three (3)
4 yes's. Yes.

5 DR. BYRON WILLIAMS: And in six (6)
6 other categories, some of the assets are fit for
7 purpose.

8 MS. KRISTA HALAYKO: Correct.

9 DR. BYRON WILLIAMS: Okay, and
10 generators might be -- would be one of those?

11 MS. KRISTA HALAYKO: Yes.

12 DR. BYRON WILLIAMS: Okay. And if we
13 scroll down to HVDC Converter Transformers, there is a
14 -- asset health index for them. Agreed?

15 MS. KRISTA HALAYKO: Agreed.

16 DR. BYRON WILLIAMS: But it's not used
17 in decision making?

18 MS. KRISTA HALAYKO: Agreed.

19 DR. BYRON WILLIAMS: And it's not a
20 CMMS. Agreed?

21 MS. KRISTA HALAYKO: No, it's not.

22 DR. BYRON WILLIAMS: And, of course,
23 it's not fit for purpose?

24 MS. KRISTA HALAYKO: It also says, no.
25 I should provide some context that when we did

1 reorganize, we created a -- a risk -- asset risk area.

2 And they undertook this assessment.

3 And, as you can see, we've been very
4 transparent here of our assessment. And what we found
5 was that we had some very excellent pockets, if you
6 look at station power transformers where we were
7 doing, you know, advanced asset health indices.

8 But what we did was, we took a step
9 back to see our asset health indices needed for all
10 asset classes and how can we perform an overall
11 assessment of our long-term plan.

12 And, so at that time we actually --
13 because we were working with AMCL, we asked AMCL if it
14 would be appropriate to use age at this time, while we
15 create a plan to harmonize our asset health indices
16 and focus them on the assets that are actually complex
17 enough to be needed. And, so that's where we're at
18 right now.

19 We wanted to have all of our main asset
20 classes, 90 percent of our BOC spending covered with
21 some sort of a long-term plan, which we used age,
22 which is seven (7) point -- Appendix 7.5. And this is
23 showing our detailed analysis where we rooted out all
24 of the areas where we're using them, where maybe, the
25 fit for purpose means maybe we found some areas where

1 we didn't quite agree with how they were being used.

2 And now we're actually writing an asset
3 health index standard. I don't think it's finalized
4 yet, so I don't think we can enter it into evidence,
5 but we're creating a standard to move forward.

6 MR. JIM PAWLUK: This is Mr. Pawluk.
7 I'd like to also add, asset health indices is just one
8 aspect for decision making, it's not the ultimate.

9 When we make a short-term investment
10 decision and we put this in our evidence, we use
11 condition assessments and -- and the condition of an
12 asset is assessed before the investment is made.

13 The reason I'm bringing that up is, an
14 indices is only give you a projection and it's a
15 prediction, but it's not the ultimate decision maker.
16 What it's helping us do is plan for long and medium
17 term planning for our capital investments required.

18 But, it's not an ultimate decision
19 maker. You'll still do a condition assessment of
20 asset, before you'll intervene. There -- there's a
21 lot of variables that will go into an asset health
22 indices that can impact the life of an asset.

23 DR. BYRON WILLIAMS: I thank you both
24 for that context.

25 In terms of being not fit for purpose,

1 that could be where they do not appear to accurately
2 reflect the condition of the assets, for example.

3 MS. KRISTA HALAYKO: That's one of the
4 cases. I think Midgard also pointed an instance that
5 we had seen as well, where we -- I think we used the
6 availability of spares in the asset health index,
7 which is also not an appropriate use.

8 So, we did a thorough review to root
9 out any areas where they weren't being used properly.

10 DR. BYRON WILLIAMS: And they could be
11 inconsistent with other methodologies used elsewhere
12 in the Corporation. Agreed?

13 MS. KRISTA HALAYKO: That's why we're
14 creating a standard for asset health indices.

15 DR. BYRON WILLIAMS: Just one second
16 please.

17 I'd like to direct the attention of Ms.
18 Halayko -- I think it's you -- to Coalition Manitoba
19 Hydro 1st Round Information Request 1-122 and Question
20 (d) and it's a long Information Request, so -- and
21 answer. I'll give you a second just to look at the
22 question, Ms. Halayko.

23

24

25

(BRIEF PAUSE)

1 DR. BYRON WILLIAMS: Here you see the
2 Consumers Coalition asking you to -- for all facility
3 investments above, driven primarily by deteriorated
4 asset condition, map the proposed expenditures against
5 existing asset condition, project -- pre-project risk,
6 and post-project risk, and -- and ensure that the
7 probability is calculated for a specified consequence.
8 For example, if the worst-case consequence is a
9 failure at peak system load, provide that probability.

10 At -- at a high level, that's what this
11 question is asking, right? Agreed?

12 MS. KRISTA HALAYKO: Agreed.

13 DR. BYRON WILLIAMS: And Ms. Halayko,
14 it's fair to say at the current state of asset
15 management maturity that Manitoba Hydro is at, it's
16 not at a level where specific project consequences in
17 relation to peak or other loading conditions can be
18 provided?

19 MS. KRISTA HALAYKO: I don't think
20 that's correct. This is what we do in our Corporate
21 Value Framework analysis. We look at the probability
22 of a consequence occurring and we assign value
23 measures -- we assign our value measures in that way
24 and we do this rigorously for our investments.

25 DR. BYRON WILLIAMS: Can we go to the

1 response to (b), please? So, you'll see the -- that
2 part of the answer on -- on -- which I'll suggest to
3 you, Ms. Halayko, where you talk about the CF -- CVF
4 model, but I'll just draw your attention to the last
5 sentence on the next page.

6 And you'll see Manitoba Hydro's
7 concluding that its asset management maturity is not
8 at a level where specific project consequences in
9 relation to peak or other loading conditions can be
10 provided.

11 You're not at that stage right now, Ms.
12 Palayko -- Halayko. Excuse me.

13 MS. KRISTA HALAYKO: I would say to
14 that that that would be a very fine refinement of the
15 analysis that we're doing and very difficult to do.
16 That's my...

17 DR. BYRON WILLIAMS: Well, let's go a
18 little higher, then. Let's go to PUB Manitoba Hydro
19 1-87, (a) to (d), please, and let's go to Question C.

20 Here you have the Public Utilities
21 Board asking Manitoba Hydro to explain whether its
22 refreshed 2023 SAMP will include scenarium (sic)
23 analysis to assess the cost of service to relative
24 levels of service to delivery which may, in -- in
25 turn, inform different performance targets and revise

1 capital expenditure plans.

2 You see that question, Ms. Halayko?

3 MS. KRISTA HALAYKO: I do.

4 DR. BYRON WILLIAMS: And if we can
5 turn to the response to that, please.

6 I am directing your attention, Ms.
7 Halayko, to the -- starting at line 4, Manitoba's
8 (sic) Hydro's response is that while cost of service
9 to relative levels of service deliveries is a long-
10 term goal of the AMP, it cannot be -- it's not
11 anticipated it can be delivered in the initial one.

12 Agreed?

13 MS. KRISTA HALAYKO: Agreed.

14 DR. BYRON WILLIAMS: And, in Manitoba
15 Hydro's view, making sound quantitative assessments of
16 system performance, based on various resource inputs
17 is, currently, demonstrative of a higher level of
18 asset mat -- management maturity than Hydro currently
19 holds. Agreed?

20 MS. KRISTA HALAYKO: Agreed. And I
21 would submit that that's a very high level of asset
22 management maturity, to be able to tie -- system
23 performance is very much a lagging indicator on what
24 you're doing on your assets.

25 So, to tie those two (2) thing together

1 is a very high level of asset management maturity.

2 I don't know if Ms. Vine has any
3 comments on that.

4 MS. SARAH VINE: Yes, I can comment on
5 that -- that's reminiscent of the level of maturity in
6 the UK where they've been doing performance based
7 regulation for twenty (20) years.

8 It's quite data hungry. It's -- it's
9 hard work and it's very difficult to demonstrate that
10 link directly between your investment and your level
11 of performance. It's not a -- it's not a cause and
12 effect, there's a lag.

13 DR. BYRON WILLIAMS: And, Ms. Vine,
14 would it be fair to say -- actually, this is more for
15 Ms. Halayko.

16 Would it be fair to say that the
17 overall Capital Expenditure Plan of Manitoba Hydro is
18 not currently an enterprise optimal plan?

19 MS. KRISTA HALAYKO: I'm not sure if
20 that's fair to say. I'm just going to confer with my
21 colleagues for one (1) second.

22 DR. BYRON WILLIAMS: And if you need a
23 reference, you might want to go to Coalition Hydro 1-
24 159, (a) to (c).

25 Mr. Fogg, you're up next, just for a

1 couple questions.

2

3

(BRIEF PAUSE)

4

5 MS. KRISTA HALAYKO: I'm back. So, I
6 conferred with my colleagues and we are continually
7 refining and doing the best with what we have at the
8 moment.

9 So, the word "optimal", I think that is
10 the ultimate goal, but that is -- I don't know that
11 with a -- a company of this size that that is --
12 that's always what we're going to be striving for, but
13 we're continually refining it, given our maturity at
14 the moment and we're continually refining our maturity
15 and...

16 DR. BYRON WILLIAMS: Thank you. And
17 just -- I appreciate the thought that went into that
18 answer. And just to go back to my original question
19 just for a second.

20 It would be fair to say that the
21 overall capital expenditure plan is not currently an
22 enterprise wise optimal plan. Your own words.

23 Agreed?

24 MS. KRISTA HALAYKO: Based on my
25 comments, I would say it's not optimal because optimal

1 is -- may not even be an achievable goal.

2 DR. BYRON WILLIAMS: Okay. Mr. Fogg,
3 just a few questions for you. You've studied up on
4 the Portage area capacity extension, sir?

5 MR. ALASTAIR FOGG: I've certainly
6 done my best to study up on it, yes.

7 DR. BYRON WILLIAMS: And you -- and
8 you obviously referenced it in your evidence
9 yesterday?

10 MR. ALASTAIR FOGG: It was mentioned
11 yesterday, yes.

12 DR. BYRON WILLIAMS: And at a high
13 level, there -- without asking you to elaborate, just
14 noting the time, there are some currently some
15 capacity stresses -- stresses in the region between
16 Portage/Southwest Manitoba?

17 MR. ALASTAIR FOGG: Southwest Manitoba
18 needs some capacity enhancements to address the load
19 in that area.

20 DR. BYRON WILLIAMS: And among the
21 stresses in terms of capacity in that region, one (1)
22 of the stresses is coming from increasing exports to
23 Saskatchewan. Agreed?

24

25

(BRIEF PAUSE)

1 DR. BYRON WILLIAMS: It's in your CPJ,
2 sir, if you need a reference.

3 MR. ALASTAIR FOGG: That -- there may
4 be some contributing factors in relation to that,
5 although, another driving factor is the -- the users
6 in that area in -- in Manitoba.

7 DR. BYRON WILLIAMS: Right. And --
8 and among the -- there's new industrial customers that
9 are putting stresses on that?

10 MR. ALASTAIR FOGG: That would be one
11 (1) of those items.

12 DR. BYRON WILLIAMS: And one (1) of
13 the objectives -- or Manitoba Hydro -- or one (1) of
14 the concerns Manitoba Hydro was looking towards in
15 terms of the portage area capacity extension, one (1)
16 of the concerns was it was concerned about its
17 capacity to connect new large industrial customers,
18 that it was limited. Agreed?

19 MR. ALASTAIR FOGG: Subject to check,
20 agreed.

21 DR. BYRON WILLIAMS: Mr. -- Mr. Fogg,
22 just to direct you to your PowerPoint from -- from
23 yesterday. Mr. Klassen will tell me the exhibit, or
24 he better.

25 But slide 26, sir. And in this slide

1 you're making a comparison between business
2 operational capital expenditures from -- from the most
3 recent Manitoba Hydro forecast versus Capital
4 Expenditure Forecast 2016, sir?

5 Is that right?

6 MR. ALASTAIR FOGG: That's correct.
7 CEF-16 from the 2017 General Rate Application
8 proceeding.

9 DR. BYRON WILLIAMS: And one of the
10 points you were making, sir, was that in the first
11 number of years, the expenditures in -- in 20 -- in
12 C-23 are actually lower than CEF-16. Agreed?

13 MR. ALASTAIR FOGG: Agreed. They were
14 -- they were lower and then you see in the later
15 years, as Mr. Turner talked about yesterday, they
16 increased for some of the sustainment requirements.

17 DR. BYRON WILLIAMS: And the overall
18 gap results in C-23 being about 800 million more than
19 CEF-16 over that comparable, sir, subject to check?

20 MR. ALASTAIR FOGG: I believe the
21 accumulative change across the years we're showing is
22 in the bottom right-hand corner, of six hundred and
23 seventy-two (672).

24 DR. BYRON WILLIAMS: My mistake, thank
25 you. Sir, my question to you was, in terms of C-23,

1 those first ten (10) years, would it be fair to
2 suggest that that would include a projected
3 expenditure for AMI, Advanced Metering Initiatives of
4 300 million, sir?

5 MR. ALASTAIR FOGG: I believe what
6 we've noted is we've identified the potential for AMI
7 as being within those forecasted expenditures. It's
8 not an approved project at this time, of which we have
9 a CIJ addendum.

10 We're currently in a business case
11 phase of it, but we've identified it as a potential
12 investment.

13 DR. BYRON WILLIAMS: Okay. But what
14 I'm trying to just make sure --

15 MR. ALASTAIR FOGG: It would be
16 incorporated within those first ten (10) years as
17 you've noted.

18 DR. BYRON WILLIAMS: 300 million is
19 there.

20 MR. ALASTAIR FOGG: It -- it would be
21 accommodated within there. I can't identify for you
22 that it's an approved project that has a CIJ.

23 MR. BYRON WILLIAMS: And just to make
24 sure I'm clear, sir, when we look at C-23 as portrayed
25 on this page, and over the first ten (10) years, one

1 (1) element of that is the projected, but not approved
2 AMI Project. Agreed?

3 MR. ALASTAIR FOGG: It would be one of
4 several that we've identified as projected
5 investments. If -- if that project doesn't proceed,
6 there may be other investments we make instead of
7 that.

8 DR. BYRON WILLIAMS: Mr. Pawluk, you -
9 - you're eager to jump in.

10 MR. JIM PAWLUK: Yeah, I -- I just,
11 sorry, wanted to add that like AMI also offsets some
12 other costs. If we were to implement and the business
13 case was positive, one of the items included in that
14 projection is the replacement of all the metres.

15 We replace metres on an annual basis.
16 So, either you're going to do AMI or you're going to
17 continue replacing metres. So, it's not a true just
18 adding to the plan. There's other aspects that go
19 into the plan that would be offset, so it's not a --
20 is the three hundred (300) fully in there? It -- it's
21 included in the plan but we're going to do one or the
22 other, so there's options.

23 DR. BYRON WILLIAMS: Right. And just
24 so I'm clear, sir, you're not suggesting that
25 replacing metres is a \$300 million hit?

1 MR. JIM PAWLUK: No, I'm not.

2 DR. BYRON WILLIAMS: And, Mr. Fogg, in
3 terms of the grid modernization not approved but
4 potentially, that \$180 million would be in that first
5 --

6 MR. ALASTAIR FOGG: Similar to -- to
7 the AMI situation. And just for context, AMI I think
8 I just mentioned is in the business case phase of it.
9 And AMI is quite a broad undertaking that considers
10 much more than just what may be typically associated
11 with it as demand response. But that's numerous
12 aspects around reading meters. It has a number of
13 operational benefits that may come with it if we
14 choose to proceed with that.

15 DR. BYRON WILLIAMS: Thank you. And I
16 do want to thank this panel. I just want to confer
17 with my colleague, Mr. Klassen, just for one (1)
18 second, Mr. Chair.

19

20 (BRIEF PAUSE)

21

22 DR. BYRON WILLIAMS: And strangely, I
23 can confirm that I'm in on time, and so I thank
24 Manitoba Hydro and Ms. Vine for your candor and your
25 thoughtfulness, both in your information responses and

1 on the stand today. Thank you very much.

2 THE CHAIRPERSON: Thank you, Mr.
3 Williams. We'll take the -- the morning break and
4 reconvene at twenty (20) to 11:00. Thank you.

5

6 --- Upon recessing at 10:26 a.m.

7 --- Upon resuming at 10:44 a.m.

8

9 THE CHAIRPERSON: So Mr. Reimer, it's
10 you. Please proceed.

11

12 CROSS-EXAMINATION BY MR. THOMAS REIMER:

13 MR. THOMAS REIMER: Thank you, Mr.
14 Chair. Good morning. Good morning, members of the
15 panel to my left and good morning members of the panel
16 to my right.

17 My name is Thomas Reimer. I'm counsel
18 for the GSS/GSM group. It is my first time appearing
19 as a cross-examining lawyer for a panel. So if you
20 notice a drop in the smoothness level from Mr.
21 Williams, you will know why that is the case.

22 And -- and I will -- just so that it's
23 not awkward when it happens -- acknowledge that partly
24 because I'm a first timer, if it sounds like I'm
25 asking a dumb question, it's very possible that I am.

1 So bear with me.

2 But as Mr. Turner knows, you miss 100
3 percent of the shots you don't take. So we'll --
4 we'll do our best. And so, with that bit of
5 sandbagging out of the way, I'm going to start with
6 you, Mr. Turner.

7 Again, full disclosure, my first time
8 examining a panel in any forum. So obviously, you'll
9 tell me if I'm directing my question to the wrong
10 person. And occasionally, I'll just direct it to that
11 side of the room and leave you to decide. But that's
12 --

13 MR. HAL TURNER: That sounds great and
14 I think you're going to do awesome.

15 MR. THOMAS REIMER: So I'll start with
16 the rebuttal evidence of Manitoba Hydro. I'm at page
17 83 of 131. And I want to just zoom in on the concept
18 of optimal economic life.

19

20 (BRIEF PAUSE)

21

22 MR. THOMAS REIMER: And the paragraph
23 that I want to turn your attention to is -- it's in
24 the middle of the page, about four (4) lines down:

25 "Obtaining optimal economic life for

1 a given asset requires that the
2 asset is utilized until its lowest
3 average life cycle cost of ownership
4 is achieved, but not beyond."

5 Do you see that? And that's -- and
6 that's certainly something that you agree with,
7 sitting here today, as a -- as a description of what
8 optimal economic life means?

9 MS. KRISTA HALAYKO: Agreed.

10 MR. THOMAS REIMER: And based on the
11 explanation on the -- or on that description of
12 optimal economic life, am I correct in stating that
13 Manitoba Hydro is always seeking to achieve an asset
14 management strategy that attempts to balance
15 reliability and cost?

16 MS. KRISTA HALAYKO: We're balancing
17 reliability and cost and risk.

18 MR. THOMAS REIMER: Thank you. And --
19 and sort of taking off on that, a reliable system will
20 reduce the risk of disruption.

21 Is that an over-simplification or is
22 that in the right ballpark?

23 MS. KRISTA HALAYKO: That's correct.

24 MR. THOMAS REIMER: And would I be
25 correct to say that a perfectly reliable system would

1 never face any kind of disruption, is that right?

2 MS. KRISTA HALAYKO: That's correct.

3 MR. THOMAS REIMER: But implementing
4 and maintaining a perfectly reliable system would be
5 incredibly cost prohibitive.

6 MS. KRISTA HALAYKO: That's correct.
7 If it's even possible.

8 MR. THOMAS REIMER: Fair. So there's
9 always going to be some kind of trade-off between
10 reliability and cost, right?

11 MS. KRISTA HALAYKO: True.

12 MR. THOMAS REIMER: And finding the
13 optimal balance between cost and reliability and risk
14 requires data about the assets in the system?

15 MS. KRISTA HALAYKO: That's correct.

16 MR. THOMAS REIMER: And Manitoba Hydro
17 endeavours to make the most optimal decision in the
18 execution of its asset management program by trying to
19 strike -- I think I'm repeating myself here, but --
20 but I just want to make sure.

21 So the most optimal decision for
22 executing the asset management program is one that
23 strikes an optimal balance between cost, reliability,
24 and risk. Do I have that right?

25 MS. KRISTA HALAYKO: That's correct.

1 MR. THOMAS REIMER: So -- and for
2 instance, I think the -- the -- sort of the main
3 question that this is getting at is whether to replace
4 an asset or maintain it, right? That's the basic
5 question.

6 MR. JIM PAWLUK: I would say it's one
7 of the questions. It's -- it's the basic -- sorry,
8 this is Mr. Pawluk.

9 It -- it is the basic question, but
10 there could be more questions to it; like, there's
11 refurbishment, there's replacement, there's
12 maintenance. And then, there could be advancements in
13 technology where the asset is no longer required or
14 you upgrade.

15 So -- so in the basics, yes. But there
16 -- there's other considerations.

17 MR. THOMAS REIMER: Thank you, Mr.
18 Pawluk. And it will be a theme that I'm on the more
19 simple side, and so feel free to nuance things as
20 needed because I won't be able to do that myself.

21 Ms. Halayko made, what I thought was, a
22 nice term of phrase yesterday. She talked about
23 maintenance being managing degradation.

24 Do I have that right?

25 MS. KRISTA HALAYKO: Yes, that's

1 correct.

2 MR. THOMAS REIMER: And so, over time,
3 assets deteriorate. That is the nature of being in an
4 anthropic universe, right?

5 MS. KRISTA HALAYKO: Correct.

6 MR. THOMAS REIMER: I'm going to flip
7 forward to PDF page 96, lines 3 to 10.

8 Sorry, Ms. Schubert, it's the PDF --
9 it's the PDF page that I've got for my citation. It's
10 probably back a few. There we go.

11 And I'm looking at --

12 MS. KRISTA HALAYKO: Could I just ask
13 what page that is in the document?

14 MR. THOMAS REIMER: Yes, I -- I think
15 --

16 MS. KRISTA HALAYKO: Scroll to the
17 bottom. Ninety-one (91)?

18 MR. THOMAS REIMER: Ninety-one (91).

19 MS. KRISTA HALAYKO: Okay. Thanks.

20 MR. THOMAS REIMER: I'm having trouble
21 pulling it -- so I'm looking at, sorry, line 5. No,
22 sorry, I'm looking at -- I am looking at line 3.

23 So Manitoba Hydro acknowledges here, at
24 line 3, that:

25 "Improvements to asset information,

1 risk and review, and decision making
2 are needed to further mature
3 Manitoba Hydro's asset management
4 system, which is common to
5 comparable electric utilities."

6 My question is: What are the comparable
7 electric utilities that are being referenced there,
8 specifically?

9 MS. KRISTA HALAYKO: I think in my
10 introduction I mentioned that I'm a member of the
11 CEATI Asset Management Interest Group, which is an
12 organization that is of utilities that are looking to
13 advance their asset management, share best practices.

14 And so, members of that group that --
15 that I've been in conversation with would be BC Hydro,
16 OPG; in the United States, TVA, Tacoma Power. Those
17 are the big ones. There's -- there's forty (40) of
18 them, but we have good relationships with them. And
19 we're all experiencing similar challenges in advancing
20 our asset management.

21 MR. THOMAS REIMER: Sorry, could you -
22 - for the record, could you give me that acronym again
23 in letters?

24 MS. KRISTA HALAYKO: C-E-A-T-I.

25 MR. THOMAS REIMER: Thank you.

1 MS. KRISTA HALAYKO: Centre for Energy
2 Advancement Through Technology Innovation, I think.

3 MR. THOMAS REIMER: Okay.

4 MS. KRISTA HALAYKO: I'd have to
5 confirm that.

6 MR. THOMAS REIMER: And so, the
7 Canadian jurisdictions I heard on that list were BC
8 Hydro and what was the other one?

9 MS. KRISTA HALAYKO: Ontario Power
10 Generation.

11 MR. THOMAS REIMER: And --

12 MS. KRISTA HALAYKO: Also Nova Scotia
13 Power.

14

15 (BRIEF PAUSE)

16

17 MR. THOMAS REIMER: And so, your
18 understanding is that you -- that is, Manitoba Hydro
19 is in a similar position, maturity-wise, to all four
20 (4) of those Canadian jurisdictions that you just
21 referenced?

22 MS. KRISTA HALAYKO: I would say that
23 we're grappling with the same issues. Every
24 organization is a little different, and some are ahead
25 in some areas and have been at the asset management

1 maturity journey longer than we have.

2 But definitely information, and risk
3 and review, and decision making are things that we
4 discuss all the time. And some -- and we share
5 because some of us are ahead in some areas and some
6 are behind in some areas.

7 MR. THOMAS REIMER: Okay. And -- and
8 are you able, sitting here today, to tell me who's
9 ahead and who's behind Manitoba Hydro?

10 MS. KRISTA HALAYKO: I don't know if I
11 can say on the actual maturity scores themselves
12 because I think, as Ms. Vine had mentioned yesterday,
13 sometimes those are confidential and they're not
14 shared.

15 But just an example of where we're
16 ahead is the Corporate Value Framework. We're always
17 being asked for our experience and to collaborate.
18 And right now, we're on a collaboration group for
19 Corporate Value Framework with Bonneville Power and...

20

21 (BRIEF PAUSE)

22

23 MS. KRISTA HALAYKO: ...and Hydro One,
24 sorry.

25 MR. THOMAS REIMER: I'll go back to

1 the concept of optimally -- oh, sorry, Mr. Pawluk.

2 MR. JIM PAWLUK: It's Mr. Pawluk. I
3 just want to add that I've been in conversation with
4 Newfoundland Power, as well, and they are quite behind
5 where we are today, just to add.

6 MR. THOMAS REIMER: Thank you. So,
7 going back to the concept of optimal economic life.

8 I hope I'm not mischaracterizing the
9 admission from Manitoba Hydro that more and better
10 information is required in order to mature its asset
11 management system.

12 Is that a fair statement?

13 MS. KRISTA HALAYKO: Yes, that's true.

14 MR. THOMAS REIMER: Now, part of what
15 the -- and -- and this starts at the beginning of --
16 of tab 7 of Manitoba Hydro's materials. I believe
17 it's what started yesterday's PowerPoint.

18 Part of what we're doing on this Panel
19 and on this issue is discussing the need that Manitoba
20 Hydro has identified to increase BOC spending by about
21 \$200 million in the next ten (10) years.

22 Do I have that right?

23 MS. KRISTA HALAYKO: That's one (1) of
24 the issues covered in -- in our tab 7 for sure, yes.

25 MR. THOMAS REIMER: And -- and so, the

1 question that I've got, and as a newcomer to utility
2 regulation, you'll have to forgive me that I don't --
3 but in many contexts, you know, you see estimates that
4 are sort of plus or minus, like, different -- there --
5 there are different categories of -- of projected
6 costs on a particular project, for instance. That's
7 an area that I'm familiar, okay.

8 Is there any sort of analysis, a plus
9 or minus, when it comes to Hydro's projected costs
10 when you're talking -- let's start with the ten (10)
11 year time frame since that's -- the \$200 million is
12 attached to that time frame? Is there a plus or minus
13 to that?

14

15 (BRIEF PAUSE)

16

17 MR. JIM PAWLUK: Mr. Pawluk.

18 MR. THOMAS REIMER: Yes.

19 MR. JIM PAWLUK: I'll take this one.
20 For the capital plan there is not a plus or minus.
21 That's a typical range that you would use in a
22 specific project when you're going through estimates,
23 but this is a capital plan at a high level.

24 We don't have every known investment
25 identified. We know that they're aging assets. It's

1 trending in a direction where we're going to need to
2 invest more capital, so it's not within an accuracy
3 range. You -- you wouldn't do that at a portfolio
4 plan level.

5 MR. THOMAS REIMER: Okay. Let me just
6 explore that a little bit then, Mr. Pawluk.

7 Is there then a risk, and I'm using
8 that in the colloquial sense, not necessarily as a
9 term of art as you might, but is there a risk that it
10 is over or understated?

11 MR. JIM PAWLUK: Yes, there is a risk
12 that it could be over or understated. And Mr. Turner
13 had brought that up yesterday in our direct evidence,
14 that we're projecting 200 million. And as we advance
15 in -- in asset management we'll be able to more refine
16 what that number is, but it will always be -- it'll
17 never be an exact number. There -- it's possible it
18 could be 180. It's possible it could be 220, but it's
19 going to range.

20 MR. THOMAS REIMER: And this goes back
21 to Ms. Halayko's comment this morning about whether
22 optimum, being the absolute best outcome, is actually
23 an achievable target or just something you're going to
24 be aspiring to for Manitoba Hydro's entire history and
25 future. Is that fair?

1 MR. JIM PAWLUK: That -- that's fair.
2 We going to get to optimum and make the best decisions
3 when we actually do the investments, correct.

4 MR. THOMAS REIMER: And part of -- in
5 -- part of the striving towards more optimal
6 projections is getting the appropriate tools to
7 collect and analyze data, right?

8 MR. JIM PAWLUK: That'll be one (1) of
9 the tools to refine it. But when we look at our
10 intervention rates and the age of our assets, this is
11 known. Like, our assets aren't going to get younger
12 just by doing asset management. They're -- they have
13 a need today. And that need is only going to grow
14 because they're only going to continue to age.

15 So, yes, we'll be able to refine the
16 number as we go forward, but is it going to be -- are
17 we going to be so far off that, you know, it's going
18 to be huge? Probably not. Like, I mean -- and then
19 there'll be other constraints that come in as we go
20 into the future that, you know, we won't know about
21 until we get there.

22 MR. THOMAS REIMER: Okay. So -- so,
23 you're saying you -- it sounds to me, Mr. Pawluk, that
24 you are reasonably confident that at least at the
25 order of magnitude level, \$200 million is correct?

1 MR. JIM PAWLUK: That is correct.

2 MR. THOMAS REIMER: Like, it's not
3 going to be 2 billion and it's not going to be zero?

4 MR. JIM PAWLUK: That is correct. The
5 zero for sure.

6 MS. KRISTA HALAYKO: I just want to
7 add that I conferred with my colleagues. And in that
8 \$200 million we've tried to be conservative in that
9 it's probably going to be, if anything, on the low
10 side.

11 But because it's our projection of our
12 long-term plan, we're being conservative at this
13 point, and we'll refine further, but there's no
14 indication that it's going to be significantly less
15 than 200 million.

16 MR. THOMAS REIMER: Okay.

17 MR. ALASTAIR FOGG: Mr. -- Mr. Reimer
18 --

19 MR. THOMAS REIMER: Yeah.

20 MR. ALASTAIR FOGG: -- it's Mr. Fogg.
21 Maybe if I could add. I guess maybe we -- context
22 kind of near term spending versus the longer term
23 projection of our expenditures.

24 So, in the near term, I think we talked
25 about briefly we -- we generally have specific

1 projects that are in that forecast. And those
2 specific projects would go through a process where we
3 assess risk or uncertainties that may have -- have a
4 range of spending or expenditures associated with
5 them.

6 On a portfolio basis we don't look it
7 up, but it's project by project. As we look out over
8 time, we're not -- we don't have specific projects
9 that make up that entire portfolio. It's an
10 anticipated spend based on asset health and other
11 indicators.

12 As we approach that time frame, it'll -
13 - we'll be looking to balance which projects proceed,
14 balancing against financial decisions of that
15 anticipated spending level that we projected.

16 So, there's a -- there's a balancing
17 effort that goes in-between financial aspects in the
18 actual projects and asset health that we need to
19 spend, oh, in the -- the future years.

20 MR. THOMAS REIMER: Right. Thank you
21 for that, Mr. Fogg.

22 The -- the thing that I'm trying to
23 explore here though is you've projected a -- like, at
24 the end of the day, you've projected a number. You've
25 projected a number with at least order of magnitude

1 accuracy.

2 Ms. Halayko is -- is saying that --
3 that she expects it's on the conservative side and
4 chances are it could be higher, right?

5 MS. KRISTA HALAYKO: I think that I --
6 I don't think it'll be much lower than that.

7 MR. THOMAS REIMER: Okay. I'm -- I am
8 going to try and pin you down a little bit more than
9 that, Ms. Halayko.

10 So, when you say it's a conservative
11 number, what -- what that sounds to me is this is
12 likely at the bottom end of the -- of the range, if I
13 can use the word 'range'.

14 Is that -- are we using the word in the
15 same way, 'conservative', the -- the word
16 'conservative'?

17 MS. KRISTA HALAYKO: Yes.

18 MR. THOMAS REIMER: And so, what then
19 would you estimate -- are you in a position today to
20 estimate if you took the other end of the range what
21 that number would be?

22

23 (BRIEF PAUSE)

24

25 MS. KRISTA HALAYKO: I'm not at a

1 position to say right now. But I do know that we've
2 only looked at 90 percent of our assets for the 90
3 percent, so we do have to firm up that extra 10
4 percent that's not in the projection and refine the
5 projection itself.

6 MR. THOMAS REIMER: Slightly different
7 vein. Am I correct that the quality of Manitoba
8 Hydro's asset management data also informs the quality
9 of its depreciation analysis?

10 Is that one for you, Mr. Fogg?

11 MR. ALASTAIR FOGG: I suspect it's one
12 for me on that front. I would -- I would say that
13 there -- there are differences between the data from a
14 depreciation expense perspective and an asset health
15 perspective.

16 And, in particular, the degree of
17 information we may want on a granular basis, from an
18 asset health perspective, may be much more detailed
19 than is required from a depreciation expense
20 perspective, recognizing that depreciation is -- is an
21 estimate of -- to capture those capital expenditures
22 and express them over -- over time.

23 So, there -- there would be
24 differentiation between those -- those two (2). I
25 wouldn't suggest that our asset information is

1 impacting negatively our depreciation expense
2 estimate.

3 MR. THOMAS REIMER: And -- and Mr.
4 Peters and you had a discussion yesterday about what -
5 - I can't remember what your terminology was, but you
6 -- you agreed that there appears to be some
7 correlation between -- between asset health and
8 depreciation, and when you look at the numbers,
9 there's a -- there's a similar trend at play.

10 Do I have that right?

11 MR. ALASTAIR FOGG: I think it's --
12 what you would see is there -- there's some
13 relationship or alignment between business -- the
14 expenditures around business operations capital and
15 that depreciation expense, not asset health
16 necessarily.

17 MR. THOMAS REIMER: Okay.

18 MR. ALASTAIR FOGG: So, depreciation,
19 again, is the recognition of what we previously spent
20 on the business operations capital over time. And
21 since historically business operations capital has
22 been -- we've seen that in the general range, that's
23 why you see an alignment between what we're spending
24 today on assets versus what we spent previously which
25 is being recognized in depreciation expense.

1 MR. THOMAS REIMER: Thank you. I
2 think this one -- this might be for Mr. Turner.

3 I'm going to talk a little bit about
4 the UMS Group assessment. I'm not going to do it in
5 any detail, but I wonder if you could advise the
6 Board, what was the reaction when Manitoba Hydro
7 received the UMS Group assessment, the one point five
8 (1.5) maturity score?

9

10 (BRIEF PAUSE)

11

12 MR. HAL TURNER: At the time, I think
13 it was 2015, so I would have been managing Project
14 Management Group, so we would have been executing a
15 lot of the capital. I would say overall we -- we felt
16 it was a fair assessment of where we were at.

17 MR. THOMAS REIMER: Did it -- was it
18 cause for concern?

19 MR. HAL TURNER: I don't know if I
20 would go so far as to say "cause for concern". I
21 mean, we certainly strive to do the best job possible,
22 and -- and it would have been -- you know, there were
23 certainly areas where we needed to improve, but I'm
24 not sure I would go so far as to say "cause for
25 concern".

1 MR. THOMAS REIMER: If you look at
2 Order 59/'18 -- I think I'm at page 107 of the PDF, I
3 hope. So this is the Board's synopsis of Manitoba
4 Hydro's position. And -- sorry, I'm going to have to
5 look at my...

6

7

(BRIEF PAUSE)

8

9 MR. THOMAS REIMER: So the second
10 sentence:

11 "While the utility is developing
12 more advanced and mature asset
13 management processes, it reports
14 that it is at least three (3) to
15 five (5) years away from being in a
16 position to use these processes in
17 developing its capital expenditure
18 forecast."

19 Did the Board accurately capture
20 Manitoba Hydro's position at the time that it wrote
21 this Order?

22 MR. HAL TURNER: You know, I'm -- it's
23 -- 2018 was about five (5) years ago, so I'm going to
24 -- I won't remember exactly which processes they were
25 referring to, so I'm going to say, yes, subject to

1 check.

2 MR. THOMAS REIMER: Sure. And is
3 Manitoba Hydro where it thought it would be today when
4 it made those submissions back in 2017/2018?

5 MR. HAL TURNER: At the time, we
6 wouldn't have foreseen that we were going to undertake
7 a significant business model review and restructuring.
8 So I think, in general, we wouldn't have envisioned
9 where we are today.

10 We're -- we're a very -- we're
11 organized very differently. You know, we've organized
12 around asset management, so we wouldn't have
13 anticipated being where we are right now.

14 MR. THOMAS REIMER: So I'm going to
15 ask -- I -- I hear -- I hear what you're saying. I'm
16 going to ask a question. So -- let me start over.

17 When you made that submission, in other
18 words, Mr. Turner, you didn't anticipate the
19 restructuring that was going to happen internally at
20 Manitoba Hydro. Is that what you're saying?

21 MR. HAL TURNER: That's correct, and
22 the -- you know, maybe for the Board's benefit, the
23 restructuring was very consuming, so we would have
24 paused our specific work on advancing some of asset
25 management maturity while we worked through the

1 process to try and identify the best possible business
2 model and organizational structure.

3 You know, we also tried to do this in
4 parallel with a global pandemic, so that -- that made
5 things a little bit more challenging. So we -- we
6 would have slowed things down from a process
7 perspective to focus on our business model, and -- and
8 so that's what I meant by that, that it -- you know,
9 it had an impact on how we've evolved and how we've
10 moved things forward, not just that we didn't
11 anticipate how we would be organized.

12 I will say -- and I mentioned this in
13 my direct evidence yesterday -- I -- I am very
14 optimistic that this new structure is going to yield
15 an improvement in our rate of maturing our asset
16 management system.

17 We are joined by some very bright minds
18 behind me and over to my left here that are -- is the
19 future of asset management at Manitoba Hydro, and I'm
20 very confident they're going to move things forward in
21 an expedited manner.

22 MS. KRISTA HALAYKO: I think it might
23 be worth restating, too, that our reorganization was
24 around an asset management model. So it may have
25 slowed down progress somewhat, but it really is

1 positioning us to do more with asset management going
2 forward. Like that was one of the goals of the
3 reorganization that Mr. Turner mentioned.

4 MR. THOMAS REIMER: Right, but -- but
5 I guess my more simple question is: When you made the
6 submissions at the last GRA, you expected you would be
7 able to use the more mature decision-making processes
8 for capital expenditure forecasts I would expect for -
9 - for a time period like at this GRA.

10 And -- and if I understand the evidence
11 correctly, you have not used the more mature asset
12 management processes for C-23, if I understood Mr.
13 Fogg's evidence correctly yesterday.

14 MR. HAL TURNER: So, Mr. Reimer, I
15 mean, you know, we've -- we've implemented Copperleaf
16 I guess as it's now called across the enterprise, so
17 that would have been something we were contemplating
18 in -- in 2018. And that's complete and is being used.

19 So, I don't think it's fair to say we
20 haven't done all of that, but I will -- you know, as I
21 -- as I've said, there -- we're in a very different
22 place. But certainly some of this we have done.

23 MR. THOMAS REIMER: If you scroll
24 down, Ms. Schubert, please, to page 110, this is the
25 Board's findings on this point. And the Board here

1 identified the need...

2

3

(BRIEF PAUSE)

4

5 MR. THOMAS REIMER: So the Board here,
6 if I'm interpreting this correctly -- and you can tell
7 me if -- if you have a different interpretation, the
8 Board effectively made its Order on rates essentially
9 taking \$160 million out of the ask.

10 And obviously, as we discussed last
11 week and -- and my friend Mr. Czarnecki redirected Ms.
12 Grewal on this point, Manitoba Hydro spends the money
13 it gets -- essentially, it has the discretion to spend
14 the money it gets. The Board doesn't tell it
15 specifically where to spend which dollars, right?

16 Do I have that right?

17 MR. HAL TURNER: That's correct.

18 MR. THOMAS REIMER: But in this case,
19 the Board said, You haven't provided sufficient
20 evidence to us to establish that the full amount that
21 you're asking for is needed, and we're going to reduce
22 \$160 million, right? And go ahead and take -- take a
23 moment if you need to -- to read the second paragraph.

24 MR. HAL TURNER: I think that's
25 correct.

1 MR. THOMAS REIMER: And part of the
2 reason it did that was it said -- and this is six (6)
3 lines into that second paragraph, "This is -- " it
4 says:

5 "This is consistent with the Board's
6 findings in Order 73/'15 that
7 Manitoba Hydro has not adequately
8 evaluated the long-term pacing and
9 prior -- prioritization requirements
10 for business operations capital
11 spending."

12 And -- and I interpret that to be a
13 reference to the asset management system that Manitoba
14 Hydro has.

15 Do you agree with that?

16 MR. HAL TURNER: Are you asking me if
17 I agree with how you interpret it?

18 MR. THOMAS REIMER: Yes.

19

20 (BRIEF PAUSE)

21

22 MR. HAL TURNER: Sorry, Mr. Reimer.
23 I'm -- I'm -- maybe I need you to -- I apologize.
24 Maybe you -- you wouldn't mind restating the question.
25 I mean, we've -- I'm not -- I'm -- it's not clear to

1 me what you're asking, so.

2 MR. THOMAS REIMER: So -- so the PUB -
3 - and -- and we don't need to spend a lot of time
4 here, so I'll move on if -- if I'm not able to
5 communicate my question properly this try.

6 The Board has said in this paragraph,
7 We're reducing the amount for business operations
8 capital by 160 million, and then at that para -- that
9 sentence that I read talks about Manitoba Hydro:

10 "...not adequately evaluating the
11 long-term pacing and prioritization
12 requirements for business operations
13 capital spending."

14 And I'm suggesting to you that when it
15 talks about "pacing and prioritization requirements
16 for business operations capital spending", that's a
17 reference to asset management.

18 MR. HAL TURNER: Agreed.

19 MR. THOMAS REIMER: And -- and so the
20 concern that the PUB had when it made this Order was
21 that there wasn't an adequate evaluation of asset
22 management factors. Right? I'm paraphrasing, but are
23 you willing to go there with me?

24 MR. HAL TURNER: Sure. Agreed.

25 MR. THOMAS REIMER: And the question

1 that I've got then is: What is different on this GRA,
2 given that you're not using the more sophisticated
3 asset management tools, to what was happening at the
4 2018 GRA?

5

6 (BRIEF PAUSE)

7

8 MR. HAL TURNER: Sorry, Mr. Reimer, I
9 -- I -- I'm -- I just want to make sure I answer your
10 question. Would you please re-state that so I --

11 MR. THOMAS REIMER: Yeah. So, so my
12 understanding, based -- I believe it was on Mr.
13 Fogg's evidence yesterday, was that the -- is it BCV?
14 What's -- what's the acronym?

15 MR. HAL TURNER: CVF?

16 MR. THOMAS REIMER: CVF. Thank you.

17 MR. HAL TURNER: Corporate Value
18 Framework.

19 MR. THOMAS REIMER: Thank you. C --
20 the Corporate Value Framework. I speak this language
21 with an accent, if I speak it at all, so thank you for
22 bearing with me on that one.

23 I understood that the CVF, and other
24 asset management tools that are in development, were
25 not used to prepare the expenditure forecast that was

1 provided. And I think it's referred to as C-23 in the
2 materials.

3 MR. HAL TURNER: So, I'll -- I'll take
4 a stab at this and then my colleague may want to jump
5 in.

6 I think -- so one of the things, the
7 difference -- is different with this GRA is we have a
8 long-term forecast of our capital needs. It was
9 Appendix 5 in tab 7 that was based on a -- an analysis
10 of the -- or the population of our assets.

11 And then we use Copperleaf and the
12 Corporate Value Framework tool for our short-term
13 planning. So, in the near years, determining, you
14 know, which investments should proceed and at what
15 time and also it can inform the scope of the
16 investments.

17 So, we don't use CV -- the Copperleaf
18 for the long-term projection. We've done that, as I
19 mentioned, it's at Appendix 5 at tab 7 does that. But
20 we use the CVF in the short term. That -- did I
21 answer your question, Mr. Reimer?

22 MR. THOMAS REIMER: You did. Very
23 well. So, so in other words you -- you actually do
24 have more confidence this time around than you did
25 back in 2018, is that what you're saying?

1 MR. HAL TURNER: That's correct.

2 MS. KRISTA HALAYKO: I should add as
3 well, that the Corporate Value Framework tool,
4 although it was in use in -- in 2018, for the short-
5 term planning as well, we have done a lot of
6 advancements in terms of standardizing its
7 application, having guidelines and collaborating with
8 other utilities. So, that part of it has also
9 improved.

10 And when I look at this I see pacing
11 and prioritization. So, pacing would be -- I would
12 interpret that to mean the long-term planning that Mr.
13 Turner talked about in our Appendix 7.5. And
14 prioritization would be more of a short term. We
15 would call it optimization of the portfolio, but that
16 would be in the Corporate Value Framework using
17 Copperleaf.

18 So, we have made improvements in both
19 those areas since the last --

20 MR. THOMAS REIMER: And this -- and
21 just to be -- make sure that -- I'm a little slow on
22 the uptake here, but the CVF is used for the short
23 term in the Copperleaf system?

24 MS. KRISTA HALAYKO: That's correct.

25 MR. JIM PAWLUK: Excuse me, it's Mr.

1 Pawluk. I'd also like to add in Appendix 7.5 is we
2 have rates. Rates of intervention. So there is
3 pacing in that analysis.

4 MR. THOMAS REIMER: You were directed
5 by the PUB to retain an asset management consultant to
6 assist with developing asset management processes that
7 would enable you to objectively prioritize and
8 optimize spending. Right? Do you recall that? And I
9 can direct you to the --

10 MS. KRISTA HALAYKO: Yeah, I think it
11 might be at -- is it at the bottom of this page?

12 MR. THOMAS REIMER: Or -- yes. So
13 it's the last paragraph of page 112 of 316.

14 MS. KRISTA HALAYKO: We hired a
15 consultant to perform an assessment of our asset
16 management maturity. I think you had said develop
17 processes. They didn't do that, but they --

18 MR. THOMAS REIMER: Okay.

19 MS. KRISTA HALAYKO: -- they did an
20 assessment of our maturity.

21 MR. THOMAS REIMER: Fair. Thank you.
22 And, I believe, Manitoba Hydro complied with that by
23 way of the document that's in Appendix 9-9. Is that
24 right? Ms. Schubert, if you would be so kind -- thank
25 you.

1 So, this is a letter to Mr. -- to Dr.
2 Christle from your counsel I believe dated August 29,
3 2018, enclosing the terms of reference.

4 Do I have that right?

5 MS. KRISTA HALAYKO: That's correct.
6 And the maturity assessment report itself is one of
7 the tabs in tab 7. I can't recall which one right
8 now.

9 MR. THOMAS REIMER: And we're going to
10 get that in a second, but I just want to sort of pin
11 down the time line here so.

12 This is August 2018 and the terms of
13 reference are -- are -- are prepared and filed and if
14 you scroll down, Ms. Schubert, to the last page you'll
15 see that at Appendix 9-9, in the second paragraph,
16 you're expecting the -- the assessment to take
17 approximately six (6) to twelve (12) months.

18 MS. KRISTA HALAYKO: Correct.

19 MR. THOMAS REIMER: And the report
20 that came out of these terms of reference, if I
21 understand correctly, is the AMCL issued report dated
22 October 24, 2022.

23 MS. KRISTA HALAYKO: That's correct.

24 MR. THOMAS REIMER: So, do you have an
25 explanation for why -- when you -- initially expected

1 six (6) to twelve (12) months, and I realize -- so
2 COVID is going to be part -- part of the answer. I'm
3 -- I'm expecting, but COVID doesn't come around until
4 early 2020.

5 So, so there's at least -- so the six
6 (6) to twelve (12) months that's projected in that
7 letter, or in that -- the terms of reference, come
8 before COVID.

9 So, could you provide an explanation
10 for why it took significantly longer to get the AMCL
11 report?

12 MR. HAL TURNER: Ms. Schubert, could
13 you just scroll back up to the date of the letter
14 please? Sorry. Thank you.

15 So, yes, we -- obviously we didn't
16 start on this right away. There were a number of
17 factors. Our CEO started in early 2019. A new CEO,
18 so where we started working on our Strategy 2040 and
19 subsequent business model review.

20 So, we anticipated there may be some
21 changes that are coming and -- and felt it would be
22 best to wait until we were through that.

23 MR. THOMAS REIMER: I'm going to
24 switch gears a little bit and just -- I -- I think
25 this goes without saying, but, you know, simple

1 questions for me.

2 I take it -- you -- you're going to
3 agree with me that if Manitoba Hydro is faced with a
4 known or developing risk to the conditions of its
5 assets, that Manitoba Hydro is going to address those
6 risks regardless of whether the risk was forecast in
7 the test period or not.

8 MS. KRISTA HALAYKO: That's correct.

9 MR. THOMAS REIMER: And the corollary
10 to that is just because you projected spending a
11 certain amount of money, it turns out you didn't have
12 to spend the money, you're not just going to spend it
13 'cause you projected you'd spend it.

14 MS. KRISTA HALAYKO: That's true.

15 MR. THOMAS REIMER: And this goes back
16 to the -- optimal economic life concept. Assets are
17 only replaced when that's the most economically
18 optimal option.

19 MS. KRISTA HALAYKO: I think I have to
20 disagree with that because we -- as we showed in
21 Appendix 7.5, we're replacing assets far beyond their
22 optimal economic life in some cases.

23 That's our goal, for sure, but that's
24 not the reality right now.

25 MR. THOMAS REIMER: I -- I see. Thank

1 you. Your goal is to do what I said, but you're
2 saying in reality the -- the goal isn't achievable
3 because of constrained resources, whether human
4 resources or financial resources.

5 MS. KRISTA HALAYKO: That's correct.

6

7 (BRIEF PAUSE)

8

9 MR. THOMAS REIMER: I'm not sure who
10 this one should go to, but this is about consultation
11 with customers and -- and if I've missed this in the
12 evidence, I apologize, but do you consult with
13 customers by rate class in any -- in any formal way at
14 least?

15 MS. TANIS BRAKO: Yeah, this is Ms. --
16 Ms. Brako speaking. So, as part of the presentation
17 of direct evidence in this panel, I had given an
18 overview about the account management that we have in
19 place.

20 So the structure is that we have key
21 account officers that look after our portfolio of our
22 largest consumers in the province. And then we also
23 have major account representatives who look after --
24 there's between 250 and 300 customers that they
25 maintain, you know, a portfolio of relationships with

1 those customers from the time that they connect to the
2 time that they're no longer a customer, if that's
3 helpful or if -- if there's other --

4 MR. THOMAS REIMER: It is.

5 MS. TANIS BRAKO: -- information
6 you're seeking.

7 MR. THOMAS REIMER: I'm going to
8 follow -- I'm going to follow up, but that sounds to
9 me like it -- like not necessarily a formal or
10 methodical data proc -- data collection process.

11 You're -- you're just dealing with
12 your accounts and -- and you're -- you take that in
13 and you -- and your account managers or
14 representatives deal with the complaints as they come
15 in.

16 What -- what -- what are you doing to
17 co-ordinate or -- or organize that information?

18 MS. TANIS BRAKO: Yeah. So, it --
19 it's more proactive than what you described,
20 especially for the major account customers and key
21 account customers.

22 So, we have meetings, on a regular
23 basis, with your customers, and it depends, you know,
24 how -- how active a customer might be. So, if a
25 customer is, say, looking at an expansion project,

1 we'll be meeting with them on a very regular basis to
2 understand how their project is going.

3 With our large industrials, we're in
4 contact with them on a regular basis, about many
5 different topics, you know, rates being one of them,
6 is something that comes up, you know, typically
7 annually, as -- as they're doing their financial
8 forecasting but, also, reliability, contract issues,
9 et cetera.

10 MR. THOMAS REIMER: Okay. So -- so,
11 let me -- let me pause you there, if that's okay, and
12 -- and just say, like I -- I take it there's no
13 dispute at Manitoba Hydro that -- that different
14 customers, both within the classes but also different
15 classes of customers, have different appetites for
16 cost increases or reliability concerns, right, like
17 they -- like they -- they're -- you have a -- a
18 diverse or disparate customer base.

19 MS. TANIS BRAKO: Absolutely.

20 MR. THOMAS REIMER: And -- and so, the
21 -- the follow-up question to that is, we saw,
22 yesterday, the -- the slide that had, I believe it was
23 more on the residential side, but -- but customers
24 leaning towards reliability over cost.

25 Do you recall that?

1 MS. TANIS BRAKO: Yes.

2 MR. THOMAS REIMER: Do you have
3 something similar when it comes to the commercial and
4 industrial customers that you have?

5 MS. TANIS BRAKO: Thank you for
6 asking. So, this is something that we have identified
7 as a gap, in the research that we have been doing over
8 the many years that the CSTS has been ongoing.

9 So, you're right. The CSTS asks
10 residential customers of, you know, many different
11 topics related to the services that we offer, but
12 there's a gap. We don't have a formal survey that
13 goes to commercial and industrial customers that ask
14 the same thing.

15 So, we have, again, like I mentioned,
16 identified that as a gap, again, this is through
17 Strategy 2040. We know that we need to have a better
18 understanding of the evolving energy needs of our
19 customers.

20 So, we did just start doing a survey.
21 So, it's a voice of the customer survey for our major
22 Work Order process. So, that's any new service
23 connection. It's a large, complex project,
24 essentially.

25 GSS and GSM customers would be part of

1 that process, as they're connecting or expanding their
2 operations, and we're asking customers, you know, how
3 that process goes for them, is it easy to do business
4 with Manitoba Hydro, what's their satisfaction levels
5 of the duration of that service, but, then,
6 additionally, what we are starting, as well, is a
7 major accounts customer satisfaction study, and we
8 expect to have first results of that in Q. 2 of this
9 year.

10 MR. THOMAS REIMER: Okay. So, the
11 next time we're having this conversation, you will
12 have more information for me?

13 MS. TANIS BRAKO: Absolutely.

14 MR. THOMAS REIMER: Okay.

15 MS. TANIS BRAKO: Yeah.

16 MR. THOMAS REIMER: This is a kind of
17 a -- a one-off question. If you look at Tab 7 -- I'm
18 on page 2451. I didn't understand how the Asset
19 Management Division interacts with the Centre of
20 Expertise.

21 Can -- can somebody help me out with --
22 with that? So, at the top, the newly formed Asset
23 Management Division, and then -- and then the Centre
24 of Expertise is referenced as well and I -- and I
25 don't quite understand whether they are the same thing

1 or whether one is sort of the umbrella under which the
2 other acts.

3 MS. KRISTA HALAYKO: It's Ms. Halayko.
4 I would say it's one and the same really.

5 MR. THOMAS REIMER: Thank you.

6 MS. KRISTA HALAYKO: Having all the
7 experts assembled in one division is -- is the -- one
8 and the same.

9 MR. THOMAS REIMER: So, one thing that
10 I'm having trouble with understanding is -- and -- and
11 I'll go back to the first page of -- of tab 7, if you
12 would, Ms. Schubert.

13 There's a reference -- it may be an
14 oblique reference here, but I understood that one of
15 the -- the indicators that Manitoba Hydro is relying
16 on to make the point that it needs more BOC spending
17 is that the SAIFI and SAIDI num -- results are -- are
18 deteriorating.

19 Do I have that right? Is that for you,
20 Mr. Pawluk?

21 MR. JIM PAWLUK: Yeah, I can take
22 that. That is one (1) of the indicators. We're
23 seeing declining performance in all of our assets and
24 that is typically a distribution metric, but it is
25 declining.

1 MR. THOMAS REIMER: And the -- and --
2 and I think you described it as a lagging indicator
3 yesterday. So -- so the -- the performance of the
4 system as indicated by SAIFI and SAIDI is actually
5 worse today than it is based on those factors.

6 Did I understand your evidence
7 correctly?

8 MR. JIM PAWLUK: We're trending in a
9 direction of declining performance, yes.

10 MR. THOMAS REIMER: And -- and the
11 question that I've got -- and -- and if I understood
12 somewhere else, and I -- I don't think we need to go
13 there, although I can pull a citation if you need.

14 But I understood that the goal of
15 Manitoba Hydro is essentially to maintain the SAIDI
16 and SAIFI numbers that it had between 2014 and 2018.

17 Do I have that right?

18 MR. JIM PAWLUK: It's based on a five-
19 year average, and that's the five (5) year average of
20 that data, correct.

21 MR. THOMAS REIMER: And so the
22 question I've got then is the BOC spending really only
23 ramps up, I think, in 2027, something like. Right,
24 Mr. Fogg? I mean, we can go to your presentation
25 yesterday. I think it's page 21 -- sorry, 26.

1 And Mr. Peters took, I believe it was
2 Mr. Fogg through this and -- and it's -- again, not
3 only am I new to the process, I'm an English major,
4 so, you know, I've got a lot working against me here.

5 But, I -- I think I understood the --
6 the evidence of Mr. Fogg to be the increase in BOC
7 spending is actually projected really to kick in. And
8 I think those are what those paran -- parenthetical
9 numbers on the right-hand two (2) columns refer to or
10 the second from the right I suppose.

11 So, am I -- am I understanding it
12 correctly, the BOC spending ramps up in 2027/'28 and
13 then it goes up from there?

14 MR. JIM PAWLUK: That really wouldn't
15 be correct --

16 MR. THOMAS REIMER: Okay.

17 MR. JIM PAWLUK: -- because you're --
18 you're comparing two (2) plans to each other. But our
19 plan is to start the ramp-up in I believe it's 2026 --

20 MR. THOMAS REIMER: Okay.

21 MR. JIM PAWLUK: -- and then gradually
22 ramp it up to the 200 million. It -- it's done over
23 about eight (8) years. We -- we can't just ramp up to
24 200 million in a -- in a year. That's just not
25 possible.

1 MR. ALASTAIR FOGG: Mr. -- Mr. Reimer,
2 if you -- it's Mr. Fogg. If you go to two (2) slides
3 earlier, slide 24, I believe would show just the C-23
4 plan and maybe visually some of that increase in
5 business operations capital is -- is more evident in
6 that graphic, just on its own.

7 MR. THOMAS REIMER: That's helpful.

8

9 (BRIEF PAUSE)

10

11 MR. THOMAS REIMER: I apologize and I
12 guess the thing that I'm having trouble with is that
13 Mr. Fogg's evidence yesterday was that for C-23, the
14 most sophisticated asset management tools were not
15 used for C-23, at least for the long-term projections.

16 Did I get that right?

17 MR. ALASTAIR FOGG: I apologize. I
18 don't -- I'm not sure if I ever recall mentioning
19 asset management tools when -- when I was discussing -
20 - I think what I was trying to differentiate was the
21 iden -- as we talked about earlier this -- in our --
22 in discussion, the difference between early years with
23 specific projects being approved and that was
24 optimized via the CVF versus the long-term forecasts
25 are based on asset health projections.

1 MR. THOMAS REIMER: Right and -- and
2 that's -- and those projections are based on the same
3 processes that you had in place at the last GRA?

4 MR. ALASTAIR FOGG: And in that
5 specific point what I was trying to clarify was that
6 there's been some evidence presented that there's less
7 accuracy or less detail in the C-23 plan from a -- a
8 long-term planning perspective versus CEF-16 and I was
9 trying to differentiate that.

10 No different than in CF-16 and C-23,
11 but when you look out, excuse me, ten (10) or twenty
12 (20) years, we plan at a -- at a portfolio level, not
13 a specific project level.

14 That's no different in this forecast
15 than it was previously. That's not to sugges -- I
16 wasn't meaning to get into the specific approaches of
17 better or -- or not asset management information in
18 that regard.

19 MR. THOMAS REIMER: So, to -- to --
20 maybe I'll try and elaborate or clarify that further.

21 CEF-16, when we look out ten (10) and
22 twenty (20) years, what I was trying to highlight in
23 that slide, if we go to -- 26 -- 27.

24 In CEF-16 in the early years of that
25 forecast, the majority of the spending is identified

1 as executing projects. And those are specific
2 projects that we've identified where we -- there's
3 spend occurring.

4 There's also programs that are
5 occurring in that same time frame. When you move out
6 to the ten (10) year total or twenty (20) year total,
7 we're not identifying specific projects in a CIJ
8 addendum at that time frame.

9 What we're saying is we're looking at -
10 - at a portfolio or a set of planning investments.
11 So, it's kind -- it's at a high-level spend and that's
12 where you see the bulk of the spending for the twenty
13 (20) year total, on that line called planning
14 investment.

15 That's the same approach that would be
16 taken here in C-23. That portfolio adjustment's line
17 is where we're looking at portfolio spending in the
18 future time frame. We're not identifying specific
19 projects A, B, or C, twenty (20) years in the future
20 that we can spend on.

21

22 (BRIEF PAUSE)

23

24 MR. ALASTAIR FOGG: And just maybe for
25 -- for context, too often what happens is you'll --

1 you'll just project previous -- and CF-16 you may take
2 previous spending and just project it based on
3 inflation, or a 2 percent escalator from near-term
4 spending to get that portfolio.

5 What we've tried to do in C-23 is, also
6 as the rest of the panel has described, really look at
7 asset health and the degradation of those assets to
8 say what -- how would spending have to change to meet
9 that degradation in the asset health.

10 MR. THOMAS REIMER: But -- but -- and
11 I -- and I'd like to move on in a second, but just to
12 understand, one (1) of the things I understood Ms.
13 Halayko to talk about was that because you haven't
14 brought online your asset management tools for the
15 long-term, the -- the factor that you're primarily
16 relying on is age of asset?

17 MR. ALASTAIR FOGG: It's primarily age
18 of asset, which is a source of information. I think
19 what Mr. Halayko was trying to describe is we can have
20 -- as we mature further that information becomes
21 better, but the age information is valid information
22 to base it on today.

23 And what I was trying to distinguish
24 was in CEF-16 it may -- subject to check, may have
25 just been an escalator from earlier spending without

1 even incorporation of that age information.

2 What we're trying to do is take that
3 age information into account in C-23 and that forecast
4 today, recognizing that as we mature that information
5 becomes better, but it is still valid information
6 right now.

7 MR. THOMAS REIMER: Okay. I'd like to
8 move on. I -- I can see two (2) people with their
9 fingers on their button.

10 THE CHAIRPERSON: Mr. Reimer, you've
11 got eight (8) minutes.

12 MR. THOMAS REIMER: Thank you, yes.
13 I'm -- I'm keeping an eye on it.

14 MS. KRISTA HALAYKO: I would just like
15 to add though that having that assessment that was
16 done in appendix 7.5 is an increase in our asset
17 management maturity. The fact that we're including
18 that now, and projecting out with more detail than
19 maybe doing what we can with what we're given.

20

21 CONTINUED BY MR. THOMAS REIMER:

22 MR. THOMAS REIMER: Ms. Vine --

23 MS. KRISTA HALAYKO: So we're
24 projecting what the assets need rather than what we're
25 given. And so, it's a -- a bottom-up and top-down

1 approach.

2 MR. THOMAS REIMER: Can I go to the
3 AMCL slide deck from yesterday, Ms. Schubert.

4 I'm at slide, I think it's 7 -- sorry,
5 it's 6. And -- and, Ms. Vine, I just want to -- the --
6 the transcript said -- you pointed to 2.13, 2.09, and
7 2.04 -- sorry, 05 on the organization in people,
8 strategy and planning, and then the life cycle
9 delivery scores.

10 The transcript said you used the word
11 "barely consistent with industry." I just wonder -- I
12 -- if -- if you can either correct that or -- or let
13 me know what you meant by "barely consistent"?

14 MS. SARAH VINE: I think I said mostly
15 or largely consistent within industry.

16 MR. THOMAS REIMER: Thank you. I
17 assumed that it was something different. And what
18 about the lower scoring areas, so I'm looking
19 especially at 1.32 acid information.

20 Would that be lower than industry --

21 MS. SARAH VINE: No. I -- so, we have
22 a -- a benchmarking database that contains over two
23 hundred (200) assessments that we've done around the
24 world. And what I look for is -- is the pattern. And
25 asset information is generally a very low scoring area

1 for everyone.

2 The information technology's moving
3 forward. Things that were -- were kind of adequate
4 and acceptable years ago are now out of date. This
5 technology moves on.

6 I used to do net present value
7 calculations with a pen and paper and a --

8 MR. THOMAS REIMER: Right.

9 MS. SARAH VINE: -- calculator that
10 plugged into the wall. The world changes very quickly
11 in -- in the asset information, the analytics, and the
12 -- the development capability, so I think pretty much
13 --

14 MR. THOMAS REIMER: Right. So --

15 MS. SARAH VINE: -- that's very
16 consistently a low scoring.

17 MR. THOMAS REIMER: -- I guess the
18 issue that I've got, though, is that yesterday you
19 made a point in your presentation of saying that the -
20 - the two point 0 (2.0) scores or two point one three
21 (2.13) scores were consistent with industry, and then
22 you didn't say that about asset information.

23 And -- and I'm just wondering, like it
24 seems like a low score for me. I -- I know I'm not --
25 and -- and you didn't mention it as consistent with

1 industry yesterday.

2 You recall that?

3 MS. SARAH VINE: I -- I recall that,
4 yes.

5 MR. THOMAS REIMER: And asset -- it
6 appears to me that asset information is -- is one (1)
7 of the foundational blocks of this chart. It informs
8 the life cycle delivery, the asset management decision
9 making, and the risk and review, right?

10 MS. SARAH VINE: It -- it feeds a lot
11 of the other areas, yes.

12 MR. THOMAS REIMER: You mentioned
13 yesterday that -- that the COVID pandemic was
14 disruptive to the process. We know that, you know, it
15 -- never mind. I think we dealt with that.

16 Mr. Pawluk, you made a comment
17 yesterday that part of what you're after is to
18 understand asset needs from the bottom up was your
19 term of phrase.

20 Do you recall that?

21 MR. JIM PAWLUK: Yes.

22 MR. THOMAS REIMER: What does -- what
23 does 'bottom up' mean?

24 MR. JIM PAWLUK: It's just like Ms.
25 Halayko just mentioned, we're looking at what the

1 assets needs. So we're defining the needs of the
2 systems and the assets from what the actual assets
3 needs, and we're building up to what we need to do for
4 investments.

5 When you're looking at different
6 options in your investments, you may look at and
7 combine different asset needs and -- and try to find
8 the best value in that. So we're not just looking at
9 it from a top-down kind of lens.

10 We're looking at what the actual needs
11 are and building that capability and identifying what
12 that is. And that's what the AM analysis in Appendix
13 7.5 is starting to do. It -- it's a starting point
14 for us to identify the needs of the assets.

15 MR. THOMAS REIMER: But I believe
16 Manitoba Hydro has acknowledged that it's not
17 something that it's able to do based on its -- on its
18 present capacities.

19 MR. JIM PAWLUK: No, I would not agree
20 with that. I mean, we're doing it. Where -- when you
21 look at the scoring of our maturity, it's across the
22 enterprise and it's linking all the different energy
23 streams together.

24 It's not that we're not doing asset
25 management. We are. We are making good decisions. We

1 are using the data. We do have data. I think it's
2 been mischaracterized that we have no data and all of
3 our data's bad. That's -- that's not true.

4 So we are doing asset management and we
5 are making decisions, but what we can do is optimize
6 even further and take it to another level. And that's
7 where we're going on the journey of asset management.

8

9

(BRIEF PAUSE)

10

11

MR. THOMAS REIMER: Mr. Pawluk,
12 yesterday you talked about needing to -- that to
13 develop capacity, you needed time to build, and I
14 think you were referring mostly to training skilled
15 labour.

16

Is that right?

17

MR. JIM PAWLUK: That's one (1) aspect
18 of it, but when we're talking about capacity and we
19 want to increase our capital spend to support our
20 assets, it's -- it's all the professionals as well.
21 It's -- it's our site staff. Like the capacity has to
22 built throughout. It -- it --

23

MR. THOMAS REIMER: But it's people?

24

MR. JIM PAWLUK: It could be people.
25 It could be -- technology could give you capacity as

1 well.

2 MR. THOMAS REIMER: And I don't know
3 that this was referred to this morning during Mr.
4 Williams's examination, but at -- pardon me -- tab 7,
5 page 36 of 51, at the top of the page, second
6 paragraph, there's a reference to strategic workforce
7 planning initiative.

8 Do you see that?

9 MR. JIM PAWLUK: Yeah.

10 MR. THOMAS REIMER: And was that what
11 the discussion -- Mr. Williams was looking at a
12 different document, but was there an undertaking to
13 provide anything that can be filed with the Board with
14 respect to that initiative? If not, I'd ask for it
15 now.

16 MR. JIM PAWLUK: I don't think so at
17 this time.

18 MR. THOMAS REIMER: There's nothing
19 that you can provide?

20 MR. JIM PAWLUK: Not that I'm aware
21 of.

22 MR. THOMAS REIMER: Thank you.

23 MR. JIM PAWLUK: We can look into it,
24 but I'm -- I'm not aware.

25 THE CHAIRPERSON: Mr. Reimer, you need

1 to wrap it up.

2 MR. THOMAS REIMER: Thank you. Yes.

3

4 (BRIEF PAUSE)

5

6 MR. THOMAS REIMER: Thank you to the

7 panel. Those are my questions.

8 THE CHAIRPERSON: Thank you, Mr.

9 Reimer. We -- we have some questions from the Panel.

10 Sorry. Mr. Peters...?

11 MR. BOB PETERS: Mr. Chair, I just

12 wanted to interject on a process question, and Mr.

13 Reimer prompted -- his second last question prompted

14 that.

15 I had understood Dr. Williams had asked

16 for an undertaking of this panel that Mr. Czarnecki

17 was going to consider over the morning break.

18 Unless I was asleep at the switch, I

19 didn't understood whether that has been responded to

20 or -- I just thought I'd follow it up at this time

21 before the Panel's questions.

22 MR. BRENT CZARNECKI: Thank you, Mr.

23 Peters. Mr. Turner hasn't actually reviewed that

24 document yet, so would like an opportunity -- I'm

25 going to suggest over the lunch time -- to see if he

1 has any concerns with the filing of it. So I expect a
2 report back after lunch on that.

3 THE CHAIRPERSON: Okay. We're going
4 to -- here's the concern I have. If -- if he reviews
5 it and you say no, the Panel's going to have to decide
6 whether we direct it or not. If it gets produced, the
7 later it gets produced, the greater the likelihood we
8 may have to call this panel back.

9 And I would rather try and finish with
10 this panel today so you can all go and do your regular
11 jobs -- although I'm sure you'll all be live streaming
12 the rest of the hearing. But -- so the sooner, the
13 better.

14 MR. BRENT CZARNECKI: And, Mr.
15 Chairman, we do understand the concern, and I'm hoping
16 that we're leaning towards producing it. But I do
17 want to make Hydro's concern clear as well is that
18 this is a -- I'll say more or less a hot-off-the-press
19 type of document.

20 The concern works from a fairness
21 perspective on the other end of it, that we produce it
22 and Mr. Williams looks at it and does something within
23 argument that it wasn't properly addressed.

24 So I will leave it, if we do produce
25 it, in your good hands to weigh those types of

1 submissions accordingly because it hasn't been
2 properly vetted through the entirety of this process.

3 THE CHAIRPERSON: Right.

4 MR. BRENT CZARNECKI: So that --
5 that's always my concern with new information on
6 undertakings, that it's just a matter of timing that
7 it develops in the midst of a stream of this process.

8 And I have seen it pop up with quite
9 the -- the amount of force that wants to be attached
10 to these types of things is not then afforded this
11 process that we've been at for several months now.

12 But I have your point, and again, I'm
13 hoping that we can --

14 THE CHAIRPERSON: Yeah. Well --

15 MR. BRENT CZARNECKI: -- produce it
16 after lunch.

17 THE CHAIRPERSON: -- we'll -- we'll
18 deal with it later. On the other hand, Mr. Czarnecki,
19 the -- the problem is this is sort of a live process.
20 We don't do a cutoff. If we don't see it now, just --
21 and I'm not making a ruling -- if we don't see it now,
22 we're not seeing it for three (3) years, and then it's
23 -- you know.

24 You also have re-examination at the end
25 of -- you know, at the end of the hearing if -- if

1 anything. So we -- we will endeavour to be as fair as
2 possible.

3 Ms. Bellringer, you had a question.

4 BOARD MEMBER BELLRINGER: I did. And
5 I'm -- I'm just -- I'm wanting to make sure I
6 understand what reports are available on asset health.
7 And Mr. Fogg did mention the 'D' word, the
8 depreciation, so I appreciate we'll have a chance to
9 circle back to that in a week and a half or so.

10 It -- the -- there's a depreciation
11 study 2019 referenced in various places.

12 Is that the most recent report like
13 that? I'll start with that.

14 MR. ALASTAIR FOGG: Thank you for the
15 question. I believe the 2019 depreciation study was
16 produced by Concentric and is related to ELG
17 depreciation rates.

18 There was a new study filed as part of
19 this application by Alliance which is related to the
20 ASL depreciation. That -- I can't remember the exact
21 reference, but we could find that for you.

22 BOARD MEMBER BELLRINGER: Well, I'll -
23 - I'll go back and check, too, because it's the one
24 that I'm thinking references over depreciation. And I
25 thought that was a separate report from both the ESL

1 and -- and the ASL and the ELG reports, but maybe --
2 maybe that's where I'm getting confused.

3 And there's reference to an asset
4 condition assessment. Is that different? Is there --
5 is there another -- is there an actual formal report
6 on asset condition assessment apart from any of the
7 depreciation reports?

8 MR. JIM PAWLUK: Not with this
9 application. There may have one -- been one done on
10 previous applications, but not with this application.

11 BOARD MEMBER BELLRINGER: Is there --
12 is there a relevant one that you would actually turn
13 to and say -- you know, in the application or not, but
14 that you say -- that's where I'm -- that's why I'm say
15 -- I'm just trying to get a better handle on detailed
16 documents that support the health.

17 I appreciate the process. And you've
18 gone through a lot of information around that, so it's
19 not about better understanding what other processes
20 you follow, it's just actual reports.

21 So, I'm, at the -- at the moment,
22 understanding that there are two (2) relevant
23 documents, the ELG, and then the ASL, two (2)
24 depreciation reports, and that's it? Maybe we can
25 just circle --

1 MR. JIM PAWLUK: I think --

2 BOARD MEMBER BELLRINGER: You can
3 circle back at some other time.

4 MR. JIM PAWLUK: The best place we
5 could point you to get an understanding of the needs
6 of the assets -- I think that's really what you're
7 trying to assess, what -- what are the needs of the
8 assets, what do we need to be doing to make sure our
9 assets are in good operating condition?

10 BOARD MEMBER BELLRINGER: Well, okay,
11 so I'm jumping ahead to a depreciation conversation in
12 my head, which would be, if you -- if you took all
13 your assets that you have today, what are they worth?
14 I mean, that's where I'm going.

15 And having said that, it links directly
16 to you take all your assets today, and you manage your
17 assets and you assess their health and, therefore, it
18 tells you what they're worth today.

19 So, there's the accounting stream we're
20 going to walk down. And then there's the now connect
21 that to the actual asset management process.

22 So, I'm -- I'm -- it's -- it's a little
23 early to have the full conversation. I appreciate
24 that. I'm not trying to go there. I'm just trying to
25 make sure I've got all of the information that I need

1 to review and -- and assess to -- to make sure the
2 value conversation and the health conversation are
3 properly connected.

4 MR. ALASTAIR FOGG: We could certainly
5 look into that further and consider what -- what the
6 depreciation reports may say from this is the
7 anticipated depreciation versus actual retirements
8 that we're seeing or the time frame where those assets
9 are retired versus what was anticipated.

10 And that could be a discussion we have
11 further as part of depreciation or -- or at another
12 point in time, but we'll look for those specific
13 reports or findings that may help inform that for you.

14 THE CHAIRPERSON: Thank you. Mr.
15 Sy...?

16 BOARD MEMBER SY: I promise it's not
17 going to be a price elasticity question. Yeah, I --
18 I'm trying to get some understanding on the question
19 that Mr. Reimer has brought regarding the BOC \$200
20 million increase.

21 I'm like him, I'm new. I -- I
22 apologize, obviously, for all those questions that I
23 ask -- that I'm asking that may not be appropriate.
24 But I'm just trying to get a -- have an understanding
25 of how good Manitoba Hydro is when it comes to

1 forecasting.

2 I mean, you know, we talk about plan
3 2040. We talk about ten (10) year plan, twenty (20)
4 year plan, and -- and a lot of numbers being thrown
5 out. For the twenty (20) year, we probably will not
6 be around or maybe won't remember what happened.

7 So -- so, how good is Manitoba Hydro
8 when it comes to forecasting? That's -- that's a
9 question I've been asking myself ever since I started,
10 you know, this process.

11 So, if I -- Exhibit CC-14 -- I sound
12 like a lawyer now. The Keeyask project, the estimated
13 cost was 6.5 billion. That was in 2014. 2022, total
14 cost was 8.7 billion, a delta of 2.3 billion, or 34
15 percent. So, this is, like, in an eight (8) year
16 span, there has been, like, a 34 percent variance, or
17 delta.

18 If I go ahead and make a linear
19 projection, which obviously is not the right thing to
20 do, but just to say, in eight (8) years, the delta is
21 about 4 percent.

22 So, how good then is all this ten (10)
23 year, twenty (20) year projections if you look at the
24 record and say, based on this, it's almost like there
25 is a 4 percent chance -- a 4 percent chance of being

1 off every year.

2 Going back then to the BOC 200 million,
3 like what Mr. Reimer was trying to get, how good are
4 we, because are we going to be projecting to be 10
5 percent off, 20 percent off, 30 percent off? Like,
6 how -- what is the risk that you're going to come in
7 with a number that is higher than \$200 million? Thank
8 you.

9

10 (BRIEF PAUSE)

11

12 MR. HAL TURNER: Thank you for the
13 question. Just so -- I don't think we should confuse
14 our capital budgeting processes and where our projects
15 end up with a portfolio projection, so -- they're
16 different -- different animals.

17 The short answer is, we -- we can't
18 give you that number. We don't know. I would say the
19 -- the \$200 million increase in sustainment spend is
20 our -- is based on the best information we have today
21 as it's -- I would -- I would say to you -- to you
22 we're very confident that we need to be spending more
23 and that it's going to be reasonably close to the 200
24 million.

25 As we mature our asset management

1 system, as we get better data and better systems,
2 we'll be able to refine that number. You know, we've
3 -- we've suggested we're going to ramp up over time.

4 So, I would suggest that, as -- there's
5 little risk at this point in time because by the --
6 you know, in -- in three (3) to five (5) years we're
7 going to be more mature. We'll be able to give you a
8 more refined number.

9 And I suspect there'll be plenty of
10 time -- if that number of overstating the need, I
11 think there'll be plenty of time to adjust our
12 spending. It may be that it's understating the need,
13 and we may have to increase the spending.

14 So, unfortunately, I can't give you an
15 answer to that because we don't know. But I can tell
16 you that over time, we'll -- we'll get -- we'll start
17 to gain a better understanding of how accurate that
18 number is, and I think there'll be time to adjust.

19

20 (BRIEF PAUSE)

21

22 THE CHAIRPERSON: Thank you. We'll --
23 we'll take the lunchbreak and reconvene at one
24 o'clock. Thank you.

25

1 --- Upon recessing at 11:58 a.m.

2 --- Upon resuming at 1:02 p.m.

3

4 THE CHAIRPERSON: Okay. If we could
5 start. I guess before we start with M. Hacault, Mr.
6 Czarnecki, do we have a decision on -- on that study?

7 MR. JIM PAWLUK: Just -- so two (2)
8 things. Yes, we'll provide the study. We'll get that
9 to you this week.

10 And then I wanted to -- sorry -- I
11 wanted to just clarify. Mr. Williams asked about
12 Keeyask, asked if it was 695 megawatts, and I just
13 want to add a little bit more context.

14 So the nameplate of Keeyask is 695
15 megawatts. The net capacity increase on the system is
16 actually 630 megawatts, and so the tail race or the
17 downstream water level of Keeyask is influenced by the
18 forebay, the upstream water level of Kettle. And so
19 those two (2) things interact.

20 So he's -- six ninety-five (695) was
21 correct, but the actual impact is six thirty (630).

22 THE CHAIRPERSON: Okay. Thank you.

23 MR. BRENT CZARNECKI: Thank you.

24 THE CHAIRPERSON: Thank you.

25 Mr. Hacault...?

1 MR. ANTOINE HACAULT: Thank you, Mr.
2 Chair, members of the Panel.

3

4 CROSS-EXAMINATION BY MR. ANTOINE HACAULT:

5 MR. ANTOINE HACAULT: For the benefit
6 of this panel, my name is Antoine Hacault of KDS Law.
7 We represent large industrial users, and I intend to
8 ask questions related to asset management in the
9 following four (4) areas.

10 Firstly, understanding how reliability
11 fits into transmission, sub-transmission, and
12 distribution.

13 Secondly, tracking reliability and what
14 can be improved to track liability (sic) and
15 corresponding asset management. It's kind of a
16 distinct area.

17 Thirdly, understanding the tracking of
18 costs of outages and what can be done to improve the
19 tracking of costs of outages.

20 And lastly, understanding what inputs
21 go into Copperleaf with respect to the cost of outages
22 and how cost of outages gets weighed in the asset
23 management system.

24 So with that general introduction, I'm
25 starting the first subject area, understanding how

1 reliability fits into the different components of our
2 hydro system, firstly, transmission.

3 At that level -- and I'm not directing
4 to anybody in particular -- am I correct that General
5 Service Large, over 100 kV, would be served directly
6 from transmission?

7 MR. JIM PAWLUK: That's correct.

8 MR. ANTOINE HACAULT: And you may or
9 may not be able to confirm this, but Chemtrade, Koch,
10 Gerdau, Rokett, Enbridge, Amsted and CKP are served
11 directly on transmission at greater than 100 kV. That
12 makes sense?

13 MS. TANIS BRAKO: That's correct.

14 MR. ANTOINE HACAULT: Okay. And on
15 slide 30 of the initial presentation -- you don't --
16 we don't need to go there, but there had been an
17 indication that there were four (4) representatives
18 dealing with ten (10) companies, and those companies
19 would be included in who would be served by those four
20 (4) representatives?

21 MS. TANIS BRAKO: That's correct.

22 MR. ANTOINE HACAULT: Okay. On this
23 panel -- and, sorry, I don't mean to be insulting by
24 saying this -- is there any corporate history
25 knowledge as to the historical number of key account

1 representatives previously being greater for that
2 category?

3 MS. TANIS BRAKO: Ms. Brako speaking.
4 I should clarify that first. I'd have to undertake to
5 check specific to key account officers. However, we
6 have just undertaken a review in the last short while
7 here to understand our broader team relative to our
8 account management team and what the current numbers
9 are compared to pre-VDP levels. But I can't comment
10 specifically to those.

11 I'll suggest to you, subject to check,
12 that the number was greater. You had five (5) account
13 representatives for those ten (10) key clients in the
14 past, if that information --

15 MS. TANIS BRAKO: Actually, that --
16 that sounds accurate --

17 MR. ANTOINE HACAULT: Okay.

18 MS. TANIS BRAKO: -- correct.

19 MR. ANTOINE HACAULT: Thank you.
20 There's a lot of analysis that's been put on the
21 record with respect to general staff cutbacks, and
22 both firstly with the voluntary departure requirements
23 and then the 10 percent I think related to COVID.

24 I wasn't able to find anywhere in the
25 system or the information numbers that corresponded

1 with the new information that was put in the slides.
2 That was at slide 30 on the amount of key account
3 representatives and twelve (12) major account
4 representatives because it shows the evolution in
5 other slides in a very general way.

6 Did I miss something, or is there
7 something that helps me understand the cutbacks that
8 were -- if any, that were -- had to be made with
9 respect to the positions indicated on slide 30 on the
10 right-hand side for key account representatives,
11 twelve (12) major account representatives?

12 Is there anything that would inform me
13 on what type of cutbacks those clients had to deal
14 with?

15 MS. TANIS BRAKO: No, there wasn't
16 anything submitted specific to that in this
17 Application. We did speak rather broadly to the 15
18 percent reduction as a result of VDP, and then as you
19 mentioned cost reductions.

20 But we didn't provide details of
21 exactly where those positions were impacted throughout
22 the Company, but I can share that we have done a
23 recent evaluation, and we know that we're at about ten
24 (10) FTE'ish less in this team as a result -- like as
25 a difference to VDP numbers.

1 MR. ANTOINE HACAULT: Okay. That's
2 useful information. Thank you. I just wanted to have
3 a sense of the level of service because you can't ask
4 the same number of staff to do exactly what the other
5 complement of staff with ten (10) additional EFTs
6 would have been able to do.

7 Now, this is a general question. I'll
8 suggest that ensuring the robustness of transmission
9 benefits all Manitoba customers, correct? It's not
10 limited to the industrials who hook up directly to
11 transmission.

12 MR. JIM PAWLUK: That's correct.

13 MR. ANTOINE HACAULT: And same
14 question on generation assets. Ensuring the
15 robustness of generation assets benefits all Manitoba
16 customers, correct?

17 MR. JIM PAWLUK: Correct.

18 MR. ANTOINE HACAULT: Now, I'm getting
19 into a little bit of -- I don't know if I'll call it
20 technical, but I want to have a sense as to whether
21 we're ad idem as to what constitutes transmission on
22 your system.

23 So I've started with customers being
24 served at greater levels than 100 kV, but your system
25 actually has different components over a hundred kV,

1 correct, different levels of service?

2 MR. JIM PAWLUK: Sorry, are you -- are
3 you asking are there different levels of voltage above
4 a hundred kV?

5 MR. ANTOINE HACAULT: Voltage.

6 MR. JIM PAWLUK: Yes, that's correct.

7 MR. ANTOINE HACAULT: For example, you
8 have 500 kVA --

9 MR. JIM PAWLUK: Yeah.

10 MR. ANTOINE HACAULT: -- 230 kVA, 138
11 kVA, and, finally, 115 kVA. Those are all over a
12 hundred?

13 MR. JIM PAWLUK: Correct.

14 MR. ANTOINE HACAULT: And those would
15 all be categorized in what I would call transmission.

16 Am I right there?

17

18 (BRIEF PAUSE)

19

20 MR. JIM PAWLUK: So, all voltages
21 above 66 kV would be considered transmission.

22 MR. ANTOINE HACAULT: Okay. Above --

23 MR. JIM PAWLUK: Above 66.

24 MR. ANTOINE HACAULT: Okay. That's
25 consistent. Okay. And here, if we can go -- we've

1 reproduced in a book of documents -- sorry if -- we've
2 only just recently got it, but it's a reproduction of
3 tab 7 of the materials of Hydro in this application.
4 That's at...

5 And in this figure, right below the
6 figure, there's reference to, we see there,
7 transmission system average interruption duration
8 index, it's called T-SAIDI, and then transmission
9 system average interruption frequency index, T-SAIFI.

10 Can I assume that those metrics relate
11 to the transmission as we just defined them, or is it
12 a different metric that we're measuring?

13

14 (BRIEF PAUSE)

15

16 MR. JIM PAWLUK: So, there's a little
17 debate happening behind us of whether 66 kV is -- are
18 in these numbers or not, so would it be okay if we
19 provide that clarity a little bit later?

20 MR. ANTOINE HACAULT: Yes. I'm just
21 trying to get some common understanding when we're
22 discussing these different statistics, and looking on
23 -- on the slides, which part of your system, because I
24 started my presentation by saying I was going to try
25 and break it down to transmission, sub-transmission,

1 and distribution.

2 And I wanted to have a sense of what
3 those statistics particularly talked about, whether it
4 was generation and the transmission leading up to
5 anything over 66. So, if you can take that and get
6 back to us, that would be great.

7 So, now I'm going to speak to the next
8 step down in voltage. You've mentioned 66 kV and 33
9 kV transmission lines. And in that, would I be
10 correct to include corresponding low voltage portions
11 of substations? That would be considered sub-
12 transmission together?

13

14 (BRIEF PAUSE)

15

16 MR. JIM PAWLUK: I believe that's
17 correct.

18 MR. ANTOINE HACAULT: Okay. Thank
19 you. Now, Ms. Brako, maybe you'll answer this.

20 My information is MIPUG companies like
21 ERCO Worldwide, TC Energy that we had some discussions
22 about, Enbridge and Simplot are served at a sub-
23 transmission level.

24 You can take it subject to check if
25 you're not absolutely sure.

1 MS. TANIS BRAKO: Subject to check.

2 Thank you.

3 MR. ANTOINE HACAULT: Now -- and
4 you're going to get clarification on this. My next
5 question was: Is the sub-transmission level
6 performance included in distribution SAIFI or SAIDI,
7 or is it at the transmission level or both? Are you
8 able that answer that, when we look at all these
9 charts?

10 I'm just trying to see what the stats
11 refer to specifically.

12

13 (BRIEF PAUSE)

14

15 MR. JIM PAWLUK: We will get that
16 answer for you. We just don't have it right at this
17 moment.

18 MR. ANTOINE HACAULT: Okay. I think I
19 can continue my questioning as just -- you can see
20 what I'm trying to get a sense of because we've been
21 discussing about these safety figures. But what do
22 they relate to, the transmission portion, sub-
23 transmission portion, or the distribution portion?

24 I'm trying to get a better sense of
25 that, so that would be appreciated. I'll say

1 undertaking just so we can pick that up.

2

3 --- UNDERTAKING NO. 17: Manitoba Hydro to advise
4 if the sub-transmission
5 level performance included
6 in distribution SAIFI or
7 SAIDI, or is it at the
8 transmission level or both

9

10 CONTINUED BY MR. ANTOINE HACAULT:

11 MR. ANTOINE HACAULT: I've got another
12 extract that I'll refer to out of your chapter number
13 7 in this filing, and it's at page 50 of the PDF, so
14 the next page, Ms. Schubert.

15 Going down a bit lower there's some
16 highlighting. And this may help answer some of the
17 questions that I've been asking, but I'll give you
18 time to read the highlighting at the bottom of page 11
19 of 51 and at the top of page 12.

20

21 (BRIEF PAUSE)

22

23 MR. ANTOINE HACAULT: So, I want to
24 have a little bit better understanding with respect to
25 the portion of this evidence that indicates:

1 "Extensive use of radial 66 kV
2 transmission lines to economically
3 serve Manitoba's extensive
4 geographic distribution of small
5 communities."

6 First, I want to focus on radial.
7 What's the importance of radial? Does that tell us if
8 there's noted the starting point of that line, that it
9 can affect all the branches and communities or...?

10 MR. HAL TURNER: Everything. So,
11 there's -- radially would -- would imply there's one
12 (1) feed, one (1) -- only one (1) way to serve that
13 group of communities.

14 And so, if you had an interruption
15 somewhere along that line, everything downstream of
16 that line, so everything on the opposite side of the
17 outage from where the generation sources are, would
18 experience an outage, whereas in say urban areas like
19 Winnipeg, you may -- you've got -- I can't -- I
20 apologize. I don't remember the correct term for
21 opposite of radial feed, but you'll have multiple
22 feeds.

23 So, you can have an outage on a line,
24 but customers may not experience an interruption.

25 MR. ANTOINE HACAULT: Because there's

1 a web of different lines throughout the -- that
2 service area, so that, if you have -- one (1) line
3 gets interrupted, the power finds its way through the
4 other lines, ultimately getting --

5 MR. HAL TURNER: Correct. Yeah. Or
6 you may have -- at a distribution station level you
7 may have multiple feeds into that system, so you can
8 course the energy from to multiple lines, correct.

9 MR. ANTOINE HACAULT: So, that is
10 something that might affect how -- the types of
11 questions we were discussing this morning. Does a
12 failure of an asset affect the service to a home or a
13 business?

14 If it's a radial and we get the failure
15 of that transmission asset, there's no other way for
16 the power to get to the community, correct --

17 MR. HAL TURNER: Correct.

18 MR. ANTOINE HACAULT: -- versus, if
19 you have a failure of an asset in -- in the city of
20 Winnipeg that transmits power, that doesn't
21 necessarily mean that you will not have service
22 provided?

23 MR. HAL TURNER: Correct. There
24 typically will be some redundant feeds that will --
25 will be able to allow us to continue to serve those

1 customers.

2 MR. ANTOINE HACAULT: Okay. Thank
3 you. That's helpful for me to understand.

4 The next reduction in level as I under
5 -- oh, sorry.

6

7 (BRIEF PAUSE)

8

9 MR. HAL TURNER: Can I give you
10 answers to the questions about the T-SAIDI AND T-SAIFI
11 and --

12 MR. ANTOINE HACAULT: Absolutely. If
13 you're able to clarify that now, that would be
14 fantastic.

15 MR. HAL TURNER: Great. Mr. Turner
16 talking. So, T-SAIDI and T-SAIFI include 66 KV and
17 above.

18 MR. ANTOINE HACAULT: Thank you.

19 MR. HAL TURNER: Everything below 66 KV
20 is in SAIDI and SAIFI.

21 MR. ANTOINE HACAULT: Okay. So, that
22 would -- am I correct that that includes the thirty-
23 three (33) kV lines then in SAIDI? But the thirty-
24 three (33) kV's are excluded from the T?

25 MR. HAL TURNER: Correct.

1 (BRIEF PAUSE)

2

3 MR. HAL TURNER: We're just going to
4 double-check where the thirty-three (33) kV is.
5 There's a lot -- again, there's a little bit of
6 confusion in the background here, so we're going to
7 confirm where the thirty-three (33) kV is. For sure
8 sixty-six (66) and above is in T-SAIDI, T-SAIIFI.

9 MR. ANTOINE HACAULT: Okay.

10 MR. HAL TURNER: There's some
11 differing opinions on where thirty-three (33) shows up
12 and we'll -- we'll get that sorted out shortly.

13 MR. ANTOINE HACAULT: But -- but thank
14 you, that's useful information because I -- I wasn't
15 too sure when we looked at the comments in the
16 highlighting.

17 When we had failures on the sixty-six
18 (66) kV line, either in frequency or in duration,
19 whether that was captured by the T-SAIDI and SAIIFI
20 metrics, because we're including a different type of
21 risk, I'm going to say, related to those lines
22 compared to other lines. So, thank you.

23 I was about to go down to the -- what I
24 believe -- understand to be the next step down in --
25 in voltage. That would be at thirty (30) kV or less,

1 with corresponding low voltage portions of
2 substations.

3 Would those assets be considered
4 distribution assets? Or distribution level customers?

5 MR. HAL TURNER: That's correct.

6 MR. ANTOINE HACAULT: Okay. So, also
7 included in, in that -- those distribution assets is
8 things that I see in my country home with the
9 transformers can blow up and it serves us down to the
10 either 100 -- 110 volts, which is our regular plugs.
11 Correct?

12 MR. HAL TURNER: I'm not sure which
13 country your home is in, but if it's Manitoba,
14 correct.

15 MR. ANTOINE HACAULT: And -- yeah,
16 okay. Good -- good stab there.

17 And some outlets for guys like me who
18 actually have a welder are two-forty (240), right?

19 MR. HAL TURNER: That's correct.

20 MR. ANTOINE HACAULT: Yeah, the hot
21 water and clothes dryers can also be at the two-forty
22 (240) volts. Correct?

23 MR. HAL TURNER: Correct. Your stove
24 as well.

25 MR. ANTOINE HACAULT: Yeah. So,

1 again, I don't know if we can answer this subject to
2 check, but examples of MIPUG Industrials served at the
3 less than thirty (30) kV, include Mapleleaf with three
4 (3) sites, Winpac with one service and HyLife with one
5 service. Are you able to confirm that or not?

6 MS. TANIS BRAKO: Yes. Correct.

7 MR. ANTOINE HACAULT: Now, Mapleleaf
8 is a bit unique, is it not? We heard Mapleleaf in its
9 presentation indicate that it has a dedicated service
10 to it which is a little bit different than other
11 customers served at that level. Is that correct?

12 MS. TANIS BRAKO: Correct.

13 MR. ANTOINE HACAULT: Okay. Thank
14 you. This leads me to the second subject area,
15 understanding the tracking and reliability and what
16 can be done to improve tracking of reliability and
17 corresponding asset management.

18 Can I have an explanation as to what
19 Manitoba Hydro does to track outages for customers
20 served at a transmission level? I want to deal with
21 that level first.

22 Is it reliant on the client
23 communicating the outage, say a two (2) or three (3)
24 second outage to Manitoba Hydro and its service
25 representatives? Or does it have measuring equipment

1 which can actually identify and track those outages?

2 MR. CYRIL PATTERSON: Yeah, it's Cyril
3 Patterson speaking. So, many of our transmission
4 lines do have network visibility and monitoring on the
5 systems at our breakers.

6 So, we can actually -- we understand
7 and can know the status or a status change of our
8 transmission lines. Not all though, so it is -- it is
9 not across the entire group of transmission lines in
10 the system. So, not all of them have that level of
11 technology on them that we can understand the -- the
12 status.

13 MR. ANTOINE HACAULT: Okay. So, for
14 the -- what I called transmission lines customers,
15 like ChemTrade, I'll -- I'll just use that specific
16 example.

17 Is that -- if there's a power outage,
18 does ChemTrade have to notify Manitoba Hydro or does
19 Manitoba Hydro know about, as such, one of your
20 biggest users, know about that outage before the
21 client calls?

22 MR. CYRIL PATTERSON: Yeah, I don't
23 specifically know about ChemTrade. We could take that
24 as an Undertaking and verify, but there is -- like,
25 there's one (1) of two (2).

1 They either -- we know immediately when
2 the breaker trips feeding ChemTrade and that there's
3 been an operation on that line, or the customer has to
4 notify us that they're experiencing an outage.

5 MR. ANTOINE HACAULT: Yeah. And the
6 only piece of equipment -- so, you've identified these
7 breakers, they trip, you know and you're notified.

8 MR. CYRIL PATTERSON: Correct. Yeah,
9 there's system control operators that are monitoring
10 the system 24/7, 365 days a year and they get alarms
11 on the SCADA (phonetic) system that notifies them when
12 a breaker or a line, like in a transmission system,
13 changes status, trips due to fault, conditions or
14 fails.

15 MR. ANTOINE HACAULT: Yeah. And, for
16 Hydro to be able to identify this condition, in all of
17 its transmission lines, would it be a major
18 investment?

19 MR. CYRIL PATTERSON: Yes, it would
20 be.

21 MR. ANTOINE HACAULT: Okay. Now when
22 something along that trips, do the service
23 representatives communicate at a tran -- still at a
24 transmission level here, where people are connected
25 directly to those large lines, does -- do they

1 communicate or how does -- how does the communication
2 occur between the clients and -- and Hydro?

3

4 (BRIEF PAUSE)

5

6 MS. TANIS BRAKO: Ms. Brako, speaking
7 here. So, when there's an outage on a transmission
8 line, just like Cyril was mentioning, you know,
9 depending on the visibility that we have on that
10 transmission system, there will be notification sent
11 to the key account officers that represent those
12 customers and then communications will follow.

13 However, what typically happens is any
14 type of an outage like that will directly affect our
15 customer, and they're going to know very quickly that
16 their system is impacted, so they will contact our key
17 account officer right away to let them know they have
18 an outage and that representative will then start
19 communicating with operations folks to understand what
20 the cause of the outage was and duration that, you
21 know, we anticipate that they'll be out for.

22 MR. ANTOINE HACAULT: Okay. Thank you
23 for that. Now, as far as duration, is that a little
24 bit like my home, when a breaker goes, I know
25 immediately it doesn't have to be out for five (5)

1 minutes, or is there some kind of a time frame that
2 needs to occur before your operators are notified that
3 there is an outage at a transmission level?

4 I'll kind of further given an example
5 of what I'm trying to understand, is, if there's a one
6 (1) second outage, does that prompt an alarm to your -
7 - to your people?

8 MR. CYRIL PATTERSON: Again, that
9 would -- it's Mr. Patterson speaking -- that would
10 depend on the level of technology that we have on that
11 transmission line.

12 So, intermittent outages, such as
13 you're mentioning, the one (1) second or less outages
14 that are almost a flickering of the power or a -- a --
15 an intermittent loss of power that restores itself, we
16 can detect them both through the monitoring of the
17 breaker system, through our technology at the stations
18 or customers report it to us through a complaint.

19 MR. ANTOINE HACAULT: Okay. And
20 there's another document that was PUB-MFR-107. I have
21 it at page 130 of the pdf document here. It refers to
22 -- can you just go down to the bottom. I just want to
23 make sure we're on the right page -- I have -- yes,
24 it's page 95.

25 That's a Manitoba Hydro document and it

1 talks about various metrics and things and it talks
2 about automated digital fault detectors. It talks
3 about it being new equipment.

4 Can you somebody explain to me what the
5 difference is between that and what you've just been
6 talking about, Mr. Patterson?

7

8 (BRIEF PAUSE)

9

10 MR. CYRIL PATTERSON: I apologize. I
11 was getting a clarification on the T-SAIDI AND SAIFI.
12 Could you repeat the question?

13 MR. ANTOINE HACAULT: There's
14 reference to installing automated digital fault
15 detectors and it being new equipment, which would save
16 hours of crew time by reporting the exact location of
17 faults that would otherwise have to be determined
18 manually by Manitoba Hydro.

19 Can you explain the difference between
20 that technology and -- and the breaker?

21 MR. CYRIL PATTERSON: Yeah. So,
22 breakers, themselves, historically, do not have this
23 level of technology on -- installed on them to be able
24 to detect fault location. Some of the newer breakers
25 do, which is what they're referring to, where, through

1 the measuring of the fault size in amps, they can
2 actually determine the distance from the source that
3 the fault occurred.

4 So, they can actually determine which
5 span of conductor from the source station the fault
6 occurred in, whether a tree contacted the line or a
7 lightning strike occurred. That greatly reduces the
8 response time by directing the people doing the
9 trouble-shooting, the technicians that go to restore
10 the power, directly to the fault location to do the
11 repairs or verify that the power line is still intact.

12 So, previously to not having fault
13 indication information like this, they would have to
14 drive the entire length of the line looking for
15 damages or looking for an indication of a fault.

16 MR. ANTOINE HACAULT: And can you,
17 without getting into too much detail, does this apply
18 -- this technology apply to transmission, sub-
19 transmission, and distribution or just to
20 distribution? Which level?

21 MR. CYRIL PATTERSON: No. This
22 technology's available at all voltage levels.

23 MR. ANTOINE HACAULT: Okay. And are
24 you able to give a general sense of the progress of
25 installing this type of technology in your system?

1 MR. CYRIL PATTERSON: We've been
2 making great strides in installing fault -- we've been
3 using fault indicators of various levels of technology
4 for many years, literally blinking lights on the power
5 lines, when a fault occurs, that trouble-shooters
6 could go out and look at visually, to ones that are
7 connected to the grid, itself, and can actually
8 communicate with a centralized location.

9 So, I don't have a percentage of how
10 much fault indication we have on any of the
11 distribution, transmission, or sub-transmission
12 systems today, but we have been working towards
13 improving our fault indication systems, in an effort
14 to do a better job of restoring power.

15 MR. ANTOINE HACAULT: Thank you for
16 that, Mr. Patterson. Now, I'll switch to the sub-
17 transmission level.

18 What does Manitoba Hydro do to track
19 outages for MIPUG customers served at a sub-
20 transmission level?

21 MR. CYRIL PATTERSON: So, yeah, we
22 track every outage to every customer through our -- a
23 system interruption reporting system. So, the
24 trouble-shooters, the technicians that restore power,
25 they ha -- when they're dispatched, they've given a

1 job related to that outage, whether it's a - a MIPUG
2 member customer or a -- a residential customer, and
3 they have to actually document the -- the time, the
4 duration, the start and end of the duration of that
5 power outage, the cause of the outage, if it can be
6 determined, and, then, the resources required to
7 restore the power outage, material, labour, and they
8 actually enter that outage into the system
9 interruption reporting system and, then, it's tracked,
10 cumulatively, on -- by a customer.

11 We can report it on -- on it by
12 customer. We can report on it by the feeder, itself,
13 or by the sub-station, if it's at that high level,
14 depending on the size of the power outage, so.

15 MR. ANTOINE HACAULT: Now, this -- I
16 don't know if I misunderstood, and I don't have the
17 specific reference to the evidence, but I had
18 understood that the SAIDI and SAIFI data is limited to
19 longer outage, like around five (5) minutes, and
20 things below five (5) minutes are tracked.

21 Did I get that wrong or?

22 MR. CYRIL PATTERSON: No. That's
23 correct. If we do not respond to an intermittent
24 power interruption, it's because our system worked as
25 designed and it restored itself through breaker

1 operations. A tree hits a line. It falls clear. You
2 may see a one-minute outage that the system actually
3 tries to restore itself.

4 The breakers are designed to do that
5 and, then, the tree falls clear and the power is
6 restored. We will not respond to that outage but we
7 may or may not be able to identify it, depending on
8 the level of technology on that system.

9 As to whether or not we can see the
10 intermittent outage, you're correct in that,
11 typically, the outages we report on are the ones we
12 respond to, where there's an actual power outage that
13 needs our intervention to be able to restore the
14 power.

15 MR. ANTOINE HACAULT: So, that leads
16 me to a next kind of question.

17 What kind of tracking, if any, 'cause
18 we've heard some presentations from our members, that
19 it doesn't take a five (5) minute outage to cause a
20 lot of losses to their operations.

21 What kind of tracking does Manitoba
22 Hydro have or keep with respect to the shorter outages
23 -- outages that you describe as self-correcting?

24 MR. CYRIL PATTERSON: Currently,
25 unless there's that technology I spoke to earlier

1 where we can actually see intermittent power outages
2 on breaker operations, that there's the constant
3 turning on and turning off of the power line for
4 various reasons, we do very little tracking on
5 intermittence.

6 We -- we deal with them, after the
7 fact, through customer complaints. We'll put -- we'll
8 add technology to the line, temporarily, to monitor
9 its performance, and we'll -- we'll plug in items at
10 the station, actually at the consumer end, to monitor
11 the performance of the power line and, then, once we
12 can evaluate that, then we can try to determine what
13 the cause may be.

14 MR. ANTOINE HACAULT: Thank you for
15 that. So, with industrials at either transmission or
16 a sub-transmission level, do you have any sense of the
17 extra work there might be to track the types of
18 outages which you don't currently track?

19 I would imagine you have a customer
20 complaint but is it getting logged anywhere to be able
21 to track it?

22 MR. CYRIL PATTERSON: Today, we'd have
23 limited ability to track and report on that
24 information but, in the future, that's what our grid
25 modernization program is, to try to give us that

1 visibility and insight into the customer's experience,
2 in conjunction with also AMI technology, to whether or
3 not -- because that's real time provides immediate
4 data tracking and feedback on the status of a customer
5 as to whether or not they're experiencing a -- a
6 lengthy interruption or an intermittent interruption,
7 less than a minute, like you're referring to, so.

8 MR. ANTOINE HACAULT: Thank you, Mr.
9 Patterson. Can you remind everybody what AMI is?

10 MR. CYRIL PATTERSON: Automated
11 Metering Infrastructure.

12 MR. ANTOINE HACAULT: Okay. Thank
13 you. I'm going to move into a sub-section of
14 gathering information on outages and it would be I
15 would qualify it at surveys.

16 And there's some questions today as to
17 whether or not it's tracked for non-residential
18 customers and there's an explanation that we're
19 probably going there.

20 So -- so, it's a question, I believe,
21 to Ms. Vine. Are you able to comment on best
22 practices for customer surveys as it relates to large
23 power users for getting data to use in an -- asset
24 management decisions?

25 MS. SARAH VINE: By data, do you mean

1 cost to the customer or --

2 MR. ANTOINE HACAULT: That's a very
3 wide question, because asset management, we thought,
4 relates to three (3) pillars and you're right that I -
5 - that's part of where my line of questioning was
6 going to go is if we're going to be putting any weight
7 on. I think the acronym is VOLL, Value of Lost Load.

8 MS. SARAH VINE: M-hm.

9 MR. ANTOINE HACAULT: Or their best
10 practices to -- for a utility to determine the value
11 of lost load to large customers.

12 MS. SARAH VINE: People do do that and
13 I've seen it more in the middle east than I have here.
14 However, it does defe -- depend on how you are funded.
15 So, what way -- if -- we need to be careful not to
16 prioritize commercial customers over domestic
17 customers.

18 MR. ANTOINE HACAULT: Fair enough.

19 MS. SARAH VINE: So, taking into
20 account a customer's financial loss is -- is a bit of
21 a delicate subject.

22 MR. ANTOINE HACAULT: Okay.

23 MS. SARAH VINE: But if they are
24 paying for a level of service, say some of them have
25 service agreements that state the reliability that

1 they are expecting, then I would expect that to be
2 very clearly monitored and valued.

3 MR. ANTOINE HACAULT: Okay. We'll get
4 into some more detail about the type of information
5 that's being put into Copperleaf, or at least my
6 understanding.

7 Going down the road that you were
8 taking me, as to customers generally, are you aware of
9 best practices with respect to the type of survey and
10 extent of survey questions?

11 And this gets a little bit to Board
12 Member Sy's question the other day, you know, to allow
13 people to make valued decisions on the supply of power
14 and reliability and the cost.

15 Are there some best practices with
16 respect to surveys that might be conducted and how
17 they're built out?

18 MS. SARAH VINE: I wouldn't say there
19 were best practices for commercial customers. Now,
20 I've -- I've seen practices, but -- but not enough to
21 be able to kind of pinpoint that -- that that's a good
22 example.

23 MR. ANTOINE HACAULT: Okay.

24 MS. SARAH VINE: And that's probably
25 getting outside of my --

1 MR. ANTOINE HACAULT: Your area of
2 expertise, okay. I've -- I've seen some surveys and
3 I've read about them and how they ought to be
4 structured. Actually, Midgard has attached to -- or
5 referenced in their report an article related to that
6 and part of it's reproduced in the Board Counsels'
7 Book of Documents.

8 But -- would you be aware of any
9 Canadian jurisdictions that have developed surveys of
10 customers to assist in asset management decisions?

11 MS. SARAH VINE: To assist in the
12 customer's asset management decisions? Yes, I am
13 aware of a large distribution company that is doing
14 that.

15 MR. ANTOINE HACAULT: Which -- are you
16 able to identify it on the record, no?

17 MS. SARAH VINE: I kind of don't feel
18 that I should be.

19 MR. ANTOINE HACAULT: Okay. Fair
20 enough. Now, as far as the willingness to pay study,
21 in the Board Book of Documents, Volume III, Mr. Peters
22 was using this, but pages 71 to 78 I had.

23

24 (BRIEF PAUSE)

25

1 MR. ANTOINE HACAULT: 71 to 77.

2 That's after tab 3, yes. After -- on the bottom in
3 Capital Planning, I think it's footnote -- we can see
4 footnote 68 being highlighted. Mr. Peters is making
5 my work easy for me here.

6 And it references a document, a PDF,
7 page 93 of 246 and then the Board Book of Documents
8 starts reproducing that document in the following
9 pages. It's called a literature summary.

10 And if we go to the next page it -- it
11 says:

12 "The questioner development was
13 grounded in and informed by academic
14 literature and the article below was
15 an academic literature review of
16 recent developments in measuring
17 stated preference. It identifies
18 key elements that are necessary --"

19 At least in that officer's view:

20 "-- to include in a willingness to
21 pay study."

22 And then in the following pages of this
23 book that was distributed to everybody, there's a
24 scenario development and it indicates various things
25 that ought to be addressed.

1 If you haven't seen this, I'm not going
2 to ask you further questions if you're -- don't think
3 you can comment on whether or not this might be a best
4 practice or not. You haven't?

5 MS. SARAH VINE: I have no opinion on
6 this.

7 MR. ANTOINE HACAULT: Then I'll ask
8 Manitoba Hydro then, in reading the application and
9 seeing the Book of Documents prepared by Board
10 counsel, does Manitoba Hydro have any thoughts on
11 whether it would collect this kind of data in order to
12 assist in asset management?

13 MS. TANIS BRAKO: Ms. Brako, speaking
14 here. So, we -- we did have a look at this submission
15 by Innovative that was submitted my -- by Midgard.
16 You know, we -- we do see the value in having, you
17 know, research relative to what Midgard has put
18 forward here as a potential option.

19 We'd want to take some time, obviously,
20 to take a look at the methodology to see if it would
21 be relevant. But I'd say it would be more broad, not
22 necessarily related specifically to asset management
23 investments.

24 It would also be to other investments
25 required for customer service, environmental, et

1 cetera. And this is something that -- that we would
2 use across our customer base. You know, commercial
3 and industrial sample sizes are small, so that's the
4 other caution as well that we would have in
5 approaching a study like this, but certainly see the
6 value in -- in considering something like this in the
7 future.

8 MR. ANTOINE HACAULT: Thank you. And
9 following these two (2) pages -- and Ms. Schubert, can
10 you go down to the next page on this listing.

11 Have you had a chance to check the
12 following pages that are immediately after the couple
13 pages reproduced and Board's counsels Book of
14 Documents? There's actually an actual survey
15 suggested that corresponds to all these various
16 points.

17 Have you had a chance to look at that
18 or consider that?

19 MS. TANIS BRAKO: Ms. Brako, speaking
20 again. So, similar to my previous answer, we have
21 reviewed this -- you know, the suggested approach, but
22 we'd certainly need to take more time to reflect on
23 whether or not the methodology would be appropriate.

24 But certainly, something like this
25 would be, you know, helpful in understanding what that

1 value would be relative to investment.

2 MR. ANTOINE HACAULT: Okay. Thank
3 you. I'm going to move to value of lost load now and
4 a couple questions on that.

5 Now, as a result of participating in
6 asset management generally, does anybody on the panel
7 have an understanding as to whether or not other
8 utilities in Canada conduct value of lost load
9 studies?

10

11 (BRIEF PAUSE)

12

13 MR. HAL TURNER: Sorry, we don't have
14 that knowledge

15 MR. ANTOINE HACAULT: Okay. You may
16 want -- wish to check PUB in Newfoundland, Exhibit 89,
17 Christian and Associates (sic) Energy Consulting.
18 There's a report on value of lost load.

19 Are any surveys -- and I'll deal with
20 it specifically related to MIPUG members. Are there
21 before-outages surveys for the large industrials?

22 MS. TANIS BRAKO: Sorry, can you
23 repeat that?

24 MR. ANTOINE HACAULT: Are there
25 before-outage surveys for industrials with respect to

1 value of lost load?

2

3

(BRIEF PAUSE)

4

5

MS. TANIS BRAKO: No, we do not.

6

MR. ANTOINE HACAULT: Okay. And with

7 --

8

MR. JIM PAWLUK: I just want to --

9

MR. ANTOINE HACAULT: Yes.

10

MR. JIM PAWLUK: -- Mr. Pawluk

11 speaking -- just add like when we do look at our

12 investments in our systems, we do consider customer

13 impacts like for duration, frequency of outages. Like

14 that is considered, you know.

15

So, just letting you know that we -- we

16 do look at that, and we are looking at more of the

17 customer experience as we do future valuations as

18 well.

19

MR. ANTOINE HACAULT: Anticipated my

20 next questions. I'm actually referring to some of

21 your data on that. Thank you, sir.

22

Now, am I correct that there is also no

23 after-outage survey on the value of lost load? So

24 that when a customer reports, for example, hey, the

25 power's been out for two (2) minutes, it's had an

1 impact on my processes here, do you conduct an outage
2 survey after on major industrials?

3

4 (BRIEF PAUSE)

5

6 MS. TANIS BRAKO: No, we do not
7 conduct that.

8 MR. ANTOINE HACAULT: Okay. So you
9 don't gather information then on production and
10 revenue impacts, lost wages, additional wages such as
11 overtime, damaged production equipment, impacts of
12 short- and longer-term duration outages, and those
13 types of value of lost load data?

14 MS. TANIS BRAKO: Ms. Brako speaking
15 here. So not on a formal basis I wouldn't say. With
16 our large industrials, our key account officers will
17 have a discussion, especially if it's, you know, an
18 outage -- outage that has a very large impact.

19 Just recently experienced one with one
20 (1) of our customers and did collect all of that
21 information to help our internal teams better
22 understand what investments need to be made to
23 mitigate those types of situations happening in the
24 future.

25 So absolutely it's -- it's happening

1 when, you know, there are sort of extreme
2 circumstances, I would say, but not on a transactional
3 basis every time an outage occurs.

4 MR. ANTOINE HACAULT: Thank you.

5 MR. CYRIL PATTERSON: If I -- if I
6 could just add -- sorry, it's Mr. Patterson speaking.

7 All of those factors you just mentioned
8 are -- are for sure in the consideration and the
9 decision making when restoring power to those types of
10 customers, reconfiguring the network in order to try
11 to restore power before our -- mitigation before
12 remediation, so, trying to look for a way to restore
13 power before actually correcting the damages that
14 maybe caused the outage.

15 In those radial-feed situations, that
16 is very difficult, but where there's redundancy we for
17 sure take that approach in all of our restoration
18 efforts, looking for the fastest way to restore power.

19 MR. ANTOINE HACAULT: Yeah. Thank
20 you. I'm going to try and speed it up here. I've got
21 a couple more questions on two (2) issues, and Mr.
22 Pawluk referred to this value of lost load being
23 tracked in Copperleaf software.

24 If we go to PDF 74 of our book --
25 hopefully I've got it right -- there should be a

1 heading, 'Unserviced Energy Costs'.

2 So am I right in understanding that
3 this is an item that's inputted or can be inputted in
4 Copperleaf? It's the description of Copperleaf and
5 the different aspects that it considers. That was my
6 understanding.

7 Is anybody able to comment on that?

8

9 (BRIEF PAUSE)

10

11 MR. ANTOINE HACAULT: You can see at
12 the bottom left-hand side copyright 2017, Copperleaf
13 Technologies Inc.

14 MS. KRISTA HALAYKO: Could you repeat
15 the question and just repeat this reference again,
16 where it came from?

17 MR. ANTOINE HACAULT: It's -- it's
18 from MFR-107. It's -- it was a document produced by
19 Manitoba Hydro in response to MFR-107. I believe it
20 was in the 2017, if you look at the index, 2017
21 General Rate Application.

22 I'm trying to understand how and if
23 unserved energy costs are considered by Copperleaf.

24

25 (BRIEF PAUSE)

1 MR. JIM PAWLUK: That is part of the
2 calculation that is in Copperleaf, so it's -- it's
3 kind of buried into the measures in our analytics when
4 we do it, but it's based off of not actual data from
5 Manitoba, it's more of an industry practice.

6 MR. ANTOINE HACAULT: Okay. And has
7 that data been updated? Because the reference that's
8 found on this page at the third bullet just before the
9 end is a 2015 American study.

10 MS. KRISTA HALAYKO: It hasn't been
11 updated in the system, but I should mention that we're
12 doing a -- a refresh of Copperleaf and the assumptions
13 within Copperleaf and the value measures, and that's
14 one (1) of the things we're looking at.

15 Also, we do include calculations in the
16 distribution reliability benefit for some projects of
17 outage frequency and duration, and -- and that can be
18 also used for our transmission customers that are
19 directly connected.

20 MR. ANTOINE HACAULT: Subject to
21 check, can -- and I don't need an answer. I've only
22 got two (2) or three (3) minutes here left.

23 Does Manitoba Hydro continue to use 10
24 kV per hour system average for input on this unserved
25 energy cost -- ten dollars (\$10), sorry, ten dollars

1 (\$10) per kilowatt hour. You can confirm it later.

2 THE CHAIRPERSON: Mr. Hacault, I've
3 got you at eight (8) minutes, so --

4 MR. ANTOINE HACAULT: Eight (8)
5 minutes?

6 THE CHAIRPERSON: Yeah.

7 MR. ANTOINE HACAULT: Okay, 'cause we
8 started a bit late. Okay.

9 MS. KRISTA HALAYKO: I'll check on
10 that and get back to you.

11

12 CONTINUED BY MR. ANTOINE HACAULT:

13 MR. ANTOINE HACAULT: Okay. And at
14 the same time, could you check to see whether or not
15 Copperleaf is able to break it down into the types of
16 headings we see on the page in front of us?

17 Because they're defining unserved
18 energy based on industry studies, and then there's a
19 definition of various types of users. So I'm not too
20 sure whether or not your system allows to calculate
21 the impact of value of lost load based on certain
22 types of industries.

23 And I'll just take you to a slide just
24 to help understand what the significance of that might
25 be. At pages 135 and 136 of our PDF, that's the study

1 that's referenced in that footnote. If we go to the
2 bottom, you'll see there's a graph, and it talks about
3 estimated interruption costs for medium and large
4 commercial and industrial. You see that at the top.

5 So there's some modelling there, and
6 then if we go on to the next page in the PDF, further
7 actually, we'll go down two (2) pages -- it's more
8 illustrative -- there's actually a breakdown in this
9 study between manufacturing and non-manufacturing
10 showing the costs for manufacturers being
11 significantly higher for the value of lost load.

12 So I'm trying to understand, sometimes
13 we have these computers and softwares that do all --
14 all sorts of fancy things.

15 I'm wondering how granular these are in
16 -- in deciding the investments that need to be made?

17 So, if you're able to answer the
18 question, the ten dollars (\$10) per kilowatt, and if
19 it goes in greater granularity, what numbers are used
20 for that greater granularity.

21 Can I have that as an undertaking,
22 please?

23 MR. JIM PAWLUK: Yes.

24

25 --- UNDERTAKING NO. 18: Manitoba Hydro to answer

1 the question: the ten
2 dollars (\$10) per
3 kilowatt, and if it goes
4 in greater granularity,
5 what numbers are used for
6 that greater granularity.

7
8 MS. KRISTA HALAYKO: One (1) thing
9 that I can confirm, and we will check on the ten
10 dollars (\$10) per kilowatt hour, is that we have
11 updated those numbers since this document, but I just
12 have to check to see what we updated them to.

13

14 CONTINUED BY MR. ANTOINE HACAULT:

15 MR. ANTOINE HACAULT: Okay. Thank
16 you. That would be appreciated.

17 At page 156 of our PDF, I think this
18 provides some information. At least we saw this in
19 the 2017/'18 -- I don't know if we can flip that page,
20 Ms. Schubert. It'd be easier to read.

21 There's a couple things that -- this
22 was a slide that was produced in that application is
23 my understanding. It's a Boston consulting group
24 slide done with respect to the analysis of Bipoles I
25 or II or Dorsey going out of commission.

1 There's a couple things I'd ask this
2 panel if they can agree. Even if transmission is made
3 more robust according to the centre middle of this
4 slide, where it -- where it says:

5 "Dorcey, Bipole I and II prolonged
6 inability to serve."

7 We shed industrial load and prioritize
8 (sic) residential heating. That -- that would be how
9 Manitoba Hydro would deal with that kind of
10 catastrophic event?

11 MR. JIM PAWLUK: I believe that's
12 correct.

13 MR. ANTOINE HACAULT: Okay. And there
14 is also an evaluation here, and it may have been
15 updated. As you see in the middle of that slide, it
16 says Manitoba Hydro's value of lost load estimate is
17 ten dollars (\$10) per kilowatt hour, so that's what
18 you said may be updated.

19 And at the bottom of that slide there's
20 actually some references to Manitoba Hydro's specific
21 study on this, the footnotes. Are you able to do
22 that?

23 Now, on the left-hand side again of
24 this slide, with a footnote down to those bottom ones,
25 we see that the value of lost load, at least as

1 reported on this slide, as being lower for
2 residential and higher for small commercial
3 industrial and large commercial industrial.

4 Do you see that? And it's footnoted,
5 so I'm not too sure whether it relates to studies that
6 Manitoba Hydro has done or not because there is one
7 (1) study at the bottom. I'm looking at the bottom of
8 the slide:

9 "Manitoba customer interruption cost
10 evaluation for Billington
11 (phonetic), Power Corp. and
12 associates 2001."

13 Is that still a valid study, do you
14 know? Do you know?

15 MR. JIM PAWLUK: I don't think we
16 know. And sorry, you were -- you were talking about
17 the MISO value of lost load. And you've asked about
18 the residential value being less than the small
19 industrial, large industrial, sorry? Is that --

20 MR. ANTOINE HACAULT: Yes. Correct.

21 MR. JIM PAWLUK: But -- and the reason
22 we would prioritize residential loads over industry is
23 that people need to heat their homes. They need a
24 safe place to be when it's really, really cold, right.

25 So, it's about -- it's not about the

1 cost, it's about saving people's lives.

2 MR. ANTOINE HACAULT: Understood.

3 MR. JIM PAWLUK: Yeah.

4 MR. ANTOINE HACAULT: I'm -- I'm not
5 challenging it. I'm just pointing out the fact;
6 that's all.

7 Now, the last couple questions that I
8 have relates to Copperleaf again. Going back to pages
9 74 and 75 of the PDF, there's a couple of headings.
10 And we've dealt with heading 5.3.5, unserved energy
11 costs, so I'll go over that.

12 On the next page, at 5.3.7, there's a
13 heading, "Frequency cost." Does anybody here know
14 what's inputted into Copperleaf with respect to the
15 frequency cost assumptions?

16

17 (BRIEF PAUSE)

18

19 MR. ANTOINE HACAULT: If you don't,
20 that's okay. Or if there's a simple answer --

21 MR. HAL TURNER: Yeah.

22 MR. ANTOINE HACAULT: -- we can
23 undertake.

24 MR. HAL TURNER: I'll -- I'll take the
25 opportunity to confirm that 33 kV is not in T-SAIDI

1 and T-SAIFI; it is in SAIDI and SAIFI, so confirming
2 the T-SAIDI and SAIFI is 66 kV and up.

3 MR. ANTOINE HACAULT: Okay. Thank
4 you. So, I'd asked for the frequency costs and
5 duration costs. What assumptions are used for both
6 items, if I -- if it's not too much work? Presumably,
7 it's a number. If I can have that undertaking.

8 MR. HAL TURNER: We'll take that as an
9 undertaking.

10

11 --- UNDERTAKING NO. 19: Manitoba Hydro to provide
12 what assumptions are used
13 for both items, frequency
14 and duration costs.

15

16 CONTINUED BY MR. ANTOINE HACAULT:

17 MR. ANTOINE HACAULT: Okay. And I
18 think the last question that I would have is: Does
19 Manitoba Hydro input different levels of value of lost
20 load or different levels of voltage service when it
21 comes to making investment decisions? That's the last
22 question.

23 MS. KRISTA HALAYKO: We do have
24 different values for residential, commercial, and
25 critical service, we break it out in that way, and

1 mixed.

2 We do have a table that I believe we
3 can share that isn't entered into evidence now that I
4 could undertake to provide showing exactly how we --
5 we do that.

6 MR. ANTOINE HACAULT: And does it --
7 is that used to make decisions at each level that I've
8 identified?

9 MS. KRISTA HALAYKO: Yes, for
10 investments that would affect those different levels.

11 MR. ANTOINE HACAULT: Okay. Thank
12 you.

13

14 --- UNDERTAKING NO. 20: Does Manitoba Hydro input
15 different levels of value
16 of lost load or different
17 levels of voltage service
18 when it comes to making
19 investment decisions; if
20 so, advise.

21

22 THE CHAIRPERSON: Thank you, Mr.
23 Hacault. Mr. Czarnecki, do you have any re-
24 examination?

25

1 (BRIEF PAUSE)

2

3 MR. BRENT CZARNECKI: Nothing comes to
4 mind, Mr. Chairman. Thank you.

5 THE CHAIRPERSON: Thank you. This
6 concludes this Panel. I'd like to thank the panel
7 very much for being here. And we're going to take a
8 break now and sort of reconfigure the room -- or
9 reconfigure our people. And then we will come back in
10 fifteen (15) minutes and start the -- and do -- start
11 the direct examination of Midgard.

12 Thank you. Thank you to the Panel
13 again.

14

15 (PANEL STANDS DOWN)

16

17 MR. ANTOINE HACAULT: Oh, I forgot to
18 mark that book as Exhibit 13 for the record.

19 THE CHAIRPERSON: Okay.

20

21 --- EXHIBIT NO. MIPUG-13: MIPUG Book

22

23 MR. ANTOINE HACAULT: Thank you.

24 THE CHAIRPERSON: We'll -- we'll mark
25 it.

1 --- Upon recessing at 2:08 p.m.

2 --- Upon resuming at 2:25 p.m.

3

4 THE CHAIRPERSON: Mr. Williams...?

5 DR. BYRON WILLIAMS: Yes. Good

6 afternoon, Mr. Chair and members of the panel.

7 Before I ask Ms. McMillin to affirm the
8 witnesses, I'll just do introductions and give a very
9 brief outline.

10 To my immediate left is Mr. Peter
11 Helland. And then, to his left is Chris Oakley.

12 Our robust back row is Mr. -- my
13 colleague, Mr. Klassen, and our articling student-at-
14 law, Ms. Hannah Taylor (phonetic).

15 And Mr. Chair and members of the panel,
16 with your permission, by way of outline, we'll, first
17 of all, ask that the witnesses be affirmed.

18 I'll briefly lead Mr. Helland and Mr.
19 Oakley through a review of their experience as it
20 relates to their evidence. And then, they will take
21 you through their -- their PowerPoint.

22 And I -- before I forget, certainly,
23 when they go through their PowerPoint, I may interrupt
24 from time to time. And they would welcome
25 introduction -- or introductions -- they welcome

1 interruptions from -- from the Public Utilities Board.
2 This is the one case where interruptions are okay;
3 rather than for reliability purposes.

4 So Ms. -- Ms. McMillin, if you'd like
5 to affirm the witnesses?

6

7 CONSUMERS COALITION PANEL

8 PETER HELLAND, Affirmed

9 CHRISTOPHER OAKLEY, Affirmed

10

11 EXAMINATION-IN-CHIEF BY DR. BYRON WILLIAMS:

12 DR. BYRON WILLIAMS: Thank you, Ms.
13 McMillin. Just for the Board's information, the
14 curriculum vitae of these witnesses are attached to
15 Consumers Coalition Exhibit 1.

16 But Ms. Schubert, if you could just
17 briefly pull up their -- their evidence. Can --
18 Exhibit 8 -- page 8.

19 Mr. Oakley, I'll lead you through this.
20 You have worked in the utility and energy business for
21 thirty-seven (37) years, since receiving your B.Sc. in
22 Electrical Engineering from -- in 1986, sir?

23 MR. CHRISTOPHER OAKLEY: True.

24 DR. BYRON WILLIAMS: And you hold a P.
25 Eng. designation?

1 MR. CHRISTOPHER OAKLEY: I do.

2 DR. BYRON WILLIAMS: And sir, at one
3 time in your star-crossed career, you moonlighted as a
4 hard rock miner, deep in -- in the bowels of northern
5 Manitoba, is that correct?

6 MR. CHRISTOPHER OAKLEY: Well, I was
7 actually a full-time employee of HBOG (phonetic), but
8 I -- I did work in hard rock mining, yes.

9 DR. BYRON WILLIAMS: And in the
10 corporate world, Mr. Oakley, you've held senior roles
11 in project management and -- and operations in
12 generation and transmission, power supply, and
13 transmission system planning. Agreed?

14 MR. CHRISTOPHER OAKLEY: Yes.

15 DR. BYRON WILLIAMS: And sir, without
16 going through lengthy detail, among the positions
17 you've held in the corporate world, were Director of
18 Power Supply in Generation for Aquila Networks Canada,
19 A-Q-U-I-L-A, and its predecessors, Utilicore
20 (phonetic) and West Kootenay Power. Agreed?

21 MR. CHRISTOPHER OAKLEY: Yes.

22 DR. BYRON WILLIAMS: And sir, you
23 served with -- or you worked with ESBI Alberta in the
24 late 1990s, agreed?

25 MR. CHRISTOPHER OAKLEY: Yes, the

1 transmission administrator of Alberta.

2 DR. BYRON WILLIAMS: And at that point
3 in time, you were responsible for the development and
4 production of a ten (10) year transmission system
5 development plans for the Alberta interconnected
6 electrical system, correct?

7 MR. CHRISTOPHER OAKLEY: Yes, that's
8 correct.

9 DR. BYRON WILLIAMS: And you also
10 represented the Western Electric Coordinating Council
11 at the North American Electric Reliability Council,
12 Reliability Assessment Sub-committee, sir?

13 MR. CHRISTOPHER OAKLEY: That's
14 correct.

15 DR. BYRON WILLIAMS: Okay. Sir, just
16 turning to your regulatory experience. Your utility
17 regulatory experience includes, but is not limited to,
18 utility capital planning, asset management planning,
19 resource planning, as well as facility siting?

20 MR. CHRISTOPHER OAKLEY: That's
21 correct.

22 DR. BYRON WILLIAMS: And you provided
23 expert evidence at the BCUC on a number of occasions
24 on behalf of consumers for issues such as those
25 related to BC Hydro's -- Hydro's revenue requirement,

1 integrated resource plan, and the Fortis BC long-term
2 electric resource plan. Agreed?

3 MR. CHRISTOPHER OAKLEY: That's
4 correct.

5 DR. BYRON WILLIAMS: And at the
6 Ontario Energy Board, sir, you've provided
7 transmission and distribution system development plan,
8 asset management plan, and operational expense review
9 services in more than twenty (20) proceedings.

10 Agreed?

11 MR. CHRISTOPHER OAKLEY: Yes.

12 DR. BYRON WILLIAMS: And of course,
13 you provided the assistance in terms of capital
14 project, asset management, and risk management review
15 to the Manitoba Public Utilities Board during the
16 2017/18 General Rate Application?

17 MR. CHRISTOPHER OAKLEY: Yes.

18 DR. BYRON WILLIAMS: And regulatory
19 support services to another -- a number of other
20 Canadian utilities, such as the Alberta Utilities
21 Commission, Nova Scotia Utility Review Board, and the
22 Newfoundland and Labrador Board of Commissioners of
23 Public Utilities?

24 MR. CHRISTOPHER OAKLEY: Yes.

25 DR. BYRON WILLIAMS: And finally, sir

1 -- almost finally -- you've renewed (sic) numerous
2 projects related to international transmission lines
3 for the Canadian energy regulator, formerly known as
4 the National Energy Board?

5 MR. CHRISTOPHER OAKLEY: I reviewed
6 them, rather than renewed them. But, correct, yes.

7 DR. BYRON WILLIAMS: Thank you for
8 that. And one of those projects was the Manitoba
9 Minnesota Transmission Project?

10 MR. CHRISTOPHER OAKLEY: That's
11 correct.

12 DR. BYRON WILLIAMS: And sir, finally,
13 at the recent BCUC proceeding related to the BC Hydro
14 '23 to '25 revenue requirement, the panel gave weight
15 to your evidence with respect to utility rate
16 regulation and to engineering matters associated with
17 depreciation?

18 MR. CHRISTOPHER OAKLEY: Yes.

19 DR. BYRON WILLIAMS: Okay. Thank you.
20 Mr. Helland, you hold a B.A.Sc. And M.A.Sc., as well
21 as a Masters in Business Admin, and a P. Eng.
22 designation, agreed?

23 MR. PETER HELLAND: That is correct.

24 DR. BYRON WILLIAMS: And you obtained,
25 in 2019, a NAMS (phonetic) Canada certificate in asset

1 management?

2 MR. PETER HELLAND: Yes.

3 DR. BYRON WILLIAMS: And prior to
4 Midgard, you worked at Ocean Works International,
5 where you were the senior electrical engineer and,
6 ultimately, project manager that delivered a first in
7 class submarine rescue vehicle to the US Navy for
8 their nuclear submarine fleet. Right?

9 MR. PETER HELLAND: That is correct.

10 DR. BYRON WILLIAMS: And that's where
11 you first gained exposure to asset management, process
12 management, risk and review management, asset life
13 cycles, and similar factors, sir?

14 MR. PETER HELLAND: Yes, that's
15 correct.

16 DR. BYRON WILLIAMS: And sir, your
17 utility regulation areas of practice include asset
18 management, risk management, resource options
19 planning, and condition assessment, agreed?

20 MR. PETER HELLAND: Agreed.

21 DR. BYRON WILLIAMS: And like Mr.
22 Oakley, you provided expert evidence at the BCUC on
23 matters related to BC Hydro and Fortis BC?

24 MR. PETER HELLAND: Yes.

25 DR. BYRON WILLIAMS: And that included

1 the BC Hydro integrated resource plan and Fortis BC
2 long-term electrical resource plan, sir?

3 MR. PETER HELLAND: That is correct.

4 DR. BYRON WILLIAMS: And much of your
5 work on -- you have conducted asset management and
6 risk management reviews in over fifteen (15)
7 proceedings related to Canadian distribution and
8 transmission utilities?

9 MR. PETER HELLAND: Yes.

10 DR. BYRON WILLIAMS: And much of that
11 work has been related to distribution and transmission
12 system plans for the Ontario Energy Board?

13 MR. PETER HELLAND: Yes, that is
14 correct.

15 DR. BYRON WILLIAMS: Like Mr. Oakley,
16 you provided support to the Public Utilities Board at
17 the 2017/18 GRA, sir?

18 MR. PETER HELLAND: Yes. We worked
19 together on that.

20 DR. BYRON WILLIAMS: I just want to be
21 clear about your role in that proceeding, sir.

22 It did not -- did not involve the
23 preparation of material that was filed on the record?

24 MR. PETER HELLAND: Yeah, that is
25 correct. We were supporting the Board.

1 DR. BYRON WILLIAMS: Sir, just to
2 finish off, you have supported the Alberta Utilities
3 Commission in reviewing a major transmission project
4 that went considerably over budget and assisted in the
5 provision of an expert report?

6 MR. PETER HELLAND: Yes.

7 DR. BYRON WILLIAMS: You were lead
8 author of an expert report commissioned by the
9 Newfoundland and Labrador Public Utilities Board to
10 review and recommend revisions to the capital budget
11 approval guidelines utilized by two (2) major
12 electrical utilities in that province, sir?

13 MR. PETER HELLAND: Yes.

14 DR. BYRON WILLIAMS: You provided
15 other support to that -- the Board of Commissioners as
16 well?

17 MR. PETER HELLAND: Yes.

18 DR. BYRON WILLIAMS: And you have
19 provided services to multiple government agencies and
20 utilities, including Yukon Energy Corp., Northwest
21 Territories Power Corp., and Bonneville Power
22 Administration, sir?

23 MR. PETER HELLAND: Yes, that's
24 correct.

25 DR. BYRON WILLIAMS: And supported

1 private entities like Boralex Ocean Falls Limited in
2 the development of a strategy for generation,
3 transmission and distribution assets, sir?

4 MR. PETER HELLAND: Yes.

5 DR. BYRON WILLIAMS: And, finally Mr.
6 Helland, at the recent BCUC Hearing into the BC Hydro
7 revenue requirement -- revenue requirement for
8 '23/'25, the panel gave weight reviews on general
9 asset management.

10 MR. PETER HELLAND: Yes, that is
11 correct.

12 DR. BYRON WILLIAMS: Okay. Mr.
13 Oakley and Mr. Helland, these are just -- Mr.
14 Helland, these are just the housekeeping questions.
15 And I'll ask it of both of you and you can confirm if
16 you agree in sequence, one after the other, not at the
17 same time.

18 Mr. Oakley and Mr. Helland, Exhibit CC-
19 8, which is your pre-filed written evidence, was
20 prepared under your joint direction and control? And
21 is accurate to the best of your knowledge and belief?

22 MR. CHRISTOPHER OAKLEY: Yes.

23 MR. PETER HELLAND: Correct.

24 DR. BYRON WILLIAMS: And turning to
25 information responses included in Exhibits MH-19, PUB-

1 14 and MIPUG-8, again, they were prepared under your
2 direction and control and accurate to the best of your
3 knowledge and belief?

4 MR. CHRISTOPHER OAKLEY: Yes.

5 MR. PETER HELLAND: Yes.

6 DR. BYRON WILLIAMS: And, of course,
7 you've prepared jointly a powerpoint, which is before
8 the Board and it -- it -- it was prepared under your
9 joint direction and control and you adopted as forming
10 your evidence?

11 MR. CHRISTOPHER OAKLEY: Yes.

12 MR. PETER HELLAND: Yes.

13 DR. BYRON WILLIAMS: Thank you. Mr.
14 Chair, members of the panel for bearing with me on
15 those important details of -- about our witnesses.

16 We'd ask that the Powerpoint be marked
17 as CC Consumer Coalition Exhibit 15.

18

19 --- EXHIBIT NO. CC-15: Midgard's Presentation

20

21 DR. BYRON WILLIAMS: And then I'll
22 invite Mr. Oakley and Mr. Helland to begin their
23 presentation. And I may interrupt from time to time,
24 and again, we would invite the Board too, if you have
25 questions, please.

1 THE CHAIRPERSON: Thank you.

2

3 CONTINUED BY DR. BYRON WILLIAMS:

4 MR. PETER HELLAND: Okay. Thank you,
5 members of the Board and -- and other participants in
6 this proceeding.

7 As you know, my name's Peter Helland.
8 Here's a brief Table of Contents about what we'll be
9 covering here today. I'm not going into it in any
10 detail. It hopefully becomes self-evident.

11 I represent Midgard Consulting here in
12 this proceeding. Mr. Pris -- Mr. Williams, sorry, has
13 taken us through our credentials and I'm not going to
14 spend any more time on that. So, we'll go to the next
15 slide. Next slide please.

16 So, Manitoba's (sic) Hydro's asset
17 management goal is lowest life-cycle cost. Their --
18 their stated corporate mission is to ensure reliable
19 energy at the lowest possible cost.

20 In evidence, Manitoba Hydro has stated
21 that its asset management goal is aligned. It's to
22 optimize the energy system to achieve targeted levels
23 of performance and risk, at the lowest life cycle
24 cost. Next slide please.

25 But, Manitoba Hydro has also filed that

1 they have a six (6) decades old capital investment
2 strategy that doesn't necessarily target lowest cost.

3 So, in response to one of the C --
4 Consumers Coalition IR's, Manitoba Hydro stated that
5 for more than sixty (60) years, Manitoba Hydro has had
6 a strategy of investing in capital assets that are
7 surplus to Manitoba Hydro's requirements for a
8 considerable period.

9 And, you know, they provide
10 justifications for that, but it raises the question:
11 Is this investment strategy applicable and still
12 appropriate today? And that's part of the question
13 we'll be discussing.

14 So, when we look at history versus
15 today, energy consumption growth rates have fallen
16 since Manitoba Hydro's founding. So, in the -- what
17 I'll call the 'early years' or the pre-1985 years,
18 Manitoba Hydro's electricity energy growth, or
19 Manitoba's, to be more precise, not Manitoba Hydro's -
20 - Manitoba's electricity growth, was 7.69 percent over
21 the period from Manitoba Hydro's founding to,
22 basically, 1985.

23 But, when we look at a more modern
24 period, for the period from 1986 to 2019, the growth
25 rate falls dramatically to 1.33 percent and, in the

1 most recent fifteen (15) years, or fifteen (15) years
2 of record that -- that we were able to obtain from
3 Statistics Canada, it -- it's fallen to effective --
4 what is effectively a flat or near 0 (zero)
5 electricity growth rate for Manitoba.

6 Why does this matter? Well, context is
7 everything and you're going to hear this throughout
8 the presentation, but Manitoba Hydro has claimed that
9 its system performance is degrading. And they provide
10 this graph, and you -- you've seen this graph before.
11 The -- the amber line -- the amber solid line is the -
12 - the frequency of interruptions to service as
13 measured by SAIFI, System Average Interruption
14 Frequency Index. And the solid blue line is the
15 duration.

16 So, Manitoba Hydro has provided this
17 graph as evidence that system performance is
18 degrading. And -- and the claim made in evidence, is
19 that it's due primarily to asset aging and degraded --
20 the degrading condition of its assets.

21 But, we want to dig a little deeper
22 into -- into that claim, and so the story changes when
23 you exclude major events. And, major events are
24 things that are external to Manitoba Hydro's control.
25 They're not asset condition related. So, they're --

1 they're things that are outside Manitoba Hydro's
2 direct control at this time and they include things
3 like forest fires, ice storms, floods, earthquakes,
4 solar flares -- major events that, to be clear, it's
5 reasonable that Manitoba Hydro doesn't control these
6 things.

7 So, these -- these major events exist
8 outside Manitoba Hydro's control and that's
9 appropriate.

10 So, when we look at this same graph and
11 what I'll -- I'll highlight here is the solid amber
12 line is the -- the SAIFI, or the -- the interruption
13 frequency index, and we exclude these major events,
14 what we see is a flat line.

15 So, compared to this upward trending
16 line that Manitoba Hydro presented originally in its
17 evidence, when you exclude those major events that are
18 outside Manitoba Hydro's control, it now -- the data
19 appears flat.

20 So, for the things that Manitoba Hydro
21 controls, it's flat. And the same story for SAIDI,
22 which is the blue line -- the blue solid line. Just
23 for the -- the Board's reference, the dotted lines are
24 -- are comparators to other Canadian utilities.

25 What this leads us to -- to observe is

1 that overall reliability trends are not deteriorating
2 appreciably, based on asset condition and other
3 factors.

4 So, there's another piece to this.
5 Utility context is important. We have SAIDI and
6 SAIFI, excluding major events, and when we compare it
7 to other Canadian utilities, that's shown in -- in --
8 on the blue line, that's dashed, and the amber line
9 that's dashed, what we see is that Manitoba Hydro's
10 performance, as measured by SAIDI and SAIFI, is
11 markedly better than its Canadian peers.

12 SAIDI is effectively one-third (1/3) of
13 its Canadian peers. So, that means there's one-third
14 (1/3) the duration of outages compared to Manitoba
15 Hydro's Canadian peers.

16 And when we look at SAIFTY -- SAIFI,
17 pardon me, it's 56 percent of Manitoba Hydro's
18 Canadian peers, approximately 1.8 times better.

19 Yes...?

20 VICE-CHAIR KAPITANY: I'm assuming
21 that this is correct, but when you look at those
22 dotted lines that represent other utilities, those
23 also exclude major events?

24 MR. PETER HELLAND: That is correct.

25 VICE-CHAIR KAPITANY: Thank you.

1 MR. PETER HELLAND: So --

2 BOARD MEMBER SY: Oh, sorry, I --

3 MR. PETER HELLAND: No.

4 BOARD MEMBER SY: -- along the same

5 line, I see is more variability on the dotted line on

6 page -- I guess, where you -- when you exclude a major

7 event than when you don't exclude a major event.

8 MR. PETER HELLAND: Are you -- we

9 talking about for Manitoba Hydro or for Canadian

10 Utilities?

11 BOARD MEMBER SY: No, for the others.

12 MR. PETER HELLAND: Okay, so --

13 BOARD MEMBER SY: I -- I'm just trying

14 to understand why on one side -- yeah, okay, slide

15 number 10 and slide number 11.

16 MR. PETER HELLAND: Okay. So, let's -

17 - let's just -- so, one of the important things to

18 look there is a sense of scale.

19 When we look on slide 10, which is

20 showing on the screen right now, for example, SAIDI,

21 it goes from a range -- a -- a high -- SAIDI high, in

22 -- I believe fiscal year '20 of 300 down to what we'll

23 call it -- in the hundred -- hundred and fifty range.

24 So, a sense of scale is im -- we probably should have

25 recast all -- everything on the same scale, so,

1 there's a visual -- a visual thing there, Board Member
2 Sy.

3 BOARD MEMBER SY: Yes.

4

5 CONTINUED BY DR. BYRON WILLIAMS:

6 MR. PETER HELLAND: So, next slide
7 please -- does that answer your question, I guess?
8 Okay.

9 So, we -- we've heard some evidence and
10 -- and I'm sure there will be cross-examination on
11 this topic about the different desires of different
12 ratepayer groups with regards to reliability and how
13 it's measured.

14 So, SAIDI and SAIFI are -- are standard
15 industry metrics for residential and overall system
16 performance and they, you know, generally, represent
17 what ratepayers desi -- you know, it -- it -- it's an
18 accurate measurement of what ratepayers desire and can
19 be used accordingly.

20 Industrials, as we have heard in
21 evidence, some of them desire enhanced reliability
22 metrics, in certain cases, that -- that go beyond
23 SAIDI and SAIFI.

24 An example would be MAIFI, a momentary
25 outage tracking and there -- there -- there's been

1 evidence about that, or specific power quality.

2 And, also, in evidence, listening, I
3 guess it was a couple days ago now, it's all blurring
4 together for me, you know, some of the desires for
5 increased reliability are moderated by potential rate
6 impacts that might -- might -- might result from
7 targeted investments that -- that certain groups would
8 be -- would be attributed to -- to certain groups.

9 So, yep, there's -- there's a
10 conversation there and I'm sure we're going to have
11 lots of conversation about it.

12 Vice-Chair Kapitan...?

13 VICE-CHAIR KAPITANY: Thanks. So, I'm
14 assuming, then, that you had listened in to our
15 presentations on May 15, so, you would have heard TC
16 Energy, talking about their -- their desire for
17 reliability, and I don't know if you would have seen
18 their deck -- the slide presentation they made, but --

19 MR. PETER HELLAND: I -- I was
20 provided with their slide deck, yes.

21 VICE-CHAIR KAPITANY: So, they had a
22 slide about utility service unreliability and, then,
23 the next one was throughput impact due to weather.

24 So, that's what you've been talking
25 about, taking out the major factors, and they said

1 that, where, you know, where they compared on American
2 utilities providers and Canadian utilities providers,
3 with the impact of weather stripped out, can you
4 comment on those slides? I don't know if you have
5 them at your disposal.

6 MR. PETER HELLAND: I don't have them
7 right in front of me.

8 MR. CHRISTOPHER OAKLEY: Is -- is it
9 the same slide that Hydro included in its direct on
10 PDF 12?

11 VICE-CHAIR KAPITANY: No. The impact
12 from service unreliability and, then, the next one was
13 the throughput impact due to weather from the -- from
14 the deck that -- yeah. So, that's the service
15 unreliability and, then, the next slide was the
16 throughput impact due to weather.

17 So, that's the one that I was wondering
18 about, the comparison with other utilities there,
19 because you had said that Manitoba is far better in
20 terms of reliability when you strip out weather. So,
21 I just wondered if you could relate that to this
22 slide.

23 MR. CHRISTOPHER OAKLEY: Are we -- do
24 we know whether or not that included the forest fires,
25 because that was a pretty significant contributor in

1 one of the years --

2 VICE-CHAIR KAPITANY: I don't --

3 MR. CHRISTOPHER OAKLEY: It might have
4 been 2019.

5 VICE-CHAIR KAPITANY: -- believe that
6 the -- that the presenter spoke to that. I think they
7 just spoke to weather in this one. That's -- that's
8 what the slide says and that's my recollection.

9 MR. PETER HELLAND: So, I -- I'm
10 actually just going to read from the slide.

11 "Manitoba Hydro weather-related reli
12 -- reliability results in the
13 fourth-largest impact, Keystone."

14 So, I -- I think what they're saying is
15 that it's material, it -- it -- it matters. So, my
16 interpretation of just what I read on the plain face
17 is that weather does impact the reliability that
18 customers see and they're trying to show it here in
19 this slide, I believe, just a -- a plain -- plain
20 reading of the slide, as I -- I interpret it here.

21 VICE-CHAIR KAPITANY: Okay. Thank
22 you.

23

24 CONTINUED BY DR. BYRON WILLIAMS:

25 DR. BYRON WILLIAMS: Mr. -- Mr. Chair,

1 if I might just in -- in follow-up to -- to those
2 questions, and, if we can go back to Slide 11 for one
3 second, please, Slide 11 of the Midgard evidence.

4 When -- in terms of the excluding major
5 events, Mr. Helland, does this slide only exclude
6 weather?

7 MR. PETER HELLAND: No. This -- this
8 slide excludes major events, and Manitoba Hydro, in
9 their filing or IR response to two (2) questions,
10 defines what major events are. It's -- I can't
11 remember. It's like some number of minutes of
12 interruption, but Manitoba Hydro does define it in
13 either evidence or one of their IR responses to us.

14 But they clarified quite clearly what
15 they define as a major event. So, it's -- it's not
16 related to just weather, it would be -- I mean, it's
17 typically weather, like forest fires, or ice storms,
18 because mother nature, she's powerful.

19 But it doesn't have to be just weather.
20 It's -- it's more inclusive than that.

21 MR. CHRISTOPHER OAKLEY: But it does
22 exclude scheduled outages. So, repair outages they
23 specifically exclude from that.

24 DR. BYRON WILLIAMS: Thank you.

25 MR. PETER HELLAND: So, one (1) of the

1 -- the conversations that we -- we've been hearing
2 about, we see in evidence, in our evidence and
3 Manitoba Hydro's evidence, and other people's
4 evidence, is deteriorating asset condition.

5 So, what about it? Let -- let's have a
6 chat. So, our question is: Is equipment degradation
7 as pivotal as represented by Manitoba Hydro? We've
8 seen this figure a variety of times, showing the
9 upward trend in SAIDI and SAIFI impact from equipment
10 failure.

11 But actually, following up on Board
12 Members Sy's question about -- or my response to him
13 about scale, let's put that into context. We
14 certainly see that it's trending higher. There's --
15 there's no objection to that. It's -- it's obvious
16 there in the evidence.

17 But the question becomes: Is the
18 degradation material? Are the reliability trends
19 noticeable to ratepayers? Sort of an impact on
20 ratepayer's perspective. And with that, next slide,
21 please.

22 When we look at equipment and its
23 contribution in terms of what ratepayers experience.
24 So, ratepayers experience outages as opposed to
25 equipment failures.

1 They -- they don't know -- ratepayers
2 don't know why their -- their power is out. They just
3 know, hey, my power is out. So, when we look at these
4 two (2) graphs on the left, it's SAIDI with the -- the
5 solid blue line representing SAIDI with all causes, so
6 including major events.

7 The -- the dashed blue line excluding
8 major events and then the -- what I'll call the dotted
9 line, the contribution due to equipment failures.
10 What we see, and -- and it's a similar pattern for --
11 for SAIFI.

12 What we see is that equipment failures
13 for -- you know, contribute, if you will,
14 approximately 40 percent to -- to the SAIDI outages
15 and approximately 30 percent to the SAIFI. So, one of
16 the observations here is that other factors dominate
17 the change.

18 They're -- they're potentially
19 overshadowing or they are overshadowing equipment
20 related SAIDI and SAIFI trends. And when we look at
21 what's experienced by ratepayers, this high
22 variability that -- that was discussed earlier, it
23 would be challenging, I -- I'll argue, to detect a
24 trend of a change of zero point zero one
25 (0.01) interruptions per year on something that has one

1 point five (1.5) interruptions per year.

2 It's over a hundred (100) times
3 different. Like -- like the change, the change is --
4 is significantly smaller than the -- the -- what is
5 actually experienced. So, it will be difficult,
6 especially in light of the high degree of variability
7 experienced from year to year.

8 And -- and the similar story for -- for
9 SAIDI. I'm sure there'll be a bunch of conversation
10 about -- about that in -- in the coming days, but it's
11 important to -- to put equipment-related SAIDI and
12 SAIFI into context of what ratepayers experience, the
13 system impact as opposed to the equipment or the asset
14 contribution, because what -- what ratepayers
15 experience is the -- is the contributions from all
16 causes, not just equipment. Next slide, please.

17 And, you know, in evidence Manitoba
18 Hydro states, and -- and they acknowledge this, for
19 transmission performance it's influenced heavily by
20 the significance of several major weather events that
21 have occurred in recent years.

22 Excluding these major events, the
23 performance of transmission is aligned with historic
24 values. Manitoba Hydro's T-SAIFI without major
25 events, and -- and that's our addition just to provide

1 context -- has shown a slight improvement in the last
2 ten (10) years.

3 So there's -- there's different stories
4 depending on how you look at -- at the data. And --
5 and we will assert and we will argue that what we as a
6 group should be focussing on are the -- are the items
7 that Manitoba Hydro controls, which is asset condition
8 and its impact overall, and O&M and its impact
9 overall.

10 Apparently I -- I get phrasing wrong.
11 We -- we didn't argue; we just stated 'cause we don't
12 do argument. Sorry. I'm not a good lawyer.

13 But overall, you have to look at all
14 the contributors to what ratepayers experience because
15 that's what matters is what ratepayers experience.

16 So moving right along, we'll -- we --
17 we jump right into asset management. So one (1)
18 comment that -- that we will have and -- and you'll --
19 you'll likely see in conversation is future promises
20 are not today's reality.

21 AMCL, they wrote a report. It's
22 carefully worded, and it's important to read the words
23 carefully because they -- they talk about current
24 state and future state. And they were quite careful,
25 quite deft at separating the two (2).

1 But, you know, to recap, Manitoba
2 Hydro's goals: targeted levels of performance at the
3 lowest life cycle costs. And this is consistent with
4 asset management objectives, quoting from ISO 55000:

5 "A desired balance of cost, risk,
6 and performance."

7 So you can see the -- the correlation.

8 The -- the state -- Manitoba Hydro's
9 stated goals align with -- with asset management
10 standards. But when you look at some of Manitoba
11 Hydro's responses to -- to IRs, right now asset --
12 asset management maturity does not allow for the
13 precise mapping of capital expenditures to
14 performance.

15 So what Manitoba Hydro is stating is
16 that they have a goal in the future, and -- and we
17 acknowledge that goal, we respect that goal, we
18 support that goal, but their current state of asset
19 management maturity does not allow them to -- to
20 achieve that goal yet.

21 They're -- they're on a journey, but
22 they're not there yet, and it's not the current state.
23 It's their desired future state; it's not their
24 current state.

25 And AMCL. So they did a report. It's

1 a good, workman-like -- like journeyman report. We
2 read it. It's -- there's a lot of good guidance in
3 that report, and one (1) of the things they state is:

4 "A complete understanding of asset-
5 related costs, risk, and performance
6 relies on adequate asset data."

7 And when AMCL graded, if you will, the
8 improvements since the last GRA to -- to this one, the
9 maturity has increased from one point five (1.5) as
10 per the UMS report that -- that AMCL accepted the
11 scoring from to one point eight one (1.81) overall.

12 But they identified three (3) key areas
13 of weakness, and they are related to asset
14 information, risk in review, and decision making.
15 And, importantly, AMCL specifically said that asset
16 information is constraining Manitoba Hydro's asset
17 management maturity.

18 So what they're saying is the poor
19 quality, the lack of integration, the ability to use
20 and access and integrate and manipulate their asset
21 information in an effective way is constraining
22 Manitoba Hydro's asset management maturity.

23 And this is reflected in the scoring.
24 You'll see from the AMCL report asset information has
25 an overall company score of one point three two

1 (1.32), which is the lowest of the six (6) categories
2 that -- that AMCL assessed, followed by risk in review
3 at one point four five (1.45) and asset management
4 decision making at one point eight three (1.83).

5 So these are the three (3) key areas
6 that AMCL identified as requiring concerted and
7 diligent effort to address.

8 And just for context, I think it's been
9 discussed earlier, but broad conformance with the --
10 with a standard such as ISO 55000 would be represented
11 by a score of three (3). So you can see there's a --
12 there's a fair distance to go from Manitoba Hydro's
13 current state to broad conformance with -- with a
14 standard such as ISO 55000.

15 And where does that lead you? Well, if
16 you don't have good data and -- and as -- as per the
17 AMCL report, a poor foundation which is data and your
18 ability to manipulate data, it leads to increased
19 costs and degrades performance -- and degraded
20 performance.

21 So, you know, Manitoba Hydro responded,
22 you know, standardization gaps that limit
23 comparability and risk across asset classes, and they
24 list -- list them. They mirror what AMCL identified
25 in their report and, you know, there's currently no

1 alignment of the asset class strategies to the asset
2 management system.

3 They were developed in relative
4 isolation of each other, so they're silos. There's
5 isolated groups within Manitoba Hydro doing what they
6 can but -- but they're isolated. Next slide, please.

7 And continuing that issue of poor
8 foundation, AMCL was quite clear: the Asset Health
9 Index data -- well, Manitoba Hydro's clear:

10 "Without all the AHI data [so Asset
11 Health Index data] asset failures
12 may not be identified, one. It
13 leads to reactive work."

14 What I could colloquially call fire
15 fighting.

16 "It takes staff off of planned
17 activities."

18 So you have important planned
19 activities that you are doing because they matter, and
20 they matter to the system and its performance. Staff
21 are being pulled away from those things. It defers
22 work which leads to more work and more reactive work,
23 and it disrupts staff that are performing important
24 planned maintenance activities.

25 And what you get is, without accurate

1 asset health, asset condition information, you're --
2 you're working hard just to stand still. You're not
3 accomplishing what you want. And the result is
4 increased cost, risk, and degraded system performance.

5 So, changing gears a little bit, with
6 regards to asset management, one (1) of the key things
7 is target -- targeting -- you know, setting
8 reliability targets. And with regards to this,
9 ratepayer desires matter.

10 Taking a step back, when you look at a
11 ratepayer, they balance many things, and electrical
12 reliability is just one (1) of the things that
13 ratepayers balance in their lives.

14 They want to put food on the table.
15 They want entertainment or leisure, to spend time with
16 your children. Electric reliability is one (1) of the
17 pieces they want to be able to, you know, take care of
18 themselves, health care, have the -- you know, they
19 need to live.

20 And when we initially went through and
21 -- and read the evidence, we -- we -- or I
22 specifically had a reaction to the -- the customer
23 survey. As part of the work that -- that I do in --
24 in Ontario, and specifically, I read the -- the
25 customer surveys and perception surveys in support of

1 the Ontario Energy Board. And I formed a conclusion
2 about what I was seeing in the evidence with regards
3 to the survey that Manitoba Hydro put forward.

4 A little while later, I got Rainkie's
5 assessment, and it mirrored my own. It confirmed my -
6 - my interpretation, and hence, why we quote Rainkie
7 fairly extensively in our evidence because it was
8 confirming what I had already concluded based on my
9 experience in Ontario primarily is that Manitobans
10 strongly favour keeping rates as low as possible over
11 other aspects.

12 And the other aspects, one (1) example
13 would be reliability. So rates matter first, and
14 reliability second in -- in the customer survey. So
15 just to provide some context as to where all that
16 comes from.

17 So risk. Risk equals probability times
18 consequence or the combination of the two (2). And
19 there'll be additional conversation about this I'm
20 sure, but I want to take the Board through a very
21 simple example of how asset health index is (1)
22 generated.

23 So this is an example for transmission
24 poles taken out of Ontario. You have a set of
25 criteria: pole strength, physical condition,

1 accessories, service records. You put that into a
2 scoring matrix, so you go and you inspect your asset.
3 You have a scoring matrix, and you generate an Asset
4 Health Index. First step. So you have an Asset
5 Health Index.

6 And then what do you do with that Asset
7 Health Index? You take that asset health index and if
8 -- if you have it, and my understanding is Manitoba
9 Hydro does not have it -- have this data, or
10 consistently have this data, is that you have a curve
11 of probability of failure versus health index.

12 So, you -- you put the health index in,
13 and it gives you a probability of failure of -- of
14 that asset. So, what you're doing is you're
15 converting asset health into probability of failure.
16 And -- and this is done in other jurisdictions and
17 very common, for example, in a place such as Ontario.

18 So, that's one (1) of the two (2)
19 inputs to risk.

20 DR. BYRON WILLIAMS: Could we go back
21 to that slide for just a second.

22 MR. PETER HELLAND: Sure.

23 DR. BYRON WILLIAMS: Based upon your
24 experience in Ontario, BC, or other jurisdictions, how
25 material is this type of asset health information to

1 mature asset management planning?

2 MR. PETER HELLAND: Having a sense of
3 how your assets degrade across time, you know,
4 relating asset condition to -- to performance and
5 longevity is essential. It's necessary. It's a
6 foundational ingredient in planning both long-term and
7 -- and near term.

8 DR. BYRON WILLIAMS: Thank you. Thank
9 you.

10 MR. PETER HELLAND: Consequence. We -
11 - we just -- there -- earlier today there was some --
12 some discussion about consequence or criticality. And
13 the AMCL consultant, you know, identified correctly
14 or, you know, adroitly, that it's dependent on an
15 asset's role in a system. It's not the asset itself,
16 it's the role in the system that the asset plays.

17 And there's lots of difference
18 consequence types: financial, unserved energy, safety,
19 environmental. For the purposes of today's discussion
20 I'll focus primarily on money and reliability just to
21 -- to focus conversation, but -- but understanding
22 that -- that there is a wider set of consequences that
23 -- that can and should be considered.

24 So, we have a risk matrix. On one
25 axis, we have probability of failure. And -- and we

1 discussed previously how asset health or asset
2 condition informs probability of failure.

3 So, you could take the -- the 'Y' axis
4 or the vertical axis and replace rare, unlikely,
5 notable with -- with actual probabilities. And then
6 you have consequence from negligible to high. Once
7 again, you could replace those with numerical values
8 depending on -- on your system.

9 And what you do is you -- you have the
10 two (2) values. And then you place the risk on your -
11 - your risk matrix. And -- and different
12 organizations have different risk matrixes. I'm not
13 claiming this is the one Manitoba Hydro should use.
14 This is just for illustrative purposes.

15 But you will have risks that fall in
16 what I'll call bad. These are risks that, hey, we got
17 to do something about. Marginal, okay, we need to
18 make decisions about these risks, and acceptable,
19 we've decided, yeah, these are okay.

20 And -- and it's -- there's more to it
21 than this, but -- but at its heart, this is -- is how
22 you calculate risk and evaluate risk. Next slide,
23 please.

24 So, asset focus versus system focus.
25 We -- we've -- we'll -- we'll hear a fair -- fair

1 amount about this, and -- and it's in our evidence,
2 and we've heard some this morning.

3 As asset management matures there's a
4 shift, and it's a fundamental shift, and it's a shift
5 from an asset focus, where you're saying, oh, I just
6 have to take care of these assets, it's in good, bad,
7 or indifferent condition, and it drives my decision-
8 making; as opposed to a system focus, where you say,
9 well, what is the impact, what is the role this asset
10 plays, what is the risk to the system that -- that
11 this asset poses or contributes, and I'll give you an
12 example.

13 So, one (1) -- one (1) focus is, okay,
14 I've just got to maintain this transformer, and that's
15 an asset focus. A system focus says, look, what
16 ratepayers want to be able to do is, using an -- a
17 personal example, I like to read to my kids at night.
18 They're actually teenagers now, so that ceases to be
19 quite so true, but when they were younger, that was
20 what I did every night.

21 So, that's my value. I want to be able
22 to read to my kids every night. You know -- you know,
23 a company owner wants a sufficiently reliable system
24 but rates that allow you to be competitive, and that's
25 of value. So, it's -- you'll -- you'll notice the

1 shift in language.

2 It has nothing to do with the
3 individual assets, it's what objectives am I trying to
4 achieve? So, you know, commercial competitiveness,
5 being able to read to my kids at night or, you know,
6 the -- the power in the hospital stays on in -- in the
7 event of -- of storms.

8 And so, it's a fundamental shift. And
9 in Manitoba Hydro's asset management policy they state
10 this. They say focus on the system rather than the
11 individual asset. It's plain right there in the
12 policy. It's -- it's stated. And it's, like, good,
13 that's a goal but, once again, it's a future goal.

14 So, when AMCL evaluates Manitoba Hydro,
15 the current status is that risk management practices
16 focuses on asset failure risk instead of system
17 failure. So, AMCL is quite clear. Manitoba Hydro is
18 focussing on assets, not the system.

19 And -- and this is a key -- key point.
20 To -- to mature your system, you have to make that
21 shift from these -- this asset focus to a system focus
22 and -- and that'll be necessary for Manitoba Hydro.

23 And people said, Peter, that's so
24 theoretical, quit -- quit being so crazy, it's
25 philosophic, I don't understand it. So, I have a

1 hyper simplified utility here. There's one (1)
2 transformer and one (1) load.

3 And in terms of an asset focus, we say,
4 oh, transformers of this size we replace when
5 condition, you know, is about to exit fair.

6 In a system focus, it may lead to the
7 same outcome. You replace it when the asset condition
8 is going to be exiting fair, but the logic -- the
9 language is very different.

10 You're going to say, this asset is
11 serving this -- a load of this size and this
12 importance and, as a result, assets that are
13 supporting that, in this case, the one transformer,
14 get replaced when the condition is fair to achieve
15 that outcome for the ratepayer.

16 And it's -- it's an important but --
17 it's subtle but important shift in language because
18 one (1) is focussing on the assets and one (1) is
19 focussing on the system and the value it delivers to
20 ratepayers. Next slide, please.

21 So, perhaps over time you decide, hey,
22 one (1) transformer isn't doing the work for me, it's
23 not meeting my needs, so you implement redundant
24 supply.

25 You now have two (2) transformers, a

1 switch that will switch from transformer A to
2 transformer B should transformer A fail, same or
3 similar load.

4 Costs have more than doubled. And the
5 reliability is better, but it's less than twice as
6 good. So, now ratepayers are bearing a burden.
7 They've got slightly better reliability, but costs
8 have more than doubled.

9 And one (1) of the questions becomes:
10 huh, is that the appropriate tradeoff? And the answer
11 is, okay, that's a good question. And if the answer
12 is no, what can you do about that? Well, one (1) of
13 the things you can do is, once again, put on your
14 system focus as opposed to asset focus.

15 So, instead of replacing transformer A
16 and B -- and we'll move to the next slide, please --
17 replacing transformer A and B when their condition
18 reaches fair, which would be an asset focus because
19 transformers of that size we always replace when they
20 -- they get to condition or are about to exit fair,
21 you get to a system focus.

22 And you say, huh, ratepayers want a
23 slightly different tradeoff with regards to system
24 reliability. And what we do now is we allow -- or we
25 plan -- actively plan for the condition to degrade

1 slightly further before we replace those transformers.

2 So, what we do is we extract more value
3 from the transformers. We still have better
4 reliability. And most of -- you know, most of the
5 reliability improvements, in fact, the lion's share
6 typically, but costs are not doubled anymore, they're
7 -- they're lower than doubled.

8 Yes, Vice-chair Kapitany?

9 VICE-CHAIR KAPITANY: This might be a
10 really dumb question, I apologize if so, but could you
11 go back to --

12 MR. PETER HELLAND: I doubt it.

13 VICE-CHAIR KAPITANY: -- 32.

14 MR. PETER HELLAND: Yes.

15 VICE-CHAIR KAPITANY: So -- so, you
16 say the cost is more than double, but the reliability
17 is better but less than twice as good?

18 MR. PETER HELLAND: Correct.

19 VICE-CHAIR KAPITANY: How can you
20 categorically make that statement?

21 MR. PETER HELLAND: Well, I'll say
22 that's based primarily on experience, but... So, for
23 example, with just a single transformer, reliability
24 would be what I'll call acceptable, like, kind of what
25 I'll call normal.

1 And then over time, you say, well, it's
2 not quite as good, the load's a little bigger or -- or
3 something has changed, I want it to be just that much
4 better. There -- there's a reason driving -- I just -
5 - it's falling below a threshold. And you say, Look,
6 I want it to be better. And -- and you -- you add two
7 (2) transformers.

8 But let's say the original transformer
9 was giving you -- I'll just use a number -- 90 percent
10 reliability or 95 percent reliability or whatever the
11 number is. When you add the second transformer, it
12 doesn't become, like, 190 percent reliability because
13 you're -- you've got two (2) transformers now. It's
14 going from ninety (90) to --

15 BOARD MEMBER KAPITANY: Ninety-five
16 (95) or whatever.

17 MR. PETER HELLAND: Yeah, ninety (90)
18 or ninety-five (95).

19 BOARD MEMBER KAPITANY: Okay. I got
20 your point. Thanks.

21 MR. PETER HELLAND: So it's better,
22 but it's not double. It's -- it's an incremental
23 improvement.

24 MR. CHRISTOPHER OAKLEY: On a system
25 basis, we talk about nines, right? So you're going to

1 get ninety-nine (99), ninety-nine-point-nine (99.9),
2 ninety-nine-point-nine-nine-nine (99.999). So it's
3 how many nines.

4 And -- and that's why you're getting
5 incremental improvements, but you're paying dearly for
6 each step. This is a very non-linear process and your
7 marginal dollar is not getting you anything like your
8 first dollar got you.

9 This is why, when you're working with
10 multi-billion dollar systems, you have to make those
11 optimization decisions quite carefully because any
12 small improvement in optimization multiplied by
13 billions is a big number. And it's important to
14 people to get that.

15 BOARD MEMBER KAPITANY: I was thinking
16 more, if one of your transformers there failed, you've
17 got the other one there. So -- so you are -- you're
18 having much better reliability than you would be with
19 just one. But you're saying it's marginally better.

20 MR. CHRISTOPHER OAKLEY: Yes. Because
21 it's --

22 MR. PETER HELLAND: That's correct.

23 MR. CHRISTOPHER OAKLEY: -- first of
24 all, it's a low probability event for transformers for
25 fail. Partly because you maintain them and monitor

1 them. And if they start to off gas, you get rid of
2 them before they blow up and things like that.

3 But you -- again, your -- your
4 reliability with just a typical radial line, you might
5 lose some hours of service in a year. You know, if
6 you're on a long rural line, lightening will hit it or
7 a bird gets into the lines or a tree falls on it, and
8 you're going to lose some hours. But you're not going
9 to lose half the year. You're not going to lose even
10 a month.

11 You know, people will get out and fix
12 that reasonably quickly. If it's a catastrophe, it
13 may take a couple of weeks. And we've seen that
14 recently in Quebec.

15 So they had vast amounts of ice and it
16 pulled down all sorts of really important structures.
17 And they got onto it pretty snappily and it still took
18 them a couple of weeks to get everybody back online.

19 But again, you're not losing a thousand
20 (1,000) hours.

21 BOARD MEMBER KAPITANY: Okay. Thanks.

22 BOARD MEMBER SY: Yeah, I just wanted
23 to, sort of, ask if it is -- if it is sort of
24 (INDISCERNIBLE) to what we were told earlier about the
25 last load. Is that -- is that the same concept? The

1 marginal value of the -- that last minute of
2 reliability, the (INDISCERNIBLE) custom, is that what
3 you are referring to here?

4 MR. PETER HELLAND: So it -- it's part
5 of that conversation. It's not the -- the valuation
6 of it is -- is sort of a different topic.

7 But yeah, there --

8 MR. CHRISTOPHER OAKLEY: Well, for
9 example, and this is from personal experience. We had
10 a very large industrial load in Alberta, a big oil
11 refinery. If they had a very, very brief blip, it's
12 six (6) cycles. So, you know, basically, a -- you
13 know, a few thousand sub (sic) a second basically.

14 That would actually trip off their
15 catalytic cracker and they'd have to purge their
16 entire system, have an environmental excursion, and --
17 and millions of dollars of product lost. That's for a
18 very, very short blip.

19 So what ended up happening was a second
20 line had to be brought in from an independent source
21 and -- at some cost. And an automatic transfer switch
22 put in that would actually avoid that short duration
23 outage.

24 Very, very expensive investment to get
25 a very small change. But one that is very important

1 to that customer.

2 But every customer doesn't need that.
3 Not everybody needs millions of dollars investment so
4 that they get through that six (6) cycle blip.

5 You know, if you're a silicon chip
6 manufacturer, you can't a thousandth of a second off
7 because it'll destroy your entire production line.

8 So they actually put very sophisticated
9 behind-the-fence systems in to avoid that. They
10 actually, you know, have a battery storage or some
11 other types of storage. And they'll drive their
12 systems off of the battery so that if there's a blip
13 on the system, they don't see it through the battery.
14 Because they can't avoid -- they can't afford that.

15 And hospitals do something similar too
16 as well. And so do control systems, for example,
17 utilities. They typically always go through a battery
18 so that they don't actually see system blips because
19 utilities know that utilities have problems.

20 MR. PETER HELLAND: Does that answer
21 your question, Board Member Sy?

22 BOARD MEMBER SY: Yes. I guess just
23 to maybe -- your presentation today is focusing more
24 on residential. Is that -- is that where you are
25 coming from rather than --

1 MR. PETER HELLAND: So we -- we focus
2 on residential, yes. But many of these principles are
3 also applicable to industrial and commercial.

4 So it's not -- it's not exclusive to
5 residential, if you will. These types of principles
6 will apply to industrial as well.

7 MR. CHRISTOPHER OAKLEY: The value of
8 loss load, as we've seen, is very different and it
9 depends on the industrial as well. Not every
10 industrial has the same sensitivity for lost load.

11 So those have to be, kind of, dealt
12 with on a more unique stand-alone basis. You have a
13 customized solution, typically, to deal with those
14 sorts of things.

15 You would want to build a large power
16 grid that was able to serve the most sensitive
17 industrial customer across the entire system because
18 you're now going to -- not -- not double the cost of
19 the system, you'll quintuple it. You'll -- you'll put
20 solid bust bars between everything and -- and your
21 costs will go through the roof.

22 So no one would suggest typically doing
23 that. It wouldn't be a prudent investment. You
24 target those solutions to the particular customer.

25 BOARD MEMBER SY: Okay. Thanks.

1

2 CONTINUED BY DR. BYRON WILLIAMS:

3 MR. PETER HELLAND: So next slide,
4 please. Oh, and next slide.

5 So pulling some of this together. And
6 here's a -- a DC Bipole example. You're going to hear
7 a lot about this.

8 So Manitoba Hydro, in their evidence,
9 they provide asset focused evidence. Manitoba Hydro.
10 Trends in recent years have shown HVDC reliability is
11 declining, shown in figure 7.6. You've seen this
12 figure multiple times.

13 In our evidence, the operative question
14 becomes -- is whether Bipole availability reductions
15 are actually causing system and ratepayer impact. So
16 we asked a series of IRs around this and there's been
17 discussion about this, I understand, preceding this.

18 So that becomes the question is: Are
19 there actually impacts? And what are they? And who
20 are they -- who are they for? So next slide, please.

21 DR. BYRON WILLIAMS: Actually, before
22 you leave slide 35, just go back there for one second.
23 Thank you, Ms. Schubert.

24 On or about 2018/19, there's a green
25 line there that's starting to appear. Can you

1 indicate what that is, please?

2 MR. PETER HELLAND: Oh, okay. So
3 that's Bipole III. The -- the addition of Bipole III.

4 So the different colours are the
5 different Bipoles. Bipole I is in blue. Bipole II is
6 in -- is it amber or yellow, I can't really tell. And
7 Bipole III is in green. So -- so it's showing the --
8 the three (3) different Bipoles.

9 So when we asked IRs about DC Bipole
10 loss impact, Manitoba Hydro responded with, Bipole II
11 failed, all load. And this is all load including
12 winter peak. So the single highest load hour of the
13 year can be served on peak with zero (0) impact.

14 So Bipole II can be gone and, during
15 winter peak, all load can be served. And this is
16 without imports. So without imports coming into the
17 province.

18 With Bipole II -- I and II failed,
19 Manitoba Hydro could still supply load through most of
20 the year. So maybe not the peak few hours of the
21 year, but most of the year, without imports. So
22 without relying on imports. If you rely on imports,
23 now can -- can serve all -- all year.

24 And as discussed, I believe, yesterday
25 or the day before -- it's starting to blur for me --

1 but reading the transcript and looking at the -- the
2 filings, for PUB-24, if Bipole I failed, all load can
3 be served on peak. So for that single hour of the
4 year -- the single peak hour of the year -- with some
5 imports.

6 So we have the -- the asset story of,
7 Oh, look at this terrible asset performance. Got to
8 replace it. No questions asked.

9 As opposed to, Okay, there's a more
10 nuance story here. What is the actual risk to the
11 system, as opposed to the asset?

12 And so, when we look at system impacts
13 versus individual asset impacts, we have slightly
14 different stories. Much more nuance stories and
15 sometimes more difficult to -- to deal with. But --
16 but they're there and they need to be told.

17 THE CHAIRPERSON: I thought your
18 argument was going to be somewhat different because
19 one (1) of the arguments for Bipole III was
20 redundancy. And if Bipoles I and II are close
21 together and if we have an ice storm and lose them, we
22 have backup in Bipole III. But --

23 MR. PETER HELLAND: Okay. So let's go
24 back a slide. So --

25 THE CHAIRPERSON: But I assume you're

1 -- if we didn't have Bipole III, and Bipole I and II
2 failed, what would we do?

3 MR. PETER HELLAND: So if Bipole I and
4 II failed --

5 THE CHAIRPERSON: Yeah.

6 MR. PETER HELLAND: -- and we had
7 Bipole -- well, then you would -- so I'm just trying
8 to work out the math here. You would be importing
9 heavily through MMTP and -- and other imports to -- to
10 make up the loss.

11 And presumably, you would have another
12 way of getting -- like, Bipole III is the way to get
13 generation out of the North and --

14 THE CHAIRPERSON: Right.

15 MR. PETER HELLAND: -- and to the
16 centre. So --

17 THE CHAIRPERSON: But the -- the
18 argument of redundancy, which was one of the arguments
19 put forward for Bipole III, you're saying it's an
20 irrelevant argument?

21 MR. PETER HELLAND: Okay. So -- so --
22 okay, so this is a very important point. We are not
23 arguing to sort of go back into the past and -- and
24 reevaluate past decisions and whether they were good,
25 bad, or indifferent, none of that. You have the

1 system you have today.

2 So, when you go to evaluate investments
3 in the future --

4 THE CHAIRPERSON: Yeah.

5 MR. PETER HELLAND: -- or in this
6 proceeding, you now have the system you have, and you
7 base your decisions accordingly. So, you have Bipole
8 III.

9 THE CHAIRPERSON: Right. But I guess
10 the problem is -- and I don't -- you know, I don't --
11 I don't want to hold this thing up. Kristen, can you
12 go back to slide 24.

13 Okay. Manitobans strongly favour
14 keeping rates as low as possible over other aspects.
15 Is -- is the -- the answer to the question dependent
16 on when you're asking the question?

17 I mean, if you have a reliable system
18 and you start asking about rates versus reliability,
19 you may get one (1) answer. If you ask the -- if you
20 ask the question --

21 MR. PETER HELLAND: M-hm.

22 THE CHAIRPERSON: -- in Quebec after
23 they've lost power for two (2) weeks, you might get a
24 different answer. Or if you -- if you lost power here
25 in the winter, you might get a completely different

1 answer, wouldn't you?

2 MR. PETER HELLAND: Yeah, there'll be
3 some sort of recency bias. I would, you know --

4 THE CHAIRPERSON: I mean -- I mean, I
5 looked at -- and -- and I was checking at it. The --
6 the marketplace in -- in the United States, which is
7 pure market driven because they wanted the lowest
8 possible cost, and they cut themselves off, was Texas,
9 which -- which claimed the independent state of Texas,
10 which was great until they had the ice storm in 2021
11 and you went from five dollars (\$5) a month to, I
12 heard in one case, five thousand dollars (\$5,000) a
13 month.

14 I guess the question is if you ask them
15 which system do you want, it depends when your timing
16 of the question is?

17 MR. PETER HELLAND: The timing of the
18 -- sorry, the timing of the question will, I'm sure,
19 influence opinion. I -- I don't --

20 THE CHAIRPERSON: Yeah.

21 MR. PETER HELLAND: -- disagree with
22 that. But what's important is when you frame your
23 study, your -- your study, and you -- you ask those
24 questions, you frame it in a way that's insensitive as
25 possible to those types of timing issues and -- and

1 addresses those.

2 THE CHAIRPERSON: Okay. Yeah.

3 MR. CHRISTOPHER OAKLEY: And we
4 wouldn't dispute that people get used to what they get
5 used to. So, if you get air for free, you don't think
6 air's worth anything.

7 THE CHAIRPERSON: Right.

8 MR. CHRISTOPHER OAKLEY: But if
9 someone tries to cut your air off, it's worth a great
10 deal. And -- and I think the people of Quebec
11 actually have done this a couple times in the last few
12 decades.

13 They had a big ice storm in the '90s.
14 They actually changed their standards. They decided
15 that they were going to build a more resilient and
16 more robust -- they just changed their tower standards
17 and actually said, we're going to live through 2
18 inches of ice. I'm not sure what the exact number
19 was, but they actually definitely jacked up their
20 design standards because they said, we can't black out
21 the city of Montreal for two (2) weeks.

22 THE CHAIRPERSON: Right.

23 MR. CHRISTOPHER OAKLEY: It turns out
24 that nature found a way to get around that one, and,
25 actually, they got to black out the city of Montreal,

1 or parts of it, for two (2) weeks again.

2 So, you can try and design around
3 nature, and you do your best, and you choose
4 standards. Just to point out, that's not what Hydro's
5 proposing in any of what we've seen in evidence so
6 far.

7 They're not saying we're going to make
8 a more resilient system by changing our design
9 standards, we're not going to avoid forest fires by
10 using steel poles in distribution, which would help
11 you with -- with that, because that's -- there's a
12 huge -- there's a huge cost to deciding to change
13 standards, and you have to do that in a measured way
14 and justify why you're doing it.

15 But they're not proposing that.
16 They're saying, the stuff's getting old and we're
17 going to replace it.

18 THE CHAIRPERSON: Yeah.

19 MR. CHRISTOPHER OAKLEY: And that's
20 where we want to focus our discussion mostly.

21 THE CHAIRPERSON: Yeah. Okay. Thank
22 you.

23

24 CONTINUED BY DR. BYRON WILLIAMS:

25 MR. PETER HELLAND: I'm not sure how

1 to say forward many slides. Whoa, someone's much
2 better than I.

3 So, that brings us to minimum system
4 concepts in -- in our evidence. Ratepayers ultimately
5 bear the cost risk of -- of the system or any system
6 over built.

7 Once again to restate because it's
8 important, targeted levels of performance and risk at
9 lowest life cycle cost; that's Manitoba Hydro's stated
10 goal.

11 And Manitobans stated desire, once
12 again, sort of a recap, they strongly favour keeping
13 rates as low as possible over other aspects. It's not
14 to say they're exclusive. There is always a balance.
15 But keeping rates low is -- is what Manitobans have --
16 have said and -- and what the evidence indicates.

17 PUB Order -- I'm not sure if you say
18 '20/07 or '20/07 -- it has been Manitoba Hydro's
19 recent policy and practice to make investments in
20 generation and transmission with the export market in
21 mind.

22 2014 NFAT report re: Keeyask, MMTP, and
23 Bipole III. Domestic customers make up for the export
24 shortfall through rates.

25 So, it's been identified in -- in

1 previous hearings that domestic ratepayers are making
2 up for shortfalls through rates, so through -- so
3 export shortfalls through domestic rates.

4 And the question then becomes: Are
5 ratepayers paying for a system that is more costly
6 than would be needed to reliably meet domestic
7 requirements? And this is where the concept of
8 minimum system comes in.

9 DR. BYRON WILLIAMS: Before you --
10 just to go back to slide 38. I think you said this
11 previously, but are you talking about revisiting NFAT
12 and Bipole III --

13 MR. PETER HELLAND: No.

14 DR. BYRON WILLIAMS: -- or
15 alternatively, is this a forward-looking discussion?

16 MR. PETER HELLAND: So, to be very
17 clear, there's no -- you have the system you have. We
18 are purely forward looking so that when we evaluate
19 investments, you know, in this proceeding and -- and
20 going forward -- and investments are both capital and
21 budgeting for O&M -- just to be clear, it's a holistic
22 view -- it's the go-forward decision-making. There's
23 no -- you have the system you have, and -- and it's a
24 lovely system.

25 So -- so, just to be clear, it's always

1 on a go-forward basis that you do your evaluations;
2 there's no hindsight.

3 MR. CHRISTOPHER OAKLEY: We consider
4 your system to the Porsche of systems. And so, you
5 know, there was a nice little Volkswagen drawing in --
6 in Manitoba Hydro's direct evidence. True, the
7 Volkswagen does make both Porsches and Volkswagens,
8 but I think you've got the Porsche end of that deal,
9 and -- and it's a very impressive system.

10 There's very few places in the world
11 that you will see the kind of technology and -- and
12 robustness in a system that Manitoba Hydro has built
13 here. And people are used to that, so there will
14 definitely be some cost tension if you decide to
15 consciously allow the performance to deteriorate
16 slightly to moderate rates.

17 Or if you're going to maintain or
18 increase performance, you're going to pay an awful lot
19 to get better than a Porsche, so maybe you'll move up
20 to the Lamborghini, but -- but this will not be cheap.

21 MR. PETER HELLAND: So, in evidence
22 we've seen what I'll describe as we're doing better
23 than our neighbours. And to be clear, that does not
24 equate to lowest cost.

25 So, the -- the state of goal is lowest

1 cost. Saying that you do better than your neighbours
2 doesn't equal lowest cost. And this is a graph from
3 the -- from a recent Hydro Quebec 2022 comparison of
4 electricity prices across Canada.

5 And you will see Winnipeg, the -- the
6 city of Winnipeg, is the second lowest line there, so
7 the second lowest rates, but context is important.
8 And -- and if we go to the next slide, Manitoba Hydro
9 is middle of the pack of the three (3) hydros in
10 Canada and losing ground.

11 Manitoba Hydro's appropriate cross
12 peers are not your neighbours necessarily; they are
13 the two (2) other major hydroelectric utilities or
14 jurisdictions not -- I guess it's in North America,
15 but certainly in Canada, BC Hydro and Hydro Quebec.

16 And when we zoom in, what we see is
17 that Manitoba Hydro is trending towards no longer
18 being lowest or -- or middle of the pack of the three
19 (3). They may be top of the pack of the three (3) or
20 the most expensive of the pack of the three (3) hydros
21 if this trend continues.

22 THE CHAIRPERSON: Sorry, but don't you
23 run in -- does this take into account Keeyask?

24 MR. PETER HELLAND: Does this include
25 Keeyask?

1 THE CHAIRPERSON: The -- the cost, you
2 know, when you're doing costing of it. So, we built
3 Keeyask. Site C's not on the books yet. Quebec
4 Hydro's going to build, I understand, four (4) more
5 dams.

6 So, if we go out five (5) years, what's
7 the trend line? I mean, we had this -- quite frankly,
8 we had this argument in the interim from -- from
9 Manitoba Hydro on debt/equity, comparing us to -- to
10 BC, except it hasn't hit the balance sheet.

11 And -- and, you know, again, timing --
12 timing's really important in this. And we're ahead on
13 Keeyask, and it's hit our balance sheet, and we're
14 going to have costs for Keeyask.

15 Site C, you know, and there was a --
16 the -- the discussion this morning about the increase.
17 You know, it was, I don't know, 25 to 30 percent.
18 Site C doubled. I have no idea what Quebec Hydro's --

19 MR. CHRISTOPHER OAKLEY: I think it
20 actually quadrupled if you look back on when it was
21 built --

22 THE CHAIRPERSON: Well, the starting
23 cost's at 8 -- 8 billion, and now it's between 16 and
24 18 billion, and --

25 MR. CHRISTOPHER OAKLEY: Yeah.

1 Certainly timing's important.

2 THE CHAIRPERSON: -- so if you -- if
3 you go -- if you move this -- if you move this forward
4 five (5) years when you've got projects built and --
5 you know, and I hear how wonderful Ontario is OPG,
6 except they're going to build more dam projects, you
7 know, I mean, I don't know how it affects this, but I
8 guess I'd just put out, again, when you hit the time
9 frame, you've got to hit projects -- you know, let's
10 look at what the costs are when the projects are
11 completed to -- to do the actual comparison.

12 MR. CHRISTOPHER OAKLEY: I don't think
13 we want to defend Site C or -- or Muskrat Falls or
14 some of these other projects. I think the point here
15 is that if you're trending -- the only people you
16 really can compare Hydro to are the other two (2)
17 hydros.

18 Storage hydro is very unique, and --
19 and you'll see this complaint when Hydro publishes
20 this from other utilities. They'll just say, well,
21 you can't compare us to them 'cause they have free
22 energy, effectively.

23 So the -- the three (3) storage hydros
24 are really the only comparators to look at, and -- so
25 there certainly will be some ups and down, and we

1 certainly haven't gone wild with excitement that Hydro
2 -- 'cause we live in Vancouver, that -- that BC Hydro
3 is building Site C, and we know that that train is
4 coming towards us right now.

5 But they're doing other things to try
6 and manage those costs as well 'cause they're --
7 they're aware that that -- that is coming. The -- the
8 problem is -- is, as Peter says, is this the -- is
9 this the lowest-cost system you're shooting for?

10 If the intention is to build these
11 assets so you can make money on exports, have you
12 actually done the risk costing of that revenue stream
13 against the asset? Because at the end of the day,
14 your ratepayers, your domestic ratepayers, hold the
15 bag, right? They -- they own that cost.

16 If revenues are good, fantastic. If
17 revenues are bad, they -- they still have to pay. And
18 so that's -- the -- the equation needs to be -- and
19 that's why we talk about minimum system. How much do
20 I need to serve my customers? And what am I building
21 for opportunities in export markets?

22 And -- and I've got to value those
23 differently. I need reliability and risk managed for
24 my customer domestic load, and I need to see a
25 business case that supports that other stuff. And

1 when you mush them together, you can't tell what
2 you're spending on, and you can't apply the same
3 metrics against those investments 'cause they're not
4 justified on the same basis.

5 So I'm sure we're going to talk a lot
6 more about that with various counsel in the next
7 couple -- or the next day, so.

8

9 CONTINUED BY DR. BYRON WILLIAMS:

10 DR. BYRON WILLIAMS: Mr. Oakley, just
11 on -- on that point -- and you seem pretty emphatic
12 about it and talk about future investments -- does --
13 do -- does any particular investment come to mind when
14 you talk about that mushing together?

15 MR. CHRISTOPHER OAKLEY: Well, there
16 are certainly a few that are in -- right now in -- if
17 we're just talking about minimum system, you would
18 cast a different eye upon things like, well, for
19 example, Grand Rapids Unit 4.

20 So right now the story is, well, we
21 have to fix it because -- we have to replace the
22 runner because otherwise we're going to spend a lot of
23 money maintaining that runner.

24 If it was excess to your needs, what
25 you could say is, I'm going to mothball it or else I'm

1 going to actually it only on peak. I'm going to save
2 the number of operating hours until I really, really
3 need it.

4 Alternatively, I could invest \$30
5 million right now on a new runner, but how would I
6 know if that \$30 million -- which is really going to
7 primarily be into my surplus system? 'Cause if I
8 didn't need it, I didn't really need it to serve
9 domestic loads.

10 Have I actually costed that against
11 what I'm going to get for it? So I've never seen --
12 there certainly is no evidence here that says, Our
13 business case for this \$30 million is we're going to
14 make a whole bunch more revenues, export revenues.

15 That's not how it's being sold. It's
16 being sold as, My asset condition is really bad and I
17 have to fix it. And I -- as -- as an operator of
18 Hydro assets, I know how they feel.

19 You know, you're welding things all the
20 time, you've got outages, your forced -- your forced
21 outage rate is going through the roof, and as an asset
22 operator, you're just I've got to fix this thing.

23 But the system perspective might be,
24 Just turn it off for a while. We'll have some room
25 for that in the budget in the future. Right now, if

1 it's surplus to your need but you say, I've got to fix
2 it anyway, well, show me the dollars.

3 Show me where the money's coming from
4 to pay for that 'cause you don't need it for
5 reliability. You don't need it 'cause you need the
6 excess capacity. Pointe du Bois looks a little bit
7 like that, too.

8 I mean, it's -- it might be a great
9 project, but you can't pull it out and separately say,
10 Well, what's -- what's the economic -- what's the
11 revenue stream that's going to pay for that thing?

12 'Cause I might not need it right now
13 for my base system, which is why we brought up the
14 minimum system concept here is right now there's no
15 visibility. There's no transparency. What do you
16 need to serve domestic loads? What do you need to
17 take advantage of export markets? They're both like
18 this, mashed together.

19 MR. PETER HELLAND: And with that,
20 next slide, please.

21 So a minimum system example, and Chris
22 will have stolen some of my thunder, but you're going
23 to get a bit of repetition here, and hopefully that's
24 okay.

25 So Chris mentioned transparency. What

1 is required to serve domestic load? What is
2 economically driven? So what is driven by reliability
3 concerns? What is driven purely by economic needs?

4 In -- in this example, it's a very
5 simplified view of a utility: four (4) generators,
6 three (3) large, one (1) small, four (4) transmission
7 lines, three (3) loads, some planning reserve margin -
8 - okay, in this case, 12 percent planning reserve
9 margin -- and exports. So it's a simplified utility,
10 but -- but it will help -- help hopefully to -- to
11 illustrate the concept.

12 And Manitoba Hydro has said, Eh, we
13 can't give you a minimum system. It's all lumped
14 together. There's something in here to serve domestic
15 customers' reliability and there's some in here to
16 serve exports, but we can't (INDISCERNIBLE) it.

17 So when we look at it from a minimum
18 system basis -- and this is a basis once again for
19 evaluating future investments, not doing a retroactive
20 look at your system, just evaluating future system --
21 we argue -- or we don't argue, we -- we provide
22 evidence that you can do a minimum system.

23 And in evidence, we provide a little
24 bit of a -- a recipe and some simplifications you can
25 do to make the -- the job tractable, but when you do

1 that, let's say you find, oh, I need two (2) large
2 generators, one (1) little one, three (3) transmission
3 lines, and that will serve our -- our loads, and, to
4 be clear, serve them reliability.

5 So it's not a stripped-down, bare
6 bones, this is awful system. This is -- no. This is
7 serving targeted reliability system and -- 'cause
8 that's what we're -- we're talking about. We're not
9 talking about other things. We're talking about,
10 okay, the reliability that people want.

11 And you can do this analysis, and what
12 you will do if you do this is you'll identify, oh,
13 this is what I need for my minimum system. And
14 there'll be some caveats and complications. I
15 understand that. This is a simplified example, but
16 you can -- you can do this, and then you will identify
17 some assets that are surplus. Yes...?

18 VICE-CHAIR KAPITANY: On slide 42,
19 when you say in the top there:

20 "Transparency: what's required to
21 serve domestic load and what is
22 economically driven?"

23 So you're saying economically driven is
24 the net export revenue and domestic load is not
25 economically driven?

1 MR. PETER HELLAND: That is correct.
2 So -- so domestic load, you're trying to achieve
3 target reliability and risk at least cost which is a
4 particular evaluation approach.

5 Exports or assets targeted exports,
6 it's purely economic. It's -- it's money. Like,
7 okay, do I -- do I want to have firm contracts? Okay.
8 Does that pay? How about participating in the spot
9 market? How about participating in different ways?

10 There's -- there's a sophistication
11 around that and a complexity around that, but -- but
12 they are different evidence bases for -- for your --
13 for decision-making.

14 VICE-CHAIR KAPITANY: (INDISCERNIBLE)
15 economically driven because residential ratepayers
16 and, you know, small and large commercial customers
17 pay for the system as well. So to me, that's -- it's
18 all economically driven. It's just a matter of how
19 you segment those two (2) to the domestic market and
20 the export market.

21 MR. CHRISTOPHER OAKLEY: It might be a
22 horse-cart thing. So in the case of your residential
23 and industrial domestic customers, they need
24 reliability, and they'll have to pay at we'd like to
25 think the least cost to get that reliability, whereas

1 for exports, we're not -- I wouldn't think that
2 Manitoba Hydro's trying to make the Minnesota system
3 more reliable.

4 They might be, and they might
5 incidentally do that by building MMTP, but that's not
6 the focus. The focus is to actually harvest revenues
7 for export -- from exports. So the driver in that
8 case is the economics, and you have to meet NERC
9 reliability standards and you have to make sure that
10 the thing doesn't degrade the reliability of your
11 system.

12 Now, of course, we know that MMTP
13 actually improves the reliability of your system, but
14 you wouldn't have actually made the investment to do
15 that. It's -- it's too costly just for the small --
16 you know, going from nine nine nine (999) to nine nine
17 nine nine (9999), you wouldn't pay that much for it.
18 But you get that as a side benefit 'cause you decided
19 to -- to justify it notionally on economics.

20 We -- we might argue that you don't
21 know what actually you bought with MMTP and Bipole III
22 and Keeyask because they also got aggregated into that
23 other -- what was already a surplus system. And so
24 sorting out the windfall earnings that happened in the
25 big -- in the big water year that just recently

1 passed, you would have made some of those dollars
2 anyway with the existing system before those were
3 added.

4 And I don't know if anyone has actually
5 analyzed to make sure that the incremental spend on
6 those assets was paid for in that one year of excess
7 profit.

8 So, when you get minimum system you
9 don't get just minimum system. You will have a lot of
10 times, because it's a capacity based system, where
11 you've got lots of capacity to sell to the markets
12 still anyway, even if it's the minimum system.

13 But the question now, is the next step
14 to add incremental capacity, do you actually get paid
15 back for that investment. And that's a question that
16 I think Hydro's told us they can't answer, 'cause they
17 don't know what the minimum system is. And they
18 didn't seem to be interested in actually discovering
19 it. They -- they might be, I -- I -- I shouldn't
20 attribute that to them, but they said they can't do
21 it.

22 We -- we think they're pretty
23 sophisticated and they could model it if they wanted
24 to.

25 BOARD MEMBER SY: Sorry, I -- I was

1 trying to understand the concept of minimum system.
2 So, is it -- is it basically just taking, using a
3 mathematical formula, you're taking a portion
4 derivative of system with respect to a new additional
5 unit.

6 MR. PETER HELLAND: Yeah, that might
7 be right.

8 BOARD MEMBER SY: Okay.

9 MR. PETER HELLAND: Like, you're --
10 you're looking at the -- well, there's one -- one step
11 is like, okay, I'm going to add in a marginal or an
12 incremental investment.

13 BOARD MEMBER SY: Yes.

14 MR. PETER HELLAND: It's either going
15 to be serving a reliability need or risk need for my
16 domestic ratepayers, in which case you're -- you're
17 simply trying to achieve lowest cost to -- to achieve
18 that, or it's not needed for reliability.

19 In that case, the incremental cost has
20 to exceed the -- or has to be lower than the
21 incremental benefit. So the -- the benefits have to
22 outweigh the cost on a purely economic basis, because
23 it's export driven.

24 And -- and there's a -- but I think in
25 terms of what you're asking, is you'll have a -- a set

1 of investment options you'll have a curve and you're -
2 - you're wondering at which point do I get -- I'll --
3 I'll describe it as an inflection point, where all of
4 a sudden the benefits start to be negative for -- for
5 incremental improvements to the system.

6 BOARD MEMBER SY: It -- well it --

7 MR. PETER HELLAND: But when you say
8 "derivative," I'm just trying to picture the math.

9 BOARD MEMBER SY: Partial derivative.

10 So, basically, you're holding everything constant and
11 are just focusing on what you are adding --

12 MR. PETER HELLAND: Yes.

13 BOARD MEMBER SY: -- and the value it
14 is adding to the system.

15 MR. PETER HELLAND: Yes.

16 BOARD MEMBER SY: Exact. So, you are
17 -- you are holding everything constant.

18 MR. PETER HELLAND: Yeah, that would -
19 - that would be correct.

20 BOARD MEMBER SY: And focusing on the
21 incremental.

22 MR. PETER HELLAND: Yes.

23 BOARD MEMBER SY: Okay.

24 MR. PETER HELLAND: I -- I -- I think
25 the answer is yes to your question.

1 BOARD MEMBER SY: That -- that's
2 partial derivative.

3 MR. PETER HELLAND: Yeah. Okay. Yes,
4 yes, it is. Okay. I'm catching up. I've missed the
5 -- the partial part. Nope. Yeah, okay.

6 BOARD MEMBER SY: I'm -- I'm a
7 teacher, so.

8

9 CONTINUED BY DR. BYRON WILLIAMS:

10 MR. PETER HELLAND: So, yeah, so
11 there's two (2) justifications for -- for a minimum
12 system to serve domestic ratepayers, it's -- it's a,
13 you know, a reliability risk at least cost, or things
14 that are surplus to that it's -- it's an economic
15 justification.

16 And then, as your system changes, some
17 of these classifications will adapt with time. So, in
18 this case we added a load, a house, and now the -- the
19 - the generator swap. So, it's not a static thing, it
20 -- it's changing through time, once again with that
21 forward looking mind set. And -- and this should all
22 be tractable for -- for -- for Manitoba Hydro.

23 It's -- and -- and, you know, there --
24 there's some, you know, sort of suggested
25 simplifications in -- in our evidence, that make it

1 tractable, if -- if Manitoba Hydro does this or -- or
2 chooses to -- to do this, we believe they can.

3 And -- and the key there is you will
4 then get transparency. You'll get transparency around
5 what is the intent of this investment? What is it
6 serving? And is it meeting that need appropriately,
7 i.e., domestic reliable system at lowest cost or it's
8 -- it's economically driven.

9 MR. CHRISTOPHER OAKLEY: We would
10 actually say that you can't do that partial derivative
11 right now --

12 MR. PETER HELLAND: Yeah.

13 MR. CHRISTOPHER OAKLEY: -- because
14 you don't know the piece that you're going to hold
15 static.

16 I guess you could always assume that
17 everything right now is a minimum system, and
18 everything that's going to add incrementally, I'm
19 going to now look through that lens.

20 But, frankly, there's a lot of surplus
21 built into the existing system and that's not a bad
22 thing if it more than pays for itself.

23 THE CHAIRPERSON: So, I -- I guess the
24 question I have is: Did you -- have you read the Brad
25 Wall report?

1 Brad Wall looked at Keeyask. Brad Wall
2 is the former Premier of Saskatchewan. He was brought
3 in by the government of Manitoba to look at Keeyask
4 and the cost related to it.

5 And one of the -- one of the
6 recommendations was that ratepayers should be paying
7 for domestic costs and if the government wants to
8 build for export, the government should be paying for
9 that. Is that something similar to this?

10 MR. PETER HELLAND: It would allow you
11 to have that conversation.

12 THE CHAIRPERSON: Okay.

13

14 CONTINUED BY DR. BYRON WILLIAMS:

15 MR. PETER HELLAND: And, I haven't --
16 I think I've read parts of the report. But it was so
17 long ago, I've effectively not read the report for the
18 purposes of this proceeding, in answer to your
19 original question.

20 So, minimum system, it provides
21 ratepayer transparency. You know, as Chris described,
22 Manitoba Hydro has some surplus system for firm and
23 non-firm exports, even in poorer water years.

24 Trade is -- trade is a powerful tool.
25 Manitoba Hydro claims it is unable to identify its

1 minimum system. We respectfully disagree and feel
2 that Manitoba Hydro is more capable than they are
3 saying they are.

4 Therefore, Manitoba Hydro, at this
5 time, can't appropriately justify its proposed capital
6 investments. There are investments to remain
7 reliability and -- and therefore the minimum -- they
8 are targeted at the minimum system and surplus system
9 investments should stand or fall slowly -- solely on
10 their economic merits.

11 So, establishing a minimum system
12 enables one transparency between reliability oriented
13 or domestic system, or minimum system investments,
14 versus economic investments. And it provides
15 transparent justifications to you. It -- it makes
16 your job more straightforward. It's -- it's clear.
17 It's a -- it's either business case -- case A type or
18 case B type.

19 And without minimum system, least cost
20 is unknown. We've, you know, you probably heard it at
21 ad nauseam, but the stated goal is least cost. You
22 can't know that currently.

23 And determining minimum system enables
24 a system focus. It changes the orientation to a
25 system focus and asset -- or helps you make that

1 change. It's not -- it's not sufficient in and of
2 itself, but it helps you and it enables a system
3 focus. Next slide please.

4 So, one of the things I'm sure there'll
5 be lots of conversation about is the 10 percent BOC
6 reduction that we recommend at the end of our report.
7 And the 10 percent reduction is justified for a series
8 of reasons.

9 The sixty (60) year old strategy of
10 over building for the future -- it's outdated. The --
11 the growth rates, we don't believe support that.

12 SAIDI/SAIFI performance is superior.
13 You -- you have a very good system and it is
14 performing very well, relative to your -- other
15 Canadian utilities.

16 Ratepayers have said in -- in -- in
17 surveys that they value rates over other aspects,
18 e.g., reliability. Assets are aging, there's no
19 doubt about that as -- as Manitoba Hydro transitions
20 from the rapid growth utility to more sustaining, the
21 assets demographics are aging overall. This is
22 expected and this is normal, and -- and -- and common
23 across North America.

24 As identified by AMCL, asset management
25 maturity is constrained. AMCL identified three (3)

1 key areas and I'll -- once again, highlight one in
2 particular and it's the asset health indices.

3 They're driven, you know, as a whole
4 not fit for purpose, and they are constraining
5 Manitoba Hydro's asset management maturity growth.
6 And is as per AMCL.

7 As a result, Manitoba Hydro has -- has
8 put on the record the system is not optimized and O&M
9 versus capital, it's not traded off well. It's not --
10 not also done across business units.

11 And there's a lack of system focus.
12 There is a potential for deferrals and we're not here
13 to select the exact candidates. We have -- we have a
14 -- a list that we think, you know, are candidates, but
15 we're not picking one over the other at this time.

16 But, some examples are DC Bipole
17 investments, Point Du Bois, Grand Rapids Unit 4. And
18 to be clear, we're not saying, don't invest in them,
19 or -- or take some remedial action, what we're saying
20 is consider deferrals.

21 So, you know, does it have to be done
22 today? Can it be done in a few years and how would
23 you -- how would you bridge that and what are the
24 risks that you take on by doing that?

25 And minimum system.

1 VICE-CHAIR KAPITANY: Can I just ask
2 you --

3 MR. PETER HELLAND: Yes.

4 VICE-CHAIR KAPITANY: -- this morning,
5 Mr. Pawluk gives a really good kind of description of
6 the actions -- the scope of actions that are
7 available.

8 So, one was refurbishment and then
9 there was maintenance and then he talked about
10 replacement or deletion if something's become
11 obsolete.

12 MR. PETER HELLAND: Yes.

13 VICE-CHAIR KAPITANY: But I -- he also
14 spoke, I think it was Mr. Pawluk, who spoke about the
15 fact that, with some of the older assets, it is very
16 hard to get replacement parts and the more time goes
17 on, the more difficult that becomes, is I believe what
18 the argument was.

19 So, could you speak a bit about that?

20 MR. PETER HELLAND: Okay. So, those -
21 - those options that you listed are -- are options
22 that are available to you and they are part of your
23 toolkit. And he is correct that, as certain assets
24 age out, it becomes more difficult to either find the
25 equipment to do direct replacements. So, the -- the

1 scope of the -- the work grows and becomes more
2 expensive and what that does is it sort of shifts your
3 -- your value proposition.

4 So, when you look at it, you say, okay,
5 huh, this is becoming more expensive, and -- and, if
6 you want to think about it in terms of a -- a Dispatch
7 Order or a value to ratepayers -- value to the system,
8 as those older assets become more expensive per
9 benefit received, if a certain avenue was pursued,
10 they become less attractive with time.

11 And -- and so, he's -- he's not
12 incorrect when he says that, and -- and what that
13 would imply is you -- you start to adopt different
14 strategies or you -- you defer as you wait, okay, now,
15 it's more valuable, if we wait five (5) years. We use
16 it in a limited, very focussed way.

17 I'll give you an example. In British
18 Columbia, there was a -- a peaking system -- a Burrard
19 thermal. They had some very old boilers became
20 comparatively unreliable, relative to BC Hydro's other
21 assets, and they were quite clear in their regulatory
22 filings. We are only going to use this on winter
23 peak, 'cause we can't run this asset all year round.
24 So, we're going to save it for those few hours every
25 year, where it's most important to us, because these

1 assets are -- are -- are so old that it's difficult to
2 replace.

3 So -- so, he's not incorrect, when he
4 says that, but it changes how you think of the asset,
5 how you use the asset, and how you value the options,
6 as opposed to -- and that's the system focus -- as
7 opposed to an asset focussed would say, look, it's
8 just old, I got to replace it and it doesn't matter
9 what the cost is.

10 VICE-CHAIR KAPITANY: Okay. So, your
11 deferrals argument would still stand but, then, what -
12 - what I think I hear you saying is there could be
13 some repurposing of assets as well as deferrals?

14

15 CONTINUED BY DR. BYRON WILLIAMS:

16 MR. PETER HELLAND: Yes. As part of
17 deferral would include a re-envisioning or a
18 repurposing of the asset. It would change its role,
19 if you will, in the system.

20 So, minimum system: invest in the
21 domestic rather than the surplus system and, as has
22 been identified and -- and discussed, probably more
23 than you'd like today, it's -- the current system is
24 not a least-cost system and, for all these reasons,
25 and they -- we believe they add up to far more than 10

1 percent, but it's all these together that we
2 recommended a 10 percent BOC reduction. Next slide,
3 please.

4 So, coming to the end, 'cause I'm sure
5 everybody's tired of listening to me. Poor inputs and
6 processes are leading to su -- I'll say less than
7 optimal decisions, maybe 'poor' is too strong a word,
8 but less than optimal decisions. Manitoba Hydro's
9 asset management maturity, they're on a journey and,
10 you know, to be clear, we encourage them to continue
11 the journey.

12 They've gone from 1.5 to 1.81 since the
13 last GRA. They are weakest in three (3) areas, as
14 identified by AMCL and we -- we -- we concur with that
15 and we strongly encourage, in our evidence, that they
16 -- that Manitoba Hydro focus on those three (3) areas,
17 that those become key to -- to -- to asset manage
18 activities in -- in the coming years.

19 The electrical system, overall, is
20 transitioning from a period of growth pre-1985 to
21 sustainment. Assets are getting older. Growth rates
22 are lower and you need to separate your domestic from
23 export requirements, once again, that minimum system,
24 and, because of the lower growth rates, it's -- it's
25 challenging to absorb sub-optimal decisions.

1 They are more expensive for ratepayers.
2 Once upon a time when -- with growth rates of 7.69
3 percent per year, eh, I missed by a bit. Well, it's
4 no problem. Wait a year. You'll grow into it. Now,
5 the consequences are much more long lived and sit on
6 the backs of the ratepayers because they are,
7 ultimately, responsible for costs for a longer period
8 of time.

9 What's the consequence of all that?
10 There -- there's an overbuilt domestic system and
11 that's what the evidence tells us and it's not a
12 least-cost system and those are the stated goals. So,
13 next slide, please.

14 So, recommendations and conclusion, you
15 know, an acknowledgement that -- that Manitoba Hydro's
16 moving from growth to sustainment. There needs to be
17 improved asset information, risk, asset health indices
18 and decision-making processes. Basically, per the
19 AMCL report.

20 AMCL provides a directive there. We --
21 we agree with it and encourage Manitoba Hydro to take
22 that very seriously.

23 Ratepayer desires value for cost
24 matter. There's obviously going to be more
25 conversation about that, but we think that rates

1 matter quite strongly.

2 We'll encourage a shift from (sic) a
3 system focus rather than an asset focus as per
4 Manitoba Hydro's Asset Management Policy and... oh, to
5 a system focus. Sorry, did I misspeak? Did I
6 misspeak there, Chris?

7 Oh, okay. Oh, from, yeah. Shift from
8 an asset focus to a system focus. Sorry, I misspoke
9 apparently.

10 And then separating domestic versus
11 export needs, quite clearly and quite transparently
12 for the Board so that in the future investment
13 decisions can be evaluated in a transparent and
14 straightforward manner.

15 And as discussed, ultimately, all this
16 leads to our recommendation of a 10 percent BOC
17 reduction. And, you know, all is not lost. Tools and
18 processes they exist, they are there. They have to be
19 fed appropriately, they can be harnessed, and
20 harnessed to the benefit of ratepayers.

21 And this is sort of my little inside
22 joke, but sorry about that, hopefully that doesn't
23 offend anybody. Thank you. Any questions? Here's
24 our contact details and -- and that's the conclusion
25 of our presentation, so thank you very much for your

1 time and attention.

2 BOARD MEMBER SY: Sorry, I -- thanks
3 for the presentation. Quick question for you.

4 I'm just trying to understand what is -
5 - why the growth rate is slowing? We move -- moved
6 from 1 percent -- 1.02 percent to 0.33 percent.

7 What -- what's behind it?

8 MR. PETER HELLAND: Well, there's
9 several reasons, like -- so, overall North America is
10 maturing electrically, so you know, in the earlier
11 days electricity was -- was new. It was -- so there
12 was huge growth rates, huge -- huge needs for that.

13 We've matured as a -- as a continent,
14 if you will, as different utilities and jurisdictions.
15 So, your -- your incremental needs are -- are lower.
16 There's also been tech -- technological change.
17 There's a -- I'm sure in your -- your planning
18 proceedings you'll get a -- a long description of all
19 the factors that go into forecasting and planning and
20 how the world has changed.

21 But the simple answer, as I see it, is
22 we move from a -- a time of rapid growth and
23 electrification and -- and the -- the electrical grids
24 and -- and society has matured as an electricity user.

25 MR. CHRISTOPHER OAKLEY: Parts of the

1 country didn't have even electricity. My -- my wife
2 grew up in a town that only got electricity in the
3 '50s. If you had power before that, you had some kind
4 of a generator on -- on board, but they mostly used
5 kerosene lamps and -- and they had wood stoves and --
6 and that sort of thing.

7 So, some parts of the -- of the country
8 were at a very rudimentary stage. Obviously, through
9 -- through the last century, we went from the really,
10 really advanced households had a lightbulb, to
11 everyone's got everything and it's all electric pretty
12 well all the way down.

13 And -- and that -- that has been
14 saturated now. We don't have massive population
15 growth driving all sorts of new loads. Our loads are
16 becoming more efficient. LED light bulbs use a small
17 fraction of what an incandescent uses.

18 You know, the flat screen TVs use less
19 than the big tube TVs and that sort of thing. So, all
20 -- all these standards are driving to, really, tamping
21 down the per consumer load levels as well.

22 So, you know, it's -- it's matured.
23 That's not to say that in the future if everyone
24 drives an EV, it won't go the other way at some point,
25 but -- but the technology is out on -- like the --

1 that decision hasn't been well handed yet, we think.
2 There are going to be lots of hurdles before everyone
3 is driving around in an EV and -- and maybe it's the
4 best not to build that all right now into the system
5 before you see what's going to happen.

6 THE CHAIRPERSON: Gentlemen, thank you
7 very much. I'm looking forward to tomorrow.

8 Mr. Williams, did you have something to
9 say? I see you're moseying up to the mic.

10 MR. BYRON WILLIAMS: I just wanted to
11 close our direct examination and make it clear to the
12 Board that these witnesses are available for cross-
13 examination.

14 THE CHAIRPERSON: I -- something tells
15 me there may be some cross-examination tomorrow.

16 MR. BYRON WILLIAMS: I don't expect
17 much.

18 THE CHAIRPERSON: Okay. Thank you
19 very much. We're going to adjourn now. We'll resume
20 at 9:00 tomorrow morning.

21

22 --- Upon adjourning at 4:05 p.m.

23

24

25

1
2
3
4
5 Certified Correct,
6
7
8
9 _____
10 Wendy Woodworth, Ms.
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25