

"When You Talk - We Listen!"



MANITOBA PUBLIC UTILITIES BOARD

Re:

MANITOBA HYDRO

2017/18 and 2018/19

GENERAL RATE APPLICATION

PUBLIC HEARING

Before Board Panel:

Robert Gabor - Board Chairperson

Marilyn Kapitany - Vice-Chairperson

Larry Ring, QC - Board Member

Shawn McCutcheon - Board Member

Sharon McKay - Board Member

Hugh Grant - Board Member

HELD AT:

Public Utilities Board

400, 330 Portage Avenue

Winnipeg, Manitoba

January 29th, 2018

Pages 6902 to 7148

1 APPEARANCES  
2 Bob Peters ) Board Counsel  
3 Dayna Steinfeld )  
4  
5 Patti Ramage (np) ) Manitoba Hydro  
6 Odette Fernandes (np) )  
7 Helga Van Iderstine (np) )  
8 Doug Bedford (np) )  
9 Marla Boyd (np) )  
10 Matthew Ghikas (np) )  
11 Brent Czarnecki )  
12  
13 Byron Williams ) Consumers Coalition  
14 Katrine Dilay )  
15  
16 William Gange (np) ) GAC  
17 Peter Miller (np) )  
18 David Cordingley (np) )  
19  
20 Antoine Hacault ) MIPUG  
21  
22 George Orle (np) ) MKO  
23  
24 Senwung Luk (np) ) Assembly of  
25 Corey Shefman (np) ) Manitoba Chiefs

## 1 LIST OF APPEARANCES (cont'd)

2

3 Kevin Williams (np) ) Business Council

4 Douglas Finkbeiner (np) ) of Manitoba

5

6 Daryl Ferguson (np) ) City of Winnipeg

7

8 Christian Monnin ) General Service

9 ) Small, General

10 ) Service Medium

11 ) Customer Classes

12

13 William Haight (np) ) Independent Expert

14 William Gardner (np) ) Witnesses

15 Kimberley Gilson (np) )

16

17

18

19

20

21

22

23

24

25

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Exhibits	6906
4		
5	COALITION PANEL - METSCO:	
6		
7	THOR HJARTARSON, Sworn	
8	ALEX BAKULEV, Sworn	
9	DMITRY BALASHOV, Sworn	
10		
11	Examination-in-Chief by Ms. Katrine Dilay	6907
12	Cross-Examination by Mr. Antoine Hacault	6994
13	Cross-Examination by Mr. Brent Czarnecki	7001
14	Cross-Examination by Mr. Bob Peters	7085
15	Re-Direct examination by Dr. Byron Williams	7147
16		
17		
18		
19		
20		
21	Certificate of Transcript	7148
22		
23		
24		
25		

6906

1 LIST OF EXHIBITS

2 EXHIBIT NO. DESCRIPTION PAGE NO.

3 CC-52 PowerPoint presentation of METSCO. 6908

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1    --- Upon commencing at 9:03 a.m.

2

3                         THE CHAIRPERSON: Good morning,  
4 everyone. I hope you had a good weekend. Do we have  
5 undertakings or are we moving straight into witnesses?  
6 Straight into witnesses.

7                         Mr. Simonsen, can you swear in the  
8 witnesses.

9

10 COALITION PANEL - METSCO:

11

12                         THOR HJARTARSON, Sworn

13                         ALEX BAKULEV, Sworn

14                         DMITRY BALASHOV, Sworn

15

16                         THE CHAIRPERSON: Ms. Dilay...?

17                         MS. KATRINE DILAY: Thank you, Mr.  
18 Chair.

19

20 EXAMINATION-IN-CHIEF BY MS. KATRINE DILAY

21                         MS. KATRINE DILAY: Good morning. So  
22 before we start, we'd like to introduce an exhibit  
23 which is the PowerPoint presentation of METSCO. We  
24 propose that that be introduced as Exhibit CC-52.

25

1 --- EXHIBIT NO. CC-52: PowerPoint presentation of  
2 METSCO.

3

4 CONTINUED BY MS. KATRINE DILAY:

5 MS. KATRINE DILAY: So before we go  
6 into the presentation, I'd just propose that we  
7 highlight some of the qualifications of our witnesses  
8 here. And so I'll introduce the witnesses starting  
9 directly to my right is Mr. Thor. Hjartarson. Then we  
10 have Mr. Dmitry Balashov and finally Mr. Alexander  
11 Bakulev.

12 Mr. Hjartarson, I'll start with you.  
13 Would you be able to outline for the Board your  
14 education?

15 MR. THOR HJARTARSON: Yes, thank you.  
16 I have a Bachelor of Science degree in Electrical  
17 Engineering from the University of Iceland Reykyavik  
18 1988. And then following that, a Master of Applied  
19 Science in Electrical Engineering from University of  
20 British Columbia in Vancouver in 1990. In both cases  
21 there was a specialization in power engineering. I'm  
22 also a licensed professional engineer in Ontario. I'm  
23 a member of the Icelandic Society of Electrical  
24 Engineers and was president of their society for one  
25 year in 1993 to '94. I'm a senior member of IEEE and

1 I'm a member of CIGRE -- CIGRE International.

2 MS. KATRINE DILAY: And for those last

3 two (2), are you able to explain what they are? IEEE

4 --

5 MR. THOR HJARTARSON: Yes. IEEE,

6 International Electrical Engineering -- don't remember

7 exactly what it is but it's the -- it's very well

8 known in the engineering side of business.

9 CIGRE is international, as well as

10 based in France. It focuses on transmission

11 engineering, but also dwells into distribution

12 engineering for Utilities as well.

13 MS. KATRINE DILAY: Thank you. In

14 terms of your experience, can you confirm that you've

15 been a partner and CEO of METSCO Energy Solutions Inc.

16 since September of 2012?

17 MR. THOR HJARTARSON: Yes, that's

18 right.

19 MS. KATRINE DILAY: And in that role,

20 can you explain your experience?

21 MR. THOR HJARTARSON: Yes, we've --

22 METSCO is an engineering company. It was -- dwelled a

23 lot into asset management practices. We worked for a

24 number of Utilities around the world, including EPCOR

25 in Edmonton, ENMAX in Calgary, the former utilities of

1   Alectra in Ontario, Fortis, BC, SaskPower, Toronto  
2   Hydro, Portland General Electric, BC Hydro, Guelph  
3   Hydro, Hydro Ottawa. We also worked for the Ontario  
4   Energy Board and Hydro One Utilities, amongst a -- a  
5   number of other utilities as well.

6                         MS. KATRINE DILAY: And prior to your  
7   role at METSCO you were manager of system reliability  
8   planning at Toronto Hydro from 2007 to 2012?

9                         MR. THOR HJARTARSON: Yes, that's  
10   that's correct. This was a department in asset  
11   management which focused on looking at reliability of  
12   assets; looking at the asset plans; how to put that  
13   into justification for rate filings. And we actually  
14   over the period I was there we submitted four (4)  
15   rate filings to the Ontario Energy Board and -- and  
16   defended -- defended them.

17                         We were also responsible for  
18   implementing a smart grid type solutions looking at  
19   road map for the Utility; how to go forward with new  
20   technology. We actually called it Modernizing the  
21   Grid rather than -- than Smart Grid.

22                         And lastly, we were involved in looking  
23   at -- we're always looking at how to improve our asset  
24   management practices. We did a Past 55 evaluation and  
25   after that, we implemented a risk-based methodology

1 which looked at condition, risk, consequence costs and  
2 -- and business cases for -- for the sustainment  
3 capital.

4 MS. KATRINE DILAY: Thank you. I'd  
5 just like to highlight a few other of your previous  
6 experiences which includes principle engineer and  
7 asset management lead at Kinectrics Inc.?

8 MR. THOR HJARTARSON: Yes. At  
9 Kinectrics Inc. I was hired there in 2005 and -- and  
10 helped develop their asset management practice; help  
11 develop how -- how to do asset condition assessment  
12 with health indexing; and -- and -- then since I left  
13 for Toronto Hydro they've continued to build that up  
14 as a quite strong practice.

15 MS. KATRINE DILAY: You've also been  
16 senior supervising engineer for Acres International?

17 MR. THOR HJARTARSON: Yes, I was there  
18 since I moved -- I moved to Canada in 2002, and I was  
19 their engineer, supervising engineer to begin with. I  
20 did the first health index project that was done in  
21 the world at Hydro One; spent about a year. A paper  
22 was published with IEEE on health indexing. Health  
23 indexing is a condition assessment methodology that  
24 since has been -- probably used by hundreds of  
25 Utilities around the world.

1                   And previous maybe to that, I was in  
2 Iceland I was an engineer at Iceland State Electricity  
3 Company. I worked in planning. I worked in direct  
4 engineering and then, lastly, I was responsible for  
5 operation in the north at Regional Iceland.

6                   MS. KATRINE DILAY: Thank you. And in  
7 addition to your experience relating to asset  
8 management, can confirm that you also have over thirty  
9 (30) publications and presentations in -- in  
10 professional magazines and industry conferences,  
11 including the facilitation of a Smart Grid Workshop of  
12 -- for the World Bank?

13                  MR. THOR HJARTARSON: Yes. So this is  
14 -- both at a conference such as IEEE. I'm currently  
15 in a working group with CIGRE, the one I mentioned  
16 that's based out of Paris. We've done -- did a work -  
17 - a Smart Grid Workshop. It was actually in, of all  
18 places, Mongolia so that was quite interesting, but  
19 I've done presentations in Australia, in Thailand, in  
20 -- all over Europe and, of course, in Iceland and Cana  
21 -- Canada of course.

22                  MS. KATRINE DILAY: Thank you very  
23 much, Mr. Hjartarson.

24                  I'll now move over to Mr. Bakulev. Mr.  
25 Bakulev, good morning.

1 DR. ALEX BAKULEV: Good morning.

2 MS. KATRINE DILAY: Can you please  
3 outline for the Board your education?

4 DR. ALEX BAKULEV: I have received  
5 diplomas degree which is a five year full-time under -  
6 - undergrad education, with a specialty in  
7 Mathematical Methods of Economics from the St.  
8 Petersburg state in Russia -- Russia in 2003.

9 I have also received the PhD in  
10 Economics from the same university in 2007. And I'm  
11 also a member of the IEEE which is the Institute of  
12 Electrical and Electronics Engineer.

13 MS. KATRINE DILAY: Thank you. In  
14 terms of your experience, you have been vice-president  
15 of strategy and assets at METSCO Energy Solutions  
16 since 2014?

17 DR. ALEX BAKULEV: That's correct. In  
18 METSCO I have also contributed to the extensive  
19 utility asset management preparation optimization  
20 experience to a variety of projects in the areas of  
21 the asset lifecycle optimization, risk management and  
22 business case project justifications.

23 I must declines (sic) that I have  
24 direct oversight of ENMAX from Edmonton -- or ENMAX  
25 from Calgary, EPCOR from Edmonton, Toronto Hydro were

1 one of the client. Hydro One, Portland General  
2 Electric, Southern Power in US, SaskPower. Also the  
3 clients of mine were the Ontario Energy Board on  
4 advising for the asset management best practice  
5 performance in Ontario.

6 MS. KATRINE DILAY: Thank you and  
7 prior to joining METSCO, you were also in a variety of  
8 positions and assignments with Toronto Hydro?

9 DR. ALEX BAKULEV: That's correct. So  
10 I have been for about seven (7) years with Toronto  
11 Hydro leading different departments and groups. I had  
12 a direct oversight of the company's asset sustainment  
13 portfolio planning and risk-based asset life-time  
14 optimization processes.

15 I have also led the companywide  
16 productivity improvement program for few years. I  
17 have also acted as a manager of Toronto Hydro's custom  
18 incentive rate regulation for the application of the  
19 2015/'19 years. Before that, I was leading the  
20 development of the asset management plan for Toronto  
21 Hydro in 2011 year, which was filed to the Ontario  
22 Energy Board back there.

23 MS. KATRINE DILAY: Thank you. In  
24 terms of some your previous experience, can you speak  
25 to that?

1 DR. ALEX BAKULEV: In my previous  
2 experience prior to 2007 when I joined Toronto Hydro,  
3 I -- I was working in a management consulting company  
4 back in the Russian Federation and in the same field,  
5 asset management. I worked with a few clients, one of  
6 the clients was the Hydro generation company with a  
7 total capacity of 20 gigawatt power.

8 And I created and developed the risk  
9 assessment methodology and asset condition methodology  
10 for the Hydro turbines. I worked with the corporate  
11 planning department in that year. I have worked with  
12 a -- the company that's called Yakutsk Energo. That's  
13 a company that serves far east of the Russia that's a  
14 vertically integrated company that has the combined  
15 heat generation. It has the power generation, it has  
16 the transmission across the entire Far East and the  
17 distribution services to the clients.

18 I have also worked with the -- one of  
19 the largest European distribution company that has  
20 about 65 million distribution costs -- 65 million  
21 distribution customers and on the same field of asset  
22 management, including condition assessment, risk  
23 assessment and the optimal long-term planning  
24 decisions.

25 MS. KATRINE DILAY: Thank you. And

1 you are also a co-author of several publications and  
2 research papers for the Institute of Electrical and  
3 Electronics Engineers, the International Council on  
4 Large Electric Systems and the Centre for Energy  
5 Advancement Through Technological Innovation related  
6 to asset management and risk base optimization?

7 DR. ALEX BAKULEV: That's correct. So  
8 I might be author for about maybe five (5) different  
9 papers. This also included the different  
10 presentations at a variety of conferences across the  
11 world. One of them were in the largest distribution  
12 and transmission conference in US, Distribute Tech.  
13 (phonetic). There were a couple of CI conferences on  
14 the -- on the asset management topics.

15 There were numerous workshops that I  
16 presented the asset management material to the  
17 attendees. I have also speak to a few international  
18 conferences as well.

19 MS. KATRINE DILAY: Perfect. Thank  
20 you, Mr. Bakulev.

21 I'll now move on to Mr. Balashov.  
22 Good morning.

23 MR. DMITRY BALASHOV: Good morning.  
24 MS. KATRINE DILAY: Could you outline  
25 for the Board your education?

1                           MR. DMITRY BALASHOV: Certainly. I  
2 received a Bachelor of Political Science from the  
3 University of British Columbia in 2005, following  
4 which, in 2008 I graduated from Queens University  
5 School of Policy Studies with a Masters of Public  
6 Administration, specializing in energy policy and  
7 trade policy, in particular. And most recently in  
8 2017, I have just completed the requirements for the  
9 Executive Master of Business Administration at the  
10 Rotman School of Management at the University of  
11 Toronto, where my areas of concentration included  
12 energy project finance, utility operations  
13 productivity and corporate governance, amongst others.

14                           And while at Rotman, I have actually  
15 been approached by a faculty to help co-teach and  
16 provide instructional advice on the practical capstone  
17 course in utility productivity that the school  
18 undertook for the full-time MBA program as having been  
19 approached by Ontario Ministry of Energy. So I had  
20 some experience in instruction as well, just most  
21 recently.

22                           MS. KATRINE DILAY: Thank you. In  
23 terms of your experience starting in May of 2017 you  
24 were senior associate of special projects at METSCO  
25 Energy Solutions?

1                           MR. DMITRY BALASHOV: That's correct.

2                           MS. KATRINE DILAY: And since January  
3 of 2018 you've been the director of Utility Strategy  
4 and Economics Regulation at METSCO?

5                           MR. DMITRY BALASHOV: That's correct.

6 And to -- to add to the practice areas that -- that my  
7 colleagues have described, the work that I do at  
8 METSCO has more to do with utility regulation and  
9 strategy as -- as it is related to -- to asset  
10 management in terms of more strategic, more governance  
11 aspects of it; as well as specifically performance  
12 measurement, creating key performance indicators,  
13 economic analysis and also advice to the government  
14 bodies on the matters that are more in the policy  
15 realm.

16                          MS. KATRINE DILAY: And prior to  
17 joining METSCO you spent four (4) years in Toronto  
18 Hydro's legal and regulatory affairs division?

19                          MR. DMITRY BALASHOV: That's correct,  
20 for the last two (2) years of that four (4) year  
21 period I was a lead of regulatory process and  
22 analytics where I was responsible developing the  
23 Utility's evidence with respect to operations,  
24 maintenance, administration and capital planning and  
25 execution, as well as implementing a variety of

1 Ontario Energy Board's directives and new policies  
2 with respect to these particular areas within the  
3 company. So working quick closely with the asset  
4 management experts within Toronto Hydro, as well as  
5 looking at both developing for the purposes of  
6 regulatory filings, as well as internal implementation  
7 of various productively and performance measurement  
8 initiatives within the company.

9 MS. KATRINE DILAY: And in terms of  
10 your previous experience, briefly, between 2011 and  
11 2013, you acted as a senior policy advisor in the  
12 Ontario Energy Ministry's regulatory affairs and  
13 strategic policy division?

14 MR. DMITRY BALASHOV: That's correct.  
15 In that capacity, I oversaw the financial and  
16 regulatory affairs of Hydro One and Ontario power  
17 generation.

18 MS. KATRINE DILAY: And between 2008  
19 and 2011, you worked in the Ontario Ministry of Energy  
20 Supply, Transmission, and Distribution Policy  
21 division?

22 MR. DMITRY BALASHOV: Correct.

23 MS. KATRINE DILAY: Can you just  
24 describe that role a little bit?

25 MR. DMITRY BALASHOV: Sounds good. So

1 in the -- in that role, I was -- was the basically  
2 junior policy advisor developing programs and policies  
3 related to the integration of renewables into  
4 Ontario's grid rates at the time of the feed-in tariff  
5 and the Green Energy Act, implementation in there, as  
6 well as working with a -- with a variety of First  
7 Nations stakeholders on developing programs --  
8 especially for the access to -- to the far -- far  
9 North communities, developing the plans in that  
10 capacity, among many other policy research  
11 assignments.

12 MS. KATRINE DILAY: And just going  
13 back briefly to your experience at Toronto Hydro, that  
14 included taking part -- active part in over twenty-  
15 five (25) Ontario Energy Board policy consultations  
16 and working groups on a variety of subjects related to  
17 utility regulation and performance management?

18 MR. DMITRY BALASHOV: That's correct.

19 MS. KATRINE DILAY: And just lastly,  
20 Mr. Balashov, in terms of the evidence that METSCO has  
21 prepared for this proceeding, can you confirm that you  
22 were co-author with Mr. Bakulev and Mr. Hjartarson of  
23 the report entitled 'Review of Manitoba Hydro's  
24 2017/'18 and 2018/'19 GRA Sustainment Capital', which  
25 was filed in this proceeding as Exhibit CC-19?

1                   MR. DMITRY BALASHOV: Absolutely, we  
2 confirm that.

3                   MS. KATRINE DILAY: And along with  
4 your colleagues from Mexico, you were also -- you were  
5 responsible for a number of information request  
6 responses regarding this report?

7                   MR. DMITRY BALASHOV: Correct.

8                   MS. KATRINE DILAY: And can you  
9 confirm that the written material was prepared under  
10 you and your colleagues from METSCO's direction and  
11 control, and is accurate to the best of your knowledge  
12 and belief?

13                  MR. DMITRY BALASHOV: Confirmed.

14                  MR. KELVIN SHEPHERD: Thank you very  
15 much. I will now propose that the witnesses proceed  
16 to their presentation.

17

18                  (BRIEF PAUSE)

19

20                  DR. BYRON WILLIAMS: And just before  
21 we commence, I'll just note that Ms. Desorcy from the  
22 Consumers Association is back, once again back in the  
23 back rows.

24

25                  (BRIEF PAUSE)

1 PRESENTATION BY METSCO PANEL:

2 MR. THOR HJARTARSON: So we are going  
3 to talk tag team a bit through this presentation, and  
4 we're starting with the old man, and he'll speak the  
5 shortest, too, but then we'll go on like that.

6 Anyways, we were retained as an  
7 independent expert to evaluate Manitoba Hydro's  
8 sustainment capital plans as presented here, and we've  
9 just talked about our qualification. In conducting  
10 our analy -- analysis, we used information provided by  
11 way of prefiled materials, MFR and IR responses, and  
12 the applicant's presentation during the July 20, 2017  
13 technical conferences. You will see that a certain  
14 portion of this direct testimony are also based on the  
15 oral hearing record generated since our reports  
16 filing, and are clearly identified as such throughout  
17 the presentation.

18 On balance and, you know, subject to  
19 further information becoming available, it is our  
20 professional opinion that Manitoba Hydro -- Hydro has  
21 not provided sufficient evidence to justify the  
22 reasonable of proposed sustainment capital asked for  
23 the test years. We will further describe that in --  
24 in this presentation. Our conclusion is grounded on  
25 the review of the analytical underpinnings of the

1 plan, the state of the applicant's relevant decision  
2 support tools, performance data, and our knowledge of  
3 sector best practices around the world.

4 We may often talk about best practices  
5 and the reasoning underpinning our conclusions  
6 ultimately reflective of the specific circumstance of  
7 the applicant as represented by its evident, and  
8 relative what we see as attainable today, and we also  
9 provide recommendation to the PUB to potential  
10 oversight enhancement to facilitates the applicant's  
11 plan for ongoing implementations and improvements in  
12 asset management.

13 So in summary of our -- the -- the  
14 major issues -- and like -- like I said, we will  
15 explain that in further detail fur -- later in the  
16 presentation. We noticed limited evidence of reliance  
17 on asset health and risk data in preparing the current  
18 plan in this filing. We noticed a longer, on average,  
19 asset degradation timeline -- timelines than those of  
20 industry peers. We noticed that inconsistent quality  
21 of maintenance records underlining systin --  
22 sustainment budgets. We noticed inconsistent cost --  
23 cost estimation practices and a history of cost  
24 underestimation. There was no external evidence to  
25 support the reasonable of proposed capital costs. And

1 lastly, Manitoba Hydro's favourable -- favourable  
2 reliability performance relative to industry peers.  
3 They have a -- in other words, better -- better  
4 performance than most of their peers.

5 DR. ALEX BAKULEV: Thank you, Thor.  
6 So the -- the next two (2) slides would be just about  
7 some sort of refresher of what good asset management  
8 practice this case. And if you have any questions,  
9 please -- please interrupt me. We'll discuss.

10 So the first slide is about the asset  
11 management. So the management is a -- is a balance of  
12 a few conflicting drivers and how the decisions have  
13 been made in the most optimal manner to make the  
14 trade-offs between those drivers. The one (1) driver  
15 is performance, and the performance can be measured  
16 based on the data, data on the asset condition,  
17 different failure curves, and the history of asset  
18 failing in the past, availability indices, growth  
19 needs, some other compliance requirements, and so on.

20 The cost of the -- of -- of the asset  
21 considers all the financial costs throughout the life  
22 cycle of the asset, starting from the -- acquiring the  
23 asset, planning for it, acquiring the asset, and then  
24 upgrading the asset throughout the life cycle,  
25 maintaining the asset, and maybe after that, disposing

1 the asset as well.

The risks usually are those months that  
the -- the stakeholder's experience when the asset  
fails. So it could be environmental risks, let's say  
if the transformer is leaking the oil -- oil into the  
ground. It could be the availability risk associated  
with the interruption of the power to the customers,  
and the customers experiencing some losses due to that  
fact. It could be the financial losses, so a loss of  
the revenue, which might be significant in certain  
cases. And the -- the safety risks associated with  
either public safe -- safety events, or the employees'  
safety events. A common denominator of overall good  
asset plan is the use of the objective and the  
quantifiable information to enable management and  
amelioration of those trade-offs.

17 On the next slide, that's the picture  
18 that we usually present to show that the masterpiece  
19 of -- of this assessment management analysis is a life  
20 cycle analysis of the asset. The inputs to the life  
21 cycle analysis are gathered through the field  
22 inspections, such as, for example, asset testing and  
23 diagnostics data that later are being transformed into  
24 the health index of the asset. Based on the condition  
25 of the asset or the age, if it's the only information

1 available, the -- the asset management should be able  
2 to estimate the fatal probability of the asset.

3                         Based on the fatal probability in  
4 different failure modes that the asset experiences,  
5 there is an opportunity to understand the impact that  
6 the failure will bring to the customers if it fails.

7 So what happens, how long the outage would be, how  
8 quickly the supply can be rerouted to a different  
9 source, are there any safety events possible as a  
10 result of the failure? And ideally, each of the --  
11 each of the asset in the system could -- could have a  
12 risk profile associated with the -- with the condition  
13 of the asset and the potential failure modes that this  
14 assess it has.

15                         If risks are being monetized, then it's  
16 -- it's possible to create the financial life cycle  
17 analysis included in the monetized risks in the -- in  
18 the calculations. And that the life cycle analysis  
19 helps understand what's the right timing to replace  
20 the asset than what is the right intervention type of  
21 those asset based on the lowest life cycle costs. If  
22 this analysis is run across the entire system, then  
23 the Company is able to understand the asset needs and  
24 thus create their short-term projects based on this  
25 analysis, and their long-term plans.

1                         As a result, there is also a  
2 possibility to understand the availability of forward  
3 costs, and what they say -- say the numbers will be in  
4 five (5), ten (10), fifteen (15) years based on the  
5 different scenarios that the asset management plans  
6 for. This methodology also helps to assess the  
7 different alternatives that are possible to mitigate  
8 those risks, whether we need to build the new asset,  
9 the new substation, or we just need to increase the  
10 capacity on the existing substation, or just wait and  
11 delay for another five (5) years and to see what's --  
12 what the actually brings the lowest cost of ownership  
13 to the customer in the end.

14                         DR. BYRON WILLIAMS: Before you leave  
15 this slide, and thank you for this. You used two (2)  
16 acronyms, one (1) being SAIDI, S-A-I-D-I, the other  
17 being SAIFI, S-A-I-F-I, and I just wonder if you could  
18 just very quickly explain what you meant by those  
19 acronyms.

20                         DR. ALEX BAKULEV: Yes. Those are the  
21 availability indicators that are usually used by the  
22 companies to assess the availability performance of  
23 the system. SAIDI stands for System Average  
24 Interruption Duration Index. SAIFI stands for the  
25 System Average Interruption Frequency Index. So

1 SAIFI, again, says how -- what's the average number of  
2 outages a average customer experiences throughout the  
3 year. SAIDI stands for -- for how long those outages  
4 are being experienced by the average customer, Dr.  
5 Williams, that's... Okay.

6                   If you go to the next slide, so the  
7 asset health index contains different degradation  
8 factors that contribute to the asset failure. They  
9 are destructive in nature and result in -- in  
10 irreparable damage, and have enough support and data  
11 to compute an accurate score for the -- for the -- for  
12 the asset. If you just rely the assessment, though  
13 the probability different asset failure on the age, we  
14 may not be that accurate compared to the state when we  
15 have the specific condition information about this  
16 asset. So condition information helps us to specify  
17 and to quantify the exact probability of failure of  
18 this asset, assuming that there is enough data that  
19 they -- the asset manager has in hands the statistical  
20 availability of the failure of the asset.

21                   On the next slide, if the -- the  
22 condition plant that the asset manager -- asset  
23 manager manages has the good picture of the health  
24 indices of all the assets in the system, there is an  
25 option to identify the hot spots in the system and

1 create -- to create the short-term specific projects  
2 to address these hot spots in the system. The assets  
3 can be in very good condition, good condition, fair  
4 condition, very poor condition, and those assets that  
5 are in very poor condition most likely needs to have  
6 an immediate attention in the nearest future.

7                   However, if we go to the next slide, so  
8 the health index is not the only factor that is  
9 required to make the decision. On the right side of  
10 the slide, I'm showing the three (3) different cases.  
11 On the top, let's say that this green boxes, assume  
12 they are just distribution transformers. So one (1)  
13 transformer on the top is in -- has a health index  
14 score of twenty-four (24) out of one hundred (100),  
15 which often means in very poor condition. However,  
16 it's -- applies to only three (3) residential houses.  
17 So in a way, impact is low in terms of the load lost  
18 if this transformer fails.

19                   On the medium amongst those options, we  
20 have a transformer which has a higher health index,  
21 forty-five (45), which translates to poor, and it  
22 serves two (2) residential houses, and let's say, one  
23 (1) condominium, one (1) office tower. On the bottom  
24 of this slide we have another transformer. Let's say  
25 the health index is twenty-eight (28), still very

1 poor. However, it serves a big customer -- a big  
2 industrial client, so the impact is really high.

3 So if the company or asset management  
4 has the funding only to replace one (1) of these  
5 transformers, which transformer should be replaced?  
6 Whether it's twenty-four (24), very poor that has a  
7 very low impact, or it should be, let's say, the  
8 transformer that has a better condition, but a very  
9 high impact.

10 If the company has money for two (2) of  
11 those transformers, then it's also a choice which  
12 transformers needs to be replaced. And maybe the  
13 first transformer which serves only residential  
14 customers, based on the impact and to ensure that  
15 customers receive the best value, although it is  
16 serviced, it should be run to failure, right? So, and  
17 the other two (2) only should be replaced in a  
18 proactive manner, not to wait until the asset fails,  
19 but to replace it before it fails.

20 So the -- the essence of the slide is  
21 to show that the assessment of the impact of the asset  
22 failure is very important in the condition -- in the  
23 decision-making process. And how to do this  
24 assessment is through the risk assessment exercise.  
25 So here we are showing four (4) different type of

1 risks: financial, collateral damage/safety, customer  
2 reliability risk, and environmental.

3 So examples of the financial risk would  
4 be emergency repair, revenue loss, cost to replace the  
5 asset. Examples of the collateral damage would be the  
6 public or employee death or injury, damage to the  
7 adjacent equipment or the facility by the property  
8 damage or some costs that are required to put safety  
9 barriers in place.

10 The rel -- reliability costs are the  
11 costs associated with the customer interruption costs,  
12 so the customer experience certain inconvenience when  
13 they don't have the power. However, the reliability  
14 costs can be mitigated by the -- having contingency  
15 supply in place or through the different protection  
16 devices that can help to quickly sectionalize the  
17 feeder and restore the power in a fast manner.

18 The environmental issues are oftenly  
19 (sic) connected to, let's say, the oil leaking to SF-6  
20 gas releases, or to move PCB containment in the oil.  
21 Or let's say if the work has being done in a sort of  
22 greenbelt area. So those risks, if the -- each asset  
23 in the system has a -- has a risk profile, then the  
24 map -- and you can see this map on the right-hand, and  
25 this map actually filed by Toronto Hydro under my --

1 in -- in the plan that was developed under my  
2 supervision. So this map can show you the red hot  
3 spots in terms of the risk assessment, those assets  
4 that have a very high impact if they fail.

5 So having this in mind -- bearing this  
6 in mind, let -- let's look at the two (2) bar charts  
7 that I'm showing on this slide. The right one (1),  
8 let's say it's how the customer perceives the value  
9 that they are receiving from the delivery of the  
10 electricity by the -- by the company. So the green  
11 box on the bottom right is the financial cost that the  
12 customer has. So they're just paying rates to the  
13 utility.

14 However, on top of that throughout the  
15 year they experience some other costs associated with  
16 the -- with the non-perfect, non-idealistic quality of  
17 the service delivery. So they experience numerous  
18 power interruptions throughout the year. So when they  
19 experience power interruptions, they assume certain  
20 financial losses in -- in their hands.

21 There are some other costs that are  
22 created by the utility to the society, so with the oil  
23 releases. It's not just individ -- individualistic  
24 customer costs, but the cost for the entire society.  
25 There could be some safety cost associated with the

1 service delivery, injuries happened, some mortality  
2 unfortunately happens when the -- when the people are  
3 electrocuted.

4 So those costs are -- if it's in a  
5 competitive marketplace, so customer has an option to  
6 choose between the different products with a certain  
7 value, financial price and the quality that these  
8 products bring to the customer. In the monopoly  
9 environment, the customer doesn't have a choice. So  
10 that's why the customer always bears in mind not just  
11 the financial cost that they have, but also the other  
12 costs associated with the service delivery or the --  
13 with the poor product quality.

14 On -- if you go to the left stacked  
15 bar, that's kind of showing the cost of owning the  
16 electricity delivery system by the utility, and the  
17 financial rates more or less associated with the  
18 financial cost of the utility to deliver the services  
19 to the customer. However, the bulk of these costs,  
20 they're -- they're not that kind of intangible and  
21 associated mostly with the customer interruption  
22 costs, oftenly are not in mind in the decision-making  
23 -- in the written decision rate-making exercise.

24 So to make appropriate comparison and  
25 make appropriate decisions, so those other

1 interruption costs should be considered in their -- in  
2 the life cycle analysis. So if you go to the next  
3 slide, if the utility or asset manager assumes and  
4 treats those other costs that are beared (sic) by the  
5 customer, again, customer interruption costs,  
6 environmental costs, safety costs, and takes those  
7 costs into account when they look at the cost of  
8 owning the electricity delivery system then the  
9 decisions are being made to ensure that not just the  
10 utility gets the best value from assets, but the  
11 customer also gets the best value from the services  
12 that have been delivered to the customer.

13 So full cost of system ownership must  
14 include those estimates of all economic costs  
15 associated with the system. Maybe just wait on this  
16 slide for a few seconds because it's -- in my mind,  
17 it's -- it's a bit complicated slide, and I can talk a  
18 bit more about it.

19 And usually the asset manager, whenever  
20 they make a decision to replace the asset proactively  
21 rather than reactively, so before the asset fails,  
22 Usually it's done for the reason to ensure that  
23 availability is being maintained. So in his mind, the  
24 engineer makes a conscious decision to risk a trade  
25 off, reliability versus the costs, right?

1 Financially, maybe the most optimal decision is run to  
2 failure the asset. However, bearing that if it runs  
3 to failure, the reliability for the customer would  
4 worsen, the engineer makes a decision to replace it  
5 proactively.

6 So somehow this trade-off is being  
7 made, and those costs for the customer are being  
8 accounted for. However, the key is to be able to  
9 create a transparent system for all the engineers in  
10 the company, and not just engineers but the financial  
11 people and other people in the executive management  
12 team, to ensure that those decisions are made from the  
13 same ground, with the same risk failures that the  
14 company develops and creates in its entire risk  
15 management system to make the proper prioritization  
16 choices comparing apples to apples, right?

17 So this project should be based on the  
18 same principles and assessment. This project should  
19 be based on the same principles as the other project  
20 that is being created by the other engineering and the  
21 other department.

22 Yeah. On the next slide, I'm trying to  
23 show these customer interruption costs as the major  
24 driver in making the decisions. So customer  
25 interruption costs, in essence, is what are the losses

1 experienced by the customer if the power is not being  
2 delivered. And usually those costs mean in the  
3 surveys are being consistent of two (2) elements. One  
4 (1) is the event itself. So when it happens, when the  
5 power interrupts, the customer already experienced  
6 some inconvenience.

7 So let's -- let's say the lights go out  
8 right here. It's kind of a loss of productivity in  
9 any rate, right? So then the longer the outage goes,  
10 the more costs are being associated with this  
11 inconvenience. So it's very specific. Let's say, for  
12 commercial industrial customers, let's -- let's think  
13 retail, right? So it's a store. When the power goes  
14 out, so most likely all the customers leave. So  
15 that's the event outage. If the retail shop won't be  
16 able to have the power for two (2) hours, that's lost  
17 of rev -- revenue for two (2) hours, for four (4)  
18 hours, for four (4) hours, for two (2) days, for two  
19 (2) days. So the losses per customer -- per -- losses  
20 for the customer increases with the dur -- with the  
21 increase of duration of the outage.

22 There a few techniques how those  
23 interruption costs are being assessed. And usually  
24 for commercial industrial customers it's just a  
25 question, how much did you lose. How -- how much

1 money did you lose?

2                   For residential it's -- it's not that  
3 easy, right? And usually the question is how much  
4 you're willing to pay to get a better reliability, or  
5 to avoid one (1) outage, or to avoid -- more  
6 specifically to wait to avoid one (1) outage during  
7 this time of the date for two (2) hours. Or to avoid  
8 this out -- this outage, let's say in wintertime, at  
9 night for five (5) hours. So -- and those are very  
10 specific questions. Or how much money you actually  
11 would like to receive back, but you'll have two (2)  
12 more outages throughout the year.

13                  So -- but the concept is willingness to  
14 pay. How much we are willing to pay. And that's more  
15 or less a subjective concept, right? And the -- the  
16 asset manager and the -- the commissions frequently,  
17 they -- they look at it as a subjective cost.  
18 However, if those service that -- I know they usually  
19 showed that willingness to pay from the residential  
20 customer is a relatively small amount compared to  
21 their losses per kilowatt hour, non-delivered, from  
22 the commercial industrial customers.

23                  So let's say if a residential customer  
24 is willing to pay ten dollars (\$10) to avoid the  
25 outage equivalent to 1 kilowatt power loss, commercial

1 industrial customers is willing to pay ten (10, twenty  
2 (20) times in terms of financial losses to avoid the  
3 same outage per kilowatt power non-delivered.

4 So using this concept in mind, the --  
5 that's a typical utility that is shown here. So let's  
6 say, from -- from a number of customers most is being  
7 made up from the residential customers, 90 percent.  
8 However, if you go to the consumption, then we can say  
9 that consumption drops to residential customers to  
10 about 50 percent. And the rest 50 is being made by  
11 the commercial industrial customers.

12 And then if you use those values for  
13 customer interruption costs, we can see that  
14 residential are really a tiny portion of the entire  
15 customer interruption costs of the system. So  
16 basically willingness to pay, which is subjective  
17 measure, makes only a small portion of the customer  
18 interruption costs in terms of the service delivery.  
19 The most is being assessed by the actual losses from  
20 the service.

It also actually shows a different side  
that residential is willing actually to pay way less  
for the better reliability than the commercial  
industrial customers, right? So this acceptance of  
higher rates to residential customers is less

1 prominent as per commercial industrial customers.

2 If you go to the next slide, and that's

3 just -- this slide is just about the life cycle

4 calculations to show how the decision can be made.

5 And that's one (1) of the things. So let's -- let's

6 say on the -- we have two (2) graphs here for the new

7 assets on the left, and for the existing asset on the

8 right.

9 So for the new asset we just calculate

10 what's the average annual cost of this asset would be

11 if you replace it right now. And we include the

12 financial costs to replace the asset and to maintain

13 the asset throughout the life cycle. And we also

14 include the risks associated with this cost

15 replacement, including that when we replace the asset

16 we also have some sort of outage -- plant outage to

17 ensure that the asset is put into service.

18 So by different completions we try to

19 understand what's the -- what's the minimum life cycle

20 cost of this asset is, and then we compare this

21 minimum optimal life cycle cost of the newer asset

22 with the existing costs of the asset. And if we look

23 at the condition of the existing assets, we look at

24 the failure probability of the existing asset, and the

25 impacts that this asset has. If you know that to

1 maintain this asset currently actually will -- is a  
2 higher cost than the cost of the new asset, then the  
3 decision is to replace this asset.

4                         However, if you know that, based on the  
5 analysis, that the current -- the -- the cost of the  
6 current asset is lower than the cost of the new asset  
7 in the long term, in the long run, then we would leave  
8 this -- this asset until those two (2) curve  
9 intersect.

10                       So in this specific example with the  
11 existing asset -- and it's a conceptual slide, but we  
12 show that, let's say, that the optimal time to replace  
13 this existing asset is when it reaches thirty-four  
14 (34) years old. So if the asset is younger than  
15 thirty-four (34) years old, the decision is not to  
16 replace it. If it's older than thirty-four (34) years  
17 old, the decision is to replace it. And for each  
18 asset in the system, this timing would be different,  
19 because each asset has a different condition and has a  
20 different impact of failure.

21                       If we go to the next slide, I'm just  
22 showing different options, how to intervene with the  
23 asset. So let's take their buried underground cable  
24 as an example. Their buried underground cable is a  
25 cable that runs beneath the earth without any duct

1 around it. So basically if the asset fails, somebody  
2 has to go there, dig it up, splice the cable because  
3 there is no duct around, so you just -- you splice the  
4 cable and you re -- you restore the power. So that's  
5 one (1) option for the cable. Just to -- let's wait  
6 until it fails, and then we dig it up, splice it, and  
7 the restoration is done. And usually it may take up  
8 to ten (10), twelve (12) hours to restore the power.

9                         The next intervention could be cable  
10 injection. So we are not replacing this cable, but we  
11 rather inject -- if the cable is injectable, we would  
12 rather inject a specific fluid in the cable to prolong  
13 the life of the asset for another twenty (20) years.  
14 It doesn't make it perfect. You still have a chance  
15 to fail, and higher chance than the new cable, but  
16 that's another option that could be economically  
17 viable for this cable.

18                         The third option is, let's replace the  
19 cable with a new one, and with a new standard. Let's  
20 put the duct around this cable. And when the cable is  
21 in duct it's easier to replace in the way that if it  
22 fails you would just pull the cable and bring in a new  
23 cable in.

24                         So those three (3) options have to be  
25 analyzed for -- for any cable seg -- segment to ensure

1 that the most optimal option is being chosen. This  
2 example is underground cable, but any asset has this  
3 different type of options.

4 On the next slides, that's kind of an  
5 example of the -- of the assessment. So if you look  
6 at the right side of the slide, we can see that the --  
7 that the blue bar that shows number of assets. And  
8 again, not related to Manitoba Hydro at all. It's'  
9 not Manitoba Hydro's data. So it's just one (1)  
10 example of the utility that we worked with.

11 So it shows the backlog of assets that  
12 if all of them have gone through this life cycle  
13 analysis, it shows those assets most likely for the --  
14 to bring the best value to the customer should have  
15 been had -- should have had been replaced earlier than  
16 right now. So this backlog should be mitigated in a  
17 way in the next few years, ten (10) years maybe to  
18 ensure that the system is brought back to the -- to  
19 the balance.

20 The red bar here shows the historical  
21 replacements that the utility has made, so we can see  
22 that for some assets the historical replacements were  
23 pretty low compared to the backlog. And the green  
24 bar, is the planned future replacements to ensure that  
25 the backlog is being mitigated. Some assets could

1 have a -- have a backlog. Some assets actually may  
2 not have a backlog.

3                           And this calculation is being made on  
4 the -- if you look at the left graph is being made on  
5 the decision, what's -- what's the best timing and the  
6 best intervention option for the asset to ensure that  
7 the total cost of ownership of this asset is being  
8 brought down. So we can see the existing amount and  
9 that -- that's a higher chart -- bar chart and the new  
10 one (1), if intervention is being done -- done at the  
11 right time, we can actually bring the total cost of  
12 ownership of the system down.

13                           And the last slide on the -- on the  
14 asset management principles. So using this technique  
15 life cycle costs -- calculations and total cost of  
16 ownership, is just an example of one (1) of the  
17 project that has -- so I think this was done -- so  
18 let's say there is a feeder in downtown area of the --  
19 of the city that is more or less in bad condition and  
20 it doesn't have too many protections. So if any asset  
21 fails on this feeder, what happens that the customer  
22 will lost power for a long period of time because  
23 there is no other routes to resupply those customers  
24 on this feeder.

25                           So the question that they had to answer

1 was: What's the best option, right? Leave it as it  
2 is, wait until the asset fails, and just replace it as  
3 they fail. So no reconfiguration, just wait for the  
4 future, right? So if cable fails or a specific  
5 segment on this feeder fails, let's splice it. If  
6 transformer fails, let's splice it and go on and on.

7                   And we can say that for this option,  
8 which is option number 1, status quo, the risk is  
9 rising. Not significantly, not abruptly, but slowly  
10 is rising in the future. So -- and we can try to  
11 calculate those cost -- cost streams for the next one  
12 hundred (100) years, two hundred (200) years,  
13 discounted back to the present time and discern what's  
14 the cost of ownership for this option.

15                  The next option, which is option 2, was  
16 let's try to install some protection devices on the  
17 feeder. So meaning if they -- if they some asset on  
18 the feeder fails, we can actually isolate this asset  
19 and restore the rest of the customers on the feeder.  
20 So a little bit better design of the feeder, right?  
21 So none sig -- no significant investments in the  
22 beginning, and we can see this higher bar chart in the  
23 beginning.

24                  However, let's wait for another, in  
25 this case, ten (10) years and all we have -- so do

1 better protection now, let's wait for another ten (10)  
2 years and then maybe do a full replacement of the  
3 feeder on the year 10. Actually ran not just year ten  
4 (10), so what if you replace the full feeder in year  
5 20, in year 15, so different options.

6 And option 3 is still let's rebuild  
7 this feeder right now, with a better design, with the  
8 better protection, and we can see that it -- it is a  
9 significant cost in the beginning, this green bar.  
10 But very low risk costs in the future. So -- and the  
11 question is: What's the best option? Whether just go  
12 with the status quo, or whether we just do some  
13 alternative solution right now, a quick fix, wait for  
14 another ten (10) years, and extend or delay the  
15 significant investments for another ten (10) years.

16 Or just do a full investment right now. Same issue  
17 with different alternatives to think what's the best.

18 In this case, the best was option 2,  
19 but different circumstances can derive different  
20 signals.

21 DR. BYRON WILLIAMS: Mr. Chair, just  
22 before we -- we move on to the next section, which  
23 will -- in terms of a break for the Board, I think  
24 we're right on schedule with recognizing that we put  
25 in a bit more time on qualifications. Would --would

1 the Board -- I -- I think we'll be -- we'll certainly  
2 be done before 11:00, but is the Board looking for a  
3 break at 10:30, or what would be your guidance, sir?

4 THE CHAIRPERSON: I'd -- I'd suggest  
5 sometime between 10:15 and 10:30, but just at a  
6 natural break spot.

7 DR. BYRON WILLIAMS: Thank you.

8 THE CHAIRPERSON: We won't be driven  
9 by the time. We'll be driven by the presentation.

10 DR. BYRON WILLIAMS: Okay. Thank you.

11 MR. BRENT CZARNECKI: Mr. Chair, it's  
12 Brent Czarnecki. I'm the lawyer for Hydro -- for  
13 METSCO. I didn't want to introduce myself at this  
14 juncture of the hearing in this way, but I feel  
15 compelled to do so. Slides 7 to 19, I just note for  
16 the record, are entirely new slides. They are not  
17 contained in any of the evidence of METSCO as far as  
18 I've seen and looked at.

19 Now, perhaps I would -- and I do  
20 appreciate Mr. (sic) Bakulev's genuine interest here  
21 to educate the Board in terms of providing a refresher  
22 on asset management policies and general -- general  
23 principles, which probably saves me from what I would  
24 otherwise ask you to do, to say to strike these slides  
25 but I'm not going to do so.

1                   I would just request that you weigh  
2 them accordingly in your decision-making because  
3 obviously I'm at the disadvantage having seen this  
4 report yesterday for the first time to come up with  
5 any meaningful cross or subject IRs on this matter,  
6 but it's more or less a procedural issue. So we'll  
7 let it proceed, but I just wanted to make that note  
8 clear for the record that this is brand-new  
9 information.

10                  DR. BYRON WILLIAMS: Our -- our  
11 clients would disagree with that strenuously, and  
12 simply note figure 1 of this -- of this evidence at  
13 page 11 introduces these concepts. There's a lot of -  
14 - there's a good discussion in the report, and there's  
15 also an extensive rel -- linking to good practice  
16 documents from all sorts of jurisdictions. So -- so  
17 our client -- we appreciate the comments by -- by  
18 Manitoba Hydro, but we -- we don't agree with their  
19 conclusions.

20                  THE CHAIRPERSON: Well, the ques --  
21 sorry. The question I had is whether these are just  
22 used as an examples, or these are Manitoba Hydro  
23 numbers?

24                  DR. BYRON WILLIAMS: And I should have  
25 made that clear. These are examples.

1                   THE CHAIRPERSON: Well, if they're  
2 examples and just as background information, I mean,  
3 we'll -- we'll take it for that, not in relation to  
4 this as any -- any reflection on what Manitoba Hydro  
5 is actually doing, just simply here's the sort of  
6 factors you look at. That -- I -- I assumed these  
7 were just simply examples and -- and nothing, you  
8 know, --

9                   DR. BYRON WILLIAMS: Exactly. And --  
10 and --

11                  THE CHAIRPERSON: -- it from an  
12 analysis of what Manitoba does.

13                  DR. BYRON WILLIAMS: Exactly, but it's  
14 also -- it -- it is these principles that are being  
15 applied --

16                  THE CHAIRPERSON: Correct. Yeah. No,  
17 I understand that.

18                  DR. BYRON WILLIAMS: -- in the rest.  
19 And we appreciate that.

20                  THE CHAIRPERSON: Okay.

21                  MR. BRENT CZARNECKI: And, Mr. Chair,  
22 just to be clear, I don't think that Hydro takes any  
23 issue with the general examples. And I think Mr.  
24 Wortley's testimony is consistent with these types of  
25 principles, but...

1                   THE CHAIRPERSON:   Thank you.

2                   THE VICE-CHAIRPERSON:   So I just have  
3 one (1) question before we move on.  So, Mr. Bakulev,  
4 on this slide 19.  I believe I heard you say that  
5 option 2 is the best option out of these three (3).

6                   Is that based on cost, or would that be  
7 based on the number of factors that you spoke of  
8 before in previous slides?

9                   DR. ALEX BAKULEV:   So this slide, when  
10 I say option 2, it was related to the specific work  
11 that we did.  It -- and in other circumstances there  
12 could be different alternatives.  It could option 1 or  
13 option 3.  But in the specific work that we did then  
14 that's -- that's example of this work.  So the costs  
15 that -- that we included in this calculation were the  
16 -- the cost streams for the next one hundred (100)  
17 years.  And those cost streams included the financial  
18 costs to replace the infrastructure.  It included cost  
19 to maintain the infrastructure.  And it included the  
20 risk costs that I talked about in terms of the  
21 customer interruption costs, safety costs,  
22 environmental costs, and financial costs associated  
23 with the failure of the assets.

24                  THE CHAIRPERSON:   Okay.  Please  
25 proceed.

1 MR. DMITRY BALASHOV: Thank you, Mr.  
2 Chair. So as Dr. Bakulev has walked us through what  
3 is essentially an asset management process that shows  
4 how the different types of quantitative evidence put  
5 together can lead to a meaningful evaluation of  
6 various planning options on the basis of particular  
7 asset class or the entire program. And so this was  
8 essentially the main vein of analysis in which we have  
9 approached Manitoba Hydro's evidence.

10 And as we move to the next slide, just  
11 for context, as we started, having not done any work  
12 in Manitoba for quite some time, we tried to position  
13 ourselves to contextualize the -- the subject matter  
14 that was asked for us to provide the testimony. And  
15 really the sustainment capital and what you see here  
16 is a pie chart based on the 2017 plan in particular,  
17 just shown as an example. The sustainment is a fairly  
18 small cost driver in relative terms to Manitoba  
19 Hydro's application, about 10 percent.

However, given the fact that sustainment capital is what really determines and drives the performance of the system that the customer's experience on a daily basis, it is a very important one (1). And given the fact that it -- it -- represents only 10 percent is a function of

1 large greenfield projects that Manitoba Hydro is  
2 undertaking. There's obviously limitations in terms  
3 of the relative dollar allocation they could put in  
4 there.

5                   And the point here is that that means  
6 that the optimal regular needs to be put into deciding  
7 the manner of intervention, the timing of  
8 intervention, the types of assets that are being  
9 intervened upon in this way. And, whereas, greenfield  
10 work, such as new generation and transmission projects  
11 that comprise the bulk of the ask for funding, there  
12 is generally a higher tolerance for unpredictable  
13 events that could potentially change forecasts.

14                  The utilities, as a rule, do  
15 sustainment work on a constant regular annual basis,  
16 and as such, we would expect them to have a better  
17 command and control in terms of the things that --  
18 that they do. So that was just our orientation for  
19 how we went to -- a little too far? Too close? Okay.  
20 I'm -- I'm being eager. I apologize. Is that good?  
21 Wonderful.

22                  So our starting point as we looked at  
23 the evidence was other external work that has been  
24 done in recent past that related to asset management.  
25 We did not want to duplicate the work that we had done

1 that -- that was done before us. And so the Boston  
2 Consulting Group reports relating to the Keeyask and  
3 the Bipole, as well as the UMS study of asset  
4 management maturities were good starting points for us  
5 to look at the current status of Manitoba Hydro's  
6 asset management with relation to sustainment of  
7 capital, in particular, and -- and more generally.

8                   And so what you see in front of you on  
9 the screen is a -- is essent -- is essentially a take  
10 away, a graphic from the UMS report. And I believe  
11 this panel has heard quite a bit about the UMS report  
12 and the fact that they have ranked Manitoba Hydro as  
13 one and a half (1 1/2) on a scale of zero to four (4),  
14 so one and a half (1 1/2) out of five (5) potential,  
15 which indicates less than maturity by quite a bit.  
16 But as UMS had stated it compares quite favourably to  
17 a lot of other Canadian utilities.

18                   And as we read the UMS report we  
19 realized that this was largely a function -- and  
20 there's -- there's a quote on the screen of the new  
21 initiative that Manitoba Hydro has currently  
22 implemented: the capital investment optimization  
23 tool, the Copperleaf, the asset health indices,  
24 reliability centred maintenance, and things like that.

25                   And so what we set out to do is, among

1 other things that we'll talk about as we move to the  
2 next slide, we set out to explore whether and how  
3 these tools that particularly led to this assessment  
4 were reflected in the plan that was presented to the  
5 PUB for their evaluation.

6 DR. BYRON WILLIAMS: Could we go just  
7 back to slide 22 for a second.

8 MR. DMITRY BALASHOV: Sure.

9 DR. BYRON WILLIAMS: Can you situate  
10 for us where Manitoba Hydro is? Are -- are they the  
11 star?

12 MR. DMITRY BALASHOV: I -- I -- that  
13 is -- that is correct. Hydro current state. So right  
14 between one (1) and two (2), at about one and a half  
15 (1 1/2).

16 DR. BYRON WILLIAMS: Okay. And  
17 SaskPower is a bit to their left on that?

18 MR. DMITRY BALASHOV: That's correct.

19 DR. BYRON WILLIAMS: And if we look to  
20 the right under "competent," you would see BC Hydro,  
21 for example, and Hydro One kind of on the border?

22 MR. DMITRY BALASHOV: That is correct.

23 DR. BYRON WILLIAMS: Okay. Thank you.

24 MR. DMITRY BALASHOV: All right. So  
25 looking forward, having been --

1                   THE CHAIRPERSON: Sorry to interrupt  
2 for a second.

3                   MR. DMITRY BALASHOV: Yes.

4                   THE CHAIRPERSON: Where would -- I'm  
5 just looking. Where would Quebec Hydro be in this?

6                   MR. DMITRY BALASHOV: I'm not sure  
7 that were in a position to answer this question, given  
8 that this is the UMS assessment, based on their  
9 criteria. We -- we've put it in there just as a -- as  
10 a backgrounder for -- for ourselves as we looked at  
11 it. It's a framework that is used fairly extensively,  
12 and they -- they have done and refined it over the  
13 years. So they're a very reputable consultant but  
14 we're not in a position to say where anyone would  
15 fall.

16                  THE CHAIRPERSON: Yeah. Thank you.

17                  MR. DMITRY BALASHOV: So moving  
18 forward to the next slide. We've asked seventy-four  
19 (74) discrete IRs made up of a number of separate sub-  
20 point numbering probably in several hundred. And  
21 having been engaged as a technical expert, what we  
22 were really hoping to see is an ability to validate  
23 the technical underpinnings that the applicant has  
24 claimed that underlie all of the sustainment work that  
25 they've put on -- on record in the plans.

1                   So we've asked for spreadsheets,  
2 failure curves, diagrams, and other types of  
3 quantitative information, in addition to access and/or  
4 clarifications of various reports or functions within  
5 Manitoba Hydro that have been disclosed either in pre-  
6 filed information or elsewhere on the record.

7                   And finally, as -- as mentioned  
8 already, we were hoping to see whether and how the  
9 recommendations or the findings of UMS and BCG in  
10 particular have been incorporated in whether there has  
11 been any -- any improvement, any further advancement  
12 on those.

13                  And moving to what we have observed on  
14 the basis of information that has been prov --  
15 provided to us. The key inference is on the record.  
16 So the first area that we'll speak to, and we tried to  
17 break them down into several components, is the data  
18 collection and utilization practice. So as Mr.  
19 Bakulev has spoken to it, so just going to the next  
20 light. Thank you. In 26, obviously, prudent and  
21 consistent asset management is grounded in good data  
22 governance, good data collection, and utilization.

23                  Given that utilities normally and  
24 increasingly associates budgetary constraints as  
25 things start to age and fail, we were trying to look

1 for, you know, the -- the areas that Mr. Bakulev spoke  
2 to is condition, health in other words, as well as the  
3 risk data. So looking for condition data  
4 availability, we do commend Manitoba Hydro for taking  
5 significant steps in the last couple of years, as  
6 evidenced even by the information that has been  
7 supplanted and supplemented through this proceeding in  
8 the form of various Kinectrics reports that have  
9 enhanced the health index availability data that they  
10 have had on hand now.

11 However, there is -- there are still  
12 substantial gaps in terms of the information related  
13 to Manitoba Hydro's specific failure curves, for  
14 example, or in terms of health index of the twenty-  
15 three (23) core distribution asset classes. There was  
16 about nine (9) that had only 50 percent of what  
17 Kinectrics in their reports refers to as "average data  
18 availability index." So basically how much actual  
19 health data do we have to base our conclusions about  
20 the asset class's health on.

21 And another seven (7) had no actual  
22 condition based data from Manitoba Hydro's field. And  
23 to us this was concerning for a number of reasons,  
24 specifically with such classic losses under --  
25 underground. High-voltage oilfield cables, for

1 example, were -- there was effectively no condition  
2 data available. Duct line and overhead switches were  
3 others where there was very limited.

4 And so to us, this is an indication of  
5 a potential limiting factor in terms of the ability  
6 for the utility to claim that health index and asset  
7 condition was taken into account in a significant way  
8 when it came to preparing this plan. And we heard in  
9 reviewing the transcript that Manitoba Hydro witnesses  
10 have argued that in a lot of cases where the data is  
11 missing, it's the assets that they replaced reactively  
12 as they fail, because they're cheaper.

13 And we don't necessarily agree with  
14 that, respectfully, partially because when it comes to  
15 the context of planning and approving the plan, having  
16 the actual condition data allows a higher precision in  
17 terms of how many things are expected to fail. So not  
18 having this information challenges the -- the rigour  
19 of the plan at hand.

20 So moving to the next slide, speaking a  
21 little bit more about the practice through which  
22 health and condition of assets is actually collected,  
23 which is largely through various maintenance  
24 activities being inspection, being various minor work  
25 that is actually done on the assets, like insulator

1   washing and things of that nature. It's really a key  
2   element of sustainment planning, because this is how  
3   the utility gets the information that it needs to then  
4   assess the health of the data.

5                         And on the record Manitoba Hydro, as  
6   part of responses to some of our IRs, has put some  
7   documents that are essentially internal reports  
8   written by Manitoba Hydro staff that note quite a few  
9   significant gaps in terms of how maintenance practices  
10   vary across the company between the various business  
11   groups, or even within the same business group. I  
12   believe the specific report that I'm reference to  
13   spoke of different ways that generation projects south  
14   versus generation project north categorizes, labels,  
15   and collects data identifying a number of other  
16   practices that needed substantial improvement based on  
17   their language.

18                         That said, there -- there has also been  
19   examples of good maintenance practices, such as, for  
20   example, the pole maintenance reference materials that  
21   have been failed and others. But generally speaking,  
22   to us, absent clear and consistent maintenance  
23   execution work of which we saw some evidence through  
24   these internal reports that are fairly recent, it is  
25   difficult for us to see the quality and completeness

1 of data available as something that could present a  
2 consistent and compelling way to really have a  
3 consistent way of what is the condition of the plant  
4 all across.

5                   And we completely understand that the  
6 introduction of new tools and processes of which  
7 Manitoba Hydro spoken about take significant time. A  
8 core activity like maintenance is something that a  
9 utility of Manitoba Hydro's maturity, size, and  
10 sophistication should perhaps have a slightly better  
11 handle on than some of this information indicated.

12                  So moving forward and sticking to  
13 maintenance and talking about advanced maintenance  
14 analytics, in the UMS reports we note that the  
15 consultant had talked about the fact that Manitoba  
16 Hydro does not necessarily have a very good grasp on  
17 the financial trade-offs between the value of doing  
18 capital work versus maintenance work. Like, for  
19 example, as a utility replaces an aging piece of  
20 equipment they could expect over time to realize some  
21 financial maintenance savings when it comes to  
22 reactive work that happens if the newer asset fails,  
23 which is a lower probability obviously.

24                  UMS noted that Manitoba Hydro hasn't  
25 done a lot of quantification work. We've explored

1 that through IRs a little bit and essentially received  
2 the same answer, that this is still something that  
3 they are to look to in the future. But also Manitoba  
4 Hydro noted that largely given the fact that the  
5 volumes of replacements are fairly small, they perhaps  
6 did not necessarily see -- see substantial value of  
7 doing so, as we understood their response anyway.

8                   Similarly, the reliability centred  
9 maintenance, which was one (1) of the -- as you'll  
10 recall from the previous slide one (1) of the specific  
11 items that UMS had put behind their higher ranking,  
12 it's -- it's a fairly advanced practice that has been  
13 around for quite a while. In fact, Manitoba Hydro  
14 evaluated it back in 2001 and found a significantly  
15 positive net present value for implementing it.

16                  We've explored the degree and the  
17 extent to which savings have been realized, or the  
18 extent to which it's being deployed. And we -- we saw  
19 some gaps. For example, the applicant has responded  
20 to one (1) of the IRs saying it is not being deployed  
21 on the distribution system, despite there being in  
22 2001 a business case that quantified the value for  
23 distribution and transmission as being quite positive.  
24 And this is something Manitoba Hydro has disputed  
25 through their rebuttal evidence, but it appears to

1 contradict this particular IR where they had  
2 previously noted that there was really no distribution  
3 RCM work being done.

4 So moving on to the next slide, and  
5 this relates once again to asset condition, and  
6 whether the fact that as Manitoba Hydro advance its  
7 data gathering capabilities and -- and the data that  
8 it has on hand for its analysis, it is moving from  
9 what they used in preparation of this plan, among  
10 other inputs, which is the failure curves of assets,  
11 which essentially is a relationship between an asset's  
12 age and its probability to fail over time. So  
13 obviously, as it ages, there is -- there is a higher  
14 probability based on some other conditions.

15 And so in the past, with -- with a few  
16 exceptions of several asset classes, Manitoba Hydro  
17 largely relied on the industry curves derived --  
18 provided to them by Kinectrics from other utilities.  
19 And most recently the July 20 of 2017 Kinectrics  
20 report that was put on record later in the proceeding  
21 has actually compared some of those industry based  
22 curves to Manitoba Hydro assets as this data became  
23 available.

24 And with respect to seven (7) asset  
25 classes that you see in front of you -- this is

1 basically a table that we have gathered from that  
2 newer Kinectrics report -- it suggests that Manitoba  
3 Hydro assets tend to live much longer, or longer, or  
4 kind of like on -- on the outer edge of length than --  
5 than the industry curves that have -- have been used  
6 before.

7 So to the extent that the industry  
8 derived curves have been an input into Manitoba  
9 Hydro's asset management plans for sustainment  
10 purposes, it may have led to understate the duration  
11 of time that Manitoba Hydro's assets tend to live on  
12 average. So thinking that they -- they fail a little  
13 sooner, to the extent that this was an input, as has  
14 been indicated.

15 DR. BYRON WILLIAMS: Before you leave  
16 this slide, would this July 20th, 2017, Kinectrics  
17 study have been available for the purposes of the  
18 capital expenditure forecast 16?

19 MR. DMITRY BALASHOV: Given the date  
20 of when it's published, I -- I don't think so. I  
21 think it was a brand-new study that was helpfully  
22 provided by Manitoba Hydro right at the time of the  
23 IRs.

24 DR. BYRON WILLIAMS: Thank you.

25 MR. DMITRY BALASHOV: So moving to

1 slide 30, just to essentially conclude this section.  
2 We've already noted that, you know, as recently as in  
3 the oral hearing, the applicant has stated that  
4 sustainment plans are ground both in risk condition  
5 and analysis work presented by Manitoba Hydro. And  
6 what we have tried to do throughout the proceeding is  
7 really request this -- this quantitative data to do  
8 two (2) things. To validate the methodologies that  
9 Manitoba Hydro has employed, and also to verify the  
10 types of computations that they have underlined.

11                   And in most cases we have not been able  
12 to receive any responses. Manitoba Hydro has either  
13 stated that the spreadsheet software, like Excel, was  
14 -- was not being used for this analysis or that  
15 information was unavailable. So it was very little in  
16 terms of this rigorous quantitative work that we were  
17 hoping to -- to help this Board understand.

18                   However, the -- we -- we did establish  
19 that the -- for example, when it comes to asset health  
20 risk acceptance Manitoba Hydro does not currently  
21 employ defined quantitative thresholds. And  
22 generally, when Manitoba Hydro, in our experience, has  
23 -- has responded to questions for specific  
24 information, quite often they -- what it had invoked  
25 in its answers was the technical expertise of its

1 staff that are located throughout the province and  
2 really know the system.

3                         And by no means are we questioning that  
4 expertise, or wish to come off as such. However, the  
5 problem is one (1), the utility is providing a plan  
6 that consists of three (3) subsystems: generation,  
7 transmission, and distribution, and discrete assets  
8 located throughout the province. The lack of  
9 consistent and quantitatively verifiable evidentiary  
10 basis, it's -- it's something that makes it a little  
11 difficult to confirm the -- the rigour and the  
12 consistency of analysis and assumptions that went into  
13 it.

14                         So the plan, as Mr. Bakulev has  
15 described, has to be more than a sum of individual sub  
16 plants that come together and are tabled together in  
17 the same presentation or application.

18                         DR. BYRON WILLIAMS: This might be a  
19 convenient --

20                         MR. DMITRY BALASHOV: Shall we take --  
21 take a break? Sure.

22                         DR. BYRON WILLIAMS: -- point, subject  
23 to the Board's direction to take a break.

24                         THE CHAIRPERSON: We'll take a break  
25 for fifteen (15) minutes. Thank you.

1 --- Upon recessing at 10:18 a.m.

2 --- Upon resuming at 10:35 a.m.

3

4 THE CHAIRPERSON: Please continue.

5

6 MR. DMITRY BALASHOV: Thank you. So  
7 to pick up on slide 31, the next issue area that we're  
8 going to address is the progress of the corporate  
9 asset management initiatives, which again as we've  
10 noted, formed the basis of UMS's ranking and I have  
11 been described in a fair amount of detail by Manitoba  
12 Hydro on its -- in its -- throughout its evidence, so.

I'm sure this -- this Panel has heard enough about the capital portfolio management program and the enterprise asset management initiatives, the corporate value framework. So, all of these are fantastic initiatives for which we commend Manitoba Hydro for pursuing and -- and kicking off.

1 applicant has referred to as the real gauge of their  
2 progress for this initiative, it's still something  
3 that remains to be developed. And to us, absence this  
4 roadmap -- it's difficult for us to see that -- that  
5 project, in particular, being meaningfully underway  
6 and that is, notwithstanding the fact that there is --  
7 there's been progress on other things like the  
8 completion of the enterprise asset management for the  
9 generation unit work that I believe has been mentioned  
10 in the oral hearing, among a few others.

11                   But until the -- the roadmap and -- and  
12 -- and other major quantitative aspects of this  
13 initiatives are -- are put in place, it's -- it's  
14 difficult to -- for -- for the Board in -- in our  
15 opinion to see whether and how the Manitoba Hydro's  
16 proceeding towards these.

17                   And speaking of quantification, the one  
18 (1) issue that we certainly flagged is the fact that  
19 the value proposition of a lot of these major  
20 initiatives remains unquantified. And when we asked  
21 Manitoba Hydro as to why that is the case, we have  
22 been told that these are largely corporate priorities  
23 and as such do not necessarily need to be quantified.  
24 And while that may very well be the case, the issue  
25 with that is that it makes it a lot more difficult to

1 gauge the progress and/or the success of these  
2 initiatives inter -- internally corporately for  
3 Manitoba Hydro or for -- for this Panel in this or  
4 the future hearings.

5 So generally speaking, just to  
6 conclude, we have also established that by and large  
7 all of these new initiatives have not been reflected  
8 in -- in the CF16, which is the plan that is before  
9 the Board for approval in this hearing.

10 Moving to the next slide to speak a  
11 little bit about how -- what -- what -- what are kind  
12 of the mechanics, the nuts and bolts of -- of these  
13 asset management initiatives. A lot of them have to  
14 do with IT capabilities. And while we've seen some  
15 evidence of new capabilities being deployed, for  
16 example, the Copperleaf, the C55, the implementation  
17 is proceeding. Some of the technical reports  
18 associated with implementation that Manitoba Hydro has  
19 put on record would suggest that's it is yet to  
20 meaningfully leverage these capabilities that are  
21 already in the rate base and that have been  
22 implemented.

23 So, for example, you will see a quote  
24 in front of yourself saying that the investment  
25 decision optimization part of the C55 framework is not

1 -- you know, will -- will require data process and  
2 refinement, which are future steps. So our  
3 understanding of how CopperLeaf technology works and  
4 that's something that we've dealt with in other  
5 jurisdictions is that it's -- it's effectively an  
6 investment optimization function. And if -- if the  
7 inven -- investment optimization functionality is not  
8 enabled, it is difficult for us to see the value that  
9 the applicant currently derives.

10                   Moving on, the Meridian generation  
11 performance management -- sorry, we're still on the  
12 same slide actually -- is something Manitoba Hydro has  
13 implemented for the purposes of tracking how the  
14 generation business, in particular, is doing on the  
15 basis of various quantitative metrics. And the  
16 reports associated with it also indicate that things  
17 like RCM, again, the reliability centre of maintenance  
18 that we talked about a little bit earlier, and other  
19 modules still remain to be activated.

20                   And for clarity, METSCO fully  
21 understands and endorses the fact that implementation  
22 of new corporate IT management initiatives is a  
23 significant change management activity that takes a  
24 lot of time, however, what I think -- what we think,  
25 rather, would -- would -- would be useful perhaps for

1 the Board is to monitor in future proceedings or  
2 further in this proceeding, whether and how these  
3 tools are actually being used to showcase how they're  
4 providing value, because the implementation of the IT  
5 tools in themselves is -- is the relatively easy part  
6 of asset management improvements, is whether and how  
7 they're actually being utilized consistently and  
8 across is -- is the difficult part.

9                   So moving on to speak a little bit more  
10 about the C55, the Copperleaf tool. We do commend  
11 that this is the approach that Manitoba Hydro has  
12 taken in terms of prioritizing its assets management  
13 system and how they're going to decide between the  
14 various types of investments on the basis of a number  
15 of various criteria that are all quantified.

16                  We note that CF16 as Manitoba Hydro has  
17 noted has not benefited from -- from this framework,  
18 and we want to talk about two (2) specific aspects of  
19 it; one that we very much endorse and this is the  
20 customer interruption costs, which Dr. Bakulev spoke  
21 to to some degree, right. So, what are -- what is the  
22 impact of outages on customers' economic welfare,  
23 depending on the length, depending on their  
24 occurrences and things like that. So, we think it's  
25 terrific that Manitoba Hydro is incorporating this

1 into their process.

2                   There is a bit of an issue which is not  
3 uncommon to other Utilities is that a lot of the  
4 quantitative data backing up the customer interruption  
5 costs is quite dated, and most of the studies are from  
6 before year 2000 and only two (2) of them out of ten  
7 (10) that are used are sort of from the geographic  
8 area of the United States that is geographically and  
9 economically similar to Manitoba; basically just south  
10 of the border, most of them are from either the east  
11 coast or the west coast of the United States.

12                  So we understand that CIC's are quite  
13 costly studies because they involve especially with  
14 residential customers brought queries and a lot of  
15 work. So, to the extent possible, we would encourage  
16 Manitoba Hydro to explore possibilities of doing them  
17 jointly with other Utilities, members of the CA and so  
18 on, as may be available just to bring it a little bit  
19 more current and relevant to Manitoba Hydro.

20                  One (1) area where we do -- do see a  
21 shortfall that we explored through interrogatories is  
22 the fact that the corporal -- corporate value  
23 framework, as currently designed, does not  
24 specifically have a decision category related to  
25 customer rate impact. So more so acceptance of what

1 customers may see as -- as an acceptable rate impact  
2 economically. So, Manitoba Hydro argues that the sole  
3 purpose of the tool is to effectively minimize the  
4 total cost of the plan, or optimize it so as such it -  
5 - in -- essentially incorporates this but to us this -  
6 - there's -- there's a bit of a difference between  
7 looking at it intrinsically versus extrinsically.

8                   And, essentially, we understand that  
9 there are circumstances when a Utility needs to go  
10 above what may be seen as acceptable, but what  
11 integrating this particular element into the framework  
12 would do is at least create another quantifiable  
13 threshold beyond which the Utility would have to  
14 explain and even have an easier time to explain --  
15 explain the value of the investments that they're  
16 putting on for customer welfare.

17                   So this is something that is common in  
18 other jurisdictions that we work in, Ontario for  
19 example, but this -- this -- this was something that  
20 stood out to us when it came to the corporate value  
21 framework as it is being developed.

22                   Moving on to the next slide --

23                   THE CHAIRPERSON:   Excuse me, can I --  
24 can I ask you a couple questions on this screen.

25                   MR. DMITRY BALASHOV:   Absolutely.

1                   THE CHAIRPERSON: Your third bullet  
2 you refer to:

3                   "The quantification of interruption  
4                   costs are not optimally positioned  
5                   to reflect the preferences of  
6                   Manitoba's residences -- residences  
7                   as businesses."

8                   MR. DMITRY BALASHOV: That is a typo  
9 hold. We apologize. It should be "residents and  
10 businesses."

11                  THE CHAIRPERSON: And businesses,  
12 okay, thank you. I was just wondering --

13                  MR. DMITRY BALASHOV: That is -- that  
14 is entirely on us.

15                  THE CHAIRPERSON: No, that's fine.  
16 That's fine. The other thing is this customer rate  
17 impact that you -- of which you just spoke and you  
18 said they have it in Ontario.

19                  Can -- can you go into it, you know  
20 what sort of, for example, what sort of questions  
21 would you ask to try and -- to get -- try and solicit  
22 the information?

23                  MR. DMITRY BALASHOV: Sure. So -- so  
24 there are many different ways of looking at it.  
25 Typically, it comes -- comes down to acceptance and

1 engagement of customer. So it's the variety of  
2 customer engagement initiatives that, you know, would  
3 either put different scenarios as Utilities,  
4 especially the larger utilities in Ontario, are  
5 required to do a fair bit of customer engagement  
6 initiatives that go in support of their distribution  
7 or transmission system plans, where they're either  
8 presented with various scenarios that say -- say, this  
9 is the dollar impact of what we're proposing. This is  
10 an alternative A and alternative B and these are the  
11 costs associated with them.

12 And then there is a variety of one --  
13 essentially, survey type questions that -- that look  
14 at this, right. So, there's many different ways to --  
15 to put this, but to us, this is something that is a  
16 little separate just from looking at the efficiency  
17 and also trying to establish an external constraint.

18 And by no means is this a heart cap or  
19 anything like that. All it does is just brings in the  
20 thinking from the broad economic environment more  
21 directly to what are the considerations that drive the  
22 utility planning.

23 THE CHAIRPERSON: And would I be  
24 correct that the way you approach it may vary  
25 depending on the Utility?

1                   MR. DMITRY BALASHOV:    Absolutely.

2                   THE CHAIRPERSON:    Okay. So would the  
3 question -- would one of the areas in Ontario for this  
4 talk about time of use?

5                   MR. DMITRY BALASHOV:    Generally  
6 speaking, I think it could be, but I will honestly  
7 tell you that this is a little bit out of my area of  
8 expertise, in particular, both the surveys and the  
9 time of use.

10                  THE CHAIRPERSON:    Okay, thank you.

11                  MR. DMITRY BALASHOV:    Wonderful. So,  
12 to continue on slide 35. Responding to continued  
13 implementation and put -- of -- of the corporate asset  
14 management initiatives. Manitoba Hydro has noted that  
15 they've also put in place some interim governance  
16 tools to review and approve the investments that are  
17 being proposed and one of them was the corporates AM  
18 executive council, AM being asset management, that is  
19 effectively tasked with reviewing and approving all of  
20 the projects costing over 15 million and investment  
21 portfolios of all individual operating groups.

22                  And we do see that as potentially an  
23 effective way of doing things in the interim, however,  
24 that usually works well when a Utility has consistent  
25 terms of reference in terms of what are the underlying

1 data inputs for the purposes of the analysis that  
2 underlies the investment in front of them.

3                   When we see the variability that we've  
4 seen, for example, through the maintenance records,  
5 and lacked -- lack of consistent health index, it  
6 become -- it could potentially become actually a  
7 bottleneck if every time the corporate counsel would  
8 have to dig in to figure out exactly what the  
9 assumptions that have been used. So, to us, it could  
10 potentially be a bit of a danger so -- but we  
11 understand that this is an interim tool, that's that.

12                  Manitoba Hydro also noted in the IRs  
13 that they've established a strategic business  
14 integration division to address some areas of  
15 duplication, functionally, between various  
16 organizations involved in asset management planning,  
17 which was something that UMS group, for example, noted  
18 very clearly. We tried to establish what the mandate  
19 or the deliverables of that group have been. Manitoba  
20 Hydro has argued that this was out of scope of the  
21 current proceeding. So we did not pursue that issue  
22 even further, but I think it would probably be of  
23 interest to the Board in the future proceedings to see  
24 how this go -- goes forward.

25                  One (1) thing that we found somewhat

1 concerning is the fact that as of September 2017 when  
2 we were asking IRs, Manitoba Hydro was yet to  
3 establish the 2017 and '18 corporate dashboard typed-  
4 in targets. So the corporate key performance  
5 indicators, you know, more than midway through the  
6 year were ostensibly not -- not established. And we  
7 understand that sometimes when there's a lot of change  
8 management initiatives going on things are in flux,  
9 but it does not mean that the -- the Utility should  
10 not rate itself how -- how it's doing. In fact, it --  
11 it would probably be great if some of these KPIs  
12 reflected to -- the progress on some of these  
13 initiatives.

14 Moving on to conclude this section.

15 Through BCG and UMS work that we have referred to,

16 Manitoba Hydro has obtained substantial insights in

17 terms of some of the potential gaps and improvement

18 opportunities that they had in front of them, and we

19 wanted to explore whether and to what extent the

20 Utility is -- is utilizing these things. So we've

21 asked them a series of questions on that, one of them

22 being, what formal sort of lessons learned postmortem

23 type activities or anything like that has the Utility

24 done based on the findings related to the methodology

25 of Bipole and Keeyask approvals that had some issues,

1 that some significant findings, has Manitoba Hydro  
2 taken any steps. And the response was that they could  
3 not point to any specific lesson learned activities,  
4 but that they were, you know, always trying to  
5 improve.

6                           And, similarly, when it comes to the IR  
7 responses to the UMS recommendations, it does not  
8 appear that Manitoba Hydro has developed a formal  
9 stance on the series of, I believe, twenty (20)  
10 recommendations, nor has it requested the detailed  
11 information that underlies the assessments. So to us  
12 this -- both of these issues are potentially concern  
13 because, effectively, these are learning opportunities  
14 for which Manitoba Hydro has already paid for and, you  
15 know, this is information available and that is just  
16 something that we flagged in our report and wanted to  
17 flag in this presentation.

18                           Moving on to cost estimation and  
19 validation issues, slide 38, please. And I will spend  
20 some time on this table, just to make sure that it's  
21 entirely clear. So, what we have done is we've asked  
22 Manitoba Hydro to provide us a sample of  
23 representative projects, estimation of costs as they  
24 mature from what was filed to more detailed -- as --  
25 we left it open to Manitoba Hydro in terms of how it

1 category -- categorizes the various stages, and then  
2 finally, the actual cost of project.

3 So what Manitoba Hydro has provided is  
4 forty-nine (49) projects generation, transmission,  
5 marketing, customer service, which we understand was  
6 the name of the distribution division and HR and  
7 corporate services. And there are three (3)  
8 categories, one being, the original estimate which I  
9 guess is when -- when the project is just being  
10 prepared; the second one being completion estimate,  
11 which is when the more detailed engineering work has  
12 been done; and then the actual cost.

13 So as we were asking other questions in  
14 the area of estimation, Manitoba Hydro has noted to us  
15 that -- once -- once we found out about these three  
16 (3) stages, our natural question was: What does  
17 Manitoba Hydro put on record for the purposes of their  
18 applications? And the response was that it is usually  
19 whatever is the latest estimate available for any  
20 project.

21 So to us this was somewhat concerning,  
22 because that essentially means that there is projects  
23 of various vintages with various levels of rigour  
24 applied to it. And then we -- we sought to explore  
25 what the cost variances were. So, as you can see

1 through this table and, again, the first column -- the  
2 first column with the numbers from the left is the  
3 completion estimate versus the original estimates. So  
4 positive numbers indicate a much higher estimate --  
5 indicate higher estimate than the original estimates.  
6 So you'll see that the combined mathematical average  
7 is about 40 percent as the project matures.

Moving on to the second column to the --  
- to the right from the previous one is the actual  
cost completion. So, as -- as the projects matures,  
so obviously, the delta, the change between the  
completion estimate and the actual cost is  
significantly smaller.

14 And then we took the third column where  
15 we compared the first and the last, so the original  
16 estimate and the actual cost, showing what the  
17 differences. And effectively what this shows is that  
18 on average there is about -- approaching 50 percent  
19 difference between the original estimates and the  
20 actual cost of work. So it's actually 50 percent  
21 higher than is being assessed in the original  
22 estimates and that increases to over 100 percent if we  
23 actually weigh the sample of forty-nine (49) projects  
24 on the basis of their relative cost.

So cost reiteration is certainly to be

1 expected with Utilities and as projects mature, the  
2 precision has to become better, and does become  
3 better, but on average in a sample about this size and  
4 for clarity, this is in no way statistically validated  
5 by ourselves, we would expect to see the average  
6 variability to approach zero as some projects are  
7 overestimated some are underestimated. This does not  
8 appear to be the case in -- in this particular sample.  
9 So the averages are quite high.

10 And that is certainly a concern when it  
11 comes to the ability of this Board to hold Manitoba  
12 Hydro accountable for its project delivery costs.

13 And as we move to slide 39, while we  
14 see under estimation in terms of the cost of  
15 individual projects, we see some evidence of  
16 overestimation of the cost of in-service addition.  
17 So Manitoba Hydro in the last three (3) plans being  
18 '14/'15 through '16/'17 has overestimated its in-  
19 service additions forecasts by 11 percent within the  
20 maj -- major generation and transmission category and  
21 by over 14 -- 18 percent, pardon me, for the business  
22 operations capital projects.

23 And as we noted earlier, variability  
24 certainly a part of Utility work as conditions change,  
25 but we would expect to see more rigour with respect to

1 business operations projects which is something that  
2 is -- as more of a due course the Utility does year in  
3 and year out.

4                         And what this indicates to us is that  
5 the estimates of ISAs, in-service additions, that go  
6 into the rates are -- are higher than the actual work  
7 that the Utility can do. So on one hand we have  
8 underestimation in terms of project costs and then we  
9 have some evidence of overestimation in terms of how  
10 much work Manitoba Hydro can actually do.

11                       We haven't been able to validate what -  
12 - what the rational there is. There -- there isn't  
13 enough information available to us. We did note that  
14 during the oral hearing Manitoba Hydro spoke --  
15 Manitoba Hydro's witnesses spoke to unallocated target  
16 adjustment, which was the older planning approach that  
17 they have used to even now it's the spending profile  
18 across the year. So perhaps that could be one of the  
19 reasons, but this is entirely speculative from our  
20 perspective. Generally speaking, though, we would  
21 encouraged the PUB to explore the issue of cost  
22 estimation in -- in greater detail, including --  
23 especially the feasibility of introducing standard  
24 expectations in terms of what it sees in front of  
25 itself, so it could be comparable.

1                   Moving on to another part of the issue  
2 related to cost estimation is the fact that the  
3 evidence of such did not include any capital cost  
4 benchmarking information. And regulators in -- in  
5 many provinces use capital cost benchmark -- marking  
6 comparing the Utility's cost to itself over time or to  
7 other Utilities as a gauge of reasonableness of  
8 forecast because Utilities inherently have more  
9 information than do the regulators. It's the  
10 information asymmetry that normally exists.

11                  We did not find any capital cost  
12 benchmarking evidence ourselves, and we do note that  
13 this was not an explicit requirement. However, we  
14 think that this type of information would probably be  
15 useful operationally to the Utility as well. There  
16 is, however, OM&A cost benchmarking that Boston  
17 Consulting has performed for Manitoba Hydro that is on  
18 record. And we can draw some inferences from -- from  
19 it insofar as between 15 and 70 percent of Manitoba  
20 Hydro's capital cost based on the information that's  
21 available to us; generally made up of capitalized  
22 labour, which is a key component of OM&A spending.

23                  And, essentially, what we see there is  
24 that the generation units are quite good. If we were  
25 to extrapolate this whereas there are substantial

1 improvement opportunities within transmission and  
2 distribution unit and -- insofar as most benchmarked  
3 categories are in the fourth quartile of the sample.

4                   We tried to help the Board a little bit  
5 by looking at other publicly available benchmarking.  
6 The one that we found that was somewhat relevant is a  
7 Navigant study done for Hydro One in Ontario quite  
8 recently that looked at pole replacement costs. And  
9 we do note that based on the evidence that we have,  
10 the average of that study, which is about 700 --  
11 \$7,100 is significantly higher than the average that  
12 Manitoba Hydro has told us they use for the planning  
13 purposes in the distribution system, which is about  
14 half of, 3500 plus/minus I believe 30 percent.

15                  We do note that as -- as a helpful  
16 example. We cannot comment on comparability of those  
17 things because we do not have any insight in terms of  
18 what exactly is included and there's various costs  
19 that can be included and excluded in this thing, but  
20 we -- we bring up this example to note that these type  
21 of studies could be very helpful for the Board and for  
22 the applicant themselves in terms of figuring out what  
23 could be next.

24                  And the next slide, I'll just go over  
25 very briefly and just mention that this is one way

1 where you could do the benchmark. We've asked  
2 Manitoba Hydro to provide representative breakdowns  
3 for transmission and generation projects. We're not  
4 going to go on the numbers too long because it -- you  
5 know, it's just two (2) projects so we cannot make a  
6 lot of -- there were -- there were some small areas of  
7 overlap that we noted between various categories,  
8 like, activity charges which based on the descriptions  
9 would include travel and vehicle cost. And yet these  
10 show up as separate items. Consulting charges versus  
11 study costs, things of that nature.

12 All we say is that there are  
13 opportunities to be explored further in this -- this  
14 potentially being one (1) of the -- one (1) of the  
15 ways to do is breaking down projects into their  
16 components and looking like that.

17 Moving to reliability. This panel has  
18 heard that Manitoba Hydro's reliability as benchmarked  
19 against the CEA peers has been quite good;  
20 consistently for the past ten (10) years. We're not  
21 going to spend too much time on that. We do  
22 acknowledge that reliability is a lagging statistic,  
23 which essentially means that the performance that you  
24 see is -- in many ways a function of the state of --  
25 of the asset base couple of years ahead. So if you

1 replace things you will not necessarily see stark  
2 improvements right away. So there's always a little  
3 bit of a lag.

4 So, we've acknowledged that and as such  
5 we requested that Manitoba Hydro provide us more  
6 detailed data. And what the penalties in front of  
7 themselves are, the inputs into both the SAIDI and  
8 SAIFI that Dr. Bakulev referred to in his  
9 presentation, that are related to contributions and  
10 total indices specifically from the defective  
11 equipment. So, the outages that are caused by things  
12 that fail in the field.

1 point to it.

2 And to Manitoba Hydro's credit, on the  
3 next slide, slide 44, they've also provided us with  
4 some very detailed information in terms of the number  
5 of distribution equipment by type that has failed in  
6 the field and we do see some increasing trends. They  
7 are not consistent across the asset base and our  
8 general observation of this is that the increasing  
9 trends are for items that -- the clearly increasing  
10 trends like cutouts and a few separators and  
11 connectors which are generally smaller parts of the  
12 distribution system and are cheaper to replace;  
13 whereas with some other we don't necessarily see clear  
14 trends.

15                           Although this -- this -- we -- we do  
16 note that this is likely a function of Manitoba Hydro  
17 replacing their assets before they fail which,  
18 depending on their -- on their policy on a particular  
19 asset classes is -- is a good thing.

20 So while we do see higher rates we  
21 don't see them across the major parts of the system  
22 that really affect the large -- larger numbers of  
23 consumers based on information that we have.

24 Moving out to slide 45. We've asked  
25 Manitoba Hydro whether it does any forecasting of

1 reliability as an input into its planning. So to see  
2 what investments they're proposing whether or not it's  
3 going to affect reliability.

1                   And we agree with Manitoba Hydro  
2 experts that have spoken in this Panel that  
3 reliability alone is not sufficient to be a driver of  
4 the program, but it's a helpful and fairly easy to  
5 understand and to our -- to our understanding, a  
6 fairly easy or relatively simple error, Manitoba Hydro  
7 can improve their capabilities going forward.

8                   Finally, the concluding observations.

9 We do appreciate Manitoba Hydro's rebuttal evidence  
10 that they have provided to our reports and we  
11 certainly appreciate a lot of clarifications to what  
12 they described, and I quote:

13                   "as erroneous statements and  
14 assumptions that have been made by  
15 METSCO throughout the report."

16 We do note, however, that Manitoba  
17 Hydro presents a lot of standalone evidence of  
18 projects where the health indices or the risk  
19 assessment has been done; while they are very  
20 compelling examples they are nevertheless examples of  
21 separate projects and what we had been trying to  
22 validate throughout this hearing and what are  
23 observations have been in our report is that we do not  
24 see a systematic and consistent way of doing this  
25 organizationally that would allow Manitoba Hydro to

1 really plan and prioritize across the different  
2 business lines, across the different geographical  
3 area.

4 So to us, while the examples of what  
5 Manitoba Hydro is actually doing have been somewhat  
6 instructive and informative, they still fell short of  
7 giving us that overall sense, especially given the  
8 fact that we have not been given the quantitative  
9 evidence, that the claims of the rigour generally  
10 implied.

11 In terms of the cost variances, you  
12 will recall our discussion of original versus other  
13 later stages. Manitoba Hydro explained to us that the  
14 gr -- the largest gap which is between the original  
15 and the next stage of estimate, original estimates do  
16 not necessarily include a lot of engineering rigour,  
17 whereas, the next one is where the engineers really  
18 get to work on the asset.

19 So to us, this is a little problematic  
20 because given the fact that the original estimates are  
21 the ones that are being put in front of Manitoba  
22 Hydro's C suite and potentially the Board and also are  
23 partially included into this proceeding. So again, if  
24 anything to us this is an argument in favour of  
25 structure estimate and completion work governance.

1                   And as far as generally our -- our  
2   inferences where they have been corrected like, for  
3   example, on -- on the issue of cable replacement  
4   ratios, to us, this is probably an example of some  
5   clarity and comprehensiveness of the evidence on  
6   record.

7                   Moving forwards, we did see some  
8   evidence of the areas of reduction that Manitoba Hydro  
9   has already practically made by way of IRs on this  
10   plan and we just wanted to comment on those a little  
11   bit.

12                  DR. BYRON WILLIAMS: Could we go back  
13   to slide 48 just for second or slide 49 which do you  
14   prefer?

15                  MR. DMITRY BALASHOV: I'm on 49 now.

16                  DR. BYRON WILLIAMS: Okay, my mistake.

17                  MR. DMITRY BALASHOV: Sorry. So we've  
18   -- we've seen some changes in terms of the revisions  
19   of project scopes, cancellation of certain projects  
20   and/or deferral of particular projects that Manitoba  
21   Hydro has already done practically. So in terms of  
22   project scope, there was the Bipole II valve hall  
23   bushing, change of the scope, as well as the most  
24   recently this -- this panel has heard about the Gillam  
25   townsite improvements where the scope of the project

1 has been revised down materially, I believe so. So  
2 these are the examples where it's been done. Some  
3 cancellation of work on the spillway of Slave Falls  
4 and/or deferral of the thyristor valves in Bipole II.

5                   So the observation that we wanted to  
6 make in this particular area is that, given the fact  
7 that between the two (2) test -- test years, I believe  
8 it's approaching 70 percent of the system renewal  
9 budgets on which there's very limited visibility to  
10 this Panel in terms of the information that's  
11 available. There may be similar opportunities to  
12 revise project scopes or defer certain investments  
13 because systems are dynamic and conditions do change  
14 all the time.

15                  So, given the fact there's very little  
16 information we do believe that there might be other  
17 opportunities that the applicant, through its internal  
18 experts, could explore to do so and some of the areas  
19 are the civil components of projects such as the  
20 Gillam, for example. There was a fair bit of voltage  
21 area upgrades that Manitoba Hydro was planning to  
22 implement.

23                  So these are notoriously dynamic and  
24 the system load that you may anticipate two (2), three  
25 (3) years in the future very well changes. Sometimes

1 in a way that allows deferral; sometimes the other  
2 way. So it really depends. And then the procurements  
3 of noncritical spares. The example, and I will just  
4 highlight this, we've seen the porcelain valve hall  
5 bushing so, basically, a transmission equipment that  
6 isolates the current from the civil parts of the  
7 asset, and Manitoba Hydro proposed to replace an  
8 entire population of spares that we understand were  
9 usable, but were based on the older standard. They  
10 wanted to replace them at once, which we -- we -- we  
11 did not necessarily understand why even though the  
12 porcelain technology that these spares represented,  
13 you know, was fully functional. It was not the  
14 preferred technology and so, for example, other  
15 discretionary elements like -- like this one could  
16 potentially be explored whether there where. We  
17 obviously don't have the visibility into it, but we  
18 just wanted to highlight these potential areas.

19                         And finally on the slide 50 to  
20 conclude, we do acknowledge and commend Manitoba Hydro  
21 for the complex path of implementing and entrenching  
22 the new asset management tools and the experts that  
23 preceded us, the Manitoba Hydro's expert put the  
24 timeline at about three (3) to five (5) years of doing  
25 this work. To us, this timeline is not unreasonable.

1   However, what we have seen through evidence is that in  
2   -- in a number of cases, Manitoba Hydro is effectively  
3   assuring this Board and the ratepayers that -- that it  
4   represents that the work is ongoing. And then that  
5   takes substantially longer time before any progress is  
6   seen.

7                   And to us, this is not necessarily what  
8   can be expected from a Utility of Manitoba Hydro's  
9   size and sophistication and we thought that we would  
10   include in our report some of the oversight tools that  
11   the Board could consider to elicit a little bit more  
12   of accountability and clarity from Manitoba Hydro's  
13   plans when it comes to -- to this work because it does  
14   take time and it is problematic. But absent  
15   quantified targets, absent some milestones, it is  
16   quite difficult to keep track of the progress as well  
17   as the value that it ultimately delivers to Manitoba's  
18   ratepayers.

19                   We don't have to go into details as --  
20   as to what they are, we described them at length in  
21   our report and, again, these are the tools that other  
22   jurisdictions have used extensively to, if nothing  
23   else, improve the quality and the completeness of the  
24   dialogue between the Utility and the regulator.

25                   And that concludes our presentation.

1 DR. BYRON WILLIAMS: That -- I just  
2 note that the witnesses are now available for  
3 examination.

4 THE CHAIRPERSON: Yes, thank you very  
5 much. Thank you to the panel. Ms. Monnin...?

6 MR. CHRISTIAN MONNIN: Thank you, Mr.  
7 Chair, on behalf of General Service Small and General  
8 Service Medium customer classes and Keystone  
9 Agriculture Producers, I can advise that we have no  
10 questions for this panel. Thank you.

11 THE CHAIRPERSON: Thank you. The  
12 racing back Mr. Hacault.

13

14 CROSS-EXAMINATION BY MR. ANTOINE HACAULT:

15 MR. ANTOINE HACAULT: Yes, I'll have a  
16 couple questions with respect to your slide 49, I  
17 believe it was and, more specifically, what could be  
18 expected of this Corporation as far as reporting on  
19 alternatives.

20 And to bring it down I'm going to --  
21 some people have been using "in the weeds." You've  
22 identified the Gillam redevelopment project, and I'd  
23 just like to look at that quickly to understand what  
24 kind of reports or alternatives might be expected with  
25 respect to one of -- a project like this one.

1                   So in order to get us into that, if we  
2 could firstly look at PUB-Manitoba Hydro round 2,  
3 43(c), as in Charlie. Perhaps we could look at the  
4 question first to --

5                   MR. DMITRY BALASHOV: Yeah, we would  
6 appreciate if you could maybe summarize to us because  
7 I'm not -- I'm not sure I'm directly familiar and --

8                   MR. ANTOINE HACAULT: Yeah, so the  
9 question --

10                  MR. DMITRY BALASHOV: -- my colleagues  
11 have indicated to me.

12                  MR. ANTOINE HACAULT: Yeah, the asked  
13 please -- this was of Manitoba Hydro, a question being  
14 asked:

15                  "Please explain why the Gillam  
16 redevelopment was -- was justified  
17 on the basis of developing new  
18 generation which is nonrecurring  
19 expenditure does not meet Manitoba  
20 Hydro's criteria for exclusion."

21                  But -- and then if we go to response.

22 (c) --

23                  MR. DMITRY BALASHOV: Sir, before you  
24 take us there, would you mind clarifying what the  
25 criteria for exclusion means? We're -- I'm not

1 familiar with this.

2 MR. ANTOINE HACAULT: I'm not going to  
3 be asking you any questions with respect to that  
4 criteria.

5 MR. DMITRY BALASHOV: Okay that's --  
6 that's fine. I just wanted to clarify that, thank  
7 you.

8 MR. ANTOINE HACAULT: There's -- and  
9 this is just to put my questions into context. So  
10 response (c) describes a project a bit. This is  
11 Manitoba Hydro doing that -- that the:

12 "Gillam redevelopment and expansion  
13 program work to date has been to  
14 repair and maintain existing  
15 townsite infrastructure. This work  
16 is expected to be completed by March  
17 13 -- or 31, 2018 period. Then the  
18 scope -- and there's an acronym for  
19 this project -- is anticipated to be  
20 reduced due to modified operational  
21 requirements at Keeyask generating -  
22 - generating station..."

23 I'm going to mess this up.

24 "Keewatinohk CS resulting in lower  
25 projected growth in Gillam, and then

1                   any future townsite maintenance or  
2                   expansion requirements will be  
3                   justified as projects on their own  
4                   are brought forward for approval."

5                   This is the general explanation of  
6 where we are at right now, and Manitoba Hydro has  
7 produced a number of documents in this proceeding  
8 which are called capital justification -- project  
9 justification sheets.

10                  And I'd like to turn to the most recent  
11 one, which gave us an update, and that's in minimum  
12 filing requirement 115, at page 274.

13

14                  (BRIEF PAUSE)

15

16                  MR. ANTOINE HACAULT: There was an  
17 updated document in 2014 with respect to this project,  
18 and if we go to the top right-hand side, we see that  
19 the project was a -- a \$366 million project, and it  
20 was reduced down to about \$266 million dollars for  
21 this twelve hundred (1,200) --

22                  MR. DMITRY BALASHOV: I see that, yes.

23 Thank you.

24                  MR. ANTOINE HACAULT: Now, I'd like to  
25 go to page 276 to understand, then, what you might

1 expect of a utility. And I'll bring your attention to  
2 two (2) things on this particular page. Firstly, the  
3 total budget, which we see is reduced from the time  
4 period 2014 to 2015, up to 2016 to 2017, by amounts  
5 which are pretty consistent.

6 MR. DMITRY BALASHOV: M-hm.

7 MR. ANTOINE HACAULT: And then going  
8 up higher in the page, where we talked about  
9 alternatives, and there'd be the heading 'No other  
10 alternatives were considered'. What type of analysis  
11 might be expected of a utility on alternatives and  
12 options in other jurisdictions, in your experience?

13 DR. ALEX BAKULEV: I'll take a stab of  
14 answering this question. So this specific project is  
15 related to civil infrastructure, so not related to the  
16 great electric infrastructure. So usually the same  
17 asset management principles can be applied for the  
18 civil infrastructure as well, and the key would be to  
19 understand what's the condition assessment of those  
20 variety of, I guess, civil structures that are in  
21 place with Gillam town, what's the current state of  
22 the condition of those structures' age.

23 For infrastructure, it's usually  
24 requires the -- to maintain the minimum service levels  
25 associated with the different type of infrastructures.

1 Let's say roads, or buildings, or something else. To  
2 be able to answer on the alternative, we need to  
3 understand what are the alternatives for those service  
4 levels that are being chosen by the asset manager to  
5 be maintained in the long run? There could be few  
6 options, whether the infrastructure requires just to  
7 be repaired, rehabilitated, or rebuilt.

8                   And then based on the analysis of the  
9 cost of ownership of this infrastructure, assuming the  
10 current condition of the -- of it, assuming the  
11 potential options how to maintain the service levels,  
12 assuming the options for the selected service levels  
13 that the manager make, based on that, there -- there  
14 could be meaningful discussion what those options are,  
15 and what's the best option to bring the value to the  
16 customer and to the Company.

17                 Based on the information that we've  
18 seen on the evidence in -- in those few -- or  
19 documents that have just been presented, there is no  
20 discussion about that at all. So in the end, we can't  
21 make a meaningful discussion to decide what's the best  
22 alternative unless we see the analysis underlying this  
23 business case.

24                 MR. DMITRY BALASHOV: Would you mind  
25 if I just added to what Mr. Bakulev had said, if

1 that's okay with you? First of all, Gillam, by and  
2 large, is -- is an expansion project that was  
3 partially outside of our scope, so we're -- we're  
4 familiar to it to -- to some degree, but it -- it is  
5 not something that we reviewed in-depth, so we would  
6 like to qualify our statements with that.

7                   But generally speaking, to your  
8 question of -- of what would be expected, as a -- as a  
9 is a project management principle or as an evidentiary  
10 principle, and I'll speak to utility that I know quite  
11 intimately, like in Ontario, for example, which is  
12 Toronto Hydro, where I've worked. You would expect at  
13 a minimum to address all alternatives, which is the  
14 alternative of doing nothing and illustrating what are  
15 the consequences, preferably quantitatively, but, you  
16 know, at -- at a -- at a minimum, qualitatively, and  
17 then showcasing the benefits of an improvement, and  
18 again, preferably as quantitatively as possible in a  
19 way of net present value or any -- any other  
20 analytical tools that are generally accepted and are  
21 used by Manitoba Hydro.

22                   But even if the ultimate conclusion is  
23 that this work must proceed because there is nothing  
24 else that you can do, and absent this work, you cannot  
25 perform your duties, we -- we'd expect to see at least

1 consideration of these two (2) options. If not, other  
2 options in terms of deferral of some parts of  
3 investment and -- and things like that.

4 But in -- in many ways, it's also a  
5 function of the corporate policies, as well as the  
6 expectations when it comes to the evidence of what is  
7 expected by the regulator.

8 MR. ANTOINE HACAULT: Thank you.

9 Those are all my questions.

10 THE CHAIRPERSON: Thank you. Mr.  
11 Czarnecki...?

12

13 CROSS-EXAMINATION BY MR. BRENT CZARNECKI:

14 MR. BRENT CZARNECKI: Thank you, Mr.  
15 Chair, and good morning. And good morning, panel  
16 members. For the record, it's Czarnecki, C-Z-A-R-N-E-  
17 C-K-I, and my first name is Brent. Good morning,  
18 gentlemen.

19 I'll start with what may be the most  
20 difficult question for you in terms of credibility. I  
21 was reviewing this material over the weekend. My  
22 eight (8) year old daughter asked me what I was  
23 working on, and I told her that, Well, I get to ask  
24 some gentlemen from Ontario about the amount of money  
25 it takes and the reasonableness of that for -- to

1 spend to keep the lights and heat on in Manitoba.

2                           And she gave a very puzzled look, and  
3 it's usually the one that precedes one (1) of her  
4 questions that I don't have the answer to, and I was  
5 right. So I put your counsel on notice that he can  
6 object, but her question was, Are you Leaf fans?

7                           DR. BYRON WILLIAMS: We have no  
8 objection to that question.

9                           MR. THOR HJARTARSON: I'm very  
10 passionate about ice hockey. Calgary Flames are  
11 actually my -- my hockey team, because that's where I  
12 went to high school, so.

13                           THE CHAIRPERSON: I -- I would just  
14 put...

15

16                           (BRIEF PAUSE)

17

18 CONTINUED BY MR. BRENT CZARNECKI:

19                           MR. BRENT CZARNECKI: Agreed, Mr.  
20 Chairman. It's a credibility-buster from an eight (8)  
21 year old. She also wanted me to tell you that she's a  
22 diehard Jets fan, and that has something to do with  
23 the guy named Patrik Laine. But Mr. Chairman, thank  
24 you for the -- the opportunity of slight digression.

25                           To more serious issues, gentlemen, you

1 would agree that the obligation and responsibility for  
2 the safe and reliable operation of the entire  
3 electrical system for the supply of power to  
4 Manitobans rests exclusively with Manitoba Hydro?

5

6 (BRIEF PAUSE)

7

8 DR. ALEX BAKULEV: Yes.

9 MR. BRENT CZARNECKI: And in other  
10 words, in terms of the overall service obligation, the  
11 proverbial buck stops with Manitoba Hydro?

12 MR. DMITRY BALASHOV: Would you --  
13 would you mind explaining exactly the context of your  
14 questions of where -- we just -- we just wanted to  
15 understand where -- where you're headed with this.

16 MR. BRENT CZARNECKI: Well, I'm -- I'm  
17 trying to understand your understanding of who's  
18 responsible for the operation of the entire electrical  
19 system and the reliability thereof in Manitoba.

20 MR. DMITRY BALASHOV: Absolutely. So  
21 -- so being a -- a utility being -- being the only  
22 utility as we understand in Manitoba, it -- it --  
23 Manitoba Hydro has the responsibility for the  
24 operation of the system, subject to the oversight of  
25 various oversight bodies, including this Board, as

1 well as other safety, reliability -- both provincial,  
2 federal, and continental bodies, such as the National  
3 Energy Board, and whatever else may be acceptable for  
4 a particular project. So being a utility, being a  
5 monopoly, it is certainly subject to this oversight,  
6 but other than that, the operational responsibility,  
7 we would agree.

8 MR. BRENT CZARNECKI: Thank you, Mr.  
9 Balashov. And I take it that you're the person most  
10 familiar on the panel with governance-related issues?

11 MR. DMITRY BALASHOV: From the  
12 academic perspective, being the youngest, I would say,  
13 but I would say that -- that my two (2) colleagues are  
14 quite familiar with -- with the practical aspects of  
15 it --

16 MR. BRENT CZARNECKI: Okay.

17 MR. DMITRY BALASHOV: -- because they  
18 have worked in utilities.

19 MR. BRENT CZARNECKI: And in Manitoba,  
20 the appointed Board of Manitoba Hydro, the Manitoba  
21 Hydro Electric Board, is responsible for ensuring that  
22 the essential obligation of providing electricity is  
23 fulfilled? Do you agree?

24 MR. DMITRY BALASHOV: I'm not familiar  
25 with -- with the specialty they've -- the -- the with

1 practical language, but I'll take it, subject to  
2 check.

3 MR. BRENT CZARNECKI: And trickling  
4 downward from the Manitoba Hydro Electric Board, the  
5 fulfilment of this obligation is overseen and  
6 performed by the executive and the directors of  
7 Manitoba Hydro, agreed?

8 MR. DMITRY BALASHOV: Again, we'll --  
9 we'll take it subject to check, sir.

10 MR. BRENT CZARNECKI: Thank you. And  
11 trickling down from that layer at Manitoba Hydro to  
12 the field level, the obligation is also performed by  
13 employees of Manitoba Hydro with the boots on the  
14 ground?

15 MR. DMITRY BALASHOV: Correct.

16 MR. BRENT CZARNECKI: And I take it  
17 that you don't dispute that many employees of Hydro  
18 are professional engineers?

19 MR. DMITRY BALASHOV: As -- as we have  
20 noted in our evidence, we do not dispute at any point  
21 the professionalism and experience of Manitoba Hydro's  
22 individual engineers and staff members. Our comments  
23 are generally related to the fundamental planning  
24 processes and tools that are used to produce complex,  
25 costly, and consequential plans.

1                           MR. THOR HJARTARSON: And I -- I may  
2 add to that. I've -- I worked with many professionals  
3 from Manitoba Hydro, and -- and they are very  
4 knowledgeable in their field. So that's -- we  
5 absolutely did not contest that.

6                           MR. BRENT CZARNECKI: Thank you  
7 gentlemen. I do appreciate the candour in your  
8 response. Back to the engineers, though, just  
9 quickly, the snappers, some of the engineers  
10 specialize in electrical engineering?

11                          MR. THOR HJARTARSON: Yes, they do.

12                          MR. BRENT CZARNECKI: Some in  
13 mechanical engineering?

14                          MR. THOR HJARTARSON: In -- in  
15 different aspects of engineering, for sure.

16                          MR. BRENT CZARNECKI: Civil  
17 engineering, sir?

18                          MR. THOR HJARTARSON: Absolutely.

19                          MR. BRENT CZARNECKI: And that  
20 Manitoba Hydro employs field staff with technical  
21 expertise in areas including the inspection and  
22 maintenance of electrical assets and equipment?

23                          MR. THOR HJARTARSON: I would  
24 certainly assume so, yes.

25                          MR. BRENT CZARNECKI: And naturally,

1 some of those engineers and staff would specialize in  
2 the generation of electricity?

3 MR. THOR HJARTARSON: Yes, they would.

4 MR. BRENT CZARNECKI: And as a basic  
5 example, generating stations and turbines?

6 MR. THOR HJARTARSON: Yes, sir.

7 MR. BRENT CZARNECKI: And some of the  
8 engineers and staff would specialize in the  
9 transmission of electricity?

10 MR. THOR HJARTARSON: Yes,  
11 transmission, distribution, customer service.

12 MR. BRENT CZARNECKI: And similarly,  
13 they would have specialized expertise in the  
14 construction, operation, and maintenance of high-  
15 voltage transmission lines, or the distribution system  
16 using the distribution example?

17 MR. THOR HJARTARSON: Yes, and there  
18 would be some that have specific knowledge of specific  
19 assets, such as transformers, transmission lines, and  
20 so on.

21 MR. BRENT CZARNECKI: Thank you, sir.

22 And many of these employees would have long-standing  
23 careers with Manitoba Hydro?

24 MR. THOR HJARTARSON: Yes, and they're  
25 very well-respected internationally, many of them.

1                   MR. BRENT CZARNECKI: And I -- I think  
2 for Mr. Balashov this morning -- I'm paraphrasing, but  
3 I think he recognized that these employees do have  
4 technical expertise and specialized knowledge, in --  
5 in knowing their assets?

6                   MR. DMITRY BALASHOV: That's correct.

7                   MR. BRENT CZARNECKI: And in fact, in  
8 the reliability references you have in your report,  
9 and I think it was at page 40 of your PowerPoint. I  
10 don't think we need to turn it up, but you would agree  
11 that in terms of reliability, Manitoba Hydro is  
12 managing the capital assets well in terms of  
13 reliability, and that would be longer effective  
14 service lives than that of their comparable peers?

15                  MR. DMITRY BALASHOV: From the  
16 perspective of reliability, certainly. What the  
17 implications of that is in terms of the cost-  
18 effectiveness of the plan, that is one (1) of the  
19 areas that we sought to investigate, because those are  
20 different questions, because at times, the -- the two  
21 (2) are not the same, and sometimes it's an indication  
22 of overinvestment.

23                  MR. BRENT CZARNECKI: Fair enough, Mr.  
24 Balashov. And would you -- would you agree that  
25 collectively, those engineers and staff have decades

1 of actual and continuous years of experience in  
2 operating and maintaining all component parts of the  
3 electrical system to fulfil the obligation to operate  
4 the overall electrical system in a safe and reliable  
5 manner?

6 MR. THOR HJARTARSON: We would  
7 certainly assume so with Manitoba Hydro. I don't know  
8 exactly each different department, but I would  
9 certainly assume so.

10 MR. BRENT CZARNECKI: You have no  
11 reason to doubt, any of you?

12 MR. THOR HJARTARSON: I would not have  
13 any reason to doubt the qualification of the engineers  
14 and the staff of Manitoba Hydro.

15 MR. BRENT CZARNECKI: And would it be  
16 fair to say that Manitoba Hydro has been successfully  
17 performing this essential obligation for decades?

18 MR. THOR HJARTARSON: They have  
19 certainly kept the lights on, for sure.

20 MR. BRENT CZARNECKI: You knew my next  
21 question. It prevented catastrophic events, such as  
22 brown or blackouts?

23 MR. THOR HJARTARSON: I -- I don't --  
24 don't recall any specific brownouts or blackouts that  
25 have happened over the years, but I'll -- subject to

1 check, I trust your words.

2 MR. BRENT CZARNECKI: And gentlemen,  
3 in writing your report and carefully reaching your  
4 conclusions, you would agree that you are without the  
5 luxury of the vast, extensive, and long-standing  
6 practical and technical expertise that resides with  
7 the Manitoba Hydro staff in operating the system in  
8 Manitoba?

9 MR. DMITRY BALASHOV: We were  
10 certainly brought in specifically as an external party  
11 to assess this from the perspective as external  
12 parties would. So, yes, no one in this room has  
13 worked for Manitoba Hydro specifically. However, I  
14 believe as the qualifications, particularly of my two  
15 (2) colleagues indicate, that they have been in this  
16 in this profession for quite a long time and have done  
17 work in a lot of different jurisdictions.

18 MR. BRENT CZARNECKI: Thank you.  
19 We'll -- we'll get to your qualifications in a moment.  
20 I -- I first wanted to turn up your report, and it was  
21 on -- actually on page 1, the cover page. And this is  
22 more just for clarification. I -- I see the experts  
23 listed as -- you, Mr. Bakulev -- Dr. Bakulev, pardon  
24 me, and yourself, Mr. Balashov, and then I see an  
25 "approved by Mr. Hjartarson." Am I saying that

1 correctly?

2 MR. THOR HJARTARSON: Yeah, that's --

3 that's close enough.

4 MR. BRENT CZARNECKI: So can you give  
5 me a little bit more information as to who were the  
6 primary authors of the report, and did the -- the  
7 grunt work, I'll call it?

8 MR. DMITRY BALASHOV: That would be  
9 Mr. Bakulev and I in terms of the actual preparation  
10 and planning, in close consultation with Mr.  
11 Hjartarson and a team of other engineers at METSCO.  
12 We're a company of about fifty (50) people, so as --  
13 as we were reviewing various parts, we consulted with  
14 specific individuals responsible for certain parts to  
15 validate the work, the understanding, and the  
16 assumptions.

17 MR. BRENT CZARNECKI: Fair enough.

18 That -- that's what I thought, based on perhaps Mr.  
19 Hjartarson's reference to an old man. And I'm not  
20 going there, other than to say Mr. Neil Young has  
21 quoted that once before, and it's one (1) of my  
22 favourites.

23 So turning up your statement and  
24 qualifications, and before today, I was only going  
25 with what was in the report. And I saw, you know, a

1 page worth for each of you, Dr. Bakulev, and you've  
2 added to that this morning in direct testimony to My  
3 Learned Friend Ms. Dilay? You have to respond, sir,  
4 so the transcriber can --

5 DR. ALEX BAKULEV: Yeah.

6 MR. BRENT CZARNECKI: And to be clear,  
7 you are not an engineer?

8 DR. ALEX BAKULEV: I'm not an  
9 engineer.

10 MR. BRENT CZARNECKI: You're not an  
11 accountant?

12 DR. ALEX BAKULEV: I'm not an  
13 accountant.

14 MR. BRENT CZARNECKI: Do you have  
15 field experience inspecting or assessing the actual  
16 assets?

17 DR. ALEX BAKULEV: I don't have this  
18 experience in the field.

19 MR. BRENT CZARNECKI: And would I be  
20 correct, sir, that your entire post-university work  
21 career is approximately ten (10) years in duration?

22 DR. ALEX BAKULEV: Can you please  
23 repeat the question?

24 MR. BRENT CZARNECKI: Your entire  
25 post-university work career is approximately ten (10)

1 years in duration?

2 DR. ALEX BAKULEV: I believe it's more  
3 than ten (10) years.

4 MR. BRENT CZARNECKI: How many years,  
5 sir?

6 DR. ALEX BAKULEV: Based on my resume,  
7 I have started to work in the management consulting  
8 company in the asset management field starting 2003.

9 MR. BRENT CZARNECKI: So fifteen (15)  
10 years is a better --

11 DR. ALEX BAKULEV: Yes.

12 MR. BRENT CZARNECKI: And would I be  
13 correct that it's your first time providing a publicly  
14 available report or evidence in any regulatory form?

15 DR. ALEX BAKULEV: It's not the first  
16 time I have provided the report that is signed by  
17 myself to the Public Board. The previous report that  
18 were provided to the -- in other hearings would be the  
19 report that was brought to the site here. That was  
20 EPCOR's report that was submitted to the Alberta  
21 Utility Commission last year.

22 MR. BRENT CZARNECKI: And did you  
23 testify in that proceeding on the report?

24 DR. ALEX BAKULEV: Not yet, but will  
25 be testifying.

1                   MR. BRENT CZARNECKI: Thank you for  
2 that. And Mr. Balashov, you are not an engineer?

3                   MR. DMITRY BALASHOV: That is correct,  
4 sir.

5                   MR. BRENT CZARNECKI: You're not an  
6 accountant?

7                   MR. DMITRY BALASHOV: I have taken a  
8 number of accounting classes through my education. I  
9 do not have any certification as an accountant.

10                  MR. BRENT CZARNECKI: Do you have any  
11 field experience inspecting or assessing utility  
12 assets?

13                  MR. DMITRY BALASHOV: I do not.

14                  MR. BRENT CZARNECKI: So -- and I  
15 estimated as well, your entire post-university work  
16 career is approximately ten (10) years in duration?

17                  MR. DMITRY BALASHOV: In my case,  
18 that's correct.

19                  MR. BRENT CZARNECKI: And for you, is  
20 this the first time providing a publicly available  
21 report or evidence in a regulatory forum?

22                  MR. DMITRY BALASHOV: On the side of a  
23 consulting company, correct. On the side of the  
24 Utility, I have provided a number of reports and  
25 submissions to the Ontario Energy Board.

1                   MR. BRENT CZARNECKI: And I understand  
2 because we asked that those reports are not publicly  
3 available, they were provided in confidence to the  
4 regulator?

5                   MR. DMITRY BALASHOV: That is not  
6 correct. A lot of them were publicly available. They  
7 are not, perhaps, signed by me as an author, but I --  
8 as -- as they have been developed on behalf of Toronto  
9 Hydro, for example.

10                  MR. BRENT CZARNECKI: So you've  
11 assisted in the preparation, and those reports were --

12                  MR. DMITRY BALASHOV: I -- I have been  
13 directly involved and led to the preparation of many  
14 of them, including the significant regulatory  
15 application that included a 3,000 pages distribution  
16 system plan.

17                  MR. BRENT CZARNECKI: But they were  
18 filed on behalf of Toronto Hydro --

19                  MR. DMITRY BALASHOV: Correct, sir.

20                  MR. BRENT CZARNECKI: -- not on you  
21 personally, sir?

22                  MR. DMITRY BALASHOV: That's correct.

23                  MR. BRENT CZARNECKI: And is this your  
24 first time testifying in front of any regulatory  
25 proceeding or body?

1                   MR. DMITRY BALASHOV: Yes, sir, it is.  
2                   MR. BRENT CZARNECKI: And gentlemen,  
3 one (1) of the common threads I observed from your  
4 qualifications was your work experience at Toronto  
5 Hydro. Are -- you all worked for Toronto Hydro?

6

7                   (BRIEF PAUSE)

8

9                   MR. THOR HJARTARSON: Yes, that's  
10 correct.

11                  MR. BRENT CZARNECKI: And is Toronto  
12 Hydro primarily a distribution company?

13                  MR. THOR HJARTARSON: It is a  
14 distribution company, yes.

15                  MR. BRENT CZARNECKI: Does it own any  
16 or -- own or operate any transmission infrastructure?

17                  MR. THOR HJARTARSON: It operate some  
18 transform -- transmission stations, and it's building  
19 a big transmission station at this time..

20                  MR. BRENT CZARNECKI: What about  
21 generation infrastructure?

22                  MR. THOR HJARTARSON: Yeah. They  
23 don't -- that -- well, they connected to a system, but  
24 they're -- they're not -- they do not have a  
25 generation themselves.

1                   MR. BRENT CZARNECKI: And Toronto

2 Hydro has little, if any, rural infrastructure?

3                   MR. THOR HJARTARSON: It's a municipal

4 Hydro, a municipal utility.

5                   MR. BRENT CZARNECKI: And would I be

6 correct that Toronto Hydro operates within the

7 deregulated electricity market in Ontario?

8                   MR. DMITRY BALASHOV: The regulated

9 entity of Toronto Hydro -- Hydro-Electric System

10 Limited that we had all worked for is a fully

11 regulated company, so we have only worked for the

12 regulated company.

13                   MR. BRENT CZARNECKI: But it

14 participates in the deregulated environment in

15 Ontario, does it not?

16                   MR. DMITRY BALASHOV: Insofar as

17 activities like conservation and demand management,

18 correct, if you can call them deregulated, as there --

19 there's also significant oversight rules.

20                   MR. BRENT CZARNECKI: Now turning back

21 to the essential obligation to operate the electrical

22 system in a safe and reliable manner, do you agree

23 that significant costs are incurred in fulfilling this

24 important obligation?

25                   MR. THOR HJARTARSON: Yes, there are

1 significant costs, and they're both in operation and  
2 in -- and in sustainment.

3 MR. BRENT CZARNECKI: And are you  
4 aware that the Manitoba Hydro Electric Board  
5 ultimately approves an annual capital expenditure  
6 forecast for Manitoba Hydro?

7 MR. THOR HJARTARSON: Yes.

8 MR. BRENT CZARNECKI: And Mr.  
9 Balashov, I just wanted to make sure I heard you  
10 correctly this morning. I think you said that this  
11 Board, the Public Utilities Board, would approve the  
12 capital expenditure forecast for Manitoba Hydro?

13 MR. DMITRY BALASHOV: Could -- could  
14 you restate the question? You mean in terms of its  
15 role?

16 MR. BRENT CZARNECKI: Yes, sir.

17 MR. DMITRY BALASHOV: Okay. In terms  
18 of its role, I believe that the capital expenditure  
19 forecast gets approved, subject to check, of my  
20 understanding of the regulatory context here in  
21 Manitoba.

22 DR. ALEX BAKULEV: May I add to that?  
23 So I think that the PUB does not approve the specific  
24 plans, but rather, the year rate increases, and it's  
25 up to the Manitoba Hydro to decide what exactly is

1 being executed.

2 MR. DMITRY BALASHOV: I stand  
3 corrected.

4 DR. ALEX BAKULEV: Or maybe -- maybe  
5 some big projects, like in the recent NFAT proceedings  
6 are being approved, but not the specific projects as  
7 related to CEF16, if that's what you're asking.

8 MR. BRENT CZARNECKI: I am, and thank  
9 you for your answer. I prefer your answer to your  
10 colleagues'. I think it's more accurate.

11 MR. DMITRY BALASHOV: I stand  
12 corrected. I apologize.

13 MR. BRENT CZARNECKI: And the Manitoba  
14 Hydro Electric Board has approved the capital  
15 expenditure forecast for the two (2) test years that  
16 form part of this application?

17 DR. ALEX BAKULEV: Sir, can you repeat  
18 the question again?

19 MR. BRENT CZARNECKI: Certainly. And  
20 the Manitoba Hydro Electric Board has approved the  
21 capital expenditure forecast for the two (2) test  
22 years that form part of this application?

23 DR. ALEX BAKULEV: I guess not,  
24 subject to check --

25 MR. BRENT CZARNECKI: You -- I'm

1 sorry, I didn't --

2 DR. ALEX BAKULEV: -- check; it's not  
3 -- they have not approved it.

4 DR. BYRON WILLIAMS: There might be  
5 some confusion, but I -- I think if the question is,  
6 Is the -- is it our -- the understanding of the  
7 Consumers Coalition that the Manitoba Hydro Electric  
8 Board has approved CEF15 and CEF16? I think, subject  
9 to check, our -- our witnesses can accept that, if  
10 that helps Manitoba Hydro.

11

12 CONTINUED BY MR. BRENT CZARNECKI:

13 MR. BRENT CZARNECKI: It does. Thank  
14 you, Dr. Williams. And subject to the Coalition  
15 checking that, in approving the CEF, and more  
16 specifically for our purposes today, the sustainment  
17 capital of that forecast, the Manitoba Hydro Electric  
18 Board relies upon the technical -- technical expert --  
19 expertise and experience of its professional  
20 engineers, accountants, auditors, and the executive of  
21 Manitoba Hydro, would you agree?

22 DR. ALEX BAKULEV: I agree, so.

23 MR. BRENT CZARNECKI: And if the  
24 obligation to provide safe and reliable service is not  
25 fulfilled, severe consequences to Manitobans and

1 liability to Manitoba Hydro could result?

2 DR. ALEX BAKULEV: Yes.

3 MR. BRENT CZARNECKI: Now turning to  
4 your specific assignment in this application as  
5 dictated by Dr. Williams on behalf of the Coalition.  
6 Your focus was on Manitoba Hydro sustaining capital  
7 expenditures, right?

8 MR. THOR HJARTARSON: That's correct.

9 MR. BRENT CZARNECKI: And you were  
10 conducting a detailed review of the processes, data,  
11 asset risks, failure rates, business cases, and unit  
12 costs in Manitoba Hydro's application relating to  
13 sustaining capital expenditures?

14 MR. THOR HJARTARSON: That's correct.

15 MR. BRENT CZARNECKI: And in  
16 fulfilling your assignment as dictated by Dr.  
17 Williams, you attended and participated in Manitoba  
18 Hydro's technical conference on July 20th, 2017?

19 DR. ALEX BAKULEV: That's correct.

20 That was me who participated in this conference.

21 MR. BRENT CZARNECKI: And was that  
22 your first?

23 DR. ALEX BAKULEV: Yes, I will -- I  
24 participated in this conference, Alexander Bakulev.

25 MR. BRENT CZARNECKI: So just you,

1 sir? Was that your first involvement with Mr.  
2 Williams -- or Dr. Williams in this particular  
3 application on sustainment capital?

4 DR. ALEX BAKULEV: Can you clarify the  
5 first involvement meaning in this -- in this  
6 particular case?

7 MR. BRENT CZARNECKI: Maybe I'll ask  
8 it this way. When did your engagement with Dr.  
9 Williams commence as part of this application?

10 DR. ALEX BAKULEV: As part of this  
11 application, it was back in the last winter. When we  
12 started this conversation, I believe it was January  
13 time frame.

14 MR. BRENT CZARNECKI: Okay. Of 2017,  
15 sir?

16 DR. ALEX BAKULEV: 2017, yes.

17 MR. BRENT CZARNECKI: And also as part  
18 of your role in this application, you, of course,  
19 reviewed the application and you reviewed the MFRs or  
20 what we call minimum filing requirements?

21 DR. ALEX BAKULEV: That's correct.

22 MR. BRENT CZARNECKI: And you reviewed  
23 the UMS report which was filed as Appendix 5-1 of the  
24 prefilled evidence?

25 DR. ALEX BAKULEV: That's correct.

1                   MR. BRENT CZARNECKI: And I think we  
2 can all agree in using Mr. Wortley's words that was a  
3 Gap analysis that was procured by Manitoba Hydro in  
4 its asset management capabilities?

5                   DR. ALEX BAKULEV: Yes.

6                   MR. BRENT CZARNECKI: And you assisted  
7 Dr. Williams with asking first round of information  
8 requests?

9                   DR. ALEX BAKULEV: On the sustainment  
10 capital, yes.

11                  MR. BRENT CZARNECKI: Reviewed the  
12 answers to those information requests?

13                  DR. ALEX BAKULEV: Well, for those  
14 requests that we assisted to ask for, yes.

15                  MR. BRENT CZARNECKI: And assisted Dr.  
16 Williams in asking follow-up questions by way of a  
17 second round of information requests?

18                  DR. ALEX BAKULEV: That were related  
19 to the first-round requests, yes.

20                  MR. BRENT CZARNECKI: And you reviewed  
21 those answers?

22                  DR. ALEX BAKULEV: Yes.

23                  MR. BRENT CZARNECKI: And gentlemen,  
24 do you understand that as part of this regulatory  
25 process, if you believe that the answers to those

1 information requests are insufficient -- insufficient,  
2 pardon me, it is open your counsel to advance a motion  
3 to this Board to compel better or more sufficient  
4 answers for Manitoba Hydro?

5 DR. ALEX BAKULEV: Subject to check, a  
6 -- our -- the counsel thinks that the information is,  
7 in front, insufficient, they can ask clarification  
8 questions, yes.

9 MR. BRENT CZARNECKI: And in making  
10 that determination, your counsel would rely upon your  
11 expertise to advise him whether or not that  
12 information was sufficient for the intended purpose of  
13 the question?

14 DR. ALEX BAKULEV: I cannot speak for  
15 the counsel, I believe.

16 MR. BRENT CZARNECKI: And such a  
17 motion was not advanced for sustaining capital issues  
18 or disclosures as part of this proceeding, was it?

19 DR. ALEX BAKULEV: Again, I cannot  
20 speak for the counsel.

21 MR. BRENT CZARNECKI: And your next --  
22 next task was to prepare your report dated October  
23 30th, 2017?

24 DR. ALEX BAKULEV: That was part of  
25 the initial engagement that we discussed that we would

1 prepare the report.

2 MR. BRENT CZARNECKI: And after your  
3 report was prepared, METSCO answered information  
4 requests for Manitoba Hydro and the PUB on your  
5 report?

6 DR. ALEX BAKULEV: Yes, we did.

7 MR. BRENT CZARNECKI: And then  
8 Manitoba Hydro filed rebuttal evidence, and specific  
9 to the METSCO report, pages 40 to 55 of 78?

10 DR. ALEX BAKULEV: Subject to check,  
11 yes.

12 MR. BRENT CZARNECKI: And I take it  
13 from your additional evidence this morning that you  
14 read pages 40 to 55 of Manitoba Hydro's rebuttal  
15 evidence?

16 DR. ALEX BAKULEV: Yes.

17 MR. BRENT CZARNECKI: And, Mr.  
18 Wortley, Mr. Neufeld, Mr. Turner, Mr. Steele, and to a  
19 lesser extent, Ms. Bauerlein, and Ms. Carriere  
20 provided direct oral testimony to this Board on the  
21 subject matter?

22 DR. ALEX BAKULEV: Subject to check,  
23 yes.

24 MR. BRENT CZARNECKI: And you listened  
25 to or read the transcript of Hydro's direct oral

1 evidence on sustaining capital and asset management?

2 DR. ALEX BAKULEV: We read some of the  
3 testimony that was on the records, but I cannot say  
4 that we read all the previous two (2) months  
5 transcripts that were developed.

6 MR. BRENT CZARNECKI: But your focus  
7 was on sustaining capital issues, correct?

8 DR. ALEX BAKULEV: On the sustaining  
9 capital issues, we read the transcript that was  
10 related to sustaining capital on December 11th, 2017.

11 MR. BRENT CZARNECKI: Okay.

12 DR. ALEX BAKULEV: That, I can assure.

13 MR. BRENT CZARNECKI: And Mr. Wortley,  
14 Mr. Neufeld, Mr. Turner, and Mr. Steele were subject  
15 to cross-examination by Dr. Williams and Board  
16 counsel?

17 DR. ALEX BAKULEV: By Mr. Peters and  
18 Dr. Williams, yes.

19 MR. BRENT CZARNECKI: And did you  
20 assist Dr. Williams in preparing his cross-examination  
21 on sustaining capital and asset management issues?

22 DR. ALEX BAKULEV: I cannot confirm  
23 that, no.

24 MR. BRENT CZARNECKI: The answer --  
25 no?

1 DR. ALEX BAKULEV: No.

2 MR. BRENT CZARNECKI: Now turning to  
3 your report, gentlemen -- and it's page 4, and it's  
4 the small 4.

5 DR. ALEX BAKULEV: On the -- on the  
6 presentation? Yeah.

7 MR. BRENT CZARNECKI: Not -- sorry,  
8 not the presentation. Your -- the evidence which is  
9 on the screen, page 4. If you can scroll to the last  
10 page of the last paragraph of page 4, that's the one.  
11 And I'll read it aloud. It says:

12 "Finally, we encourage the Manitoba  
13 Public Utilities Board and  
14 intervenors reviewing this report to  
15 treat our observations as  
16 identification of areas of  
17 opportunity rather than specific  
18 recommendations for programs or  
19 projects that warrant reduction,  
20 deferral, or other forms of  
21 modification."

22 Did I read that correctly?

23 MR. DMITRY BALASHOV: Sir, you have  
24 read this correctly, but with respect, would you mind  
25 scrolling up to show the entire context of the

1 statement? And as you have seen, that this is  
2 effectively a qualifier, that -- that we note that the  
3 ability of the conclusions that we have drawn was  
4 constrained by what Manitoba Hydro has provided to  
5 ourselves. And we note here, and I'm not going to  
6 quote it verbatim, that as the information will -- as  
7 -- as the proceeding will proceed, more information  
8 will become available.

9 So the part that you read was our  
10 acknowledgment of the fact that we are, in fact,  
11 dealing with the limited information based solely on  
12 the discretion of the applicant's responses to our  
13 questions. And as such, at that point, we wanted to  
14 show that our observations are effectively the areas  
15 that we encouraged the Intervenor community as well as  
16 the Board counsel to explore further. So that is what  
17 the context of that statement is.

18 MR. BRENT CZARNECKI: Fair enough.  
19 And if I'm ever reading a certain paragraph, feel free  
20 to scroll up or down and add what you want.

21 MR. DMITRY BALASHOV: Thank you, sir.  
22 MR. BRENT CZARNECKI: But returning  
23 back to the finally -- paragraph, so your observations  
24 are simply food for future thought, aren't they?

25 MR. DMITRY BALASHOV: I wouldn't say

1 that they're -- well, in -- in the context when this  
2 was written, in October of 20 -- 2017, I guess, last -  
3 - last year, we effectively stated that there are  
4 areas for improvement. Again, I'll take you back to  
5 your statements in terms of how the Utility operates,  
6 and who the obligation is with.

7                   So we -- we're certainly not in a  
8 position to recommend specific reductions and things  
9 like that. So yes, we -- we saw that as areas of  
10 opportunity relative to what we see across the work  
11 that we do in various jurisdictions, in terms of where  
12 other utilities are. And as we noted in our  
13 presentation today, we did make some further  
14 conclusions, or at least further observations on the  
15 basis of the oral hearing record that we disclosed  
16 specifically in writing, and I sure hope so in -- in  
17 my presentation as well.

18                   MR. BRENT CZARNECKI: Understood, and  
19 I will address and turn to the future state, as I like  
20 to call it, but I'm particularly interested in  
21 focusing on the two (2) test years that are before  
22 this Board at this moment.

23                   MR. DMITRY BALASHOV: Sure.

24                   MR. BRENT CZARNECKI: So METSCO is not  
25 and has not made any specific recommendations to any

1 party to this proceeding to reduce, defer, or modify  
2 the programs or projects planned by the technical and  
3 professional experts at Manitoba Hydro for the test  
4 years of this application as approved by the Manitoba  
5 Hydro Electric Board. Is that correct?

6 MR. DMITRY BALASHOV: If you wouldn't  
7 mind repeating the first two (2) lines, approximately,  
8 just -- just the beginning of the sentence, because  
9 that -- that contained -- I -- I understand the latter  
10 part, but could you just --

11 MR. BRENT CZARNECKI: METSCO is not  
12 and has not made any specific recommendations to any  
13 party to this proceeding to reduce, defer, or modify  
14 the programs or projects planned by the technical and  
15 professional experts at Hydro.

16 MR. DMITRY BALASHOV: Thank you, sir.  
17 We would agree with that statement in terms of  
18 specific projects or specific reductions.

19 MR. BRENT CZARNECKI: So even though  
20 you have not recommended any specific projects to be  
21 deferred, you raised an example related to what you  
22 call opportunities to reduce planned expenditures in  
23 your report. And do you remember that?

24 MR. DMITRY BALASHOV: Correct, yes.

25 MR. BRENT CZARNECKI: And while you

1 refer to opportunities, the sole item you identify is  
2 the Bipole II valve bushing replacement units. Do you  
3 recall that?

4 MR. DMITRY BALASHOV: As far as  
5 examples go, I believe that's the one (1) example that  
6 we've identified.

7 MR. BRENT CZARNECKI: So if we could  
8 turn up page 44 of your report, as it's -- your  
9 concern is specifically stated in there. It's the  
10 paragraph that starts with, "Finally," the concluding  
11 paragraph.

12 MR. DMITRY BALASHOV: M-hm.

13 MR. BRENT CZARNECKI: And I want to  
14 drop everyone's eyes to about the seventh line in  
15 where it says, "METSCO" in the middle of it. And this  
16 is considering the porcelain bushings?

17 MR. DMITRY BALASHOV: M-hm.

18 MR. BRENT CZARNECKI: It says:  
19 "METSCO sees no reason why the  
20 applicant could not defer the spare  
21 units hurt -- or pardon me -- defer  
22 the complete conversion to the new  
23 technology until such time as the  
24 existing inventory of spare units  
25 has been used up."

1                   Do you recall that?

2                   MR. DMITRY BALASHOV: Yes.

3                   MR. BRENT CZARNECKI: So according to  
4 you at that time, in fairness, this particular project  
5 of replacing porcelain bushing units could be  
6 deferred?

7                   MR. DMITRY BALASHOV: Replacing what  
8 we understand to be the spares that are currently  
9 available to Manitoba Hydro. And -- just -- just for  
10 clarity, not -- not the units that are already  
11 upgraded.

12                  MR. BRENT CZARNECKI: Correct.

13                  MR. DMITRY BALASHOV: Yes. So that's  
14 -- that's the example of -- of the type of  
15 discretionary nature that we have seen in -- in the  
16 evidence, and we drew the specific attention to that  
17 particular one (1).

18                  MR. BRENT CZARNECKI: You -- an  
19 inference you drew? Is that what I --

20                  MR. DMITRY BALASHOV: Sorry. Did I  
21 say "inference"?

22                  MR. BRENT CZARNECKI: I don't --

23                  MR. DMITRY BALASHOV: I don't believe  
24 so, sir.

25                  MR. BRENT CZARNECKI: Okay.

1 MR. DMITRY BALASHOV: But we -- as --  
2 as we noted and as -- as you and I have discussed  
3 several minutes ago, at the beginning of this report  
4 which we did note the -- the attempts that have been  
5 made and the information that we had to rely upon. So  
6 we were operating much, much like the Board does, with  
7 a certain degree of assymet -- asymmetry in terms of  
8 the information.

12

13 (BRIEF PAUSE)

14

15 MR. BRENT CZARNECKI: And we don't  
16 need to read everything on the screen, but I think  
17 maybe lines 9 to 17 is key. Manitoba Hydro explained  
18 the specific reasons why employing a run to failure  
19 strategy, as METSCO suggests, is unacceptable and  
20 imprudent due to the associated reliability and loss  
21 of generation risk.

22 Is that a fair summarization of what  
23 this page in the rebuttal does?

24 DR. ALEX BAKULEV: That's what it's  
25 reading here.

1                   MR. BRENT CZARNECKI: And did you read  
2 that response in the rebuttal?

3                   DR. ALEX BAKULEV: I don't --

4                   MR. DMITRY BALASHOV: I -- I certainly  
5 did, sir. It does appear to me that Manitoba Hydro  
6 and ourselves, based on the information that it has  
7 disclosed on record related to this particular  
8 project, we may be talking about slightly different  
9 things. Our understanding on the basis of the  
10 evidence was that Manitoba Hydro proposed to replace  
11 the full inventory of spares that had been available  
12 to it that have not been used, that utilize the older  
13 technology. And that they had proposed to replace  
14 this because this technology was no longer the  
15 preferred technology.

16                  Our suggestions were merely that the  
17 fact that the technology is no longer preferred was  
18 not that the -- the assets are no longer not  
19 functional. And if that understanding was correct,  
20 our suggestions were simply to phase-in the newer  
21 technology of the particular items gradually, as  
22 opposed to replacing the entire inventory, which to  
23 our understanding based on the IRs that we have asked,  
24 there was nothing to indicate that it was not  
25 operable.

1                           MR. THOR HJARTARSON: I'd like to  
2 maybe just add a bit to this. The purpose of the --  
3 the comment that we made and the rebuttal of this,  
4 we're not saying this is what they should do. We're  
5 saying that we're lacking the options to be able to  
6 evaluate the risk and the benefits from doing it A, B,  
7 or C.

8                           MR. BRENT CZARNECKI: Thank you for  
9 the clarification. I just want to confirm that --  
10 whether or not you would agree that, as Hydro stated  
11 in their evidence, the existing sparable bushings can  
12 and have failed catastrophically, resulting in fire,  
13 risking serious injury to staff, and collateral damage  
14 to adja -- adjacent equipment, and will result in the  
15 loss of 1,000 megawatts?

16                         MR. DMITRY BALASHOV: Where -- could  
17 you -- could you just point to -- to the specific  
18 lines that you were --

19                         DR. ALEX BAKULEV: 11 and 12.

20                         MR. DMITRY BALASHOV: 11 and 12? So -  
21 - so the one (1) thing that, does -- does it -- I -- I  
22 believe, sir, that you have said the existing sparable  
23 bushings. And I -- we do not see the way that  
24 sparable bushings could catch on fire, if they're not  
25 actually installed in the assets.

1                   Is that correct, Mr. Hjartarson?

2                   MR. THOR HJARTARSON: Yeah.

3                   MR. DMITRY BALASHOV: So I'm not sure  
4 that -- that I see the word "spare" in there  
5 somewhere.

6                   MR. BRENT CZARNECKI: If -- if the  
7 spare bushings were actually installed they could  
8 result to those consequences.

9                   MR. THOR HJARTARSON: I would assume  
10 that before they -- regularly if they're kept on spare  
11 that they are being tested and kept in -- kept in  
12 pristine condition.

13                  MR. BRENT CZARNECKI: Okay. My  
14 understanding, and based on the rebuttal evidence, is  
15 that if they're tested they could catastrophically  
16 fail. So that's a -- it's an issue in terms of the  
17 actual testing too.

18                  MR. THOR HJARTARSON: Yeah, but you --  
19 if they're spares you can test them off-line, so  
20 they're not connected.

21                  DR. ALEX BAKULEV: And maybe just to  
22 add to that, they've never been put in place for the  
23 last thirty (30) years, right? So it's never happened  
24 before. So whenever we say that there is a potential,  
25 we're just saying that there should be some sort of

1 risk evaluation. What's the probability of this event  
2 happening, based on the history, which it looks like  
3 never happened, right? And what is the portability of  
4 this for a cost of this event happening in the future?  
5 Whether the consequence -- one (1) of the consequence  
6 -- one (1) of the failure modes, I guess, is the loss  
7 of 1,000 megawatt.

8                   Then the question is: Are there any  
9 other failure modes which do not involve a loss of  
10 1,000 megawatt. What's the probability of this  
11 failure mode happening when the asset reaches end of  
12 life and it may be only 1 percent of this is  
13 catastrophic failure. For some assets, that's what we  
14 see. It could be 1 percent. It would be 01 percent  
15 that there is a catastrophic failure associated with  
16 the asset reaching the end of life.

17                  Then on top of that there is an impact  
18 assessment. What happens if a catastrophic failure  
19 occurs indeed, right? So what are the potential  
20 options to mitigate this risk? One (1) of the option  
21 is to have a -- spare unit, whether it's a old one or  
22 a new one as you suggested. But there could be some  
23 other options how to mitigate this risk. And maybe if  
24 the restoration of this 1,000 megawatts can be done  
25 through other means, it might be a cheaper solution or

1 a cheaper alternative.

2 So it's not always looking at one (1)  
3 option. We would love to see, and hopefully it has  
4 been done, but we have not seen it on the record, that  
5 there are different alternatives to these risks, or  
6 the issue that you're trying to -- to mitigate it  
7 here.

8 MR. BRENT CZARNECKI: So, Dr. Bakulev,  
9 thank you for the response.

10 So am I -- am I correct that you're not  
11 saying that that type of work hasn't been completed at  
12 Manitoba Hydro. You're just saying that you haven't  
13 seen all the detailed information such that you could  
14 confirm that one (1) way or the other.

15 Is that correct?

16 DR. ALEX BAKULEV: That's correct.

17 MR. BRENT CZARNECKI: And so now  
18 reading the rebuttal, and again in fairness to you not  
19 having seen all of the detailed calculations that I'm  
20 told, and I think Hydro's testified to the fact that  
21 those types of things are done.

22 DR. BYRON WILLIAMS: I'm not sure we  
23 would accept that as a fair characterization of the  
24 record.

25 MR. BRENT CZARNECKI: Sure.

1 DR. BYRON WILLIAMS: So -- so --

2

3 CONTINUED BY MR. BRENT CZARNECKI:

4 MR. BRENT CZARNECKI: I'll -- I'll  
5 move on.

6 So would you agree that Hydro's  
7 decision to proceed with that project is reasonable  
8 and necessary?

9 DR. ALEX BAKULEV: We can say the  
10 opportunity to explore further alternatives and  
11 options to this decision that you've made. Obviously  
12 it's being accepted by the professional engineers that  
13 -- employed in the company. However, from my economic  
14 perspective, there are always some alternatives that  
15 can be done. And if these alternatives deliver the  
16 same service obligations as are being delivered in  
17 this solution, or maybe slightly lesser, slightly  
18 higher but still acceptable than those solutions,  
19 different solutions should be reviewed and analyzed.  
20 And the best solution should be delivered.

21 MR. BRENT CZARNECKI: So, gentlemen,  
22 after your review of all of the evidence on the  
23 record, there is actually not even one (1) project  
24 that you would recommend for potential deferral, is  
25 there?

1                   MR. DMITRY BALASHOV: I would not  
2 characterize our conclusion this way, sir. We have  
3 not been -- we do -- we do not see our engagement as  
4 recommending specific reductions. We have been  
5 retained by our clients to provide assistance to this  
6 Board in terms of showing what type of information is  
7 typically available to utilities in other  
8 jurisdictions where we have done work, in terms of  
9 justifying both internally and certainly externally to  
10 the regulator the reasonableness, the economic  
11 efficiency, the safety, and other points of the asset  
12 management program.

13                  So we do not see our scope of  
14 engagement at any point as recommending particular  
15 reductions. We do, however, see a number of areas  
16 where there are gaps in terms of what has been put on  
17 the record, which is what led us to our conclusion  
18 that the Board does not see in front of it sufficient  
19 evidence to be confident that Manitoba Hydro has  
20 applied the rigour that they had stated on record they  
21 have done. And that is how we would see it, so.

22                  MR. THOR HJARTARSON: Maybe I -- well,  
23 I would like to add a little bit to that. What we  
24 have not seen is the consistency of methodology, how  
25 to prioritize and pick and choose projects between

1 different areas. We don't see that methodology. We  
2 don't see evidence of it. We don't see evidence that  
3 this is the right amount of project. There may be  
4 more project that need to be done because reliability  
5 needs it. Then you may be doing the wrong project.  
6 So that's what we're basically trying to say. We  
7 don't see that justification for why these projects or  
8 these programs.

9 MR. BRENT CZARNECKI: So just --

10 DR. ALEX BAKULEV: Maybe have a --  
11 sorry. I'd just add to that -- we work as a team. So  
12 to make specific recommendations on reduction on  
13 specific program -- programs and projects, I guess we  
14 will need to have access to the same detail  
15 information that your engineers have, and maybe use a  
16 slightly different team that I experienced in the  
17 equipment that you're recommended to replace or to --  
18 to upgrade. So, however, it was not within the scope  
19 of our engagement.

20 MR. BRENT CZARNECKI: So thank you,  
21 gentlemen. I have just a few more questions to sum up  
22 on this, and then, Mr. Chair, I would suggest we take  
23 our break.

24 The -- the gaps that you're speaking  
25 of, those were identified by UMS in its report;

1 correct?

2 DR. ALEX BAKULEV: Some of the gaps  
3 that we are speaking were obviously based on the  
4 record of the evidence that we have in the record.  
5 One (1) of this evidence was the UMS report that was  
6 delivered two (2) years ago.

7 MR. BRENT CZARNECKI: And to your  
8 point, Dr. Bakulev, that for you to come in and do the  
9 work that the capable Hydro folks are doing, that  
10 would be a duplication of efforts.

11 Would it not?

12 DR. ALEX BAKULEV: Meaning that we  
13 would go to Manitoba Hydro, start the interviewing  
14 process, and going through the same procedure UMS, the  
15 -- to be able to do the gap assessment then? Yes, it  
16 would be duplicative work. However, it was not the  
17 scope of our engagement with Consumer Coalition.

18 MR. BRENT CZARNECKI: Now that, and  
19 also then going into the detailed records that may or  
20 may not exist at Hydro to make specific decisions  
21 about deferring or replacing assets?

22 DR. ALEX BAKULEV: Okay. Now, the way  
23 I understand your question is regards to the  
24 investment needs that you identified in your financial  
25 planning process in CF16? To be able to understand

1 how much money you need from the system perspective,  
2 guess we just need to be in your shoes and going  
3 through all the studies that you have, going through  
4 all the details that you have for all the condition  
5 information that you have detailed condition  
6 information, and basically re-create those project  
7 scopes that you have.

13 MR. BRENT CZARNECKI: Thank you, Dr.  
14 Bakulev. I -- I think, Mr. Chairman, now would be an  
15 appropriate time to break.

16 THE CHAIRPERSON: Oh, thank you.

17 We'll -- we'll adjourn until one o'clock. Thank you.

18

19 --- Upon recessing at 12:04 p.m.

20 --- Upon resuming at 1:02 p.m.

21

22 THE CHAIRPERSON: Mr. Czarnecki . . . ?

23 MR. BRENT CZARNECKI: Thank you, Mr. .

24 Chairman.

25

1 CONTINUED BY MR. BRENT CZARNECKI:

2 MR. BRENT CZARNECKI: Good afternoon,  
3 gentlemen. I'm going to switch gears to try and  
4 address what I'm going to call the future state of  
5 Manitoba Hydro's corporate asset management  
6 initiative. So beyond the -- moving beyond the two  
7 (2) test years.

8 And my starting point will be the UMS  
9 report that was procured by Manitoba Hydro; agree?

10 MR. DMITRY BALASHOV: Sure.

11 MR. BRENT CZARNECKI: And I think  
12 earlier I characterized that report as a Gap analysis  
13 that was performed by UMS of Manitoba Hydro's state of  
14 affairs?

15 MR. DMITRY BALASHOV: That's a fair  
16 characterization.

17 MR. BRENT CZARNECKI: And Mr.  
18 Balashov, I think I heard you this morning say that  
19 UMS was a very reputable firm in this regard?

20 MR. DMITRY BALASHOV: Absolutely.

21 MR. BRENT CZARNECKI: And we've heard  
22 of the company called Kinectrics as well?

23 MR. DMITRY BALASHOV: I have indeed.

24 MR. BRENT CZARNECKI: Are you familiar  
25 with them?

1 MR. DMITRY BALASHOV: Yes.

2 MR. BRENT CZARNECKI: I hope so, your  
3 boss used to work for them.

4 MR. DMITRY BALASHOV: Sure has.

5 MR. BRENT CZARNECKI: And likewise  
6 would they be, in your view, a very reputable firm in  
7 the subject matter?

8 MR. DMITRY BALASHOV: Yes.

9 MR. BRENT CZARNECKI: And I take it  
10 that you would agree that UMS did extensive analytical  
11 work when performing its Gap analysis of Manitoba  
12 Hydro?

13 MR. DMITRY BALASHOV: Based on our  
14 reading of the reports, it would appear to be so. We  
15 had requested Manitoba Hydro to procure -- or  
16 requested whether Manitoba Hydro had an -- in an  
17 attempt to see what some of the more detailed analysis  
18 has been, they had not provided this analysis, nor did  
19 they say that they requested that from UMS. But based  
20 on what we've seen, it seems like there was a lot of  
21 interviews that took place and other assessment.

22 So I generally agree, subject to  
23 reservations.

24 MR. BRENT CZARNECKI: Thank you. That  
25 was what I was focusing on was more or less the

1 fieldwork of UMS and if we could turn up page 3 of the  
2 report. I think it outlines the paragraph that reads:

3                             "To perform the assessment, in  
4                             particular, --

5 MR. DMITRY BALASHOV: Right, I -- I  
6 recall this.

7 MR. BRENT CZARNECKI: And so I'm just  
8 going to highlight some of the field activities they  
9 did. They collected and reviewed asset management  
0 related process and practice documentation, as well as  
.1 current plans to monitor and maintain asset  
.2 performance, asset condition and risk levels.

13 Do you see that?

14 MR. DMITRY BALASHOV: I do.

15 MR. BRENT CZARNECKI: And then I think  
16 as you've just fairly said, they had interviews were  
17 held with the executive team to understand their views  
18 on asset management.

19 And would your understanding be the  
20 executive team, being the one at Manitoba Hydro?

21 MR. DMITRY BALASHOV: Yes, that's  
22 fair.

23 MR. BRENT CZARNECKI: And they looked  
24 at objectives for the assessment and perceived issues  
25 and gaps?

1                   MR. DMITRY BALASHOV: Correct.

2                   MR. BRENT CZARNECKI: And then  
3 following those interviews, individual interviews  
4 were held with the personnel involved with asset  
5 management from across the Hydro generation  
6 operations, transmission and customer service and  
7 distribution business units?

8                   MR. DMITRY BALASHOV: That is what the  
9 report says.

10                  MR. BRENT CZARNECKI: Which sometimes  
11 are referred to GT and D?

12                  MR. DMITRY BALASHOV: Yep, that is a  
13 common industry reference.

14                  MR. BRENT CZARNECKI: And the focus of  
15 those interviews was to understand the current and  
16 planned asset management roles and responsibilities,  
17 practices, processes and tools; agreed?

18                  MR. DMITRY BALASHOV: Absolutely.

19                  MR. BRENT CZARNECKI: And I could go  
20 on but in appendix B there's a more detailed list of  
21 personnel that were involved and interviewed and some  
22 workshops that occurred?

23                  MR. DMITRY BALASHOV: I recall that,  
24 yes.

25                  MR. BRENT CZARNECKI: So UMS had a

1 fairly informed dialogue with Manitoba Hydro staff and  
2 representatives responsible for asset management?

3                           MR. DMITRY BALASHOV: Not to put words  
4 in -- in the mouth of UMS report, it would appear that  
5 they've done an extensive work. How they perceived  
6 the information that they have received, we cannot  
7 judge other than what is written in the report.

8                           MR. BRENT CZARNECKI: Fair enough,  
9 sir. No question they performed a more extensive  
10 review and involvement than METSCO's review in this  
11 proceeding?

12                          MR. DMITRY BALASHOV: I would argue  
13 that the two (2) scopes of the review are quite  
14 incomparable. We have been asked to look at the  
15 evidence for particular test years in terms of the  
16 evidentiary rigour in justifying the expenditures.  
17 UMS has done a very detailed analysis of the Company's  
18 capabilities, which, as we have noted in our  
19 presentation, we have relied upon to establish the  
20 starting point of the context of where we're at. So I  
21 -- I wouldn't say that they're comparable. I -- I  
22 understand the point that you're trying to make but I  
23 -- I cannot agree that it's more extensive because we  
24 were doing different things.

25                          They have certainly had exposure to

1 Manitoba Hydro staff that we had not and that we could  
2 not establish by way of asking the interrogatories for  
3 some technical materials that Manitoba Hydro refused  
4 to provide.

5 MR. BRENT CZARNECKI: And fair enough.  
6 I think I'm hearing you say that you had different  
7 objectives and by no means was your retainer meant to  
8 be a UMS 2.0?

9 MR. DMITRY BALASHOV: Which would  
10 probably not make sense, considering that they have  
11 done a good job.

12 MR. BRENT CZARNECKI: And do you  
13 recall the testimony of Mr. Wortley referring to  
14 Manitoba Hydro's corporate asset management initiative  
15 as a journey?

16 MR. DMITRY BALASHOV: I do.

17 MR. BRENT CZARNECKI: And I think from  
18 your presentation today you're aware of some recent  
19 progress that Manitoba Hydro has made on this journey?

20 MR. DMITRY BALASHOV: Based on the  
21 commentary of Mr. Wortley and -- and his colleagues,  
22 during the panels we've certainly read of some  
23 instances of progress across.

24 MR. BRENT CZARNECKI: And one (1) of  
25 those instances of progress is the development of a

1 corporate value framework to provide a common basis  
2 for valuing projects?

3 MR. DMITRY BALASHOV: What I  
4 understand to be an ongoing development that is  
5 proceeding, but has not informed as I believe either  
6 Mr. Wortley or one of his colleagues has said, has not  
7 informed the current plan.

8 MR. BRENT CZARNECKI: Correct.

9 MR. DMITRY BALASHOV: Thank you.

10 MR. BRENT CZARNECKI: And in questions  
11 posed by Dr. Williams, Mr. Wortley testified that  
12 Hydro's commencing phase 2 of the journey, being the  
13 development of asset management policies and  
14 strategies?

15 MR. ALEX BAKULEV: Yes. However, our  
16 belief then on page 15 of our report, we mentioned  
17 that this pol -- this policy and strategy were planned  
18 to be developed for a certain timeframe, and I think  
19 it was last year. And based on our IR which was --  
20 sorry, I'll just repeat which was the Coalition/MH, I-  
21 149(a).

22 So the -- your answer was that those  
23 documents while they were planned to be developed last  
24 year have not been developed. So, meaning that we  
25 honestly don't see the confidence that the Company

1 while competing to the plans actually is able to  
2 follow these plans on the asset management journey and  
3 that's one of the concern that we mentioned in the  
4 report.

5 MR. BRENT CZARNECKI: Dr. Bakulev,  
6 you're knowledgeable of the fact that Manitoba Hydro  
7 as a corporation has recently gone through a major  
8 restructuring process?

9 DR. ALEX BAKULEV: That's what you put  
10 on the record, yep.

11 MR. BRENT CZARNECKI: And that  
12 restructuring involves the loss of approximately nine  
13 hundred (900) employees.

14 DR. ALEX BAKULEV: I believe you  
15 mentioned that it was nine hundred (900) employees;  
16 on some other records it was -- the actual departure  
17 is less, yes.

18 MR. BRENT CZARNECKI: Approximately I  
19 think. It's probably closer to eight hundred and  
20 fifty (850), but no need to quibble.

21 DR. ALEX BAKULEV: While it's -- so I  
22 still don't think that's a major hurdle to implement  
23 this at management or continue to implement the best  
24 asset management principles in the Company because,  
25 first of all, we don't know what type of personal has

1 being leaving the Company, whether it's an asset  
2 management's sphere or not. And you even if it's  
3 there, I think still it's a quite available task to  
4 continue to implement based on the plans the best  
5 principles of the asset management.

6 MR. BRENT CZARNECKI: And in  
7 questioning posed by Dr. Williams, Mr. Wortley  
8 testified that Hydro's commencing phase 2 of the -- of  
9 the journey and is cautiously optimistic that that  
10 will be completed in a year's time.

11 You're aware of that?

12 DR. ALEX BAKULEV: Sub -- subject to  
13 check, yes.

14 MR. BRENT CZARNECKI: And you would  
15 agree that asset management is a journey and not an  
16 end point?

17 DR. ALEX BAKULEV: I think that can be  
18 answered to any continuous improvement initiative,  
19 whether it's asset management, so some other  
20 continuous improvement initiatives. You can always be  
21 better than the current state.

22 MR. BRENT CZARNECKI: So it is always  
23 evolving and improving; is that what you're saying?

24 DR. ALEX BAKULEV: Of course.

25 MR. THOR HJARTARSON: And -- and I'd

1 like maybe to add to it that it is not a binary thing.  
2 You're not either/or. Everybody's on some kind of a  
3 journey and it -- it's obvious that Manitoba is on  
4 their journey. The importance I think we're trying to  
5 look out is that they have a journey and that -- that  
6 there are some goals that they planned to accomplish.  
7 There are some milestones. Are they going to be met?  
8 How is the Board in some ways going to be following up  
9 having them show how they're meeting those and -- and  
10 standing -- staying to their plan basically.

11 MR. BRENT CZARNECKI: Thank you, Mr.  
12 Hjartarson. So following that answer, it's important  
13 for Mr. Wortley within the next year to gather data,  
14 analyse if that data is useful to you in terms of  
15 measuring performance and making predictions with that  
16 information?

17 DR. ALEX BAKULEV: Sorry, I believe  
18 that based on the projects that they put forward, you  
19 have gathered the data and you have these data to be  
20 able to make the decisions. So I'm not sure if there  
21 is any need to gather additional data and if it's so  
22 it would be real great to see what kind of additional  
23 data you're thinking to gather to make those  
24 decisions.

25 And our particular concern would be not

1 to make the engineering decisions but rather the  
2 investment prioritization decisions and locate the  
3 options analysis in the future. What if Company  
4 spends that money? That's the outcome that would be  
5 given to the -- to the customers.

6 I honestly believe based on the depth  
7 of some of the analysis that we have, you have all the  
8 data to be able to develop those tools and to be able  
9 to predict, let's say, availability for your  
10 distribution systems.

11 MR. THOR HJARTARSON: Maybe just to  
12 add to that, the processes and the tools and the  
13 implementation, they should help with driving the  
14 data. Don't fall in the mistake of collecting data  
15 first and then implement because you get less quality  
16 data. It is really important to have that process  
17 drive so that the correct information is being  
18 collected.

19 MR. BRENT CZARNECKI: Whatever stage  
20 of the journey that proceeds, if -- if it doesn't --  
21 if it's not useful or doesn't add value to decision-  
22 making then another approach would be developed or  
23 should be developed. Would you agree with that?

24 DR. ALEX BAKULEV: Can you please  
25 restate your question in different terms?

1                           MR. BRENT CZARNECKI: I'll try it  
2 again. Perhaps whichever asset management journey one  
3 Utility may choose, it should add value to decision-  
4 making; correct?

5                           DR. ALEX BAKULEV: It should value to  
6 -- it should add value to the overall value statement  
7 of the Company, whether it's to the stakeholders that  
8 could be the Utility or the customers then, yes,  
9 correct.

10                          MR. BRENT CZARNECKI: And you will  
11 recall that Mr. Wortley cautiously estimated a three  
12 (3) to five (5) year time frame of concerted efforts  
13 to complete the capital portfolio management portion  
14 of Hydro's asset management journey?

15                          DR. ALEX BAKULEV: As I mentioned  
16 before, it's a journey so it's never been completed.  
17 So it's always evolving. And I think you would agree  
18 with that.

19                          So -- and then for the, I guess, if the  
20 question is: When the Company starts making their  
21 conscious decision to implement asset management  
22 practices, let's say, based on the standards like PAS  
23 55 on the new standard ISO 55000, and after this  
24 decision is made with concentrated efforts, it is  
25 possible within three (3) to five (5) years to be on

1 the frontier line of the -- of the asset management. I  
2 think you have a (INDISCERNIBLE), so to achieve three  
3 (3) or four (4) out of four (4), that -- that's quite  
4 possible.

5 MR. BRENT CZARNECKI: And -- and I  
6 think I heard you this morning in your direct  
7 testimony say that the three (3) to five (5) year  
8 timeframe was a reasonable estimate; correct?

9 MR. DMITRY BALASHOV: That's correct  
10 that -- that was part of my testimony, sir, and I -- I  
11 confirm that. The one (1) thing that I do want to add  
12 to this is that we have throughout our evidence, both  
13 written and today's presentation, given Manitoba Hydro  
14 a, you know, a number of applauses in terms of the  
15 type of work that they're doing. We've shown evidence  
16 of significant improvement.

17 However, as we understand the issue of  
18 this proceeding is specifically the '16 and '17  
19 capital forecast -- or '17 and '18, pardon me, and  
20 what we do understand to be the case is that a lot, if  
21 not most, of these new initiatives insofar as they are  
22 proceeding, they have not been reflected in the  
23 current plan; that rigour that is being established is  
24 not in the plan that is currently before the Board,  
25 and that is -- that is something that drove our

1 conclusions.

2                   We completely endorse the direction  
3 where the Company is going, subject to some concerns  
4 in terms of the accountability and -- and -- and  
5 delivering on the milestones and in getting there and  
6 making sure that it's implemented, but that is just  
7 the distinction that -- that I wanted to make in terms  
8 of the scope of this proceeding.

9                   MR. BRENT CZARNECKI: Mr. Balashov, I  
10 think Mr. Wortley's testimony was quite candid in that  
11 regard, saying that we are attempting to fill the gaps  
12 that were identified as UMS when it studied this  
13 initiative.

14                   Would you agree?

15                   MR. DMITRY BALASHOV: I have no reason  
16 to question that whatsoever, absolutely.

17                   MR. BRENT CZARNECKI: And moving from  
18 the three (3) to five (5) year timeframe, a broader  
19 asset management maturity would be a much larger  
20 endeavour taking more time to complete.

21                   Would you agree?

22                   MR. THOR HJARTARSON: Yes, yes,  
23 absolutely. And also there's always new technology  
24 that comes in. There is -- there is various new  
25 find -- findings that people see and different types

1 of resources that start working for the Utility. So  
2 it's -- it's really a never-ending journey as such.

3 MR. BRENT CZARNECKI: And based on all  
4 of your information and evidence, I take it you would  
5 agree that it is important for Mr. Wortley to continue  
6 on with this journey and focus his efforts on phase 2  
7 in the immediate and near term?

8 DR. ALEX BAKULEV: I would say that it  
9 is very important for Manitoba Hydro not just Mr.  
10 Wortley to continue to assemble a management practice  
11 together.

12 However, we, as a consultant in this  
13 case, we do want to say that those plans that have  
14 been established should be unfold and, as an example,  
15 asset management roadmap have been in one of your  
16 document. I believe it was called 2015 Engineering  
17 Services Division Strategic Plan and their road map as  
18 management -- development of the asset management  
19 roadmap was mentioned there, back in February 2015.  
20 And right now we are in 2018. So a three (3) year gap  
21 without having the roadmap developed, that's quite  
22 concerning. And if those three (3) to five (5) years  
23 will, again, go to seven (7) to ten (10) years as a  
24 continuing journey that -- that -- that that would be  
25 something that might be a recommendation to the -- to

1 the Board to ensure that those milestones have been  
2 followed and embedded in the decision-making.

3 MR. BRENT CZARNECKI: Thank you, Dr.  
4 Bakulev. Back to Mr. Wortley's work, is it important  
5 that he report the fruits of his and his team's labour  
6 to Manitoba Hydro's executive and the Manitoba Hydro  
7 Electric Board to further and approve -- further  
8 approve and direct his asset management journey?

9 MR. DMITRY BALASHOV: As a casual  
10 observer using common sense, absolutely. As -- as  
11 experts, I'm not sure that we're in a -- in a position  
12 to provide a statement as to the governance aspects of  
13 Manitoba Hydro.

14 MR. BRENT CZARNECKI: Presumably Mr.  
15 Balashov, on the governance he would do that before  
16 coming back to this Board to provide whatever his plan  
17 may be --

18 MR. DMITRY BALASHOV: Would you remind  
19 me of what Mr. Wortley's title is?

20 MR. BRENT CZARNECKI: He is the  
21 Director of Strategic Business Integration.

22 MR. DMITRY BALASHOV: Okay, fair  
23 enough so.

24 DR. ALEX BAKULEV: I would add to that  
25 that I would not put the development of asset

1 management just on Mr. Wortley's shoulders. It's  
2 quite a big task and the asset management itself  
3 described the Companywide involvement that is being  
4 supported and that's the key statement in the standard  
5 as well, that it should be supported with the key  
6 leaders in the organization, starting from the CEO of  
7 the Company, right?

8 MR. BRENT CZARNECKI: Rest assured,  
9 Mr. Wortley has a -- a cast of team members below him  
10 from generation, transmission and distribution and it  
11 is by way of the guidance from the CEO of Manitoba  
12 Hydro.

13 You have no reason to dispute that?

14 DR. ALEX BAKULEV: No.

15 MR. DMITRY BALASHOV: No, we don't.

16 MR. BRENT CZARNECKI: Now, I'm going  
17 to switch gears from the journey to benchmarking and  
18 I'm going to try to hit it at a highly -- at a pretty  
19 high general level, so bear with me here.

20 Would you agree that every Utility is  
21 structured differently?

22 DR. ALEX BAKULEV: I'm -- I'm not sure  
23 what you mean when you say "structured."

24 MR. BRENT CZARNECKI: Okay. I'll  
25 focus more on Manitoba Hydro. You agree that Manitoba

1 Hydro is vertically integrated with generation,  
2 transmission and distribution business groups?

3 DR. ALEX BAKULEV: That's the  
4 Company's description, yes.

5 MR. BRENT CZARNECKI: And that would  
6 be different from Toronto Hydro, for example?

7 DR. ALEX BAKULEV: If you just mention  
8 from Toronto Hydro, yes.

9 MR. BRENT CZARNECKI: And I could --

10 DR. ALEX BAKULEV: However, if you  
11 would mention other companies I don't think it would  
12 be different from some other vertically integrated  
13 companies.

14 MR. BRENT CZARNECKI: Bear with me,  
15 I'll try to get to the other examples that were in  
16 your report.

17 You would agree that the age of assets  
18 of a particular Utility is different?

19 DR. ALEX BAKULEV: The age  
20 distribution of the assets in different asset classes,  
21 obviously, will be different.

22 MR. BRENT CZARNECKI: And likewise the  
23 condition of those assets would be different?

24 DR. ALEX BAKULEV: Of course.

25 MR. BRENT CZARNECKI: The location of

1 those assets would be different?

2 MR. BRENT CZARNECKI: Yep.

3 MR. BRENT CZARNECKI: Such as some  
4 would be located in northern parts of a province,  
5 southern parts, urban, rural.

6 Agree with that?

7 DR. ALEX BAKULEV: Yes, like in any  
8 other companies, yes.

9 MR. BRENT CZARNECKI: And the  
10 geography of the asset location can be very different?

11 DR. ALEX BAKULEV: Yes. And that's,  
12 let's say, based on our example of working with the  
13 SaskPower, we can see that, and that -- that might be  
14 a challenging environment to work with.

15 MR. BRENT CZARNECKI: And for example,  
16 in Manitoba, I'm not sure if you're aware, but there's  
17 a large portion of Canadian Shield?

18 DR. ALEX BAKULEV: There is the same  
19 issue in -- in Ontario province, large portion is  
20 Canadian Shield.

21 MR. BRENT CZARNECKI: And another just  
22 general example is there's bogs in Manitoba; assets  
23 would be located in boggy conditions?

24 DR. ALEX BAKULEV: The same issue  
25 we've seen in SaskPower case.

1                   MR. BRENT CZARNECKI: And the ability  
2 to access facilities would vary greatly from province  
3 to province or location to location of assets?

4                   DR. ALEX BAKULEV: Environment might  
5 be different for different companies, yes.

6                   MR. BRENT CZARNECKI: And seasonal  
7 roads may be used for some Utilities and not others,  
8 for example?

9                   DR. ALEX BAKULEV: In some Utilities  
10 the work can be done only during the winter time on  
11 icy roads, yes.

12                  MR. BRENT CZARNECKI: And the  
13 Utility's regulation and the regulatory models or  
14 compacts would be different from jurisdiction to  
15 jurisdiction?

16                  DR. ALEX BAKULEV: That's evident,  
17 yes.

18                  MR. BRENT CZARNECKI: And the  
19 regulatory bodies themselves will be different?

20                  DR. ALEX BAKULEV: And the Board  
21 members would be different too, yes.

22                  MR. BRENT CZARNECKI: So I take it you  
23 wouldn't disagree that every Utility has its own  
24 unique set of circumstances to those of other  
25 Utilities?

1 DR. ALEX BAKULEV: Yes, as any other  
2 company can argue that they have their own specific  
3 circumstances.

4 MR. BRENT CZARNECKI: And agree that a  
5 particular set of practices should fit the particular  
6 set of circumstances?

7 DR. ALEX BAKULEV: They have brought -  
8 - there are some generic principles that can be fitted  
9 to any company but specific details on how those  
10 principles are being within the company might be  
11 different depending on the circumstances and  
12 environment that this company is working on.

13 And it's not just environment, it could  
14 be even a knowledge retention issues that this company  
15 has.

16 MR. BRENT CZARNECKI: Fair enough and  
17 --

18 DR. ALEX BAKULEV: A whole gap of any  
19 knowledge database that the company has.

20 MR. BRENT CZARNECKI: Fair enough, Dr.  
21 Bakulev. And I think those general conditions you've  
22 reviewed this morning on your refresher on asset  
23 management with the Board, those were intended to be  
24 general conditions that would apply?

25 DR. ALEX BAKULEV: When I spoke about

1 the general principles, yes.

2 MR. BRENT CZARNECKI: Back to the  
3 circumstances in -- in other words, what may work very  
4 well for one set of circumstances may not work as well  
5 or at all for another set of circumstances?

6 MR. DMITRY BALASHOV: That is  
7 precisely why benchmarking and -- I'm going back to  
8 benchmarking because this is how you started the  
9 section, Mr. Czarnecki.

10 MR. BRENT CZARNECKI: M-hm.

11 MR. DMITRY BALASHOV: This is  
12 precisely why benchmarking studies that are well done  
13 have a set of adjustment factors that account for the  
14 particular conditions that you have outlined and/or  
15 other conditions that might be unique, for example,  
16 strategic choices that utilities make in terms of  
17 letting equipment run to failure or replacing it in  
18 advance of certain times in large urban utilities,  
19 things of that nature.

20 So yes, absolutely conditions are  
21 different everywhere, but as was evidenced by the fact  
22 that BCG has done what looks to us like a fairly  
23 extensive benchmarking study on the OM&A studies, this  
24 does not make the feasibility of benchmarking any  
25 less. It could econometric. It could be done in

1 other ways.

2 MR. BRENT CZARNECKI: Thank you.

3 Would you agree that we should be cautious with  
4 benchmarking studies when comparing apples to oranges,  
5 and possibly grapes?

6 DR. ALEX BAKULEV: And I guess you're  
7 raising the same issue that was raised in the Ontario  
8 environment when the OEB introduced the total --  
9 closed benchmarking model for the -- for about seventy  
10 (70) different distributors in the province.

11 And this model actually try to account  
12 for specific circumstances that each company has, and  
13 at the same time trying to understand -- account for  
14 those factors, business conditions each of the assets;  
15 specific environment, including Canadian Shield, not  
16 all the companies are on Canadian Shield and some  
17 other conditions; split between overhead and  
18 underground; whether it's rural or urban environment,  
19 and accounting for those factors, the benchmarking  
20 model was created, right.

21 Some companies can argue where they  
22 shows the specific circumstances of this company.  
23 However, they said from -- for about ten (10) years  
24 for seventy (70) companies was developed and created,  
25 and based on the set, the benchmarking model --

1 statistically significant benchmarking model was  
2 introduced.

3                           And it is being used in the rate  
4 proceedings to understand what's the predicted cost of  
5 the Utility should be versus the actual costs. And  
6 even the predicted costs are higher than the -- then  
7 the actual cost, it -- it's a good thing for the  
8 company. If the actual costs are actually higher than  
9 the predicted by the model costs, it meaning that the  
10 company is more expensive than the average in the  
11 province.

12                          MR. BRENT CZARNECKI: Benchmarking  
13 studies and analysis would be one (1) of many  
14 potential measures or drivers that would be considered  
15 into an asset management portfolio; agree?

16                          DR. ALEX BAKULEV: Agree, benchmarking  
17 is a quite valuable input in the decision-making  
18 process.

19                          MR. BRENT CZARNECKI: And I don't want  
20 to spend too much time treading into SAIDI and SAIFI  
21 because I think you've covered off nicely, but that's  
22 another -- those indices would be yet another driver -  
23 - potential driver towards making actual asset  
24 investment decisions?

25                          DR. ALEX BAKULEV: Yes, it's one (1)

1 of the input.

2 MR. BRENT CZARNECKI: And as you  
3 testified this morning, there -- SAIDI and SAIFI are  
4 limited as they are lagging limited performance  
5 measures?

6 DR. ALEX BAKULEV: They are oftenly  
7 viewed as lagging indicators because they show the  
8 historical stats that have happened already.

9 MR. BRENT CZARNECKI: In -- in my  
10 words, meaning that significant performance changes  
11 may not be typically seen for several years following  
12 changes in asset intervention practices?

13 DR. ALEX BAKULEV: Based on our  
14 experience working with different Utilities we did not  
15 see abr -- abrupt changes of SAIDI and SAIFI  
16 indicators.

17 MR. THOR HJARTARSON: The short term.

18 DR. ALEX BAKULEV: In short time,  
19 yeah. Long term, yes, but the short term there is no  
20 reason to say that.

21 MR. BRENT CZARNECKI: And we --

22 MR. THOR HJARTARSON: And another  
23 thing that it's important to note that SAIDI and SAIFI  
24 are average indicator and often used for the whole  
25 Utility. There are other indicators you could look at

1 to see specific performance in certain areas of  
2 improvement, whether it's in a city or in a rural area  
3 far away. I could look at specific feeders, how  
4 they're improved. How many outliers are there that  
5 are really causing a lot of the -- a lot of outages.

6 SAIDI and SAIFI are average ones. They  
7 are lagging ones. They're kind of first what  
8 everybody compares but within a utility, you may want  
9 to go further on that.

10 MR. BRENT CZARNECKI: And, Mr.  
11 Hjartarson, on that point, I think we heard evidence  
12 from Mr. Neufeld from a transmission perspective that  
13 for his purposes, SAIDI and SAIFI have a very limited  
14 use because if there's a major line outage, there's a  
15 major line outage.

16 MR. THOR HJARTARSON: In transmission  
17 specifically, yes.

18 MR. BRENT CZARNECKI: And do you  
19 understand that one (1) of the indicators that Mr.  
20 Neufeld is now using is a different model or  
21 predictive tool, the RCI I think it's called?

22 MR. DMITRY BALASHOV: Sir, as -- as I  
23 recall from the record, I wouldn't characterize SAIDI  
24 and SAIFI and the rel -- RCI or whatever the name of  
25 the tool that has been in place for some years as

1 somewhat of replacements for each other.

2 I believe that that tool is something  
3 that has been developed in Manitoba Hydro to simulate  
4 various scenarios. So it's -- it's not that SAIDI and  
5 SAIFI are not useful per se, it's just that, you know,  
6 with a transmission system, generally speaking, an  
7 outage on a particular part of the system, whether  
8 it's bulk, whether it's a radio connection, the system  
9 can still -- can still operate because of our system  
10 operator, subject to major larger outages, obviously.

11 So yes, SAIDI and SAIFI -- and we have  
12 even seen it when we looked at defective equipment  
13 that it affects the system -- the transmission system  
14 a lot less because, generally, the supply to consumers  
15 -- gen consumers is -- is rarely or not as frequently  
16 affected as in distribution.

17 So I wouldn't say that SAIDI AND SAIFI  
18 are precisely not useful. I -- I don't remember  
19 exactly the way Mr. Neufeld has characterized this,  
20 but I -- but I am not sure that that -- that's what he  
21 was saying.

22 MR. BRENT CZARNECKI: Well, if I can  
23 help you, Mr. Balashov, he used an example of the east  
24 side of Lake Winnipeg where there's 1 feet in --

25 MR. DMITRY BALASHOV: Correct.

1                   MR. BRENT CZARNECKI: -- and his point  
2 was that if that feeder goes down, SAIDI AND SAIFI are  
3 completely irrelevant because there's obvious -- and  
4 there'd be widespread outages for lasting durations  
5 and no communication.

6                   So I think that's the context of what  
7 he was speaking of in terms of measuring his  
8 reliability performance from a transmission  
9 perspective, so.

10                  MR. THOR HJARTARSON: I think that  
11 kind of follows up on what I just said about outliers  
12 and so on. Probably there -- if -- if a SAIDI/SAIFI,  
13 is for all Manitoba Hydro, all its customers, that  
14 line -- I not particularly know about it but if we're  
15 talking about a northern -- northern part of -- around  
16 Lake -- Lake Winnipeg, then there probably are not  
17 that many customers, but still those customers can be  
18 severely affected when an outage occurs.

19                  MR. BRENT CZARNECKI: And another  
20 example that comes to mind is the Quebec ice storm in  
21 terms of the general example that SAIDI AND SAIFI,  
22 there's limited value in an event such as that.

23                  MR. THOR HJARTARSON: Yeah, it's a  
24 major event. It did produce high SAIDI AND SAIFI  
25 because that affected the city of Montreal.

1 DR. ALEX BAKULEV: And maybe I would  
2 just add to Mr. Hjartarson. So those some major  
3 events, there is some standards that are trying to  
4 exclude the major event days from the statistics and  
5 the most known one I think Mr. Wortley will obviously  
6 knows this standard, it's IEEE 2.AB standard 1336 that  
7 is used in best SAIDI AND SAIFI and trying to  
8 normalize it across the major event days to ensure  
9 that they're not being counted or viewed as the major  
10 driver for the -- for the investments.

11 MR. BRENT CZARNECKI: Switching gears  
12 now back to your report. And I'm returning to the  
13 informative examples of advanced asset management  
14 documents prepared by other Utilities which you filed  
15 as appendix A and it's at page 49.

16 And, gentlemen, you have no reason to  
17 doubt that Mr. Wortley and others at Manitoba Hydro  
18 will consider or reconsider, as the case may be, the  
19 informative examples from other jurisdictions specific  
20 to the circumstances in Manitoba?

21 DR. ALEX BAKULEV: No.

22 MR. BRENT CZARNECKI: And again, you  
23 would agree that Manitoba Hydro is a vertically  
24 integrated Utility with GT and D?

25 DR. ALEX BAKULEV: Yes.

1                   MR. BRENT CZARNECKI: And you would  
2 agree that being a vertically integrated Utility that  
3 this adds additional complexities and nuances to its  
4 asset management that are not applicable to many other  
5 Utilities?

6                   DR. ALEX BAKULEV: That may not  
7 applicable to many other Utilities, but will be  
8 applicable to many other Utilities.

9                   MR. BRENT CZARNECKI: And by way of  
10 example, some Utilities that only have a distribution  
11 role in a small urban geographical area that is  
12 densely populated?

13                  DR. ALEX BAKULEV: Those Utilities  
14 would have their own things that they would be  
15 complaining about, however, it shouldn't restrict from  
16 moving along the journey on asset management.

17                  MR. THOR HJARTARSON: Maybe to add to  
18 that, one (1) of the foundation standards on this ISO  
19 55000 applies not only to Utilities, it applies to  
20 anybody who manages assets, and that's about that --  
21 that's talked about details of best practices.

22                  So, not only different type of  
23 Utilities; it could be gas utility; it could be  
24 transportation; anybody who owns assets. So that  
25 whether Utility has -- is vertically integrated or

1 not, it has its own challenges, but still, the overall  
2 asset management philosophy and how -- how you would  
3 get -- how you would look at executing that is pretty  
4 much similar.

5 DR. BYRON WILLIAMS: And I'm just --  
6 excuse me one second. I'm just going to ask Dr.  
7 Bakulev to speak up just a little bit. I know you  
8 have a cold. Just to make sure everyone in the room  
9 can hear you.

10 DR. ALEX BAKULEV: Okay.

11

12 CONTINUED BY MR. BRENT CZARNECKI:

13 MR. BRENT CZARNECKI: And on ISO 5500  
14 (sic) from your evidence I understood there's only one  
15 (1) company that has obtained this status and that's a  
16 gas company in the United States?

17 MR. THOR HJARTARSON: That's been  
18 certified. There's a lot of them have gone through it  
19 and actually implemented a lot -- lot of the  
20 recommendations. But it's a tactical decision for any  
21 Utility whether they want to go through certification,  
22 and that's a -- but takes its own risks for a Utility  
23 and we are not recommending necessarily for Manitoba  
24 Hydro to get certified.

25 MR. BRENT CZARNECKI: And, sir, that

1 tactical recommendation would rest with the Manitoba  
2 Hydro Electric Board or the executive of Manitoba  
3 Hydro?

4 MR. THOR HJARTARSON: Probably a  
5 combination of those two (2), yeah.

6 MR. BRENT CZARNECKI: Now quickly  
7 reviewing the examples in your appendix A and I -- I  
8 don't want to spend much time in the weeds or the  
9 details.

10 Can you confirm that UK Power Networks,  
11 Toronto Hydro and EPCOR are primarily urban utilities?

12 DR. ALEX BAKULEV: EPCOR as a holding  
13 is actually's across Canada and the US. They have  
14 companies that they own in Ontario, in Calgary, on the  
15 US territory. They own water. They us -- they have  
16 transmission, they have distribution so it's quite a  
17 big company. Toronto Hydro, primary distribution. UK  
18 Power Networks, it's a company that has actually -- is  
19 part of a bigger company as well. They have around I  
20 believe six (6) different dissolution networks in --  
21 in the United Kingdom that they operate.

22 MR. BRENT CZARNECKI: Distribution  
23 networks?

24 DR. ALEX BAKULEV: Yeah, distribution  
25 networks.

1                   MR. BRENT CZARNECKI: And the EPCOR I  
2 was referring to is in Alberta primarily in Edmonton-  
3 based is my understanding.

4                   DR. ALEX BAKULEV: If you referring to  
5 the distribution department of Edmonton's -- or they  
6 call it EDTI, then, yes, it would be just distribution  
7 of the city of Edmonton. However, they do own other  
8 assets as well.

9                   MR. THOR HJARTARSON: They -- they do  
10 have some transmission also. And EPCOR does have some  
11 transmission.

12                  MR. BRENT CZARNECKI: And they serve a  
13 high customer base within those urban cities?

14                  DR. ALEX BAKULEV: Customer base for,  
15 let's say, for Toronto Hydro?

16                  MR. BRENT CZARNECKI: Yes.

17                  DR. ALEX BAKULEV: That's around  
18 700,000 customers.

19                  MR. BRENT CZARNECKI: And in Edmonton,  
20 do you know?

21                  DR. ALEX BAKULEV: And Edmonton, that  
22 should be about 400,000 customers.

23                  For UK Power Networks I believe it's in  
24 millions total.

25                  MR. BRENT CZARNECKI: And although

1 they may own limited or some transmission  
2 infrastructure, they are primarily distribution  
3 companies; is that correct?

4 DR. ALEX BAKULEV: If you're referring  
5 to the electrical part of EPCOR's business in Alberta,  
6 they would be primarily distribution. However, they  
7 still have significant portion of transmission.  
8 Toronto Hydro would be a distribution. Hydro One  
9 mentioned here would be a transmission province wise  
10 having one million plus customers.

11 MR. BRENT CZARNECKI: Would it be  
12 correct in saying there is no generation  
13 infrastructure owned by those Utilities, being UK,  
14 Toronto Hydro and EPCOR in Alberta?

15 DR. ALEX BAKULEV: Those ones that at  
16 listed in appendix A, you're correct.

17 MR. BRENT CZARNECKI: Now moving to  
18 Horizon Energy and UK Power Networks, those are  
19 located in different countries?

20 DR. ALEX BAKULEV: Yes.

21 MR. BRENT CZARNECKI: And different --

22 DR. ALEX BAKULEV: It says New  
23 Zealand.

24 MR. BRENT CZARNECKI: Sorry, go ahead.

25 DR. ALEX BAKULEV: It says New

1 Zealand.

2 MR. BRENT CZARNECKI: And different  
3 expectations with respect asset management and the  
4 associated maturity levels occur country to country?

5 DR. ALEX BAKULEV: I'm not sure that  
6 it's fair to say different expectations from asset  
7 management perspective, right. So obviously, if they  
8 have different Utility boards that trying to regulate  
9 those companies and even in Canada, there are  
10 different Utility boards that regulate the companies -  
11 - the companies.

12 In Alberta it's quite different  
13 practice compared to Ontario and Ontario is quite  
14 different from the Manitoba province. The same you  
15 can say about New Zealand.

16 MR. BRENT CZARNECKI: And lastly,  
17 Hydro One is a transmission and distribution company;  
18 correct?

19 DR. ALEX BAKULEV: It is transmission  
20 and distribution.

21 MR. BRENT CZARNECKI: And Hydro One  
22 supplies many individual distribution companies across  
23 the province of Ontario?

24 DR. ALEX BAKULEV: Yes.

25 MR. BRENT CZARNECKI: Now switching

1 gears to regulatory models. I take it you're aware  
2 that Ontario Utilities regulatory environment and  
3 model from the Ontario Energy Board grants part of  
4 rate increases on an acceptable rate of return on  
5 capital investments?

6 MR. DMITRY BALASHOV: That's correct,  
7 sir.

8 MR. BRENT CZARNECKI: Some will call  
9 it rate-based rate of return regulation?

10 MR. DMITRY BALASHOV: Right.

11 MR. BRENT CZARNECKI: And a component  
12 of that could be incentive-based or performance-based  
13 regulation, PVR?

14 MR. DMITRY BALASHOV: Exactly where a  
15 Utility is regulated within -- within a certain  
16 funding envelope over time, that is based on a regular  
17 test year and then inflationary adjustments, less the  
18 productivity offset for several years intervening  
19 between the re-basing as many as five (5) years  
20 currently.

21 MR. BRENT CZARNECKI: And are you  
22 aware that Manitoba Hydro is not regulated on a rate-  
23 based rate of return basis?

24 MR. DMITRY BALASHOV: That has been  
25 explained to us early on in our engagement on this

1 proceeding, yes, we are.

2 MR. BRENT CZARNECKI: And equally  
3 perhaps aware now that it's not performance-based  
4 regulation or incentive-based regulation?

5 MR. DMITRY BALASHOV: Correct. We  
6 are.

7 MR. DMITRY BALASHOV: And it's  
8 regulated on a different model, known as cost of  
9 service?

10 MR. DMITRY BALASHOV: We are aware  
11 that it's regulated based on the cost of service  
12 model, though, I would not necessarily characterize  
13 cost of service as being incompatible with the model  
14 that is incentive based.

15 Effectively what happens in Ontario is  
16 the re-basing years, as they're called, when a  
17 Utility comes in for, you know, providing forecast for  
18 five (5) years, for example, or shorter periods of  
19 time. It's effectively a cost of service proceeding,  
20 followed by two (2) or three (3) years where the rates  
21 not even the rate base is adjusted by inflation, minus  
22 the productivity offset which is informed by  
23 benchmarking.

24 So the two (2) are not completely  
25 different. One is a component of the other but you

1 point a stake and -- and we agree that it's a  
2 different model here currently.

3                           MR. BRENT CZARNECKI: Gentlemen, you -  
4 - you agree that after UMS completed its extensive  
5 analytical work that UMS, ultimately, concluded that  
6 Manitoba Hydro compares favourably against North  
7 American -- North American utilities in terms of its  
8 asset management maturity level?

9                           MR. DMITRY BALASHOV: That was part of  
10 UMS conclusion, along with other elements of it.

11                          MR. BRENT CZARNECKI: And -- and --

12                          MR. DMITRY BALASHOV: Such as the fact  
13 that one and a half out of four or out of five,  
14 depending on how you view zero, indicates some  
15 maturity relative to others, but it is far from three  
16 (3) which I believe they indicator as competence. So,  
17 that is another part of the conclusion that, on  
18 balance, UMS has provided along with detailed  
19 recommendations.

20                          DR. ALEX BAKULEV: And actually, I  
21 believe that in the report we mentioned that we think  
22 it may be overstated by UMS, just due to the fact that  
23 they greatly rely on the tools and frameworks to be  
24 considered implemented by Manitoba Hydro, such as C55  
25 to incorporate value framework and RCM.

1                   And as we've heard, that corporate  
2 value framework was not used in the ACF-16 and C55  
3 prioritization details, also we have not seen that on  
4 the -- on the record. And the project might have been  
5 accomplished by now, but certainly was not completed  
6 at the time of engagement with UMS.

7                   MR. BRENT CZARNECKI: So despite your  
8 differing opinion from UMS and hearing on the actual  
9 scorecard of 1.5 or maybe a little less, you'd agree  
10 that UMS concluded that Manitoba Hydro compares  
11 favourably against North American Utilities in terms  
12 of its asset management maturity level, correct?

13                  MR. DMITRY BALASHOV: That is -- that  
14 is what the report says, subject to other reservations  
15 that we've put on record. But too maybe try to add to  
16 Dr. Bakulev's point, the conclusion has been made and  
17 I -- I believe in our presentation and we'd be happy  
18 to go back there. It's one of -- one of our first  
19 slides of the -- our initial approach. I don't have  
20 it in front of me, but UMS had stated that this  
21 assessment has been largely granted on the basis of  
22 the analytical tools and frameworks that have being  
23 implemented.

24                  And the point that we think is  
25 important in the context of this proceeding, looking

1 at the two (2) test years is that the Utility that has  
2 been granted one and a half out of five (5) is not the  
3 same Utility that prepare -- has those plans. We  
4 believe that that Utility is less mature, given the  
5 weight that UMS has placed on these particular  
6 initiatives and where the Company is.

7                   As we've stated, we endorse all of the  
8 initiatives, but I think as far as it comes to the  
9 plan before the Board it -- they are -- they are two  
10 (2) different companies when it comes to asset  
11 management maturity. And we make this conclusion  
12 based on it's -- it's slide 22 of our -- of our  
13 presentation from this morning. And it is a direct  
14 quote from UMS that says:

15                   "Overall, Manitoba Hydro compares  
16                   favourably against North American  
17                   utilities."

18                   We have omitted part of the sentence,  
19 but it continues:

20                   "...largely as a result of recent  
21                   progress made."

22                   Perhaps it's better to go to the  
23 original report. It's on page 11. And then it lists  
24 these initiatives which we have not found and, in  
25 several cases, Manitoba Hydro has confirm explicitly

1 have not been used in relation to this plan.

2

3 (BRIEF PAUSE)

4

5 THE CHAIRPERSON: Sorry, Mr.

6 Czarnecki, how much longer do you have?

7 MR. BRENT CZARNECKI: That concludes  
8 my questions, Mr. Chairman. And thank you, gentlemen,  
9 for your --

10 THE CHAIRPERSON: I hope I didn't  
11 scare you off.

12 MR. BRENT CZARNECKI: You didn't. Mr.  
13 or Dr. Williams may scare me sometimes but you -- you  
14 haven't yet.

15 Thank you, gentlemen, for your candid  
16 answers and appreciate you coming to Winnipeg and  
17 sharing your experiences.

18 THE CHAIRPERSON: Thank you.

19 MR. DMITRY BALASHOV: Thank you.

20 DR. BYRON WILLIAMS: Mr. Chair, this  
21 is -- it's not the proper time, but I wonder if we  
22 could step down for like three (3) minutes, just for a  
23 health break.

24 THE CHAIRPERSON: Certainly. Sure.

25

1    --- Upon recessing at 1:46 p.m.

2    --- Upon resuming at 1:52 p.m.

3

4                         THE CHAIRPERSON:    Okay.   Mr.  
5   Peters...?

6                         MR. BOB PETERS:    Yes, thank you.

7

8   CROSS-EXAMINATION BY MR. BOB PETERS?

9                         MR. BOB PETERS:    Good afternoon.   I'd  
10   like to start with slide 21 of Consumers Coalition  
11   Exhibit 52.   And this slide, when I think you spoke to  
12   it, was it you, Mr. Balashov?

13                        DR. ALEX BAKULEV:    Correct.

14                        MR. BOB PETERS:    You're -- you're  
15   showing this Board that of Manitoba Hydro's total  
16   capital expenditure budget a small percentage is  
17   related to the sustainment funding that -- that METSCO  
18   examined?

19                        MR. DMITRY BALASHOV:    Correct.

20                        MR. BOB PETERS:    And on this slide,  
21   you show the major new generation and transmission  
22   expenditures and -- and those would be for things like  
23   the Keeyask, the Bipole III projects, the  
24   Manitoba/Minnesota transmission line, correct?

25                        MR. DMITRY BALASHOV:    That's correct,

1 Mr. Peters. As -- as noted underneath the pie chart,  
2 we've essentially reproduced the table that includes  
3 these various projects; having grouped things into the  
4 broader categories that -- then then what's broken  
5 down on the table.

6 MR. BOB PETERS: And in your notes  
7 beside the pie chart one (1) of the comments that  
8 METSCO makes is that Manitoba's -- Manitoba Hydro's  
9 sustainment funding access is significantly  
10 constrained by the major capacity expansion project  
11 funding that it needs.

12 Do you see that?

13 MR. DMITRY BALASHOV: We do.

14 MR. BOB PETERS: And on what basis do  
15 you conclude that Manitoba Hydro's sustainment funding  
16 is constrained?

17 MR. DMITRY BALASHOV: Purely on the  
18 basis of our observations of the total expenditures  
19 that are -- as we understand associated with the --  
20 with the larger new projects particularly Bipole and  
21 Keeyask, which was to convey that the funding that  
22 would otherwise be available for other purposes,  
23 including sustainment, is -- is -- is obviously now  
24 competing with other purposes.

25 MR. BOB PETERS: Is METSCO saying that

1 Manitoba Hydro's spending on sustainment capital  
2 should be higher than what it is?

3 MR. DMITRY BALASHOV: No, we are not  
4 saying -- saying that directly. All -- all this is  
5 meant to say is that there are other significant  
6 priorities that com -- comprise a larger part of the  
7 budget which would automatically, in our standing, in  
8 our position -- and this is where we spoke -- speak  
9 about them in -- in the second bullet just below the  
10 one that you were referencing, sir, we say that it --  
11 it just makes it that much more important to get the  
12 sustainment right, especially given the fact that this  
13 is the type of work that the Utility does year in and  
14 year out.

15 But we're -- we're not suggesting that  
16 more or less is, in particular, necessary. Like, we  
17 said, we did not get to see sufficient evidence from  
18 the applicant to make those types of inferences nor  
19 was that necessarily our scope.

20 MR. BOB PETERS: Would you agree, Mr.  
21 Balashov, and of course it's open to anybody else on  
22 the witness panel if you have comments that will bring  
23 value to the Board, is it METSCO's view that the  
24 maximum analytical rigour should be expended whether  
25 there's lots of money available, or its constrained?

1 Is there -- is there a different standard, based on  
2 the amount of money available?

3 MR. DMITRY BALASHOV: I would not say  
4 that it's different standards. The standard is  
5 obviously what -- what is maximum in one (1) Utility  
6 is relative to -- to what is maximum in somewhere  
7 else. But certainly, rigour -- analytical rigour is -  
8 - is something that is expected of -- of a Utility or  
9 any business for that matter.

10 MR. BOB PETERS: So when Manitoba  
11 Hydro is finished building Keeyask and Bipole III and  
12 the Manitoba/Minnesota transmission lines, the  
13 analytical rigour should be just as high for the  
14 sustainment capital then as it is now?

15 MR. THOR HJARTARSON: Yes, it should  
16 be. It -- really always should be. It's not a  
17 question of that. It also -- you would probably pay  
18 notice at that time if it all of a sudden increases a  
19 lot that there was a constraint now but that's --  
20 that's another story.

21 When we -- we have no -- we -- we don't  
22 really see it happening. We're -- we're just flagging  
23 this that this could possibly be a constraint.

24 MR. BOB PETERS: Mr. Hjartarson,  
25 wouldn't it follow that Manitoba Hydro has known for

1 some time that it's going to be spending a lot of  
2 money on major new generation and transmission such  
3 that they should have got their sustaining capital  
4 expenditures in order in advance of this major  
5 projects?

6 MR. THOR HJARTARSON: It's -- it's  
7 always hard because the -- sustainment funding is a  
8 year-to-year thing. You cannot really just skip it  
9 for some time. Your assets do age and you'll have --  
10 you'll be in real problem.

11 And reason why we say this also, we've  
12 seen it som -- somewhere else where a Utility had a  
13 big generation project, for instance, in one case they  
14 had a nuclear project they were building. They  
15 actually did no sustainment for several years while  
16 there was being funded. After that they were having  
17 real problems getting back to -- back to their state.  
18 The reliability was going down and so on. So we're  
19 really pointing that out from that perspective.

20 MR. BOB PETERS: If we could --

21 DR. ALEX BAKULEV: Sorry, Mr. Peters.

22 MR. BOB PETERS: Yes? Dr. Bakulev?

23 DR. ALEX BAKULEV: Just add some  
24 points to that. So if all the projects have a  
25 positive value and let's say there is unlimited

1 funding, unlimited labour constrains and obviously  
2 it's -- it might be good for the company to implement  
3 that all assuming that they add value to the  
4 customers.

5                   However, if there are some constraints,  
6 either labour constraints, or funding constraints more  
7 rigour should be applied to prioritization of those  
8 projects and understanding which projects can be  
9 delayed or which projects cannot be delayed or maybe  
10 different alternative solutions.

11                  So -- and I guess this portion, what we  
12 meant as well, that right now with those other big  
13 capital commitments that they have, they do have --  
14 hopefully do have funding constraints and hopefully do  
15 have labour constraints. So the more rigour should be  
16 applied on the prioritization and what-if scenario  
17 planning which we have not seen in this evidence.

18                  One that -- I think it's even  
19 mentioned on the rebuttal evidence by Manitoba Hydro,  
20 on page 49, where they confirm that the past  
21 investments for system renewal budgets are being used  
22 for CF-16. Don't remember where exactly it is. Until  
23 then, past renewal investment requirements that, role  
24 number 24, are the best indicator available for future  
25 investment requirements. And I used for budgeting

1 purposes outside the test years.

2 So it's kind of -- it shows that there  
3 is lack of analytical rigour to be able to understand  
4 what need -- what are the needs, specific needs in the  
5 future are for system renewal budgets.

6 MR. BOB PETERS: Before we leave this  
7 page, and I had it perhaps later. It's the position  
8 of METSCO, is it, that the past expenditures should  
9 not be an indicator of what the future expenditures  
10 should be?

11 DR. ALEX BAKULEV: Our position is  
12 that the -- the goodness of management should be able  
13 to predict based on the numbers and the data how much  
14 money and how many units of -- let's say, how many  
15 poles have to be replaced in the next few years, five  
16 (5) years, based on the failing occurs that are  
17 available to the company based on the condition  
18 assessment formation that they and based on their risk  
19 assessment that we discussed before.

20 MR. BOB PETERS: All right, I have  
21 your point. I'd like to turn to Board counsels' book  
22 of documents number 4, page 589. And here's some  
23 information from Manitoba Hydro on their business  
24 operations capital by investment category in the  
25 chart.

1                   And would this Board be correct,  
2 gentlemen, in understanding that the focus of your  
3 evidence is in the -- in the box in the middle under  
4 Sustainment and specifically towards the system  
5 renewal expenditures?

6                   MR. DMITRY BALASHOV: That's correct,  
7 sir.

8                   MR. BOB PETERS: Now, did METSCO spend  
9 much energy looking at the capacity and growth  
10 expenditures of Manitoba Hydro?

11                  MR. DMITRY BALASHOV: In so far as  
12 asking clarifying interrogatories related to issues  
13 like, for example, voltage area upgrades and things,  
14 things of that nature, where we were trying to  
15 establish a better sense of -- of the applicant's  
16 answers and information.

17                  But anything -- if you're talking about  
18 capacity and growth in terms of Keeyask, Bipole, if --  
19 or some of the larger new greenfield projects, we have  
20 certainly apprised yourselves of the context, but we  
21 did not do any -- any deeper dives.

22                  MR. BOB PETERS: And then does that  
23 same answer hold true, Mr. Balashov, related to the  
24 business operation support in the -- in the -- the  
25 bottom large box --

1                           MR. DMITRY BALASHOV: Again, we  
2 explored what -- to -- to a significant degree some of  
3 those questions through interrogatories. We asked  
4 questions about IT, fleet, corporate facilities, not  
5 so much downside infrastructure. We ultimately did  
6 not pursue those areas because we needed to scope down  
7 our report to -- to a manageable size and because we  
8 were ultimately procured to deal with asset management  
9 in particular.

10                          MR. BOB PETERS: All right. So if we  
11 look at the -- at the chart and we'll go over to the  
12 2019 test year, the sustainment expenditures are shown  
13 there at \$284 million, correct?

14                          MR. DMITRY BALASHOV: I see that, yes.

15                          MR. BOB PETERS: And that was the  
16 focus primarily of -- of the METSCO investigations?

17                          MR. DMITRY BALASHOV: The -- primarily  
18 the 2017 outlook and the 2018, which we understand to  
19 be the -- the test years.

20                          MR. BOB PETERS: And in looking at the  
21 sustainment capital, does all of METSCO's comments  
22 related to system renewal apply equally to the  
23 mandated compliance system efficiency and  
24 decommissioning aspects?

25                          DR. ALEX BAKULEV: In the -- the scope

1 of our review we looked at the asset management  
2 process in general, how they've been implied. So even  
3 though the focus was on system renewal, I would say  
4 that some of those principles or lack thereof can be  
5 expended to the other areas of the business, not just  
6 the system renewal.

7 MR. BOB PETERS: Did METSCO form an  
8 opinion, Dr. Bakulev, that -- that the comments made  
9 by METSCO related to system renewal could apply to  
10 these other areas as well?

11 DR. ALEX BAKULEV: I don't  
12 specifically remember if we made this in writing in  
13 the report. I don't remember.

14 MR. BOB PETERS: Okay, thank you. If  
15 we look at that sustainment box I believe, Mr.  
16 Balashov, you were saying that the system renewal  
17 line was the primary focus of the METSCO  
18 investigation?

19 MR. DMITRY BALASHOV: That would be  
20 fair to say, sir.

21 MR. BOB PETERS: And if we scroll a  
22 little bit to the bottom and look at figure 12, of the  
23 -- of the business operations capital that Manitoba  
24 Hydro intends to invest, 64 percent relates to that  
25 sustainment category in general and of that, the

1 majority relates to the system renewal.

2 Do you accept that?

3 MR. DMITRY BALASHOV: Yes, sir.

4 MR. BOB PETERS: And maybe I should --

5 before I left figure 511 at the top of this same page,

6 we see at the bottom of the chart, on the right-hand

7 side, that over the next ten (10) years Manitoba

8 Hydro's forecasting spending \$5.549 billion on

9 sustainment --

10 MR. DMITRY BALASHOV: Correct.

11 MR. BOB PETERS: -- sorry, on business

12 operations capital, correct?

13 MR. DMITRY BALASHOV: That's correct,

14 sir.

15 MR. BOB PETERS: And then in terms of

16 the sustainment portion that's \$3.5 billion

17 approximately?

18 MR. DMITRY BALASHOV: Yes.

19 MR. BOB PETERS: Is it in METSCO's

20 view possible for Manitoba Hydro to decrease its

21 sustainment capital spending without jeopardizing

22 reliability?

23 MR. THOR HJARTARSON: We -- we do not

24 have evidence to support for decreasing it or

25 increasing it. I -- I would say that -- that kind of

1 -- if those asset management processes were in place,  
2 you could have more a basis on determining that.

3                   Intuititionally -- I don't know if you  
4 want to hear my intuition -- is that they're probably  
5 not spending enough on system renewal.

6                   MR. BOB PETERS: If Manitoba Hydro was  
7 to decrease its capital sustaining spending, what  
8 would that do to the reliability of the system?

9                   MR. THOR HJARTARSON: If -- if it's  
10 just done with, cuts on all programs equally, it -- it  
11 will affect the reliability of the system. If there  
12 was an analysis done so that you would be actually  
13 looking at which projects can be deferred, you  
14 potentially could do that in such a way without  
15 causing large disde -- disturbances.

16                  MR. BOB PETERS: Maybe we could ask to  
17 bring up the copy of the Consumer Coalition  
18 Information Request of Manitoba Hydro, first round,  
19 question 148(g).

20                  Here's some information we see at the  
21 bottom. We see the -- the graphs, Dr. Bakulev, that  
22 spoke to and clarified for Dr. Williams. The system  
23 average interruption frequency index is the one that's  
24 shown on the screen now, sir?

25                  DR. ALEX BAKULEV: Okay.

1                   MR. BOB PETERS: And you've seen that  
2 before?

3                   DR. ALEX BAKULEV: Yes.

4                   MR. BOB PETERS: And you see where  
5 Manitoba Hydro is the solid blue line near the bottom?

6                   DR. ALEX BAKULEV: Yes.

7                   MR. BOB PETERS: Maybe it's black. Is  
8 that a good news story or a bad news story for the  
9 ratepayers in Manitoba?

10                  DR. ALEX BAKULEV: Again, it's a  
11 balancing act if Manitobans are ready to pay for this  
12 reliability and feeling that there is a value there,  
13 yes, it's a good story.

14                  However, if this survey would show that  
15 actually Manitobans are paying too much for having the  
16 -- one of the best reliability in Canada, it may be a  
17 bad story.

18                  MR. BOB PETERS: Mr. Hjartarson, did -  
19 - did you say it was your intuition that Manitoba  
20 Hydro was not spending enough on its system renewal?

21                  MR. THOR HJARTARSON: It -- it's  
22 mostly based on that -- with -- from other Utilities  
23 that I worked with once they started looking at it  
24 more precisely, and the aging assets. Assets are  
25 aging at Manitoba Hydro as -- as in other places. I -

1 - I would not be surprised if that was the story.

2                   MR. BOB PETERS: And does METSCO have  
3 sufficient data on which to come to a conclusion one  
4 way or the other on that?

5                   MR. THOR HJARTARSON: Not for Manitoba  
6 Hydro.

7                   MR. BOB PETERS: To come to that  
8 conclusion, what additional information would METSCO  
9 need?

10                  MR. THOR HJARTARSON: The full -- full  
11 condition assessments of -- of the assets, risk  
12 analysis, looking at the consequence costs and,  
13 basically, the things that were Alex's -- Mr. Bakulev  
14 in his presentation earlier today.

15                  DR. ALEX BAKULEV: I --

16                  MR. BOB PETERS: All right, we'll just  
17 scroll to the next page of this Information Request.

18 And before I put it away, Dr. Bakulev --

19                  DR. BYRON WILLIAMS: Mr. Peters, I do  
20 believe Dr. Bakulev had -- had something he wanted to  
21 add. I'm not trying to --

22                  MR. BOB PETERS: I apologize. I  
23 didn't notice that but, Dr. Bakulev, please jump in  
24 when you have something -- something to add.

25                  DR. ALEX BAKULEV: Yeah, sorry there

1 are -- there are a few things that Mr. Hjartarson  
2 mentioned. So data condition always leads a key  
3 factor. Each profile of the -- of all the major  
4 processes would be very helpful. Fail mode  
5 assessment. So what type of failure modes do exist  
6 when there is -- reaches span of life. And the impact  
7 assessment on four (4) different risk categories that  
8 were mentioned before, at least: availability,  
9 environmental, safety, and financial losses.

10                   All that combined together, there  
11 should be some sort of analytical framework to be able  
12 to do the life cycle cost calculations, and to -- to  
13 be able to understand what's -- what's the best  
14 strategy for the assets.

15                   And based on this information, yes, it  
16 might be possible to understand whether they're  
17 overspending or underspending. Obviously now we know  
18 what's the average unit costs are for each major asset  
19 class. However, looking at those SAIFI and SAIDI  
20 slides it -- might be a bit cautious as well.

21                   It also depends on how those data are  
22 being collected and if -- Manitoba is a -- a big  
23 province, right, so and it might happen that the  
24 manual practices had been used to record those outages  
25 then actually -- and we've seen it in some other

1 places that SAIFI and SAIDI are overstated. So just  
2 many outages are not being recorded at all in the  
3 systems, right.

4                         And what -- what -- what happens that  
5 if smart meters are being implemented across the --  
6 the Company and those smart meters start to put in the  
7 actual outage information, all of a sudden there could  
8 be a spike in SAIFI and SAIDI. So the real number of  
9 outages are higher than being recorded in the systems.

10                        MR. BOB PETERS: Do I take from those  
11 answers, Dr. Bakulev and Mr. Hjartarson, that Manitoba  
12 Hydro, from your perspective, does not have the tools  
13 to know whether and what the impacts would be of  
14 reduced spending on sustainment capital?

15                        DR. ALEX BAKULEV: In terms of the  
16 tools, yes, there was no evidence on the record that  
17 would show that they have tools to understand the  
18 impact on availability based on the different  
19 scenarios that they -- they could have analysed on the  
20 sustainment capital and system renewal.

21                        MR. THOR HJARTARSON: And maybe just  
22 to add to that, it's not just about whether they  
23 should have increased -- increased their spending or  
24 decrease it, it's also that spending -- their  
25 suggestion that they are the actual right spending;

1 that they're not missing -- missing some very high  
2 risk assets that are -- not been identified or they're  
3 over -- overemphasizing a special -- specific  
4 portfolio, but we don't have evidence of that. But  
5 that that kind of a -- with those kind of tools you  
6 would be more able to judge that.

7 MR. BOB PETERS: From what --

8 DR. ALEX BAKULEV: Sorry, Mr. Peters.

9 Just another thought that --

10 MR. BOB PETERS: It's okay.

11 DR. ALEX BAKULEV: -- popped up in my  
12 mind in regard to those metrics. So I'm not sure  
13 whether they exclude or include MEDs (phonetic). I'm  
14 just looking at this once they may actually include  
15 MEDs which is not a fair comparison. So some parts of  
16 the province may experience a very large major event.  
17 So let's say, I think on the border of 2015, and '14,  
18 for example, there was a -- a ice storm in Ontario.  
19 They actually showed the numbers that are pretty close  
20 to the ones that we see here, right. And just based  
21 on that, we can say that ice storm didn't happened in  
22 Manitoba, right, but it doesn't mean that the  
23 Manitoba's performance was actually in the first  
24 quartile this year.

25 So we live -- with a grain of salt, we

1 need to look at this numbers in a certain way and if  
2 the data is available for Manitoba Hydro that -- that  
3 is based on the used -- reliability report and  
4 standards and there are a couple of standards that are  
5 out in the rural, that might be very helpful. But  
6 again, we have not seen it on the record.

7 MR. DMITRY BALASHOV: And if you don't  
8 mine, Mr. Peters, I don't want to be left out.

9 MR. BOB PETERS: Please.

10 MR. DMITRY BALASHOV: We do really  
11 work as a team. One -- one thing to note and -- well,  
12 I -- I would take you to slide. Just give me one  
13 seconds. It's slide 43 of our presentation today, and  
14 one thing that I just really quickly wanted to clarify  
15 that when we look at reliability, equipment  
16 performance is just one (1) of about nine (9) or ten  
17 (10) indicators that make up the total SAIDI AND  
18 SAIFI. So there are various cost codes. So, for  
19 example, what you see in the table here is the  
20 transmission and distribution equipment outages, the  
21 defective equipment cost codes.

22 There was other things and other  
23 factors that are not directly related to the state of  
24 the plans. Things like, you know, weather events,  
25 external interference which to a certain extent, like

1 with animal guards and things like that could be  
2 affected but what we just want to say is -- is  
3 reliable equipment and sustainment we're talking about  
4 is just one (1) part of the issue that includes other  
5 things, include -- including human element where  
6 Manitoba Hydro's control may be to -- to a lower estab  
7 -- when our analysis will look specifically, for  
8 example, here, as you can see on the slide, to the  
9 defective equipment which only makes out about a third  
10 of distribution outages.

11 MR. BOB PETERS: All right, thank you  
12 for that, gentlemen. According to METSCO, what is the  
13 likely earliest date by which Manitoba Hydro would  
14 have information available to make those reliability  
15 decisions in its spending of sustainment capital?

16 DR. ALEX BAKULEV: I hope that they  
17 already have this information; that would be my honest  
18 opinion. The basic information that they -- they can  
19 use to try to predict the -- asset needs in the future  
20 on the sustainment capital, it could be just asset  
21 condition, age profile and the failure curves. Those  
22 elements are in hands of Manitoba Hydro.

23 And maybe they have done this analysis,  
24 maybe not. We just have not seen it on the record.

25 MR. BOB PETERS: If --

1 DR. ALEX BAKULEV: And then -- sorry.  
2 And we mentioned that -- that's as a journey. So the  
3 more information they add to the database or they have  
4 in hands, the better decisions that they can make.  
5 But basic decisions can be done right now and,  
6 hopefully, Manitoba Hydro is doing those decisions.

7 MR. BOB PETERS: Does METSCO  
8 understand how Manitoba Hydro is currently using that  
9 data?

10 DR. ALEX BAKULEV: Based on what we've  
11 seen on the records, and it just related to CEF-16 we  
12 were not convinced and I think it -- that was one of  
13 the slide that this data process have been used to the  
14 full extension by Manitoba Hydro.

15 MR. BOB PETERS: Is it your view that  
16 Manitoba Hydro should be able to estimate the risk  
17 associated with deferring a portion of their  
18 sustaining investments?

19 DR. ALEX BAKULEV: They at least  
20 talking about the risk -- potential risk that may  
21 arise if they don't do this investments so. And I  
22 think they might be able to, at least at a high level,  
23 or the scenario planning level to try to estimate  
24 those risks. It might take some time to -- to create  
25 or to think about the methodology and tools, let's

1 say, how to for cost reliability on the distribution  
2 side, or transmission side. They have the model on  
3 the transmission side. So the scenario planning is  
4 possible in the -- in the near future. I believe so.

5 MR. BOB PETERS: Well, we'll come to  
6 that as well. Is it correct that METSCO's advice is  
7 that Hydro shouldn't use historical expenditure trends  
8 to forecast the sustaining spending?

9 DR. ALEX BAKULEV: Using the -- those  
10 data elements, that I mentioned before, in my  
11 response, it is entire possible to forecast the -- at  
12 least system renewal or system replacement needs for  
13 their -- for the next five (5) to ten (10) years. In  
14 absence of this information, it might be the best  
15 choice to use the historical data.

16 MR. BOB PETERS: Do I take from that  
17 answer that rather than use historical data, Manitoba  
18 Hydro should accelerate the incorporation of asset  
19 health information and asset management tools into its  
20 decision-making?

21 MR. DMITRY BALASHOV: Well, according  
22 to Manitoba Hydro's evidence, they -- they are already  
23 incorporating that and that was very clear in their  
24 rebuttal.

25 However, we do not see the evidence of

1 them necessarily using this on a consistent basis  
2 which was the -- the conclusion in our report. So  
3 acceleration, again, is -- is -- is a relative term  
4 because we have not been able to establish where they  
5 are in terms of actually using it across the entire  
6 capital portfolio.

7                   So we certainly would like to see more  
8 at -- have evidence of this -- of this actually being  
9 used on the basis of health indices, at risk  
10 assessment. Whether it warrants acceleration is just  
11 like any other decision is best made if it is based on  
12 quantitative objective information of which we have  
13 not seen a lot with regard to this particular issue.

14

15                   (BRIEF PAUSE)

16

17                   MR. THOR HJARTARSON: And maybe just  
18 to add to that, since everybody's quiet. And another  
19 thing is that there was a talk about an asset  
20 management roadmap. I think that's very important  
21 that Manitoba Hydro develops that shows that. And  
22 that's -- that is really where you would see the  
23 schedule when the milestones are, and so on. And at  
24 the end of the day, they're probably the best fit to  
25 develop that because they know their -- what their

1 experts -- experts are, where the tools are sitting,  
2 what the data is, how to get there. But then it's a  
3 matter of making sure that they're held to it and that  
4 it -- that it is to done according to that schedule.

5 MR. BOB PETERS: Mr. Hjartarson, I  
6 want to go back to your intuition and --

7 MR. THOR HJARTARSON: I opened up a  
8 can of worms.

9 MR. BOB PETERS: Well, I suppose we  
10 should start from a premise that your intuition isn't  
11 -- isn't based -- it's not your expert opinion, it's -  
12 - it's less than that.

13 MR. THOR HJARTARSON: It's -- it's  
14 based on my experience with all the Utilities over the  
15 last twenty-five (25), thirty (30) years.

16 MR. BOB PETERS: And does that  
17 intuition extend to a specific area of sustainment  
18 spending by Manitoba Hydro that may be, at this point,  
19 under spent or not enough has been spent in that area?  
20 I'm specifically thinking transmission, generation or  
21 distribution.

22 MR. THOR HJARTARSON: I would be  
23 thinking distribution.

24 MR. BOB PETERS: Why do you say that?

25 MR. THOR HJARTARSON: Just from

1 experience from working with other Utilities that's  
2 turned out often to be quite the case. There's a long  
3 list often of aging assets that are getting close to  
4 their -- closer to the end of life and there hasn't  
5 been enough investment. A lot of -- a lot of them are  
6 put in place thirty -- maybe 20 -- in the 1970s, so  
7 they're coming up -- up in -- towards their end of  
8 life. And so that's really what I base it on.

9 I don't have any data from Manitoba  
10 Hydro but I also don't -- I bel -- I don't believe  
11 they are very much different than other Utilities nor  
12 them here in Canada.

13 MR. BOB PETERS: For clarity, did  
14 METSCO find that Manitoba Hydro provided evidence  
15 demonstrating that the qualitative and objective asset  
16 condition assessment and risk analysis methodologies  
17 used to quantify the overall sustainment capital  
18 budget?

19 MR. DMITRY BALASHOV: Would you mind  
20 repeating --

21 MR. BOB PETERS: Let me ask it this  
22 way. Did METSCO find evidence as to how Manitoba  
23 Hydro quantified the overall sustainment capital  
24 budget that we had reviewed when we started  
25 questioning this afternoon?

1                   MR. DMITRY BALASHOV: If by how they  
2 quantified you mean what -- what the quantitative  
3 tools and processes and analysis that it had applied  
4 to it then, no.

5                   MR. BOB PETERS: Was -- was there  
6 evidence provided for METSCO to form an opinion as to  
7 whether or not the allocation as between generation,  
8 distribution and transmission was supported by  
9 objective risk assessment analysis methodologies?

10                  MR. DMITRY BALASHOV: Within the scope  
11 of the portfolio that we have been reviewing which is  
12 sustainment capital with a focus on renewal as we have  
13 discussed, we did not see such evidence.

14                  MR. BOB PETERS: You did say, a few  
15 minutes ago, a scenario analysis could be performed.

16                  Was it you, Dr. Bakulev, that was  
17 suggesting that?

18                  DR. ALEX BAKULEV: It was me.

19                  MR. BOB PETERS: And should this Board  
20 understand that METSCO recommends scenario analysis be  
21 done in order to evaluate the varying performance  
22 outcomes for varying levels of investment?

23                  DR. ALEX BAKULEV: That would be our  
24 basic hope and the recommendation, yes, that finding  
25 investment there should be some scenario analysis on

1 the project level, on the portfolio level, on system-  
2 level.

3 MR. BOB PETERS: Do you understand if  
4 Manitoba Hydro does this currently?

5 DR. ALEX BAKULEV: That's not that has  
6 been shown on the -- on the record.

7 MR. BOB PETERS: How should Manitoba  
8 Hydro do that?

9 DR. ALEX BAKULEV: One -- one example  
10 that was we linked to, and I think that was brought up  
11 by Dr. Williams was the EPCOR evidence on the  
12 reliability forecasting tool where they analyzed eight  
13 (8) scenarios what they can be done with the -- with  
14 the future SAIFI/SAIDI targets.

15 And the other example was Toronto Hydro  
16 case.

17 DR. BYRON WILLIAMS: And, Mr. Peters,  
18 I believe that was Coalition 32-1-1. And I think  
19 EPCOR starts at page 5. I don't know if you want that  
20 or not but that's where it is.

21 MR. BOB PETERS: We've got the --  
22 we've got the site, Dr. Williams, thank you.

23

24

25 CONTINUED BY MR. BOB PETERS:

1                   MR. BOB PETERS: In METSCO's evidence  
2 it stated that the system renewal budgets aren't  
3 adequately supported.

4                   Do you recall that?

5                   MR. DMITRY BALASHOV: I do.

6                   MR. BOB PETERS: Is there a portion,  
7 either a percentage or a dollar amount, that METSCO  
8 views as being adequately supported at this time?

9                   MR. DMITRY BALASHOV: I don't think  
10 that we would wish to separate anything this way. We  
11 were reviewing the -- the envelope as a whole. And  
12 we're -- we're not really in a position to say that  
13 this -- this has been justified better or worse.

14                  Have we seen evidence that shows rigour  
15 that is higher or, so to speak, a sophistication that  
16 is higher within certain business units or certain  
17 parts of the system? Yes, definitely. Does that give  
18 us sufficient information to credibly suggest that  
19 this ought to go forward as opposed to this, that is  
20 not the case. We are not -- would not be comfortable  
21 making those assessments, sir.

22                  MR. BOB PETERS: So METSCO doesn't  
23 have enough detail as to what portions of the system  
24 renewal budget aren't totally supported?

25                  MR. DMITRY BALASHOV: We generally

1 found the specific information with -- with regards to  
2 what capital projects constitute to be fairly limited  
3 even for the larger projects where some description is  
4 proposed in terms of what it is that they represent,  
5 but, to perform this sort of analysis that you're  
6 suggesting, Mr. Peters, there would need to be  
7 significantly more evidence in the form of, for  
8 example, looking, if nothing else, at the -- at the  
9 impact, at the outcome so to speak of this work and  
10 not just the fact that Manitoba Hydro based on the  
11 risks that they perceive or the health index analysis  
12 that they claim to have done are going to do this work  
13 or proposing to this work.

14 We would like to see things like the  
15 outcomes. You know, you -- you -- you spoke to  
16 reliability; that's certainly not the only one. It  
17 could be management of safety risks, both public  
18 safety and employee safety, a number other drivers,  
19 and this -- this is the type of work that we believe  
20 would be required amongst the multitude of instances  
21 where we have specifically requested spreadsheet  
22 software reliability, failure curves and other  
23 quantitative evidence that has not been provided to us  
24 by the applicant.

25 MR. BOB PETERS: In Board counsels'

1 book of documents number 4 on page 652, Manitoba Hydro  
2 provided the Board with some evidence as to certain  
3 categories of sustaining capital expenditures that  
4 could not be deferred in the 2018/'19 fiscal year that  
5 starts in a few months.

8 DR. ALEX BAKULEV: Yes.

13 DR. ALEX BAKULEV: No, I can't -- I  
14 can't say that we can do or seen some meaningful  
15 analysis of this table. So, we are not sure what --  
16 what's the assumptions, let's say, when they say the  
17 system renewal cannot be deferred at the proportion of  
18 58 percent. What's in there? So there -- there are  
19 a few options as with any project that can be done if  
20 it's not has been completed as of now, meaning that it  
21 has been delayed or deferred. So what -- what are the  
22 assumptions for those 58 percent, we're not sure. And  
23 we're also not sure about the ma -- compliance. So  
24 whether those compliance are due by 2018 or any other  
25 year. So to be able to do a meaningful analysis of

1 those deferred numbers, I think we -- we would need to  
2 go to every project that has been analysed and try to  
3 look at the data that would -- that underline this  
4 project.

5 MR. BOB PETERS: METSCO hasn't had the  
6 opportunity to do that?

7 DR. ALEX BAKULEV: Not within the  
8 capacity of the study.

9 MR. BOB PETERS: In terms of risk  
10 assessment, did METSCO determine whether Manitoba  
11 Hydro had a consistent definition of risk across the  
12 three (3) divisions of generation, transmission and  
13 distribution?

14 DR. ALEX BAKULEV: No, we have not  
15 seen it on the record.

16 MR. BOB PETERS: You -- you haven't  
17 seen a consistent definition of risk?

18 DR. ALEX BAKULEV: No, we haven't seen  
19 a consistent definition of risk on the record. And  
20 when you say "risk," you mean the risk categories and  
21 the risk -- let's say, risk metrics across all the  
22 three (3) divisions? If that's what you mean then I  
23 think that we haven't seen it.

24 MR. BOB PETERS: And it's METSCO's  
25 view that Manitoba Hydro should be monetizing those

1 risks by attaching a dollar consequence and  
2 probability to the -- to the risk score?

3 DR. ALEX BAKULEV: I think it's --  
4 because it's a journey, it's entirely possible to  
5 start with the scoring system. So it does mean that  
6 it has to be monetized as long as there is some sort  
7 of indication what the score means.

8 However, in our advocacy would be to go  
9 to the monetization of the risks that actually provide  
10 -- can provide apple-to-apple comparison because let's  
11 say for -- for those system renewal project, it's  
12 always a trade-off between whether they need to spend  
13 money, dollars, right now to replace the asset versus  
14 -- versus reliability improvements.

15 So if reliability improvements are not  
16 being monetized when comparing apples to oranges, if  
17 reliability improvements are being monetized we're  
18 comparing dollars to dollars and, in this case, we can  
19 use our regular financial tools to -- to understand  
20 what's the net present value, not that, as we've seen  
21 in many current project justifications provided by  
22 Toronto Hydro (sic). It's always negative net present  
23 value because it just considers the cost site, the  
24 apples, but it doesn't consider the -- the oranges,  
25 and because oranges are not being monetized that's

1 understandable. But if they can monetize oranges  
2 reliability improvements, we would be able to see the  
3 positive value that is being brought -- brought in by  
4 every project.

5                   Sorry, Dmitry corrects me, if I  
6 mentioned Toronto Hydro, I meant Manitoba Hydro.

7                   MR. BOB PETERS: Thank you. Does  
8 METSCO know for how long Manitoba Hydro has had access  
9 to and has been using the Copperleaf software?

10                  DR. ALEX BAKULEV: I'm not sure I  
11 remember on the record how long they have been using  
12 Copperleaf, but I believe that they are using their  
13 software on the generation side for quite a long time,  
14 and they were one (1) of the first ones to implement  
15 it on the generation side, and they -- I believe they  
16 were quite successful in introducing the condition  
17 assessment on the -- the generation site back there.

18                  MR. BOB PETERS: And when you say "for  
19 a long time," since back in 2010?

20                  DR. ALEX BAKULEV: I -- I can't say.  
21 I would say it's earlier than that, but I would leave  
22 it up to Manitoba Hydro representatives to -- to say  
23 for -- to say it firmly.

24                  MR. BOB PETERS: And it's METSCO's  
25 view that -- and -- and when -- when we say

1 Copperleaf, just so I'm clear, that's the company  
2 name, correct?

3 DR. ALEX BAKULEV: Copperleaf is a  
4 company's name, and they have a few tools, and one (1)  
5 tool that I was referring to, it was developed,  
6 actually, with CEATI, and it's called hydro --  
7 hydroAMP, I believe, and Copperleaf was behind this  
8 tool. And now -- and then they expended the -- this  
9 tool to C55, the current software that they -- they  
10 market.

11

12 (BRIEF PAUSE)

13

14 MR. BOB PETERS: And it's METSCO's  
15 view that Manitoba Hydro has to do some more work  
16 before it can deliver the benefits throughout the  
17 Company from this C55 software?

18 DR. ALEX BAKULEV: Our strong belief  
19 is that before implementing any tool, there should be  
20 a clear understanding of what's -- what's the end of  
21 this tool implementation, what actually they are  
22 trying to achieve. Any tool, it's -- it's not a  
23 solution if you just -- a mean to automate the  
24 processes that are being implement in the Company.

25 And our concern and worry was that the

1 tool is being implemented companywide even prior to  
2 the roadmap being developed. And we try to test, in a  
3 few IRs, understanding of the terminology that is  
4 being used in the tool, or the corporate value  
5 framework that comes along the too -- the -- the tool.  
6 And we were not sure that the understanding was there.  
7 That's a concern that basically, the tool is being  
8 implemented prior to the -- to the clear vision of  
9 what are the benefits and what of -- of the future  
10 tool implementation, how the tool we will keep  
11 actually the asset management principles selected by  
12 the Company in the future.

13 MR. BOB PETERS: Who in Manitoba Hydro  
14 was supposed to come up with the clear definition of  
15 the purpose of using Copperleaf?

16 DR. ALEX BAKULEV: We are not in a  
17 position to respond to this question. We are not sure  
18 about their hierarchy.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: Is it METSCO's view  
23 that Manitoba Hydro has introduced the Copperleaf  
24 software too early, before it sets out a -- a clear  
25 understanding of the purpose?

1 DR. ALEX BAKULEV: We have not seen  
2 the requirements -- documents for -- that they used to  
3 introduce the -- the Copperleaf, and we have not seen  
4 what type of the requirements were sent out to -- to a  
5 variety of vendors. So I am -- I'm -- I would say  
6 that I'm not in a position to comment on that, but I  
7 feel be right to know not.

8 Generally speaking, we would love to  
9 see the roadmap first, clear understanding of the --  
10 of the future state, and only after that, the tool  
11 would help to automate the -- the process within the  
12 Company.

13 MR. THOR HJARTARSON: Maybe just to  
14 add to that, that this -- the software C55 is being  
15 used by or has been introduced at many utilities, so  
16 it is cert -- certainly seems to be a very good  
17 practice.

18 DR. ALEX BAKULEV: And I would add to  
19 that that actually, I've seen things on the record  
20 that are being produced by the companies using this  
21 tool on the -- mostly on the investment prioritization  
22 side, and including -- including the -- the public  
23 proceedings as well. So -- and C55 is one (1) of the  
24 most recognizable tool that is used for investment  
25 prioritization.

1                   MR. BOB PETERS: What -- what steps  
2 does Manitoba Hydro need to implement to derive the  
3 full value from C55?

4                   MR. DMITRY BALASHOV: We cannot  
5 comment on -- on all the steps, but to -- to add to  
6 what Mr. -- Mr. Bakulev had said, and to take you to  
7 slide 33 of our presentation from this morning, based  
8 on the reference from Coalition-I-201 (a) through (c),  
9 where I believe Manitoba Hydro has provided some of  
10 the technical documents, internal studies that are  
11 associated with C55, recognizing that these documents  
12 are all snapshots in time, and that some time has  
13 passed since then, it -- it would indicate that there  
14 is full -- full utilization of the tool is not yet in  
15 place.

16                  And for example, investment decision  
17 optimization will require data and process refinement,  
18 which are future steps, as I'm reading a quote from  
19 the response. This -- this would suggest that they  
20 are not yet utilizing it in the way that it is  
21 intended to be utilized to -- to drive the full value.

22                  MR. BOB PETERS: Can Manitoba Hydro  
23 implement C55 without having Manitoba Hydro's  
24 executive input into the risk tolerances?

25                  DR. ALEX BAKULEV: I'm not sure what

1 the process Manitoba Hydro is following to implement  
2 the software.

3

4 (BRIEF PAUSE)

5

6 MR. BOB PETERS: From your previous  
7 experience, who in the Utility, or which -- whi -- at  
8 what level in the Utility is the risk tolerance set?

9 DR. ALEX BAKULEV: I think it might be  
10 specific to -- to the company to decide how those  
11 things have been set in stone. There are some  
12 companies where the Board of Directors actually  
13 identifies the risk tolerances at a high level, that  
14 they've been accepted by the -- by the risk  
15 management.

16 MR. BOB PETERS: And in other  
17 utilities, it doesn't go up to the Board of Directors?  
18 Does it go up, at least, to the executive of the  
19 utility?

20 DR. ALEX BAKULEV: There might be the  
21 cases, yeah, when -- when it might have stopped at the  
22 executive level.

23 MR. BOB PETERS: Can you tell this  
24 Board whether METSCO believes that each of Manitoba  
25 Hydro's three (3) divisions, being generation,

1 transmission, and distribution, have a consistent risk  
2 definition?

3 DR. ALEX BAKULEV: I think you asked  
4 this question before, and -- and we answered no, not  
5 that -- not that we've seen it on the record.

6 MR. BOB PETERS: Is there a consistent  
7 definition of reliability?

8 DR. ALEX BAKULEV: If -- if it's about  
9 SAIFI/SAIDI that you're asking about, that is mostly  
10 applicable to the distribution side of the business,  
11 and there is -- while there is a definition of System  
12 Average Interruption Duration Index or Frequency  
13 Index, usually, they're subcategories on the  
14 SAIFI/SAIDI, whether they cost codes, and whether they  
15 are sub cost codes, and there are a few standards that  
16 can regulate those assignments where each of the  
17 outage shall be put in place.

18 And I'm not sure if Manitoba Hydro  
19 follows any of the standards. And they've seen that  
20 many utilities, while they are following the  
21 standards, they may use it only as a guide, not fully  
22 following the standard, or try to be completely  
23 adhering to the standard. So there are some choices,  
24 and I'm not sure what choice is being made by Manitoba  
25 Hydro.

1                           MR. BOB PETERS: All right. Thank  
2 you. From METSCO's perspective, do the Keeyask, and  
3 Bipole III, and Manitoba-Minnesota Transmission Line  
4 projects provide an increase in system reliability for  
5 Manitoba Hydro?

6                           DR. ALEX BAKULEV: It was not within  
7 the scope of our assignment. While we asked a few  
8 questions about that, however, we had not seen the  
9 risk assessment analysis that is being done for those  
10 projects.

11                          MR. BOB PETERS: Does it appear to  
12 METSCO that Manitoba Hydro takes into account  
13 significant increases in reliability provided by those  
14 new major projects of Keeyask and Bipole III?

15                          DR. ALEX BAKULEV: I'm not sure that  
16 we can comment on this question. It might be outside  
17 of our scope of expertise.

18

19                          (BRIEF PAUSE)

20

21                          MR. BOB PETERS: Is it METSCO's  
22 opinion that the new Keeyask, and Bipole III, and  
23 Manitoba-Minnesota Transmission Line do not change the  
24 probability of failure of existing assets?

25                          MR. THOR HJARTARSON: Well, if you're

1 talking about existing assets in transmission and --  
2 and distribution, other assets, I don't think it  
3 changes the probability of failure, certainly not of  
4 distribution. It may change the consequence of  
5 failure, because now you have an additional line that  
6 -- an additional, basically, connection.

7 DR. ALEX BAKULEV: Maybe I can use  
8 some sort of analogy. So if there are -- if there is  
9 one (1) feeder that goes to the customer, and this  
10 feeder has the old assets, and there is relatively  
11 high chance that one (1) of those assets will fail and  
12 the customer will experience the outage until the  
13 asset has been replaced.

14 So one (1) of the solution could be to  
15 -- to be able to tie to another feeder, and if there  
16 is an asset failure on the first one, there could be a  
17 quick switch and done to restore the majority of the  
18 customers to be supplied from the other feeder. So we  
19 are reducing the consequences of the asset failure  
20 significantly.

21 In terms of the choice now that we  
22 have, if we have only one (1) feeder, you would be  
23 inclined to replace this equipment earlier than later.  
24 However, having an additional supply that reduces the  
25 consequences, we may decide for this equipment on the

1 first feeder to be run to failure in this case.

2 So that's kind of a choice that we can  
3 make. How -- how is it applied for the Bipole III and  
4 the other two (2) transmission lines that the --  
5 Manitoba Hydro has, we don't know.

6

7 (BRIEF PAUSE)

8

9 MR. BOB PETERS: On page 46 of the  
10 METSCO report that I think was Consumer Coalition  
11 Exhibit 19, there were some recommendations. And I  
12 take it these were METSCO's recommendations to this  
13 Board? Have I got that right?

14 MR. DMITRY BALASHOV: That's correct,  
15 sir.

16 MR. BOB PETERS: Maybe we can scroll  
17 down.

18

19 (BRIEF PAUSE)

20

21 MR. BOB PETERS: Here we go, on the  
22 next page, on page 47, can you briefly explain what  
23 the proactive expenditure reductions recommendation  
24 is?

25 MR. DMITRY BALASHOV: I believe the

1 recommendation is not for proactive expenditure  
2 reduction, sir, but if you scroll up, its  
3 recommendation to explore a range of tools, including  
4 these.

5 "Can entail a combination of the  
6 following." So this is just one (1) of the potential  
7 tools that we have listed, and this -- this would  
8 effectively amount to approving, subject to the limits  
9 of -- of the statutory and regulatory authority that  
10 the PUB has over Manitoba Hydro's expenditures.

11 Reducing the expenditures, then, by way  
12 of using the variance and/or deferral accounts,  
13 allowing the applicant to track any spending that may  
14 be incurred in excess of that, subject to a later ex  
15 pos (phonetic) proceeding, where they would come back  
16 and justify the regular, the necessity, or whatever  
17 test the Board may find sufficient to employ to  
18 determine that, and then having that approved  
19 retroactively, so -- so to speak.

20 The -- the point that I'm trying to  
21 make, sir, is that we did not necessarily recommend  
22 proactive expenditure reductions. We recommended a  
23 range of tools that the Board can explore, subject to  
24 its discretion.

25 MR. BOB PETERS: A lot of METSCO's

1 work is in jurisdictions where the regulator has  
2 approval or disallowance appro -- authority over the  
3 capital expenditures?

4 MR. DMITRY BALASHOV: Correct.

5 MR. BOB PETERS: And then when  
6 project-specific implementation milestones -- is that  
7 just another way of having Manitoba Hydro keep their  
8 feet to the fire to -- to meet the deadlines on  
9 certain projects?

10 MR. DMITRY BALASHOV: That could be  
11 one (1) metaphor that could be used, but yes,  
12 certainly, it's an accountability tool in terms of  
13 establishing a clear and transparent way of proceeding  
14 with certain projects, and being able to measure the  
15 progress and the success rate, be it's by way of  
16 headings, or in milestones on a certain date versus  
17 the date required, or attaining certain financial  
18 benefits, for example, that would be targeted, had  
19 they been quantified going forward.

20 So yes, it's effectually an  
21 accountability tool that -- which, as we say, may or  
22 may not involve at-risk funding. It's something that  
23 is -- some regulators have also used.

24 MR. BOB PETERS: At the bottom of the  
25 page, you mentioned key performance indicators. What

1 would be two (2) examples applicable to Manitoba  
2 Hydro?

3 MR. DMITRY BALASHOV: So the choice of  
4 key performance indicators really depends on use --  
5 usually the executive team. There -- or there --  
6 there could be an -- an entire hierarchy of them,  
7 starting from something very detailed within each  
8 department, and then going all the way up. But in the  
9 case, for example, of -- of the current transition  
10 that Manitoba Hydro's asset management team is  
11 undergoing, key performance indicators could be,  
12 again, the -- the scale of achieving certain -- or --  
13 or rather, the pace, sorry, not the scale of achieving  
14 certain milestones, certain standards.

15 The reduction of risk, for example, had  
16 it been calculated, it could be, you know, risk  
17 reduced, or average age -- average condition, rather,  
18 for example, on -- of -- of a certain high-risk asset  
19 classes being reduced by being replaced. There is --  
20 there is really a variety, to -- to say -- name a few  
21 we have noted throughout, and Manitoba Hydro has  
22 spoken extensively about the scope of work in front of  
23 them.

24 We do believe the key performance  
25 indicators are important, and should potentially form

1 a framework of reporting between the Utility and the  
2 Board. What they are exactly really depends. But  
3 having looked at Manitoba Hydro's previous scorecard,  
4 which we noted has not been updated. You know, there  
5 are things like SAIDI and SAIFI on it, for example.  
6 Similar indicators or others that relate to various  
7 facets of asset management performance could also be  
8 considered.

9 MR. BOB PETERS: On slide 50 of your  
10 PowerPoint presentation this afternoon, Exhibit  
11 Consumers-52. I took from that that you recommend  
12 that Manitoba Hydro establish an implementation  
13 reporting framework for all strategic asset management  
14 initiatives, correct?

15 MR. DMITRY BALASHOV: Could you point  
16 to specific language, sir, that says that we recommend  
17 that for all of the initiatives?

18 MR. BOB PETERS: I'm not sure it's  
19 going to say that on the slide, but you can tell me if  
20 you agree or disagree with that.

21 MR. DMITRY BALASHOV: We absolutely  
22 think that it would be helpful. Whether or not this  
23 is practicable and the extent of compromise or what --  
24 what may be sufficient, whether there was some  
25 prioritization within it, I think that -- that is

1 something that would be better left to the -- to the  
2 Board, its staff, and the Utility itself.

3                   Would -- would the Board, in our  
4 opinion, find it beneficial to track the progress even  
5 where, you know, there have been delays, but having  
6 certain accountability tools to explore why there had  
7 been delays and potentially have consequences? We  
8 believe so.

9                   DR. ALEX BAKULEV: Mr. Peters, I'll --  
10 I'll add to this question. So they're -- I'm not --  
11 I'm not sure if it's practical to basically ask  
12 Manitoba Hydro to report on all the milestones, all --  
13 all their journeying asset management. However, there  
14 are a few options that can be explored, and one (1) of  
15 the options could be, let's say if they do periodic  
16 Gap assessments to see where they are as of compared  
17 to the previous state. There are some self-assessment  
18 tools available as well on the asset management  
19 practice. So basically, if we can trust Manitoba  
20 Hydro to do their self-assessment where they are in  
21 asset management.

22                   It can be the case that Manitoba --  
23 Manitoba Hydro would be asked to be certified within a  
24 certain time period, ten (10) years, five (5) years,  
25 whatever this period is to be, and whether it's by

1 business units or the Company as a whole. All these  
2 choices -- choices are up to -- to the Board to make.  
3 But because it's a long-standing item in asset  
4 management, it might be useful to implement something  
5 to control the progress that the Company's making on  
6 the -- on the asset management.

7                           MR. BOB PETERS: Does METSCO believe  
8 that Manitoba Hydro is able to quantify the financial  
9 or operational benefits at their current level of  
10 asset management maturity?

11                          DR. ALEX BAKULEV: I take your  
12 question whether they are able to quantify the  
13 benefits that they will achieve when they would be,  
14 let's say, certified to the -- to ISO55000 standard or  
15 at least to be at the level three (3) compared to one  
16 point five (1.5), what they are. I think certainly  
17 there -- there are some ways how to show those  
18 benefits in general.

19                          MR. BOB PETERS: I want to take  
20 perhaps no more than ten 10 minutes to just conclude  
21 with some questions on your slides, starting on slide  
22 12. One (1) of the areas we haven't talked about in  
23 terms of going beyond reliability, METSCO was pointing  
24 out that things such as safety have to be considered,  
25 correct?

1 DR. ALEX BAKULEV: Correct.

2 MR. BOB PETERS: And does it follow  
3 that in assessing safety, that Manitoba Hydro has to  
4 affix a value on human life?

5 DR. ALEX BAKULEV: There is such  
6 option, as well, that the Company or the government  
7 body will put some value on the -- on the life. And  
8 it's been done in the real world. So by the -- by the  
9 insurance companies, they actually put some value on  
10 the -- on the human life. There are some US  
11 government bodies that have put in the value on the --  
12 value life.

13 I think for one (1) of the client they  
14 compiled about ten (10) different reports that have  
15 this numbers, and it's on the public records. That  
16 could be used. However, we see that there is a --  
17 there might be big resistance to put any value on the  
18 -- on the life, and many companies just don't do that,  
19 right? And obviously, the ultimate goal is to have  
20 zero fatalities, which might be achievable. It may --  
21 may not be achievable. But ultimately, we need to do  
22 whatever we can to ensure that there are no fatalities  
23 associated with our system.

24 MR. BOB PETERS: And does that mean at  
25 -- at whatever cost?

1 DR. ALEX BAKULEV: That's the choice  
2 that should be made by the Utility and by the  
3 oversight agency. To add to that, I guess, any  
4 activity has some sort of probability of fatality, and  
5 ultimately, we cannot really say that the -- the goal  
6 is zero probability. Whenever we walk on the street,  
7 there is a probability that we -- we can be hit by a  
8 car, right? And this permeability is not zero.

9 So there should be some -- when you say  
10 risk tolerance, so there should be some risk tolerance  
11 established by the Company to ensure what exactly we  
12 mean when -- when we are concerned about safety.

13 MR. THOR HJARTARSON: And maybe just  
14 to add to it, I -- generally, when we are consulting  
15 to companies about this, we do not recommend that they  
16 choose a value, or they said it. It's more that they  
17 refer to a value that's -- would be somewhere out in  
18 the industry set by, like Alex said, insurance  
19 companies, or your -- or the government body.

20 MR. BOB PETERS: On slide 5 of your  
21 materials this -- this morning, the third bullet  
22 related to inconsistent quality of maintenance records  
23 underlying the sustainment capital budgets, correct?

24 MR. DMITRY BALASHOV: Yes, sir.

25 MR. BOB PETERS: Is METSCO saying that

1 Manitoba Hydro is not maintaining the assets properly,  
2 or are they saying that Manitoba Hydro is not keeping  
3 accurate records of its maintenance?

4                           MR. DMITRY BALASHOV: I -- I think in  
5 specific reference to the subject matter referred to  
6 in this bullet, it's the letter, sir. It's the  
7 records. And the reason that that was of concern to  
8 us, and I believe that we have referenced a particular  
9 study from the generation unit of Manitoba Hydro's  
10 that -- that's -- details in some length the variety  
11 of approaches within and/or across the divisions that  
12 showcases how the data is collected, or tracked, or  
13 measured.

14                           And the reason this is a concern to us,  
15 with respect to our particular portfolio, is that it's  
16 usually through maintenance practices that a utility  
17 collects a complete picture of how it does, or what --  
18 what state its plant is in. And as such, if your  
19 maintenance activities -- the procedures, as well as  
20 the ultimate records generated by them of collecting  
21 the information are not necessarily consistent, as  
22 this internal report would indicate.

23                           It is difficult to place full  
24 confidence in the fact that the information has been  
25 collected under consistent principles, assumptions,

1 and things like that, which then is problematic when  
2 one tries to make decisions on larger portfolios  
3 across the different business lines and geographic  
4 locations.

5 MR. BOB PETERS: On page 29 of your  
6 slides, gentlemen, you provided some information from  
7 Kinect -- Kinectric's report in July of 2017, correct?

8 MR. DMITRY BALASHOV: That's correct.

9 MR. BOB PETERS: And is this telling  
10 the Board that Manitoba Hydro may be taking assets out  
11 of service too soon?

12 MR. DMITRY BALASHOV: Not at all, sir.

13 It does not say that they're actually taking the  
14 assets out of service. What it does refer to is the  
15 fact that until this particular report has been  
16 published, fairly recently, just this past summer,  
17 Manitoba Hydro has relied to some extent, as they've  
18 indicated, not solely by any means, but they have  
19 relied to the failure curves that have been derived  
20 largely from the performance data of other utilities.

21 And what this report in particular has  
22 shown is that within these asset classes, Kinectrics  
23 has been able to establish that Manitoba Hydro's  
24 assets live significantly longer before they fail. In  
25 no way does this indicate that they're actually taking

1 the assets. We brought this up as an evidence that  
2 potentially questions the assumptions that they used  
3 when they prepare the plan.

4 So if, for example, and this is purely  
5 a hypothetical example, if something lives for twenty  
6 (20) years on the basis of these industry curves, but  
7 in Manitoba Hydro case, it lives for thirty (30)  
8 years, and if you plan for a certain percentage of  
9 this asset class to fail in year X, but it lives  
10 longer, perhaps you might be overestimating your plans  
11 and -- and putting in more money than you would need  
12 to.

13 So that -- that is simply -- and this  
14 is actually a good example of continuous improvement.  
15 They started out with industry curves, and then  
16 they've started adding information that showcases  
17 their specific performance, and they're finding out  
18 more about their plant, and this in -- in the way this  
19 was a -- this was a good example, but as far as  
20 informing the CEF16, which was developed without the  
21 benefit of this information.

22 MR. THOR HJARTARSON: Maybe I can just  
23 add to that -- that. And we talked before when we  
24 were -- we were questioned by Manitoba Hydro counsel  
25 about different locations where utilities are. So

1 industry curves are averages across many utilities.  
2 Often, there could be different things -- things  
3 happening there. For instance, they mention  
4 transmission, transformers. They're -- they're in a  
5 colder climate. They're not going to overheat as much  
6 as much as, for example, transformers in Florida, or  
7 even Ontario, and same -- same with distribution  
8 transformers, and generation transformers.

9 It could also be the way that loading  
10 is managed on them. If there's -- they don't -- they  
11 have many high load -- high load episodes, they would  
12 -- they will last longer.

13 MR. BOB PETERS: Does the data  
14 indicate that Manitoba Hydro's reliability risk may  
15 not be significantly increased if a substantial  
16 portion of the sustainment spending is deferred on  
17 these asset classes?

18 DR. ALEX BAKULEV: This table  
19 definitely doesn't indicate so, if you refer just to  
20 this table.

21 MR. BOB PETERS: Thank you.

22 MR. DMITRY BALASHOV: Mr. Peters, I  
23 would add that that was a -- in -- in my assessment, a  
24 fairly broad question, and in the context of the  
25 proceeding discussion, I -- I don't think that we have

1 seen enough information with respect to this  
2 particular report, or more generally to make such a --  
3 a -- such a conclusion when it comes to looking at  
4 these specific asset classes and the specific  
5 information.

6 Mr. Bakulev is -- is correct, but it's  
7 -- beyond that, I -- I just -- I'm just a little  
8 careful about how your question was phrased, and I --  
9 we just wanted to add some clarity to that, because it  
10 sounded like it was a little, perhaps, broader than  
11 what I interpreted Mr. Bakulev's answer to be.

12 MR. BOB PETERS: All right. I've got  
13 both your points. Slide 35. It appears that METSCO  
14 was critical of the \$15 million investment level over  
15 which project has to -- has to be estimated before it  
16 goes to the executive council.

17 MR. DMITRY BALASHOV: I believe we  
18 addressed this line of questions in our responses to  
19 the Board staff's interrogatories to ourselves, to  
20 METSCO. We're not critical of any particular  
21 threshold, per se. The point that we are, again,  
22 we're trying to make there is whichever threshold one  
23 does establish, and -- and und -- under these  
24 corporate circumstances, where there are different  
25 divisions that are reporting into the same corporate

1 centre, the important thing is to have a consistent  
2 understanding corporately throughout the organization  
3 of what the inputs into those plans are.

4                   And where the inputs are not  
5 consistent, as on the basis of some of the evidence  
6 that we have seen in this proceeding may be the case  
7 in Manitoba Hydro in terms of a different level of  
8 sophistication, which I believe some of Hydro's  
9 witnesses have also agreed, it becomes difficult for a  
10 central body to control this, because the -- if  
11 anything else, they probably spend more time figuring  
12 out what are the actual inputs and implications.

13                  So it's not a dollar figure, per se.  
14 It's -- it's just the -- the utility of it when the  
15 state of underlying data processes and governance  
16 processes is inconsistent across the functions.

17                  MR. BOB PETERS: On slide 38, METSCO  
18 examined 49 projects, and prepared a chart to indicate  
19 how those projects stacked up between their original  
20 estimate, their completion estimate, and their actual  
21 costs?

22                  MR. DMITRY BALASHOV: Correct, sir.

23                  MR. BOB PETERS: And in these  
24 projects, did Manitoba Hydro develop their cost into a  
25 probability level, a P50 level?

1                   MR. DMITRY BALASHOV: Are you asking  
2 specific -- you know what --

3                   MR. BOB PETERS: Are you aware of  
4 whether they did?

5                   MR. DMITRY BALASHOV: We are not  
6 actually aware of the specific probability level  
7 related to any of these investments. Generally  
8 speaking, as a project appro -- approaches completion  
9 in construction the precision of investments -- sorry,  
10 the precision of the estimate improves.

11                  What we wanted to point out here,  
12 obviously, is that a mix of projects of various  
13 vintages and maturities, in terms of estimation,  
14 appear to be put into the same forecast and presented  
15 to this Board for approval and that there is a general  
16 significant history of overestimation but, no, we're  
17 not aware of specific percentages, the values.

18                  MR. BOB PETERS: Why can't the project  
19 cost be accurate in the original estimate?

20                  MR. DMITRY BALASHOV: That is perhaps  
21 a question to Manitoba Hydro or any other Utility, but  
22 there's obviously a number of specific circumstances  
23 related to -- to each project, and the level of rigour  
24 and things that may or may not be expected certainly  
25 happen. And it does vary across the various

1 portfolios in terms of the variances. It varies or it  
2 should perhaps vary between the work that is  
3 greenfield, the new projects, versus the work that is  
4 sustainment. So it -- it really depends, like  
5 everything else on the assumptions that you're putting  
6 in there.

7 MR. BOB PETERS: METSCO hasn't been  
8 able to identify why projects are continuously showing  
9 up as cost overruns?

10 MR. DMITRY BALASHOV: Well, I believe  
11 that Manitoba Hydro has actually responded to that in  
12 their rebuttal to us. Is it page 51 of the rebuttal?

13 MR. BOB PETERS: That's where Manitoba  
14 Hydro indicates they've changed the way they -- they  
15 provide their estimates; correct?

16 MR. DMITRY BALASHOV: That's correct.  
17 And then they -- page 53 of Manitoba Hydro's rebuttal.  
18 I cannot recall the reference for example. So what  
19 this -- this says here as the project progressed, and  
20 I'm reading from line 18 onwards, and the scope  
21 flushed out, the estimates were updated and an  
22 addendum was approved, which is the basis of the  
23 completion estimate.

24 And if you look on the paragraph above.  
25 Sorry, I'm just trying to get my bearings here.

1                   MR. BOB PETERS: Well, let me just  
2 interrupt you and maybe let you -- you can get your  
3 bearings.

4                   MR. DMITRY BALASHOV: Sure.

5                   MR. BOB PETERS: You're referring to  
6 how Manitoba Hydro is saying they used to do their  
7 estimates, correct?

8                   MR. DMITRY BALASHOV: Correct.

9                   MR. BOB PETERS: And then Manitoba  
10 Hydro goes on to say that -- on line 24 that, the past  
11 process has been replaced with the scope development  
12 and approval that's described in their -- in their  
13 application in section 5.

14                  MR. DMITRY BALASHOV: Sure.

15                  MR. BOB PETERS: Did you -- did you  
16 form any opinion as to whether Manitoba Hydro's new  
17 methodology will provide a more accurate cost at an  
18 earlier stage?

19                  MR. DMITRY BALASHOV: I cannot recall  
20 the -- reviewing anything that would provide a  
21 sufficient depth of information in terms of what the  
22 scoping entails for us to form an opinion, which is  
23 why we have asked the IRs that we've asked and --

24                  MR. BOB PETERS: All right.

25                  MR. DMITRY BALASHOV: -- presented the

1 findings that we did.

2 MR. BOB PETERS: Thank you. In  
3 turning to slide 39, the essence of this slide from  
4 METSCO is telling this Board that even though Manitoba  
5 Hydro establishes a budget for their sustaining  
6 capital, it appears that in 18.4 percent of that  
7 budget is unspent at the end of the year.

8 Have I summarized that correctly?

9 MR. DMITRY BALASHOV: Based on the  
10 information related to -- to the three (3) particular  
11 plan years as indicated in bullet 10 that is the  
12 degree of average variance across those three (3)  
13 years between the estimated ISAs by Manitoba Hydro and  
14 the actual ISAs.

15 MR. BOB PETERS: And is that in-  
16 service additions is the ISAs that you're referring  
17 to?

18 MR. DMITRY BALASHOV: Correct.

19 MR. BOB PETERS: Is the 18.4 percent  
20 variance between what is budgeted and what is actually  
21 spent indicate whether or not the budgeting is -- is  
22 at fault or is it labour or is it other factors?

23 MR. DMITRY BALASHOV: There's --  
24 there's not -- not enough information nor I would  
25 suspect that Manitoba Hydro would be able to point to

1 want one -- one particular driver. I mean, with --  
2 with all work there is -- there's various things that  
3 happen. It could be anything from suppliers not  
4 delivering to weather-related delays or electrical  
5 related delay, so to speak, if there is, for example,  
6 the system conditions do not permit to do certain work  
7 to establish schedule outages.

8                   We don't have this information. It's  
9 hard to speculate. This point was made, in  
10 particular, also in reference to the slide prior where  
11 you and I just spoke Mr. Peters in terms of the  
12 underestimation of project costs which, you know, is  
13 paired with overestimation of -- of the ISAs which,  
14 you know, on balance between those two (2) would  
15 suggest to us that perhaps there are issues with  
16 estimation, rigour as things are being presented to  
17 the Board and approved for ratesetting.

18                   MR. BOB PETERS: All right. I think  
19 my last question's on slide 40 and on this slide  
20 METSCO is suggesting to this Board that Manitoba Hydro  
21 could benchmark its capital spending with some  
22 industry peers; correct?

23                   MR. DMITRY BALASHOV: Yes, sir.

24                   MR. BOB PETERS: Has Manitoba Hydro  
25 provided adequate capital information, that is, cost

1 of capital information to enable a third party to  
2 perform that benchmarking?

3 MR. DMITRY BALASHOV: Just to clarify,  
4 when you say "cost of capital" are you talking about  
5 the finance --

6 MR. BOB PETERS: No, let me --

7 MR. DMITRY BALASHOV: -- or specific  
8 about cost of capital projects?

9 MR. BOB PETERS: Let me start over  
10 again. From what you -- from what METSCO has seen on  
11 the record, has Manitoba Hydro provided sufficient  
12 capital costing information to enable a third party to  
13 perform a meaningful benchmarking evaluate --  
14 evaluation of Manitoba Hydro relative to its peers?

15 MR. DMITRY BALASHOV: On the whole --  
16 on the size of the program, we -- we would probably  
17 like to see a lot more information, but as for example  
18 evidenced by -- and I'm just trying to find a  
19 reference in our presentation, sir. Towards the end  
20 when we talk about estimation, for example. I take  
21 you to slide 41.

22 If this type of breakdown is available  
23 for a substantial portion of the projects that would  
24 be seen as either statistically significant or  
25 otherwise satisfactory to the methodology that the

1 party would find sufficient would be available. These  
2 are the types of examples that could be used to break  
3 down the projects and compare them to other peers,  
4 depending on the methodology.

5 Having said that, and to answer your  
6 question, these are the only two (2) projects where  
7 this type of rigour and the step of depth has been  
8 provided. And again, it really depends on the type of  
9 methodology. Overall, all we have seen on the  
10 sustainment capital, for the most part, is somewhat  
11 perhaps more superficial then what would be needed.  
12 But of course, as you work with a external party or  
13 consultant to -- to validate the assumptions and find  
14 more data, more data is required.

15 In terms of what is currently on record  
16 could anyone credibly establish benchmarking work?  
17 Perhaps I would let Mr. Bakulev as a PG in economics  
18 weight in on that.

19 DR. ALEX BAKULEV: If you're asking  
20 about the capital unit costs, then I think that  
21 Manitoba Hydro transition to IFRS and IFRS accounts  
22 should be able like, I believe, to show the -- take  
23 the cost of capital per major asset class and if it  
24 so, it -- my view, it might be entire -- entirely  
25 possible to be able to benchmark their own estimate

1 cost versus the other similar, different companies in  
2 Canada and North America or across the world.

3 MR. BOB PETERS: All right with that  
4 answer, Mr. Chair, I'd like to thank the witnesses for  
5 their responses to my questions. Those conclude my  
6 questions.

7 THE CHAIRPERSON: Thank you. I'm  
8 going to ask the Panel if they have any questions.  
9 No?

10 Ms. Dilay, any re -- Dr. Williams...?

11 DR. BYRON WILLIAMS: Just to follow-up  
12 to one question by Mr. Czarnecki.

13

14 RE-EXAMINATION BY DR. BYRON WILLIAMS:

15 DR. BYRON WILLIAMS: If we can go to  
16 Coalition -- the prefilled evidence of METSCO Exhibit  
17 Consumer Coalition 19 and then Roman Numeral I.

18 Mr. Hjartarson, you recall being  
19 directed by legal counsel from Manitoba Hydro to a  
20 statement on Roman Numeral I that this report was  
21 approved by you?

22 MR. THOR HJARTARSON: Yes, that's  
23 correct.

24 DR. BYRON WILLIAMS: Just in the  
25 context of your professional designation as an

1 engineer, when you put your name to something that  
2 says you've approved it, what does that mean, sir?

3                           MR. THOR HJARTARSON: It means that I  
4 have reviewed it, I have made comments on it and  
5 participated in any -- any -- any such a way that  
6 refers to technical or an engineering part of it.

7                           DR. BYRON WILLIAMS: Thank you, I have  
8 no further questions.

9                           THE CHAIRPERSON: I'd like to thank  
10 the panel for attending today and assisting the Board  
11 in this matter. Your -- your participation was  
12 important to us. Thank you very much.

13                           We're going to adjourn now until nine  
14 o'clock tomorrow morning. Thank you.

15                           DR. ALEX BAKULEV: Thank you.

16

17                           (PANEL STANDS DOWN)

18

19 --- Upon adjourning at 3:13 p.m.

20

21 Certified Correct,

22

23 \_\_\_\_\_

24 Cheryl Lavigne, Ms.

25