

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)

2018/2019 GENERAL RATE APPLICATION

HEARING

Before Board Panel:

Robert Gabor, Q.C. - Board Chairperson

Michael Watson - Board Member

Carol Hainsworth - Board Member

Allan Morin - Board Member

Robert Vandewater - Board Member

HELD AT:

Public Utilities Board

400, 330 Portage Avenue

Winnipeg, Manitoba

October 3, 2017

Pages 169 to 380



“When You Talk - We Listen!”



APPEARANCES

1
2
3 Kathleen McCandless) Board Counsel
4 Robert Watchman) Board Counsel
5 Roger Cathcart) Consultant
6 Alex McQuarrie) Consultant
7
8 Steven Scarfone) Manitoba Public
9 Michael Triggs) Insurance
10
11 Byron Williams (np)) CAC (Manitoba)
12 Katrine Dilay)
13
14 Raymond Oakes) CMMG
15
16 Erika Miller (np)) CAA Manitoba
17
18 Christian Monnin (np)) Bike Winnipeg
19
20
21
22
23
24
25

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Undertakings	172
4		
5	CONTINUED MPI Panel 1:	
6	LUKE JOHNSTON, Previously Sworn	
7	PETER YIEN, Previously Affirmed	
8		
9	Cross-Examination by Ms. Kathleen McCandless	174
10		
11		
12		
13		
14		
15		
16		
17		
18	Certificate of Transcript	380
19		
20		
21		
22		
23		
24		
25		

LIST OF UNDERTAKINGS		
NO.	DESCRIPTION	PAGE NO.
1		
2		
3	1	
4	The Corporation is to file the	
5	request for proposal for the asset	
6	liability management study.	290
7	2	
8	Corporation to advise whether	
9	there are any confidentiality	
10	obligations that would preclude	
11	providing the name of the person	
12	or the group conducting the asset	
13	liability management study, or to	
14	provide the name of the person	
15	conducting the study.	292
16	3	
17	To advise as to whether the	
18	information in figure 2 was sourced	
19	from the Saskatchewan auto fund	
20	financial statements; if so, to file	
21	the statements and advise as to why	
22	March 31.	313
23	4	
24	Advise as to the status of the	
25	request for financial information	
26	from ICBC. And if obtained then	
27	and if able to do so, file the	
28	financial information with the	
29	Board.	314

LIST OF UNDERTAKINGS		
NO.	DESCRIPTION	PAGE NO.
1		
2		
3	5	
4	Inquire to see if there is a	
5	reason for the underperformance	
6	of MPI's small to mid cap equities	
7	at 28.3 percent as compared to	
8	benchmark of 45.8 percent	317
9	6	
10	To explain how the staffing	
11	reorganization in figure 1 of	
12	CAC-MPI-2-24 aligned with the	
13	Corporation's corporate goals.	357
14	7	
15	To advise as to the number of FTEs	
16	that are to be reduced by December	
17	2017. The number that would no longer	
18	be employed by the Corporation. The	
19	number that would be reclassified	
20	into different positions.	358
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:02 a.m.

2

3 THE CHAIRPERSON: Good morning,
4 everyone. I believe we're at cross-examination, is
5 that right, Ms. McCandless?

6 MS. KATHLEEN MCCANDLESS: Yes, Board
7 counsel is ready to proceed with our cross-
8 examination. Let's just wait for Mr. Johnston for a
9 second. Thanks.

10

11 CONTINUED MPI Panel 1:

12 LUKE JOHNSTON, Previously Sworn

13 PETER YIEN, Previously Affirmed

14

15 CROSS-EXAMINATION BY MS. KATHLEEN MCCANDLESS:

16 MS. KATHLEEN MCCANDLESS: Good
17 morning, Mr. Johnston, Mr. Yien.

18 MR. PETER YIEN: Good Morning.

19 MR. LUKE JOHNSTON: Good Morning.

20 MS. KATHLEEN MCCANDLESS: Just to
21 begin, do you accept that the Corporation bears the
22 onus of proof to substantiate this General Rate
23 Application?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: In other

1 words, the Corporation bears the onus of establishing
2 that the pro -- proposed fees and rates are just and
3 reasonable?

4 MR. PETER YIEN: Yes.

5 MS. KATHLEEN MCCANDLESS: And another
6 way of stating that test is that the rates are to be
7 actuarially sound and statistically driven?

8 MR. PETER YIEN: Yes.

9 MS. KATHLEEN MCCANDLESS: Thank you.
10 I'd just like to confirm what is sought in the rate
11 application. I know we heard from you yesterday, but
12 just to confirm that again today.

13 So the Corporation is seeking a 2.7
14 percent increase in Basic vehicle premium revenue,
15 effective March 1, 2018?

16 MR. PETER YIEN: That's correct.

17 MS. KATHLEEN MCCANDLESS: No rate
18 stabilization reserve rebuilding fee?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: A minimum --
21 pardon me, a lower rate stabilization reserve total
22 equity target based on the dynamic capital adequacy
23 test of \$201 million?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: And a

1 maximum target of -- for the rate stabilization
2 reserve of \$438 million based on the 100 percent
3 minimum capital target analysis?

4 MR. PETER YIEN: Minimum capital test,
5 yes.

6 MS. KATHLEEN MCCANDLESS: No changes to
7 service and transaction fees?

8 MR. PETER YIEN: No.

9 MS. KATHLEEN MCCANDLESS: And no
10 changes to fleet rebates, or surcharges?

11 MR. PETER YIEN: Correct.

12 MS. KATHLEEN MCCANDLESS: Thank you.
13 I would just like to review some information regarding
14 the changes to the driver premium through the driver
15 safety rating system, that are expected to increase
16 driver premium by \$17.5 million revenue.

17 MR. PETER YIEN: Okay.

18 MS. KATHLEEN MCCANDLESS: Diana, could
19 you pull up the revenue section of the filing that's
20 Volume 2, page 23. And this figure here REV 28.

21 So as I understand it this is a table
22 of current driver licence premiums by DSR level, as
23 well as the proposed rate; yes?

24 MR. PETER YIEN: That is correct.

25 MS. KATHLEEN MCCANDLESS: And there

1 are two (2) columns there. The first column is for
2 DSR level 0 to 15, so that would be on the neutral or
3 the merit side of the scale?

4 MR. LUKE JOHNSTON: That's correct.
5 The -- the positive side of the scale, 15 would be our
6 safest drivers lowest expected claim frequency.

7 MS. KATHLEEN MCCANDLESS: And on the
8 right-hand side of the table is the demerit side of
9 the scale?

10 MR. LUKE JOHNSTON: That's correct.

11 MS. KATHLEEN MCCANDLESS: And we see
12 the -- on the left-hand side of the scale, the current
13 rates and the proposed rates remain the same?

14 MR. LUKE JOHNSTON: That's right. No
15 -- no increases to the merit side of the DSR scale.

16 MS. KATHLEEN MCCANDLESS: And on the
17 right-hand side of the table we see the proposed rate
18 changes in -- in range -- it increases ranging
19 anywhere from \$500 at the bottom, level of a scale up
20 to \$100 at the minus 1 of the scale?

21 MR. LUKE JOHNSTON: That's correct.
22 And just -- just and all -- we'll probably talk about
23 this, but no one really stays at the same DSR level
24 from year to year, so, no customer would be minus 5
25 this year and still be a minus 5 next year. They'd

1 either go up or down. But, that's to be discussed,
2 I'm sure.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 Diana, could you pull up from the book of documents,
5 tab 2 and that's from the rate-making section of the
6 filing. If we could scroll down just slightly.

7 This is a table showing the required
8 rate change for the vehicle premium only?

9 MR. LUKE JOHNSTON: That's correct.

10 MS. KATHLEEN MCCANDLESS: And if we
11 look to line 24, that's the applied for rate change by
12 major class. So also known as the indicated rate
13 change?

14

15 (BRIEF PAUSE)

16

17 MR. LUKE JOHNSTON: Thanks. I just -
18 - I didn't have your book of documents. Would you
19 mind repeating the question for me, sorry?

20 MS. KATHLEEN MCCANDLESS: Line 24, is
21 the applied for rate change or also known as the
22 indicated rate change?

23 MR. LUKE JOHNSTON: That's correct.

24 MS. KATHLEEN MCCANDLESS: And we see
25 the overall indicated rate change at 2.7 percent, and

1 then it varies depending on class of vehicle, private
2 passenger, commercial, public, motorcycle, trailer and
3 off-road vehicles; yes?

4 MR. LUKE JOHNSTON: Correct.

5 MS. KATHLEEN MCCANDLESS: And then
6 line 29, that would be the experience rate change?

7 MR. LUKE JOHNSTON: That's the -- line
8 29 is basically after we adjust for credibility and
9 balancing in the rate model. So, just to simplify it,
10 credibility, just make sure that -- a smaller group
11 isn't given too much weight to their data. So, we
12 wouldn't -- like a group like motorcycles would have
13 less credibility in their data than a large group like
14 passenger vehicles. So that's line 25.

15 Basically just saying how much weight
16 to give to the -- to the applied for change and then
17 balancing, just means that when we run our rate model,
18 we have to make sure that the overall revenue after
19 all the rules, the -- the rate rules from PUB such as
20 the 20 percent cap balance -- balances to the revenue
21 requirement that we need on an overall basis.

22 MS. KATHLEEN MCCANDLESS: So to
23 summarize, would that be sort of after applying a
24 series of capping rules that are in place that are
25 intended to prevent large variations from year to

1 year?

2 MR. LUKE JOHNSTON: That's right,
3 yeah.

4 MS. KATHLEEN MCCANDLESS: Has there
5 been any change in recent years to the capping rules?

6 MR. LUKE JOHNSTON: On an ov -- on a
7 kind of global basis. I believe the last change was
8 several years ago now, probably more than four (4) or
9 five (5) years ago putting a hard 20 percent cap on
10 combined changes from all factors.

11 MS. KATHLEEN MCCANDLESS: And so is it
12 accurate to call that line 29 the experience rate
13 change?

14 MR. LUKE JOHNSTON: That's fine, yes.
15 Yeah.

16 MS. KATHLEEN MCCANDLESS: So
17 ultimately that's what the Corporation is really
18 applying for after application of the -- of the
19 capping; yes?

20 MR. LUKE JOHNSTON: That's right, yes.

21 MS. KATHLEEN MCCANDLESS: And then
22 within those various increases or decrease on the off-
23 road vehicle side of things, within each class there
24 will be an increase or decrease depending on the
25 particular driver's experience; yes?

1 MR. LUKE JOHNSTON: That's right,
2 within each -- each major class there'll be insurance
3 uses, so all-purpose pleasure. There will also be
4 different rate groups. So like a brand-new 2017 model
5 your vehicle will have a higher rate group, 20 year
6 old Dodge Caravan will have a lower rate group. All
7 of these rating factors get updated based on our --
8 Manitoba information every year and -- and this is
9 just really the average overall change.

10 There is kind of a bell curve looking
11 type distribution report that would have ranges around
12 this -- this average.

13 MS. KATHLEEN MCCANDLESS: Thank you.
14 Diana, if we could just scroll to the top so we can
15 see the -- the heading there.

16 So on the left-hand side of the table
17 under Overall, we see that the -- the units for the
18 fleet overall is at \$1,182,000?

19 MR. LUKE JOHNSTON: That's right.

20 MS. KATHLEEN MCCANDLESS: That's the
21 total vehicles in the fleet?

22 MR. LUKE JOHNSTON: That's correct.

23 MS. KATHLEEN MCCANDLESS: And the
24 fleet increases year after year?

25 MR. LUKE JOHNSTON: Historically, yes.

1 Yeah, about -- about 1 1/2 percent a year for what we
2 call the HTA or Highway Traffic Act related vehicles;
3 that would be private passenger, commercial, public
4 and motorcycle. The last two (2) classes trailer and
5 ORV are really, like a trailer is like an additional
6 piece you would add to a vehicle; ORV being the off-
7 road vehicles.

8 Those two (2) classes have grown by
9 more than 1 1/2 percent, probably closer about 3
10 percent over the last decade, 3 or more percent.

11 MS. KATHLEEN MCCANDLESS: Thank you.
12 And we see the largest class is the private passenger
13 vehicle class at 817,600. So is that the largest
14 percentage of premium revenue to the Corporation?

15 MR. LUKE JOHNSTON: Absolutely. I
16 don't know off the top of my head, but I would assume
17 85-90 percent of the premium for sure.

18 MS. KATHLEEN MCCANDLESS: Now, if we
19 look to the motorcycle rates, in last year's GRA the
20 Corporation's proposal for motorcycle rates included
21 dropping 2006 from the 10 year averaging on a one-time
22 basis, and that was to -- to bring down a rate of 8.8
23 percent to 2.4.

24 MR. LUKE JOHNSTON: That's correct.

25 MS. KATHLEEN MCCANDLESS: And in this

1 application, the Corporation's returning to that 10
2 year averaging for motor -- for motorcycle?

3 MR. LUKE JOHNSTON: That's correct.

4 And -- and the assumptions we made last year appeared
5 to be reasonable in the sense that we're not coming
6 back and asking for an 8 percent or something like
7 that but it's -- the motorcycle rates are basically
8 the similar deal overall.

9 MS. KATHLEEN MCCANDLESS: And the
10 purpose of using the 10 years is to smooth out any
11 volatility?

12 MR. LUKE JOHNSTON: Yes, all classes
13 have their serious losses smoothed out over 10 years
14 because you can understand if a certain use or a class
15 happens to have a few big losses in a year that could
16 swing the rates up -- up or down really fast if you --
17 if you only use one (1) or two (2) years of data.

18 So, motorcycles specifically are mostly
19 injury claim, so, we look at a longer-term average for
20 -- for motorcycles.

21 MS. KATHLEEN MCCANDLESS: Thank you.

22 Diana, can you please go to Tab 3 of the book of
23 documents. And that's also from the rate-making
24 section of the filing.

25 There are two (2) figures on the page,

1 RM-13 is the dollar distribution table for the
2 proposed vehicle rate change. So we'll first look at
3 that one.

4 And so this is broken down by relative
5 increase or decrease based on the application for a
6 number of vehicles and percentage of vehicles. If we
7 look to the rightmost column on the table, it looks as
8 though the largest percentage, so, 23.66 percent,
9 that's at line 11, vehicles will see a rate increase
10 of \$50 to \$99 based on the 2.7 percent rate
11 application?

12 MR. LUKE JOHNSTON: That's correct.

13 MS. KATHLEEN MCCANDLESS: And then
14 that would be followed closely by line 10 where 20.55
15 percent will see an increase of \$20 to \$49?

16 MR. LUKE JOHNSTON: That's right.

17 MS. KATHLEEN MCCANDLESS: And if we
18 look at line 15, .04 percent of the vehicles will see
19 an increase of \$300 or more, and the asterisk shows
20 that that's 451 taxis.

21 MR. LUKE JOHNSTON: That's right.

22 MS. KATHLEEN MCCANDLESS: Can you just
23 explain why taxis see this significant increase?

24 MR. LUKE JOHNSTON: Yeah. The -- the
25 taxi rate, as you can all understand, is -- well, like

1 all classes based on its experience and taxis
2 generally are driving 24 hours a day. Rates can vary
3 from 7 to \$9000 a year, approximately. So, even a
4 small percentage change can -- can generate a -- a
5 larger dollar change and that -- and that's what --
6 what's happening here.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 Diana, can you please scroll down to the next table.
9 This is figure RM-14. And this is the percent
10 distribution table. So rather than a dollar basis, we
11 look at -- at the percentage basis of the overall
12 insurance rate.

13 So again, if we look to the rightmost
14 column of line 7, the largest percentage or 36.57
15 percent of vehicles will see an increase of less than
16 5 percent?

17 MR. LUKE JOHNSTON: That's right.

18 MS. KATHLEEN MCCANDLESS: And then at
19 line 8 the next largest group would be 23.06 percent,
20 seeing an increase of 5 percent to 10 percent?

21 MR. LUKE JOHNSTON: That's correct.

22 MS. KATHLEEN MCCANDLESS: And then at
23 line 6 we see 10.2 percent of the vehicles seeing no
24 change?

25 MR. LUKE JOHNSTON: That's right.

1 MS. KATHLEEN MCCANDLESS: And at line
2 5, we have 15.48 percent of the vehicles seeing a
3 decrease of less than 5 percent?

4 MR. LUKE JOHNSTON: That's correct.

5 MS. KATHLEEN MCCANDLESS: Now in last
6 year's GRA the Corporation had advised the Board that
7 the majority of its service fees had not been reviewed
8 since DSR -- oh sorry, it was two (2) GRAs ago at
9 2016, that these service fees, that were previously
10 discussed, had not been reviewed since the
11 establishment of the fee and that a phase review of
12 the service fee structure was going to take place the
13 following year.

14 In last year's GRA, in an update to
15 that, the Corporation was asked whether the review had
16 begun and -- and there had not been a review at that
17 point of the service fees.

18 Has anybody review started at this
19 time?

20

21 (BRIEF PAUSE)

22

23 MR. LUKE JOHNSTON: Thanks. So my
24 understanding is that the Basic service fee review is
25 -- has definitely started and is close to completion.

1 There is also a corporate service fee review that has
2 to be completed as well, and that is also underway.

3 And we're definitely expecting or
4 targeting to have that for the next General Rate
5 Application.

6 MS. KATHLEEN MCCANDLESS: Thank you.
7 Yesterday we heard from a presenter, Mr. Ian Pfeiffer
8 who mentioned a registration fee that he had paid for
9 his vehicles, and that it was a per vehicle fee.

10 Perhaps you could just explain, on the
11 record, what that registration fee is?

12

13 (BRIEF PAUSE)

14

15 MR. STEVE SCARFONE: Just in response
16 to that, Ms. McCandless, as indicated yesterday by Mr.
17 Triggs, so the Corporation is, essentially, acting as
18 agent for the provincial government on the collection
19 of the registration fees. So, we assumed those duties
20 under the Drivers and Vehicles Act on behalf of the
21 provincial government.

22 So I don't know if we're in a
23 position, quite frankly, to say what the government --
24 how the government makes use of that money; we're
25 simply a collection service or, as I've indicated, an

1 agent on behalf of the provincial government
2 collecting those registration fees, passing them along
3 under the legislation.

4 MS. KATHLEEN MCCANDLESS: So just to
5 confirm, that fee is not part of the rates or fees
6 that form the subject of the Application before the
7 Board?

8 MR. STEVE SCARFONE: That's correct.

9 MS. KATHLEEN MCCANDLESS: Diana, can
10 you please go to Tab 5 of the book of documents. This
11 is from the pro forma section of the filing.

12 Now this -- this table reflects the
13 actual financial results for Basic for 2016/17 fiscal.
14 Based on if we scroll or -- we see in the blue there
15 on the left-hand side, based on the applied for rate
16 change of 2.7 percent?

17 MR. LUKE JOHNSTON: That's correct.

18 MS. KATHLEEN MCCANDLESS: And it also
19 includes a forecast for 2017/18, which was the subject
20 of last year's GRA and is the current year?

21 MR. LUKE JOHNSTON: That's right.

22 MS. KATHLEEN MCCANDLESS: Can you just
23 explain, the -- on the left-hand side of the table
24 under 2018, there's 2017/18 content and there is
25 2017/18 forecast budget.

1 Can you explain the difference?

2 MR. LUKE JOHNSTON: I can. So the
3 2017/18 B or budget, if you scroll down to the bottom.
4 Scroll down or look at the bottom, you'll see a -- a
5 loss of \$45.6 million. This is -- basically reflects
6 the original forecast presented to our board, that
7 indicated the 7.7 rate increase, not for 17/18 but,
8 basically, the org -- original forecast.

9 And then if you look at 17/18 FB or
10 forecast budget, this is the forecast after the
11 assumed management actions. So, that would include
12 some of the claim stretch targets that we have, the
13 purchase of corporate bonds. It would not include
14 driver premiums, for example, because those -- those
15 don't -- wouldn't come into effect till 18/19.

16 MS. KATHLEEN MCCANDLESS: Thank you.
17 And then, if we'll see the column under heading 2019.

18 So, 2018/'19 forecast so that is for
19 the year of the application; yes?

20 MR. LUKE JOHNSTON: Yes, but also when
21 we're doing the rate-making calculation, policies
22 being sold as what we call "staggered renewals",
23 policies are sold throughout the year. So really the
24 effect of the '18/'19 policy year extends in '18/'19
25 fiscal year and '19/'20 fiscal year.

1 MS. KATHLEEN MCCANDLESS: Thank you.
2 If we look on the left-hand side of the table at the
3 2016/'17 actual results. I am just going to walk you
4 through some of these results here.

5 So, the first section under Basic shows
6 that there were total net premiums written in 2016/'17
7 of \$924 million.

8 MR. LUKE JOHNSTON: Correct.

9 MS. KATHLEEN MCCANDLESS: Under total
10 earned revenues, we see \$928 million.

11 MR. LUKE JOHNSTON: That's correct.

12 MS. KATHLEEN MCCANDLESS: Then there
13 were net claims incurred of \$872 million.

14 MR. LUKE JOHNSTON: Correct.

15 MS. KATHLEEN MCCANDLESS: The interest
16 rate impact on those claims incurred was \$-12 million
17 for total claims incurred of \$860 million.

18 MR. LUKE JOHNSTON: That's right.

19 MS. KATHLEEN MCCANDLESS: And then
20 towards the very bottom of the screen there we see
21 total claims costs of \$994 million; yes?

22 MR. LUKE JOHNSTON: Yes.

23 MS. KATHLEEN MCCANDLESS: Diana, could
24 we scroll down a bit further. Thank you. And to
25 expenses; see operating expenses of \$72 million.

1 MR. LUKE JOHNSTON: Yes.

2 MS. KATHLEEN MCCANDLESS: And then our
3 commissions premium taxes and regulatory and appeal
4 expenses.

5 Can you just explain what the
6 regulatory and appeal expenses are?

7

8 (BRIEF PAUSE)

9

10 MR. PETER YIEN: Yeah, these expenses
11 are related to the PUB process. Automotive injury
12 compensation appeal commissions, and any claim in
13 advisory office, related.

14 MS. KATHLEEN MCCANDLESS: Thank you.
15 And the total expenses for 2016/'17 were \$140 million,
16 yes.

17 MR. PETER YIEN: Yes, it is.

18 MR. LUKE JOHNSTON: Yeah.

19 MS. KATHLEEN MCCANDLESS: And so, the
20 results of -- of that was an underwriting loss of \$206
21 million for 2016/'17; yes?

22 MR. LUKE JOHNSTON: Yes.

23 MS. KATHLEEN MCCANDLESS: If we look
24 to investment income. There was investment income of
25 a hundred and one, or \$102 million.

1 MR. LUKE JOHNSTON: Yes.

2 MS. KATHLEEN MCCANDLESS: The interest
3 rate impact on the investment income was \$19 million.

4 MR. LUKE JOHNSTON: That's correct.

5 MS. KATHLEEN MCCANDLESS: So the net
6 investment income was \$83 million.

7 MR. LUKE JOHNSTON: Correct.

8 MS. KATHLEEN MCCANDLESS: So Basic's
9 position for '16/'17 was in that loss of \$123 million;
10 yes?

11 MR. LUKE JOHNSTON: That's right.

12 MS. KATHLEEN MCCANDLESS: Now Diana,
13 if we could go to Tab 8 of the book of documents, and
14 that's Pro Forma 4.

15 Now this table shows what was budgeted
16 for 2016 and '17, at last year's GRA compared with the
17 actual results now presented in this GRA; yes?

18 MR. LUKE JOHNSTON: That's right.

19 MS. KATHLEEN MCCANDLESS: Now, if we
20 look about the middle of the page under Column 20-
21 '16/'17 actuals. So for the actual results, we see
22 total earned revenues of 928 million.

23 And on the right-hand side then we see
24 that there's a difference; so total earned revenues
25 were \$5.8 million less than -- than budgeted for last

1 year; yes?

2 MR. LUKE JOHNSTON: That's right.

3 MS. KATHLEEN MCCANDLESS: And if we
4 scroll down to the underwriting income and loss.

5 Thank you.

6 So as -- as discussed previously, there
7 was an underwriting loss of about \$206 million, and
8 that was a difference of \$176 million from what was
9 budgeted at last year's GRA; yes?

10 MR. LUKE JOHNSTON: Yes.

11 MS. KATHLEEN MCCANDLESS: And so at
12 the very bottom of the screen we see that as compared
13 to last year's budget, there was a \$109 million
14 difference from what was project -- or budgeted last
15 year.

16 MR. LUKE JOHNSTON: That's right.

17 MS. KATHLEEN MCCANDLESS: And
18 typically MPI looks to investment income to offset the
19 underwriting loss; yes?

20 MR. LUKE JOHNSTON: That's right,
21 generally we're close to -- it's -- it things have
22 changed a little bit with accepted actuarial practice.
23 But historically, the way rates would be set would be
24 that net income equals zero.

25 MS. KATHLEEN MCCANDLESS: And if we

1 look to investment income. The actual results for
2 2016/'17 were that, as discussed, there was a net
3 income of -- investment income of \$83 million. And
4 that was \$66 million more than budgeted last year,
5 yes?

6 MR. LUKE JOHNSTON: That's right.
7 That's right.

8 MS. KATHLEEN MCCANDLESS: Now, moving
9 up to about the middle of the page we see total claims
10 costs were at \$996 million, actual.

11 And that was \$173 million greater than
12 budgeted for last year; yes?

13 MR. LUKE JOHNSTON: Yes.

14 MS. KATHLEEN MCCANDLESS: If we scroll
15 to the next page of the document.

16 There is an explanation for the
17 variances and so if we look to net claims incurred,
18 would it be fair to say that much of the underwriting
19 loss was a result -- resulted from higher than
20 forecasted claims?

21 MR. LUKE JOHNSTON: Yes, that's
22 correct.

23 MS. KATHLEEN MCCANDLESS: And so that
24 would be higher than forecasted comprehensive claims
25 as we see under Item 2?

1 MR. LUKE JOHNSTON: Correct. Just
2 give me one second and I'll give you a little bit
3 better detail.

4

5 (BRIEF PAUSE)

6

7 MR. LUKE JOHNSTON: Sorry, I'm looking
8 for my detail. But yes, the large majority of the
9 comprehensive over-budget would be related to hail,
10 but there was also, as we discussed, little bit issues
11 with rodents and theft and vandalism.

12 MS. KATHLEEN MCCANDLESS: Thank you.
13 And if we look to the variance in investment income at
14 Item 3. A significant part of that variance was --
15 the second line there, "higher-than-expected ALM
16 impact due to interest rate forecast".

17 MR. LUKE JOHNSTON: That's right.

18 MS. KATHLEEN MCCANDLESS: Can you just
19 explain what that means?

20 MR. LUKE JOHNSTON: So if we forecast
21 interest rates to increase. We would -- we currently
22 hold a bond portfolio with the duration of about 10
23 years. So the impact to that portfolio of interest
24 rates rising would generally be a fallen, generally.
25 It would be a fallen in bond prices.

1 So our forecast last year using a
2 increasing interest rate forecast would have expected
3 losses and since interest rates didn't increase as
4 much is anticipated; there's a net positive variance
5 between what we forecasted.

6 MS. KATHLEEN MCCANDLESS: Thank you.
7 Diana, can you please go to Tab 9 of the book of
8 documents, and that's Pro Forma 5.

9 And this table compares what was
10 forecast for '27/'18 in last year's GRA with what is -
11 - what was projected for 2017/'18 as at the time of
12 the filing of the application this year; yes?

13 MR. LUKE JOHNSTON: Yes.

14 MS. KATHLEEN MCCANDLESS: So if we
15 scroll to the bottom -- or -- yes, right about there.

16 Under net income or loss from
17 operations, so last year the budget was projecting a
18 loss of \$10.8 million.

19 MR. LUKE JOHNSTON: That's right.

20 MS. KATHLEEN MCCANDLESS: And now
21 that's been revised to forecasting net income of \$58
22 million.

23 MR. LUKE JOHNSTON: That's correct.

24 MS. KATHLEEN MCCANDLESS: If we look
25 to investment income. There is a significant variance

1 of \$65 million from what was projected last year, yes?

2 MR. LUKE JOHNSTON: Oh, I found it.

3 Sorry, I look at the wrong line. Yes, that's correct.

4 MS. KATHLEEN MCCANDLESS: And so the
5 increased net income would be due to the higher than
6 expected investment income?

7 MR. LUKE JOHNSTON: I can explain
8 further. So, similarly in -- in this year's
9 application, pardon me, in last year's application.
10 We included a rising interest rate environment, which
11 is one of the main reasons why the investment income
12 is low. Because we're expecting losses on bonds.

13 This year, we've moved to a naive or
14 flat interest rate assumption. And so the assumed
15 market value losses on bonds as interest rates rise
16 are -- aren't in the forecast. And so that's the big
17 reason for the difference in investment income.

18 The port -- just maybe to expand on
19 that. There is the assumed purchase of corporate
20 bonds in our forecast. But the investment income from
21 the additional bonds wouldn't be a substantial cause
22 of this difference.

23 MS. KATHLEEN MCCANDLESS: And if we go
24 to expenses, which is about the middle of the page; it
25 looks as though the corporation is now budgeting for a

1 reduction in expenses from what was projected last
2 year of about \$5.6 million, yes?

3 MR. PETER YIEN: Yeah -- sorry. I
4 just want to make sure I got the -- which line item?

5 MS. KATHLEEN MCCANDLESS: Expenses.
6 Total expenses.

7 MR. PETER YIEN: Yes. Yes, that's
8 correct. I got it.

9 MS. KATHLEEN MCCANDLESS: And that's
10 attributable -- in large part in the majority to
11 reduction in operating expenses, yes?

12 MR. PETER YIEN: That's correct.

13 MS. KATHLEEN MCCANDLESS: Now, Diana,
14 could we please go to Pro Forma 6, which is at Tab 10
15 of the book of documents.

16 MS. KATHLEEN MCCANDLESS: And this
17 table compares what was forecast for 2018/'19 in last
18 year's GRA with what is now being forecast as at the
19 time of the filing of the application for this year's
20 GRA; yes?

21 MR. LUKE JOHNSTON: Yes.

22 MS. KATHLEEN MCCANDLESS: Now if we go
23 right down to the net result -- or net income. Last
24 year the Corporation was forecasting net income for
25 2018/'19 of \$24 million; yes?

1 MR. LUKE JOHNSTON: Yes.

2 MS. KATHLEEN MCCANDLESS: Now
3 forecasting a \$21 million loss, yes?

4 MR. LUKE JOHNSTON: Yes.

5 MS. KATHLEEN MCCANDLESS: For a
6 variance of \$45 million.

7 MR. LUKE JOHNSTON: Correct.

8 MS. KATHLEEN MCCANDLESS: And if we
9 just scroll up to a claims cost, so claims incurred.

10 It looks as though there is a
11 significant variance in the forecast claims incurred;
12 yes?

13 MR. LUKE JOHNSTON: Yes, there is and
14 I can explain further if you want.

15 MS. KATHLEEN MCCANDLESS: Just for the
16 record, so that's --

17 MR. LUKE JOHNSTON: -- Yeah --

18 MS. KATHLEEN MCCANDLESS: A variance
19 of \$101 million from what was forecast in last year's
20 GRA; yes?

21 MR. LUKE JOHNSTON: Yes, yeah.

22 MS. KATHLEEN MCCANDLESS: We could go
23 to the next page if that helps you with your --

24 MR. LUKE JOHNSTON: Well I can start
25 by just giving a high level, if you want. So, above

1 the total claims incurred line, you'll see net claims
2 incurred, and then you'll see the interest rate
3 impact.

4 So in this case, you can see that
5 interest rate impact is the main driver, which is one
6 of the reasons why we've created a separate line on
7 the statements for that item. So if you net claims
8 incurred, this would be the claims incurred, excluding
9 interest rates and those have all -- those have
10 increased. So, the forecast overall went up by \$13
11 million. And I won't get into the reasons for that,
12 but we did increase some of our claims forecast.

13 And then on the second line, the
14 interest rate impact, you'll see that in last year's
15 GRA, the first column claims are expected to fall
16 dramatically by about 79 million. And this is because
17 the present day cost of all of our claims liabilities
18 is calculated based on the current interest rates or
19 the -- the current yield on our fixed income
20 portfolio.

21 So, again, last year we were assuming a
22 rise in interest rates, which would lower our claim
23 liabilities producing a \$79 million benefit. Now,
24 with flat interest rates we don't get that reduction
25 anymore. And that creates 87 million of the 100

1 million change.

2 MS. KATHLEEN MCCANDLESS: If we scroll
3 to the next page, there's further explanation on the -
4 - claims incurred. So in addition to the forecasted
5 growth in interest rates. There was higher than
6 forecast physical damage claims of \$19 million.

7 MR. LUKE JOHNSTON: That's right, the
8 majority would be from comprehensive claims such as a
9 hail.

10 MS. KATHLEEN MCCANDLESS: And another
11 significant variance would be the higher than
12 forecasted internal loss adjustment expenses that's,
13 I-L-A-E.

14 MR. LUKE JOHNSTON: That's correct.
15 Just to explain what that is. There is -- there is
16 loss expenses a -- adjustment expenses associated with
17 our outstanding claims.

18 For the mo -- just to put it maybe in a
19 more straightforward terms; for the most part, we
20 assume that these loss adjustment expenses are
21 incurred as the claims are paid out. So in the same
22 way if the interest rates are lower and the claims are
23 higher. The cost of the our internal loss adjustment
24 expenses also go up.

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 If we go back to the first page of the Pro Forma to
2 investment income.

3 Last year the Corporation was
4 forecasting a total investment income of 26 -- 25.6
5 million; yes?

6 MR. LUKE JOHNSTON: Yes.

7 MS. KATHLEEN MCCANDLESS: And, in this
8 years forecast it's \$78 million for a variance of 52
9 million.

10 MR. LUKE JOHNSTON: That's correct.

11 MS. KATHLEEN MCCANDLESS: And is that
12 attributable to higher than expected ALM impact,
13 pardon me, due to the interest rate forecast?

14 MR. LUKE JOHNSTON: This one is --
15 you can really see the impact of the flat interest
16 rate forecast. If you look on the second column, this
17 year's forecast the interest rate impact is nothing
18 because we're assuming interest rates aren't changing
19 at all.

20 So whereas last year, the bond prices
21 would've been impacted or the market value of the
22 bonds would have been impacted by the assumed rising
23 interest rate environment.

24 MS. KATHLEEN MCCANDLESS: And to what
25 extent is the expected increase in the allocation to

1 corporate bonds factor into that variance in
2 investment income?

3 MR. LUKE JOHNSTON: I wouldn't expect
4 much. There might be some additional -- minor amounts
5 of investment income from earning a higher yield on
6 corporate bonds for one year, but it would be
7 relatively minor. And it would be included in that
8 investment income line. However the -- you'll also
9 notice the investment income has dropped because,
10 again, we're assuming non-increasing interest rates.

11 MS. KATHLEEN MCCANDLESS: Thank you.
12 Diana, can you go back to Pro Forma 1, which was Tab 5
13 of the book of documents.

14 I'm just going to ask some questions
15 about 20 -- 19/20 and beyond. First, if we look to
16 total net premiums written, starting at the column
17 that's 2020, which is 2019/'20 forecast. And then
18 moving further to the right up to 2021/'22 forecast.

19 We see a total net premiums written
20 increase over that; yes?

21 MR. LUKE JOHNSTON: Yes.

22 MS. KATHLEEN MCCANDLESS: And does
23 that reflect the volume factor and upgrade factor?

24 MR. LUKE JOHNSTON: That's right. So
25 we -- I spoke earlier that the main classes, private

1 passenger commercial, et cetera are most of the
2 premium. So, we look at the growth in those classes
3 which is about 1 and 1/2 percent a year. So we would
4 say flee -- the fleet grows about 1 and 1/2 a year,
5 which is very similar to the population growth. And
6 then the upgrade factor grows about 2.5 percent per
7 year.

8 And the upgrade factor is -- is -- if
9 MPI just left our rates same next year, as they are
10 today. We would obviously get new model year vehicles
11 coming in they would have higher rates. We would get
12 people selling old cars and moving into newer cars
13 which create higher rates. Sometimes people move to
14 the city and get higher rates.

15 So there's -- all those factors create
16 premium upgrade without MPI changing a single rate in
17 the model. So we don't ignore that extra premium when
18 we apply for rates we just include the historical
19 average in the -- in the projections

20 MS. KATHLEEN MCCANDLESS: Thank you.
21 If we look down to investment income, we see that for
22 2019/'20, you show a net investment income of 80
23 million, going up to 85 million in 2020/'21, and then
24 84 million in 2021/'22, yes?

25 MR. LUKE JOHNSTON: Yes.

1 MS. KATHLEEN MCCANDLESS: Okay. And
2 again, the reason that there is no interest rate
3 impact for those years is -- is because of the assume
4 no change in interest rates, yes?

5 MR. LUKE JOHNSTON: That's correct.

6 MS. KATHLEEN MCCANDLESS: And if we
7 look to the net income projection for 2019/'20, the
8 Corporation's forecasting and let -- a net loss of
9 \$8.3 million; yes?

10 MR. LUKE JOHNSTON: Yes.

11 MS. KATHLEEN MCCANDLESS: And then as
12 always, the Corporation will update the forecast in
13 next year's filing and may apply for additional rate
14 changes that would impact 2019/'20, yes?

15 MR. LUKE JOHNSTON: That's correct.
16 And -- and just so the everybody understands what
17 would happen when we switch from the old rate-making
18 methodology which was -- our old rate-making methodo -
19 - methodology would literally just say, Set net income
20 to zero. Find the premium that makes these numbers
21 zero. Our new accepted actuarial practice methodology
22 says, Just look at the policies you're selling next
23 year and make -- and make sure they don't earn any
24 profit, which is different than -- than the fiscal
25 year view.

1 So what can happen, for example, is we
2 have almost \$2 billion of claim liabilities. If
3 interest rates were assumed to fall over the period,
4 the -- the costs -- or the -- the present value of
5 those liabilities would go up, can -- could create a
6 loss on the statement, but that's completely unrelated
7 to the new policies we're selling today. So it is
8 possible to have positive or negative net income, but
9 still sell the new policies that break even.

10 MS. KATHLEEN MCCANDLESS: Thank you.
11 So there has been movement in interest rates since the
12 application was filed in June?

13 MR. PETER YIEN: Yes.

14 MS. KATHLEEN MCCANDLESS: And if
15 interest rates change that, it has an impact on the
16 forecast; yes?

17 MR. PETER YIEN: Yes.

18 MS. KATHLEEN MCCANDLESS: Diana, can
19 you please go to Tab 11 of the book of documents. And
20 that is a response to an Information Request on behalf
21 of the Board, PUB-MPI-1-8.

22 You'll see the question there that the
23 Corporation was asked to file updated pro formas and
24 actuarial-indicated rates based on increases in
25 interest rates. So at (a) it was a twenty-five (25)

1 basis point increa -- increase in interest rates in
2 2017/'18. At (b) a fifty (50) basis point increase in
3 interest rates at 2017/'18. And (c) based on a fifty
4 (50) basis point increase in interest rates in
5 2017/'18 and fifty (50) in 2018/'19.

6 And if we scroll to the response and
7 sort of the -- the narrative response before the pro
8 formas. Thank you. Just on the next page we'll see
9 it at (a), (b), and (c), here.

10 So with respect to (a) the effect of
11 that interest rate change on the overall required rate
12 -- rate change was from 2.7 to 2.3 percent, yes?

13 MR. LUKE JOHNSTON: That's -- that's
14 correct.

15 MS. KATHLEEN MCCANDLESS: And then at
16 (b) so that was the fifty (50) basis point increase,
17 had the effect of red -- reducing the overall required
18 rate change from 2.7 to 1.9 percent, yes?

19 MR. LUKE JOHNSTON: Yes.

20 MS. KATHLEEN MCCANDLESS: And then for
21 (c) that was the fifty (50) basis point increase at
22 2017/'18 and 2018/'19, had the same effect as (b). So
23 changing the overall required rate change from 2.7 to
24 1.9 percent, yes?

25 MR. LUKE JOHNSTON: That's right.

1 MS. KATHLEEN MCCANDLESS: So if we go
2 to Appendix 1, the first page, and that's the twenty-
3 five (25) basis point increase. The impact for the
4 2017/'18 forecast budget at the very bottom of the
5 page, that is a net -- is net income of \$64 million?

6 MR. LUKE JOHNSTON: That's right.

7 MS. KATHLEEN MCCANDLESS: And then for
8 2018/'19, which would -- which would just be the next
9 figure over to the right, was a net loss of 17
10 million?

11 MR. LUKE JOHNSTON: Correct.

12 MS. KATHLEEN MCCANDLESS: And then for
13 2019/'20, which is the next column over, would be a
14 net loss of 2.8 million?

15 MR. LUKE JOHNSTON: Yes.

16 MS. KATHLEEN MCCANDLESS: So this is
17 an improved outcome from what was forecast in the
18 application; yes?

19 MR. LUKE JOHNSTON: Yes, it is. Yeah.

20 MS. KATHLEEN MCCANDLESS: And my rough
21 math, feel free to correct me if I'm wrong, is that it
22 -- for those three (3) years, it's -- it's an
23 improvement of roughly \$45 million?

24 MR. LUKE JOHNSTON: The 45 million
25 seems high. Let me just --

1 MS. KATHLEEN MCCANDLESS: Oh, pardon
2 me. Sorry.

3 MR. LUKE JOHNSTON: Yeah.

4 MS. KATHLEEN MCCANDLESS: Seventeen
5 (17) or 18 million?

6 MR. LUKE JOHNSTON: That sounds closer
7 to -- yeah.

8 MS. KATHLEEN MCCANDLESS: Okay.

9 MR. LUKE JOHNSTON: I wish it had that
10 much of an effect, but it doesn't. Yeah.

11 MS. KATHLEEN MCCANDLESS: Now at Tab
12 12 of the book of documents. And this is another
13 response to an Information Request filed on behalf of
14 the Board.

15 The Corporation was asked to provide an
16 update to the tables that we just looked at to reflect
17 the current actual market interest rates?

18 MR. LUKE JOHNSTON: Yes.

19 MS. KATHLEEN MCCANDLESS: And so that
20 question was asked in August of this year. Now, if we
21 look to the response, ultimately the effect of
22 updating to actual interest rates change the overall
23 required rate change from 2.7 percent to 2.0 percent;
24 yes?

25 MR. LUKE JOHNSTON: Yes.

1 MS. KATHLEEN MCCANDLESS: The
2 Corporation, is it intending to amend its application
3 at all to reflect the actual change in interest rates?

4 MR. MATTHEW GHIKAS: Maybe I can -- I
5 can speak to that. So the -- the intent would be to
6 have a -- a compliance filing rather than a formal
7 amendment to the application so that the information
8 would be updated to reflect the most current
9 information in that regard, but it wouldn't be a
10 formal amendment to the application. It would simply
11 flow from the order.

12 MS. KATHLEEN MCCANDLESS: Thank you.
13 Now the -- the change in this rate from 2.7 percent to
14 2.0 percent, is that from a change in the valuation of
15 claims incurred in marketable bonds?

16 MR. LUKE JOHNSTON: The -- sorry,
17 maybe just -- so the question was, Why does the -- why
18 does it fall from two point seven (2.7) to two (2)?

19 So when we're setting rates, we're
20 using the -- the claim -- what we call the claims
21 liability discount rate, which is basically the --
22 this investment return we use to discount claims, and
23 also for -- for rate-setting purposes. This is just
24 the -- the -- basically, the average yield of the
25 fixed-income portfolio.

1 So if interest rates are assumed to
2 rise, particularly long-term interest rates, then we
3 would have a higher investment return and therefore a
4 lower rate. So really, as the investment return
5 assumption increases, the rates move down, basically
6 almost proportionately.

7 MS. KATHLEEN MCCANDLESS: And we see
8 at the top of the response -- so the -- the actual
9 market interest rate as of July 31st was 2.0 percent,
10 which reflected an increase of .42 percent from 1.64
11 percent when the GRA was filed, yes?

12 MR. LUKE JOHNSTON: That's correct.

13 MS. KATHLEEN MCCANDLESS: And so that
14 had an impact on the duration-weighted return on the
15 fixed-income portfolio as at March 1, 2018, from 3.7 -
16 - .8 percent to 4.12 percent; yes?

17 MR. LUKE JOHNSTON: Yes.

18 MS. KATHLEEN MCCANDLESS: Now if we
19 look to the pro forma that was filed as Appendix 1 in
20 this Information Request response, and we look to
21 claims incurred in -- and perhaps, Diana, we could
22 split screen this with Pro Forma 1, which is at Tab
23 five.

24

25

(BRIEF PAUSE)

1 MS. KATHLEEN MCCANDLESS: Okay. Thank
2 you. So if we look to the net claims incurred -- or
3 total claims incurred, pardon me, for the -- on the
4 right-hand side of the screen is the applied -- the
5 pro forma filed with the application.

6 Total claims incurred for the 2017/'18
7 forecast budget was 739.4 million; yes?

8 MR. LUKE JOHNSTON: Yes.

9 MS. KATHLEEN MCCANDLESS: And if we
10 look to the left-hand side of the screen with the 2.0
11 percent or 2017/'18 forecast budget, we see total
12 claims incurred has now reduced to \$677 million; yes?

13 MR. LUKE JOHNSTON: Yes.

14 MS. KATHLEEN MCCANDLESS: The effect
15 on investment income for 2017/'18 forecast budget, we
16 see and on the right-hand side of the -- of the page,
17 so for the 2.7 percent rate application, net
18 investment income for 2017/'18 of 101 million?

19 MR. LUKE JOHNSTON: Correct.

20 MS. KATHLEEN MCCANDLESS: And for
21 2017/'18 forecast budget based on the 2.0 percent, we
22 have net investment income of 39.5 million; yes?

23 MR. LUKE JOHNSTON: Yes. And -- and
24 what you're seeing here is the model estimating what
25 the interest rate changes are -- are worth in terms of

1 dollars on the financial statement.

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 If we look at the net income for 2017/'18 forecast
4 budget, on the left-hand side of the -- of the screen,
5 which is the 2.0 percent, it's 57.1 million; yes?

6 MR. LUKE JOHNSTON: Yes.

7 MS. KATHLEEN MCCANDLESS: And then on
8 the right-hand side of the 2.7 percent rate increase,
9 it's 57.5 million?

10 MR. LUKE JOHNSTON: Yes. Basically,
11 the model that has run based on this scenario is
12 essentially assuming that the -- the decrease in
13 investment income is almost perfectly offset by a
14 decrease in claims liabilities.

15 MS. KATHLEEN MCCANDLESS: Thank you.
16 Now, Diana, can you please go to Tab 7 of the book of
17 documents. And that's Pro Forma 3.

18

19 (BRIEF PAUSE)

20

21 MS. KATHLEEN MCCANDLESS: Thank you.

22 And I apologize for making you jump around so much
23 this morning.

24 So Pro Forma 3 reflects the forecast of
25 Basic retained earnings in total equity as at the time

1 of filing of the application; yes?

2 MR. LUKE JOHNSTON: Yes.

3 MS. KATHLEEN MCCANDLESS: And so for
4 2017 -- or '16/'17 actual results, total retained
5 earnings were \$99 million. That's on the left-hand
6 side of the table?

7 MR. LUKE JOHNSTON: Yes.

8 MS. KATHLEEN MCCANDLESS: And that was
9 after a transfer in of \$27.8 million from non-Basic
10 retained earnings?

11 MR. LUKE JOHNSTON: Correct.

12 MS. KATHLEEN MCCANDLESS: And was that
13 -- that transfer was done ultimately with a view to
14 putting Basic's total equity at the bottom of the
15 screen there at \$181 million?

16 MR. LUKE JOHNSTON: Yes. The transfer
17 was made to -- to bring the total equity up to the --
18 the minimum for satisfactory financial condition based
19 on the last year's DCAT, which would have been the
20 only information that our board had at the time that
21 that decision was made.

22 MS. KATHLEEN MCCANDLESS: Thank you.
23 If we look to the 2017/'18 forecast budget, total
24 retained earnings are at \$157 million?

25

1 (BRIEF PAUSE)

2

3 MR. LUKE JOHNSTON: Sorry. Yes. I
4 was looking one (1) column over. One -- one fifty-six
5 point eight (156.8). Yes. Yeah.

6 MS. KATHLEEN MCCANDLESS: And the
7 total equity forecast is at two hundred and twenty-one
8 (221) -- or sorry, \$220.1 million?

9 MR. LUKE JOHNSTON: Yes.

10 MS. KATHLEEN MCCANDLESS: If we go to
11 tay -- sorry, at Tab 12 of the book of documents.
12 Again, that was the response to PUB-MPI-2-9. And page
13 3 of the appendices.

14 And this is a statement -- the
15 statement of changes in equity with the 2.0 percent
16 rate increase; yes?

17 MR. LUKE JOHNSTON: Yes.

18 MS. KATHLEEN MCCANDLESS: So with
19 actual interest rates as of July 31st, 2017, we see,
20 if we just scroll down a little bit, we see the total
21 equity balance for 2017/'18 forecast budget to climb
22 to \$227 million; yes?

23 MR. LUKE JOHNSTON: Yes.

24 MS. KATHLEEN MCCANDLESS: Thank you.

25 MR. LUKE JOHNSTON: Just to a maybe

1 add on that, it's a bit -- the effect of interest
2 rates is a bit offsetting, because as interest rates
3 rise, the rate goes down, lowering your premium
4 revenue. However, in the longer term, the better
5 interest, the higher interest rate improves your
6 investment income.

7 So the -- in the first year, the effect
8 of interest rates is good on -- on our results, but
9 you also apply for a lower rate increase so you can
10 essentially give it back, as you should. But -- so
11 that's why it's not a -- a bigger impact than -- than
12 -- it looked like about 5 to 10 million.

13 MS. KATHLEEN MCCANDLESS: Thank you.
14 I'd now like to ask some questions about the
15 compliance filing process, which Mr. Ghikas touched on
16 briefly just a moment ago.

17 So just to clarify, the compliance
18 filing process is being proposed in concert with use
19 of a naive interest rate forecast?

20 MR. LUKE JOHNSTON: Yes.

21 MS. KATHLEEN MCCANDLESS: And so that
22 assumes no changes in market interest rates going
23 forward from the time the rate analysis is done?

24 MR. LUKE JOHNSTON: That's correct.
25 And we've proposed November 30th for that -- for the

1 date.

2 MS. KATHLEEN MCCANDLESS: And that's
3 approving -- using an improved rate-setting
4 methodology?

5 MR. LUKE JOHNSTON: Yes. We wouldn't
6 -- we wouldn't change anything, preferably, subject to
7 the PUB asking otherwise. But we would just update
8 for the Government of Canada 10 year bond rate, and
9 flow through that into our normal rate-making
10 analysis.

11 MS. KATHLEEN MCCANDLESS: And so as we
12 saw on the exercise just a few moments ago, where we
13 compared the -- the pro forma is based on a two point
14 seven (2.7) -- or the indicated rate change was two
15 point seven (2.7) and two point zero (2.0), based on
16 actual int -- interest rates, yes? As I understand
17 it, the -- the proposed compliance filing process
18 anticipates the release of a Board order that would --
19 following the hearing that would essentially improve
20 the process itself, yes?

21 MR. LUKE JOHNSTON: That's correct.
22 And -- and we could -- we've provided -- we can also
23 give a schedule to the Board, essentially indicating
24 the -- the rate, and what the rate (INDISCERNIBLE) --
25 indication would be at various levels of the -- the

1 Government of Canada 10 year bond rate.

2 MS. KATHLEEN MCCANDLESS: Okay. And
3 when would you be able to do something like that?

4 MR. MATTHEW GHIKAS: I would note
5 there is a sensitivity that's on slide 31 of Mr. Yien
6 and Mr. Johnston's opening -- opening presentation
7 that shows the chang -- what the changes in interest
8 rates due to the rates.

9 MR. LUKE JOHNSTON: Thanks. I was
10 going to say anytime that we could -- but I -- I knew
11 we provided it somewhere.

12

13 CONTINUED BY MS. KATHLEEN MCCANDLESS:

14 MS. KATHLEEN MCCANDLESS: Right.
15 Notwithstanding that we have this information, though,
16 the compliance filing process would -- at this point,
17 the Board would not be in a position to specifically
18 know what that ultimate rate change would be?

19 MR. LUKE JOHNSTON: Yes. It's -- I
20 spoke a little bit in my opening presentation about
21 the difficulties -- difficulties we've had with the
22 interest rate forecast. And just some of the items
23 you walked us through, you could see that when we're
24 talking twenty-five (25), fifty (50) basis points
25 we're into tens of millions of dollars. And -- and so

1 that forecast obviously creates an enormous amount of
2 risk. If we assume the wrong number or an increasing
3 interest rate forecast, we could quick -- quickly be
4 losing a lot of money in the rating year.

5 So we're trying to find a solution to
6 avoid that, but at the same time use the latest
7 interest rate possible. So we understand if we came
8 to the -- put our application in and the current ten
9 (10) year bond rate was 1.6 percent, and it has since
10 risen to 2.3 percent, we wouldn't want to go forward
11 on -- on a one-point-six (1.6).

12 But at the same time, similar to some
13 of our prior applications we'd have to be very
14 cautious about, you know, assuming interest rates are
15 just going to rise a hundred (100) basis points
16 because of, you know, a handful of banks say that's
17 going to happen. Because it, it hasn't, right? And
18 it's cost us a lot of money. So this process was put
19 forward to hopefully find a compromise solution to
20 that matter.

21 MS. KATHLEEN MCCANDLESS: So would the
22 effect of the proposed compliance filing process not
23 be that the Board, if it were to accept the
24 Corporation's application as filed, in effect could --
25 could or would be approving something other than 2.7

1 percent indicated rate change?

2 MR. PETER YIEN: Yes, that's true.

3 MS. KATHLEEN MCCANDLESS: And the
4 Board would not be in a position to know what that
5 rate change would be unless and until the compliance
6 filing is -- processes initiated?

7 MR. PETER YIEN: Yes, that's correct.
8 No one would be a good forecast naive rate as of
9 November currently.

10 MS. KATHLEEN MCCANDLESS: So the Board
11 wouldn't know as at the time of issuing its order
12 necessarily what rates it was ultimately approving.

13 MR. PETER YIEN: Well, it depends on
14 the time of the Board order, and the time of the
15 deliberations. The Board would know as of the time
16 deliberations when they issue the order because they
17 would know this is an objective Government of Canada
18 rate, so they would know it at that point in time.
19 But subsequent to that, when we do the compliance
20 filing, if it wasn't on November 30th, the Board would
21 not know.

22 MS. KATHLEEN MCCANDLESS: Right. So
23 perhaps then the Corporation could just explain how
24 that process would permit the parties to the
25 application to test the evidence in the application.

1 MR. LUKE JOHNSTON: So the compliance
2 filing is -- is -- has literally zeroed in one (1)
3 variable, being the ten (10) year Government of Canada
4 bond. We assume every other forecast and information
5 in the application would be reviewed thoroughly by
6 parties and approved.

7 We're -- we're literally just talking
8 about the -- this one (1) interest rate basically that
9 we're asking to use through the compliance filing
10 process. But all other aspects of the application, we
11 assume, would be reviewed as a normal process.

12 MS. KATHLEEN MCCANDLESS: Diana, can
13 you please go to add Volume 2, the investment section
14 of the filing, section 2.3.1.

15

16 (BRIEF PAUSE)

17

18 MS. KATHLEEN MCCANDLESS: I believe
19 it's page 20. So here, as we've heard, the proposed
20 compliance filing process anticipates updating the
21 rate indication with the actual ten (10) year
22 Government of Canada bond interest rate -- or bond
23 rate as of November 30, 2017; yes?

24 MR. LUKE JOHNSTON: Yes.

25 MS. KATHLEEN MCCANDLESS: In 2.3.1,

1 the Corporation discussed -- discusses an alternative
2 proposal to update the rate indication with the actual
3 claims discount rate as of November 30, 2017?

4 MR. LUKE JOHNSTON: Yes.

5 MS. KATHLEEN MCCANDLESS: And can you
6 describe what more is involved in this alternative pro
7 -- proposal?

8 MR. LUKE JOHNSTON: So the -- the
9 claims liability discount rate would be the actual
10 rate we use the to discover liabilities, and would be
11 the rate used in the rate-making calculation. The --
12 it's a more -- it is a more accurate measure in terms
13 of it would reflect any allocation changes on the
14 investment portfolio.

15 So, for example, if -- if our proposal
16 assumed 18 percent corporate bonds and we'd only
17 bought 17 percent, it would reflect that more
18 accurately in the indication.

19 MS. KATHLEEN MCCANDLESS: And so, as I
20 understand what you're saying that the advantage would
21 be the greater accuracy?

22

23 (BRIEF PAUSE)

24

25 MR. LUKE JOHNSTON: Would you mind

1 repeating the question if you remem -- remember it?

2 Thank you.

3 MS. KATHLEEN MCCANDLESS: Maybe I'll
4 just rephrase it. So if -- if the Corporation is
5 using the claims discount rate that would then include
6 and reflect whatever trading activity had occurred
7 with respect to the -- the Corporation's portfolio;
8 yes?

9 MR. LUKE JOHNSTON: It -- it -- yes,
10 it would. Yes. Yeah.

11 MS. KATHLEEN MCCANDLESS: And so that
12 could have greater variability than relying on the
13 Government of Canada ten (10) year bond?

14 MR. LUKE JOHNSTON: Yes. Yeah.

15 MS. KATHLEEN MCCANDLESS: So the same
16 question with -- with respect to this alternative.
17 The result would be that if the Board were to approve
18 this -- this alternative method of compliance filing,
19 it would be, again, approving a method that it would
20 not know what time of approval what that ultimate rate
21 indication would be; yes?

22 MR. LUKE JOHNSTON: Yeah. The -- the
23 -- we would know the -- the potential range of
24 outcomes, and what they would be for different
25 discount rates for Government of Canada ten (10) year

1 bond rates, but at the time of the approval they may
2 not know the actual rate indication. Yeah.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 Diana, can you please go to PUB/MPI-1-6. And scroll
5 just to the bottom of the questions. I'm just going
6 to ask you about (c).

7 So in this IR the Corporation was asked
8 to discuss the implications for the proposed
9 compliance filing process arising from the possibility
10 of an alternative less mechanical approach to interest
11 rate forecasting than using the naive.

12 And then if we scroll to the response -
13 - the response here, I won't read it all to you, but
14 just to summarize, the Corporation outlines the
15 apparent consequences for rate setting. And
16 ultimately at the bottom of the response it's the
17 Corporation's position that this would render the
18 proposed compliance filing approach basically invalid
19 or inoperable. Is that right?

20

21 (BRIEF PAUSE)

22

23 MR. STEVE SCARFONE: I think the
24 witness, Ms. McCandless, may be struggling with that
25 language that you used to -- can you point him out

1 where it says "invalid and inoperable?"

2 MS. KATHLEEN MCCANDLESS: It doesn't
3 say that. I'm just wondering if that's ultimately the
4 -- the import of the or the --

5 MR. STEVE SCARFONE: Oh, I understand.
6 Okay.

7 MS. KATHLEEN MCCANDLESS: -- the
8 Corporation's position on that approach.

9 MR. LUKE JOHNSTON: I just want to
10 look at the full question and I'll respond
11 momentarily.

12

13 (BRIEF PAUSE)

14

15 MR. LUKE JOHNSTON: Thanks for that.
16 So you can rephrase the question again if you want
17 after, but some the -- the nai -- I think what we're
18 saying there is the naive approach is preferable
19 because it's basically verifiable current market base
20 information as opposed to, like, a bank forecast that
21 would have to be re-reviewed and such as part of
22 compliance filing, which would be difficult.

23

24 CONTINUED BY MS. KATHLEEN MCCANDLESS:

25 MS. KATHLEEN MCCANDLESS: So not

1 inoperable or invalid, but the naive, in your view,
2 would be the better approach?

3 MR. LUKE JOHNSTON: Agreed, and -- and
4 the whole change to accepted actuarial practice really
5 makes the -- the window where the rates could change
6 very small based on how we've calculated it, which --
7 it's about three (3) months of variability beyond the
8 date that the Board would be approving that naive
9 forecast.

10 MS. KATHLEEN MCCANDLESS: Now, just
11 from a mechanical perspective, what would the
12 Corporation be filing as part of the proposed
13 compliance filing process?

14 MR. LUKE JOHNSTON: I'll just get -- I
15 believe there's an information request. We're just
16 going to pull it up.

17

18 (BRIEF PAUSE)

19

20 MR. LUKE JOHNSTON: So we actually
21 have the question on the screen. So if we just scroll
22 up to part A, the answer is right -- yeah. So these
23 bullets outline, really, the -- the usual material we
24 would file as part of the rate indication. So the --
25 the rate change chart that we went through this

1 morning, the statements decre -- increase/decrease
2 summary, et cetera.

3 So, of course, if there's anything else
4 that the Board wants to be filed we'd definitely be
5 open to -- to hearing that as well. But this is what
6 we saw as the standard material that the Board likes
7 to -- to see.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 Now, as a -- as a possible alternative to a co -- that
10 -- the compliance filing process that the Corporation
11 has proposed, could the Corporation not potentially
12 amend its rate application early in the public hearing
13 process, say to reflect actual market interest rates
14 at the time, say, as of September 30, 2017?

15

16 (BRIEF PAUSE)

17

18 MR. LUKE JOHNSTON: So is it possible
19 that -- yes, it's possible, but I think we've proposed
20 a process that allows the GRA to be reviewed in its
21 entirety with the exception of this one (1) variable.
22 And the compliance process would bas -- relative to
23 your example give us an extra two (2) months of
24 information on interest rates, which could be
25 significant, depending on what happens in the market.

1 So the -- amending an application is also a bigger
2 undertaking then -- then updating an interest rate
3 through a compliance filing on -- as of November 30th,
4 so. There's probably other reasons, but those are
5 some.

6 MS. KATHLEEN MCCANDLESS: Can you just
7 ex -- can you please expand on why amending the
8 application would be a bigger undertaking than the
9 proposed compliance filing process?

10 MR. LUKE JOHNSTON: Well, so in -- on
11 the screen now you have what we would propose to file
12 as part of the compliance filing. Amending the entire
13 rate application, depending on what extent we're
14 talking about, will -- you can see the -- the size of
15 their rate application, so if that included amending
16 all the sections, such as claims incurred and
17 investments, et cetera, that's a very big undertaking
18 to redo the entire filing.

19 MS. KATHLEEN MCCANDLESS: Thank you.
20 Mr. Chair, I'm moving into a new area of questioning
21 now, and I see that the time is just about -- just
22 after 10:15, so.

23 THE CHAIRPERSON: Okay. We'll break
24 till 10:30. Thank you.

25

1 --- Upon recessing at 10:17 a.m.

2 --- Upon Resuming at 10:35 a.m.

3

4 CONTINUED BY MS. KATHLEEN MCCANDLESS:

5 MS. KATHLEEN MCCANDLESS: Thank you.

6 I'm just going to ask a few questions about volume
7 factor and upgrade factor, which we touched on before
8 the break.

9 And so as we saw when -- in looking at
10 the pro formas the increase in -- in premium revenue
11 to the Corporation over the -- the outlook period due
12 to volume factor and upgrade factor. So, a volume
13 factor is the natural growth in the size of the fleet
14 from year to year. Yes?

15 MR. LUKE JOHNSTON: That's right.

16 MS. KATHLEEN MCCANDLESS: And then
17 upgrade factor would be the increase in average
18 premium without a rate change?

19 MR. LUKE JOHNSTON: That's correct.

20 MS. KATHLEEN MCCANDLESS: So customer
21 selling old vehicle/buying a new one which will come
22 with higher premiums,

23 MR. LUKE JOHNSTON: Yeah, one of the
24 other ways that I didn't mention is the -- the DSR
25 level. So, if more people drive safe and get a higher

1 discount would get less premium as well. That would
2 be not upgrade or downgrade, I guess, but negative
3 upgrade.

4 MS. KATHLEEN MCCANDLESS: And so the
5 Application this year reflects a volume factor of 1.5
6 percent?

7 MR. LUKE JOHNSTON: That's right.

8 MS. KATHLEEN MCCANDLESS: And the
9 upgrade factor is 2.64 percent? I can take you to a
10 reference if you need it.

11 MR. LUKE JOHNSTON: I'm almost there.
12 The vehicle upgrade not including this -- any change
13 in the DSR upgrade is 2.6 percent. Oh, pardon me,
14 2.50 percent. Last year was 2.6 percent.

15 MS. KATHLEEN MCCANDLESS: Pardon me.
16 Diana, could you please go to the revenue section,
17 the filing page 6, and that's volume 2. I'm not sure
18 if it's page 6 of the PDF. If you just scroll to the
19 bottom. Yep, okay.

20 So if we go up a little bit on the
21 page, under Forecasting Methodology that -- it says,
22 "MPI forecast overall volume growth based only on the
23 historical HTA unit growth data."

24 Can you explain what that means?

25 MR. LUKE JOHNSTON: Yes, I touched on

1 it earlier. The HTA, Highway Traffic Act, vehicles
2 are, basically, everything in our fleet not counting
3 ORVs and trailers. And ORVs and trailers are less
4 than 2 percent of the premium. So, we -- we exclude
5 that for the purposes of protecting the overall
6 premium.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 And if we jump ahead to page 6, figure REV -- sorry,
9 page 8, REV-6. So this table shows the protect --
10 projected HTA volume factors for 2016/17 actual and so
11 that was 1.64 percent as compared to what was
12 projected last year. So for a difference of .11
13 percent less. Yes?

14 MR. LUKE JOHNSTON: Yes.

15 MS. KATHLEEN MCCANDLESS: And then
16 2017 and 18 thereafter is 1.5 as you just mentioned.
17 Yes?

18 MR. LUKE JOHNSTON: Correct.

19 MS. KATHLEEN MCCANDLESS: Okay. And
20 then lower down on the page, figure REV-7 is the
21 upgrade factor forecast, which shows 2.64 percent, and
22 then some variation and ultimately by 2120 -- 2021/22,
23 it will be 2.5 -- 4 percent. Yes?

24 MR. LUKE JOHNSTON: That's right. So
25 2.50 percent is the vehicle upgrade and anything --

1 everything else would be the DSR upgrade.

2 MS. KATHLEEN MCCANDLESS: And can you
3 just explain how the Corporation comes up with the --
4 or why -- why the upgrade factor is relatively flat
5 over that period?

6 MR. LUKE JOHNSTON: Just give me one
7 (1) second, I will pull some history here. If you go
8 to page 10, top of the page Figure 8. So, we have a
9 much longer history than this, but vehicle upgrade for
10 the last five (5) years is shown on the first column
11 with the -- with numbers there. So the three- and
12 the five-year average are close to 2.50 percent.

13 The '16 -- 2016/17 vehicle upgrade was
14 the lowest vehicle upgrade we've ever -- ever seen at
15 MPI. So we did look into that. And from what we can
16 tell there was just less buying and selling of
17 vehicles in the fleet. When we looked at historical
18 behaviour, and said, well, what if customers basically
19 bought and sold at this -- at the rate they did in
20 previous years, what would the upgrade be? And it was
21 about to 2 -- 2 1/2 percent.

22 So, for whatever reason, customers
23 didn't exchange vehicles or buy new vehicles at the
24 same pace they did in -- in past years. There's a lot
25 of reasons that that could happen, yeah.

1 MS. KATHLEEN MCCANDLESS: And I think
2 it might be at the bottom of this page --

3 MR. LUKE JOHNSTON: There you go,
4 yeah.

5 MS. KATHLEEN MCCANDLESS: -- where the
6 explanation is that -- yeah, on the top paragraph
7 there, "the average age of an HTA vehicle was stable
8 from 2011/2012 to 2015/16 at 9.92 years?"

9 MR. LUKE JOHNSTON: Yes, thanks. I
10 should just read further on the page next time.
11 So, yeah, our vehicle age dropped which tells you that
12 customers are holding on to older cars. We've been
13 hovering around the 10 year old car mark forever, but
14 if there's periods of time where everybody's buying
15 new vehicles, maybe because of interest rates being
16 low or whatever, that's a cycle that's -- you know,
17 some -- sometimes flips the other direction.

18 So it looks like this particular year
19 the cars are getting older, not being -- yeah.

20 MS. KATHLEEN MCCANDLESS: So from the
21 Corporation's perspective, this -- this jump to 10.05
22 is -- is more of a cyc -- cyclical issue rather than a
23 trend that you expect to see going forward?

24 MR. LUKE JOHNSTON: Correct, based on
25 what I know of our history, I wouldn't -- I'm not

1 expecting this to climb up to 10 1/2, 11 years or
2 something like that. So, we're definitely hoping it's
3 a one (1) time occurrence.

4 MS. KATHLEEN MCCANDLESS: Thank you.
5 Diana, can you please go to page 19 of the revenue
6 section, figure REV-21. So that shows the driver
7 premium forecast?

8 MR. LUKE JOHNSTON: That's right.

9 MS. KATHLEEN MCCANDLESS: For fiscal
10 2017/18 through to 2021/22.

11 MR. LUKE JOHNSTON: Yes.

12 MS. KATHLEEN MCCANDLESS: And it shows
13 in 2017/18 earn premium is projected to be \$49
14 million, increasing to \$74 million by 2021/22.

15 And is that based on forecasting
16 movements by drivers on the driver safety rating
17 scale?

18 MR. LUKE JOHNSTON: That's right. So
19 we look every year. We look at where all the drivers
20 are on the scale and where they move to, based on
21 their experience; that's one (1) of the ways that
22 we're -- we're able to measure if -- if DSR driver
23 safety rating is -- is effective. So, we use the --
24 the past behaviour to predict where these drivers will
25 move in the future so.

1 And then obviously the number of
2 drivers times the premium level gives you the -- the
3 overall program.

4 MS. KATHLEEN MCCANDLESS: Thank you.
5 I'm now going to move to questions about investments.
6 So just before going into the actual financials, the
7 funds available for investment by the Corporation are
8 primarily unearned premiums and unpaid claims?

9 MR. LUKE JOHNSTON: That's correct.

10 MS. KATHLEEN MCCANDLESS: And MPI
11 manages one (1) in -- one (1) corporate investment
12 portfolio that includes paying claims for the
13 insurance business, but also to meet its employees
14 pension obligations?

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: So that
17 means there's no separate investment portfolio for the
18 pension obligation, correct?

19 MR. PETER YIEN: No.

20 MS. KATHLEEN MCCANDLESS: Diana, can
21 you please go to page 10 of the investment section of
22 the filing and that's figure INV-2. This should be a
23 version -- I believe there were some updates made so
24 it should be the version dated August 4, 2017.

25

1 (BRIEF PAUSE)

2

3 MR. PETER YIEN: Yes, that's correct.

4 MS. KATHLEEN MCCANDLESS: Right.

5 Thank you. So if we look to the results for 2016/17

6 actual, which is essentially in the middle of the

7 page, and this is the investment portfolio asset

8 values from 2012/2013 through to 2021/22. Total

9 assets under 2016/17 actual are 2.66 billion?

10 MR. PETER YIEN: Yes, that's correct.

11 MS. KATHLEEN MCCANDLESS: And through

12 2718 -- sorry, 2017/18 to 2018/19, the assets are

13 expected to grow from 2.6 to \$2.9 billion?

14 MR. PETER YIEN: Yes.

15 MS. KATHLEEN MCCANDLESS: And then by

16 2021/22 they're forecast to grow to \$3.4 billion; yes?

17 MR. PETER YIEN: That's correct.

18 MS. KATHLEEN MCCANDLESS: Now, the

19 income earned on the portfolio is determined for the

20 Corporation as a whole; yes?

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: And if we go

23 to page 9, so just one (1) page up here. This is the

24 investment income summary on a corporate basis?

25 MR. PETER YIEN: M-hm, yes.

1 MS. KATHLEEN MCCANDLESS: And then a
2 portion is allocated to Basic, based on the net equity
3 position of Basic relative to the other lines of
4 business?

5 MR. PETER YIEN: Correct.

6 MS. KATHLEEN MCCANDLESS: And
7 currently that allocation is at 85 percent to Basic?

8 MR. PETER YIEN: That sounds
9 approximately right, 85, yep.

10 MS. KATHLEEN MCCANDLESS: Diana, could
11 you just scroll down a little bit further. You see at
12 the bottom there --

13 MR. PETER YIEN: Yeah, I do recall
14 it's very close to that. I don't know the exact point
15 is -- percentage, yes.

16 MS. KATHLEEN MCCANDLESS: Look to line
17 31 and under the FB so that would be the 2017/18
18 forecast budget. The Basic allocation is 85.0
19 percent; yes?

20 MR. PETER YIEN: Yes.

21 MS. KATHLEEN MCCANDLESS: Now if we
22 look to the -- the right-hand side of this table
23 following the 2017/18 forecast budget, the share of
24 investment income allocated to Basic, at the very
25 bottom of the screen there, it's declining from year

1 to year. Do you see that?

2 MR. PETER YIEN: Yeah, that's correct.

3 MS. KATHLEEN MCCANDLESS: So by
4 2021/22 it will be 79.8 percent?

5 MR. PETER YIEN: Yes.

6 MS. KATHLEEN MCCANDLESS: And can you
7 explain the reason for that decline?

8 MR. PETER YIEN: Yeah, that decline is
9 a -- we said earlier is the allocation of the relative
10 equity, right. So as the relative equity of the other
11 lines of businesses go up, therefore, its proportion
12 goes down.

13 MS. KATHLEEN MCCANDLESS: Thank you.
14 Diana, can you please take me to -- this is from the
15 2017 GRA, and it's from the investment income section
16 of the filing, so INV page 4. And this was the
17 summary of investment income from last year's GRA.

18 So if we look to the left-hand side of
19 the table at 2011/2012 and total investment income at
20 the very bottom of the screen there, that was \$118.9
21 million in 2011/2012. Yes?

22 MR. PETER YIEN: That's correct.

23 MS. KATHLEEN MCCANDLESS: And for
24 2014/2015 investment income was \$226 billion -- sorry,
25 226 million?

1 MR. PETER YIEN: Yes.

2 MS. KATHLEEN MCCANDLESS: And then
3 that was followed by a loss of 4.7 million in 2015/16.
4 Yes?

5 MR. PETER YIEN: Correct.

6 MS. KATHLEEN MCCANDLESS: Now, if we
7 look to this year's filing, INV page 9 for 2017/18
8 forecast budget. Maybe we could just put the other
9 table up on the screen, Diana, so we can compare.
10 Thank you.

11

12 (BRIEF PAUSE)

13

14 MS. KATHLEEN MCCANDLESS: Thank you,
15 Diana, sorry to put you through that.

16 MR. PETER YIEN: Sorry, I was going to
17 suggest if we are in the current Windows version, a
18 quick way to do this is simply drag the window to the
19 far right or left and it splits it in half. I'm not
20 sure what version of Window you are at. Like, if you
21 pull that mouse to the very far right, and let go of
22 your mouse, go -- pull it all the way to the right-
23 hand side, yep, and let go. There you go. That's a
24 very fast way to do a split screen. It will speed you
25 up and you can do it on both sides. Just a

1 suggestion.

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 MR. PETER YIEN: Okay, no problem.

4 MS. KATHLEEN MCCANDLESS: Hopefully --

5 MR. STEVE SCARFONE: There was a
6 reason we called him as a witness.

7 MR. PETER YIEN: Just -- just to be
8 clear, I wasn't trying to be arrogant or make fun of
9 anyone. I -- I -- it's just something I happen to
10 know, okay.

11

12 CONTINUED BY MS. KATHLEEN MCCANDLESS:

13 MS. KATHLEEN MCCANDLESS: So hopefully
14 people can see now it's in front of them on the
15 screen. So in last year's GRA, so that is the table
16 on the right-hand side of the screen. If we look to
17 2017/18 forecast for total investment income.

18 The forecast was for 11.6 million
19 investment income, yes.

20 MR. PETER YIEN: I apologize for the
21 eyesight problem there.

22

23 (BRIEF PAUSE)

24

25 MR. PETER YIEN: Okay, I got that.

1 MS. KATHLEEN MCCANDLESS: Of which
2 9.86 million was allocated to Basic?

3 MR. PETER YIEN: That's correct.

4 MS. KATHLEEN MCCANDLESS: And then if
5 we look to the left-hand side of the screen, which is
6 the investment income forecast for 2017/18, it's the
7 forecast budget. We see total investment income of
8 119 million -- 119.7 million; yes?

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: Of which a
11 101.8 million is allocated to Basic; yes?

12 MR. PETER YIEN: That's correct.

13 MS. KATHLEEN MCCANDLESS: And then if
14 we look to last year's forecast for 2018/19 for total
15 investment income the Corporation was forecasting only
16 \$6 million and that's at the bottom of the screen on
17 the right-hand side.

18 MR. PETER YIEN: Yes.

19 MS. KATHLEEN MCCANDLESS: And it's now
20 much higher. If we look on the left-hand side of the
21 screen for 2018/19, total investment income is
22 forecast to be \$93 million; yes?

23 MR. PETER YIEN: Yes.

24 MS. KATHLEEN MCCANDLESS: So is the
25 change in outlook from last year primarily due to the

1 use of a naive interest rate forecast in the
2 application?

3

4 (BRIEF PAUSE)

5

6 MR. PETER YIEN: Yes. So if you
7 refer to line 13 for the marketable bonds gains,
8 that's where -- you see the significant differences.
9 There's virtually nothing going to a fairly sizable
10 numbers. Okay, so line 13 this year. Line 13 of this
11 year and then if -- what's the line number.

12 Yeah, really, I guess you do have to
13 look at both line 13, which is the marketable bonds,
14 unrealized gains and also consider line 14, which is
15 the marketable bonds realized gains and loss.

16 Yeah and then you would compare to the
17 area called Gains During Period, Profit and Loss. And
18 we would have the same numbers except they are quite
19 sizable. You'll see, respectively -- I'm just going
20 to scroll up a little bit. You'll see -- I'm just
21 trying to find a year reference here. It's really
22 small.

23 Yep, so in 2016/17 and 2017/18 when you
24 look at those number respectively, you'll see the 66.9
25 million and 68.16. They're fairly sizable. Are you

1 able to see that?

2 So again, it's just a repeat. If you
3 look at the marketable bonds, unrealized gains and
4 loss; marketable bonds, realized gains and loss for
5 2016/'17 fiscal and 2017/'18 fiscal. You'll see the
6 numbers being approximately 67 million and 68
7 millions, respectively. And that's the sizable
8 difference.

9 MS. KATHLEEN MCCANDLESS: And that's
10 with respect to the investment income from this year's
11 filing.

12 MR. PETER YIEN: That's right.

13 MS. KATHLEEN MCCANDLESS: And as
14 discussed, the bond rate has changed since the filing
15 of the application.

16 MR. PETER YIEN: Yes.

17 MS. KATHLEEN MCCANDLESS: Does the
18 Corporation have information as to the results of its
19 investment income after the second quarter?

20 MR. PETER YIEN: We will. We have not
21 released our Q2 information yet. That's going to be
22 presented to the board later on this week as part of
23 our audit committee meeting.

24 MS. KATHLEEN MCCANDLESS: Thank you.
25 Diana, I think you can get rid of the 2017 investment

1 income table.

2 And I'm just going to ask some more
3 questions about INV-2, so that's Page 10 from this
4 year's filing.

5 So if we look to the holdings of the
6 Corporation in its portfolio. We have, as of
7 2016/'17, assets of \$2.6 billion; of which over a
8 billion is invested in Canadian fixed income bonds,
9 yes? And that's at Line 2.

10 MR. PETER YIEN: That's correct.

11 MS. KATHLEEN MCCANDLESS: And those
12 bonds are interest rate sensitive?

13 MR. PETER YIEN: Yes.

14 MS. KATHLEEN MCCANDLESS: Another
15 material component if we look under 2017/'18 forecast
16 budget, would be Line 3, MUSH bonds; yes?

17 MR. PETER YIEN: Yes.

18 MS. KATHLEEN MCCANDLESS: That's
19 municipals -- municipalities, universities, schools
20 and hospitals; yes?

21 MR. PETER YIEN: That's correct.

22 MS. KATHLEEN MCCANDLESS: And the
23 forecast budget has MUSH bonds at \$639 million; yes?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: And are MUSH

1 bonds reflected on the books of the Corporation at an
2 amortized cost?

3 MR. PETER YIEN: No, they held at book
4 value. They're not marketable.

5 MS. KATHLEEN MCCANDLESS: And the MUSH
6 bonds are not interest rate sensitive; yes?

7 MR. PETER YIEN: No, they're not.

8 MS. KATHLEEN MCCANDLESS: Now, if we
9 look to the investment in MUSH bonds following the
10 2017/'18 forecast budget, through the outlook period.

11 The investment in MUSH bonds is to
12 decline somewhat and we see by 2021/'22 that they will
13 be at \$598 million; yes?

14 MR. PETER YIEN: That's correct.

15 MS. KATHLEEN MCCANDLESS: Is -- what --
16 -- what's the reason for the decline in the investment
17 in MUSH bonds?

18 MR. PETER YIEN: Part of that reason
19 is -- is we are trying to drive higher level
20 investment vehicles. To drive the -- effectively we
21 set about purchasing of bonds, part of that's related
22 to that.

23 So it's really a combination which is
24 set as well. It's the purchasing of the bonds plus,
25 also as we came in this app. We were the

1 understanding that this wasn't a big market for that.

2 And that we were not able to purchase it at that time

3 MS. KATHLEEN MCCANDLESS: Do MUSH

4 bonds provide a good return to the Corporation?

5 MR. PETER YIEN: I'm not sure. Can I

6 clarify "good"?

7 MS. KATHLEEN MCCANDLESS: How do they

8 compare to corporate bonds or provincial bonds?

9 MR. PETER YIEN: I -- personally I

10 think the -- each of the investment vehicles is

11 dependent on the risk-return. And so based on the

12 risk-return against investments are generally good.

13 The question is really: What's the risk appetite we

14 have as an organization?

15 And what we should be buying - and as I

16 alluded to earlier on - we are actually looking at the

17 asset liability matching study that needs to be

18 completed. And at that point we'll decide what, kind

19 of, "good" means. Because we need to make sure that

20 we have the appropriate allocation of our portfolio.

21 MS. KATHLEEN MCCANDLESS: Thank you.

22 Diana, can you go to Page 34 of the investment

23 section. Figure INV-15.

24 So this is a table showing the yield on

25 MUSH bonds from 2017/'18 through to 2021/'22. And the

1 yield on MUSH bonds at the end of the period from last
2 year for 2017/'18, is at Line 3, 4.54 percent; yes?

3 MR. PETER YIEN: That's correct.

4 MS. KATHLEEN MCCANDLESS: And if one
5 was to compare this to marketable bonds for the same
6 year, so that's at Page 25 of the filing, of the
7 investment section. And that's INV-9.

8 The marketable bond yields for 2017/'18
9 on the left-hand side of the table at Line 12, shows
10 the yield at 3.42 percent for 2017/'18; yes?

11 MR. PETER YIEN: Three point two four?

12 MS. KATHLEEN MCCANDLESS: Three point
13 four two.

14 MR. PETER YIEN: Three point four,
15 yes. That's correct

16 MS. KATHLEEN MCCANDLESS: So comparing
17 that to the previous figure INV-15 then, the yield on
18 -- on MUSH would be 112 basis points higher than
19 marketable bonds?

20 MR. PETER YIEN: Yeah, that would be
21 correct.

22 MS. KATHLEEN MCCANDLESS: And Diana,
23 could we go to Page 35 of the investment section?
24 Thank you.

25 So, the spread of MUSH bonds -- this

1 graph shows the spread of MUSH bonds for a 12-year
2 period from 2005 through to 2017; yes?

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: And the
5 spread of MUSH bonds over that period would be in the
6 range -- if we scroll down to Figure INV-17. The
7 spread of MUSH bonds over that period.

8 So from 2005 through to two thou --
9 2017, would be 1.33 percent at Line 1 for 2005; yes?

10 MR. PETER YIEN: Yes.

11 MS. KATHLEEN MCCANDLESS: And at the
12 bottom at Line 13 for 2017, 1.88 percent; yes?

13 MR. PETER YIEN: Correct.

14 MS. KATHLEEN MCCANDLESS: And does
15 this table represents the average of the five (5) year
16 historical spreads?

17 MR. PETER YIEN: Yeah, you -- I think
18 we need to make -- look at the next figure. Can we
19 just go down? Seeing it. Just one (1) second.
20 Eighteen right? Yes. Just go up a little bit.

21 MS. KATHLEEN MCCANDLESS: There.

22 MR. PETER YIEN: There we are. Yes,
23 we got it.

24 MS. KATHLEEN MCCANDLESS: So, given
25 the illiquid characteristics of MUSH bonds with no

1 market. How does the Corporation price its MUSH
2 issues?

3 MR. PETER YIEN: Can you repeat the
4 question, please?

5 MS. KATHLEEN MCCANDLESS: How does the
6 Corporation price its MUSH issues? Given the illiquid
7 characteristics of the mush bonds?

8 MR. PETER YIEN: One second.

9

10 (BRIEF PAUSE)

11

12 MR. PETER YIEN: Yeah, we buy them at
13 par but we don't get a chance to price them per se.

14 MS. KATHLEEN MCCANDLESS: Diana, can
15 you please go back to Page 9. That's figure INV-1.
16 Thank you.

17 So if we look to the composition, say,
18 just for example, for 2017/'18 forecast budget. The
19 components of investment income. The majority
20 composition, in total would be from -- from bonds;
21 yes?

22 MR. PETER YIEN: That's correct.

23 MS. KATHLEEN MCCANDLESS: And the
24 largest -- again under the column 2017/'18 forecast
25 budget. The largest component of investment income

1 would be the interest on its bond portfolio from
2 marketable bonds.

3 MR. PETER YIEN: Sorry.
4 Proportionally, that would be true.

5 MS. KATHLEEN MCCANDLESS: Now, if we
6 go to Page 16 of the investment section. Under the
7 italicized portion of the page here, which was Aon's
8 Fixed Income Analysis report from May 2016. There is
9 a quote here and preceding that, MPI notes that it
10 assumed that in the past, that MUSH bonds were a good
11 proxy for corporate bonds to the high-yield of MUSH
12 bonds; yes?

13 MR. PETER YIEN: Yes.

14 MS. KATHLEEN MCCANDLESS: But now, MPI
15 is looking at an increase in corporate bonds; yes?

16 MR. PETER YIEN: That's correct.

17 MS. KATHLEEN MCCANDLESS: And so, is
18 the reason for that, because of the lack of
19 availability of MUSH bonds going forward or...

20 MR. PETER YIEN: No. We're trying to
21 drive a higher yield. And so that's -- that allows us
22 to get into different type of bonds that are -- as I
23 mentioned earlier, it's important for us to kind of,
24 weigh that and make sure that the net residual risk is
25 well accepted and well understood. So we -- we --

1 MS. KATHLEEN MCCANDLESS: We went
2 through the yield, the relative yields for corporate
3 bonds versus MUSH bonds just a moment ago. And it
4 showed that MUSH bonds had a higher yield; yes?

5 MR. PETER YIEN: Yes. But we are
6 trying to buy different corporate bonds going down a
7 level.

8 MS. KATHLEEN MCCANDLESS: Okay.

9 MR. PETER YIEN: A higher response --

10 MS. KATHLEEN MCCANDLESS: Yes, and
11 I'll have questions about that later.

12

13 (BRIEF PAUSE)

14

15 MR. PETER YIEN: Kathleen. If I
16 could just make an adjustment in terms of my response.
17 The yield that you saw, were not corporate bonds.

18 MS. KATHLEEN MCCANDLESS: Marketable
19 bonds.

20 MR. PETER YIEN: Yes. So that's --
21 that's what I was trying to get to, is that when we
22 get into the triple A minus double Bs; then the yields
23 of those will be higher. Yes.

24 MS. KATHLEEN MCCANDLESS: Diana, can
25 you please go to PUB-MPI-1-43. Thank you.

1 So the question here was, essentially,
2 that MPI was asked to provide a table depicting the
3 impact of a hundred (100) basis point change at 'B',
4 on the basic claims liabilities and fixed-income
5 investments for Corporate and Basic. And if we go to
6 Page 3.

7 So this table shows that MPI would not
8 be fully protected from changes in interest rates;
9 yes?

10 MR. LUKE JOHNSTON: I'm just going to
11 jump in here quickly. So the question was, "would not
12 be fully protected" are you referring to Basic or
13 Corporate?

14 MS. KATHLEEN MCCANDLESS: Basic.

15 MR. LUKE JOHNSTON: So for -- yes, for
16 -- for Basic, because of how we allocate investment
17 income as you noted earlier; 85 percent of investment
18 income gets allocated to Basic. There's generally a
19 smaller Basic investment income impact compared to the
20 impact on claims.

21 So what I mean by that is, on a
22 Corporate basis, we say we try to match the dollar
23 value of the claim liabilities to the dollar value of
24 the fixed income portfolio. And we also try to match
25 the duration of those two (2). With the objective to

1 have interest rate impacts be the same. On a
2 Corporate basis that works better because the two (2)
3 buckets are the same size, but on the Basic side when
4 you allocate 85 percent of the impact over, you don't
5 get -- there is a -- is a mismatch on the -- by line
6 of business. So to your specific question. There's
7 not a -- there is not a perfect match.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 So for example if we look to the column under 2017/'18
10 for Basic. So, Lines 10 through 14.

11 We see that a 100 basis point increase
12 has the impact of reducing investment income by \$119
13 million; yes?

14 MR. LUKE JOHNSTON: Okay, this -- this
15 -- this year is unique. Maybe I'll just go ahead and
16 say why right now. So in 17/'18, the corporate bond
17 purchases is -- is in there. So the corporate bonds
18 increase the yield on the -- on the claims liability
19 discount rate.

20 And so you have a really, you have an
21 ex -- basically an extra about \$80 million impact to
22 that -- claims interest rate impact of 213 million.
23 If you go one (1) year over, you see after that 110/
24 134, 113/145. That's more the consistent matching
25 that's happening and if you actually go up to

1 Corporate on the top you'll see starting in '18/'91;
2 132/136, 136/148. When we say matching, we're never
3 going to be perfect, but that -- in terms of hundreds
4 of millions of dollars on billions of dollars we
5 consider that good matching.

6 MS. KATHLEEN MCCANDLESS: Thank you.
7 So with MPI, not modeling changes in interest rates in
8 it for -- in its forecast. There would be
9 implications on MPI's financial results going forward;
10 yes? As interest rates move.

11 MR. LUKE JOHNSTON: Yes, that's
12 correct. And if we -- we have actuals see here. Oh,
13 no we don't. What I was going to say is, if you -- if
14 we return to one (1) of the investment income
15 summaries. I don't know if you still have it a back
16 there or I can give you a reference. Page 4, of the
17 investment income. Did I get that wrong? Nope.
18 There we go, thank you.

19 So if you look in the history at --
20 maybe just stop right there. On the Lines 13 and 14,
21 the actuals -- so you can see unrealized and realized
22 gains '14/'15. You see we have gains 75 million, 27
23 million; so \$100 million of gains in one direction and
24 then the next year, they are all basically wiped out.
25 And then if you look years before that there up --

1 there up-and-down. So absolutely we have sensitivity
2 to interest rates, and that's basically the purpose of
3 the ALM to -- the value of trying to mitigate those
4 swings through buying the bond portfolio that we have
5 is seen to be -- to be worth the -- I guess the price
6 of investing in such a portfolio.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 So as we've heard, the Corporation is deciding to
9 change its mix of the fixed income portfolio in
10 2017/'18, adding -- increasing its allocation to
11 corporate bonds.

12 MR. PETER YIEN: I'm sorry, can you --
13 repeat the question?

14 MS. KATHLEEN MCCANDLESS: MPI's
15 intending to change its allocation or increase its
16 allocation to corporate bonds for 2017/'18; yes?

17 MR. PETER YIEN: That's correct.

18 MS. KATHLEEN MCCANDLESS: And, Diana,
19 can you please go to Page 86 of the investment section
20 of the filing. Figure INV-53 here is the -- is a
21 change to asset allocation which occurred earlier this
22 year; yes?

23 MR. PETER YIEN: That's correct.

24 MS. KATHLEEN MCCANDLESS: And so, if
25 we see the -- the targets for marketable bonds,

1 corporate bonds and government bonds, there is an
2 increase in the allocation at Line 5 to corporate
3 bonds now and the maximum will be 10 percent; yes?

4 MR. PETER YIEN: There is a change, of
5 10 percent, yes.

6 MS. KATHLEEN MCCANDLESS: So
7 obviously, increasing the overall target for
8 marketable bonds to 70 percent; yes?

9 MR. PETER YIEN: No. It's a max.
10 Yeah, we really should be look at normal, where at any
11 point in time we try to balance it and get to the 50
12 percent.

13 MS. KATHLEEN MCCANDLESS: Okay. And so
14 the -- the change in the -- or the increase in the
15 allocation to corporate bonds to 10 percent. That was
16 a change that was recommended at the investment
17 committee working group level.

18 MR. PETER YIEN: That's correct.

19 MS. KATHLEEN MCCANDLESS: And I'll
20 have more questions about that committee later. And
21 so that change was approved by the MPI Board and
22 ultimately adopted into the investment policy
23 statement; yes?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: And I

1 understand that MPI had compared it -- its exposure to
2 both SGI and ICBC. And that was part of the
3 consideration in making the increase in the investment
4 to Corporate bonds.

5 MR. PETER YIEN: Yes.

6 MS. KATHLEEN MCCANDLESS: And so now
7 MPI is proposing a reallocation in fixed income from
8 government bonds to Corporate bonds; yes?

9 MR. PETER YIEN: That's correct.

10 MS. KATHLEEN MCCANDLESS: And as we
11 know, that's 18 percent of the -- of the portfolio as
12 a whole in corporate bonds as the target, the
13 anticipated; yes?

14 MR. PETER YIEN: Yes.

15 MS. KATHLEEN MCCANDLESS: Okay. And
16 that would be 27 percent of the fixed-income
17 portfolio?

18 MR. PETER YIEN: Twenty-seven (27)
19 percent. Correct? Right? Let me check.

20

21 (BRIEF PAUSE)

22

23 MR. PETER YIEN: Yeah. Subject to
24 check, yes.

25 MS. KATHLEEN MCCANDLESS: And that's

1 that increase of allocation to 18 percent of corporate
2 bonds, that has been approved at the Investment
3 Committee level of MPI?

4 MR. PETER YIEN: Yeah. The 18
5 percent, I just want to clarify this, is the approved
6 in principle. The ultimate decision of the purchase
7 of the bonds rests with the approval of the minister
8 of department of finance, which is also agreed in
9 principle. And the concept of agreeing in principle
10 is really important, because it is subject to further
11 due governance, which includes the results of the ALM
12 study.

13 Kathleen, you asked me a question
14 earlier about, you know, is that a good return? I
15 think having a good return is just one (1) of the
16 questions, not the most important question. The most
17 important question is, is, Have we done the proper
18 asset liability matching? And once we do that, then
19 we take on the appropriate risks. And depending on
20 each fund, if you will, if we do decide to segregate,
21 then we have to understand the nature of the risks
22 that are involved, and what level of risk should be
23 taken.

24 So that agreement in principle is
25 subject to what I just described, which is the asset

1 liability matching study.

2 MS. KATHLEEN MCCANDLESS: Okay. Just
3 to take you back a little bit, in your response, you
4 mentioned that it's been approved in principle. And I
5 think that you -- if I'm to understand you correctly,
6 you said it was approved in principle at the
7 ministerial level as well?

8 MR. PETER YIEN: That's correct.

9 MS. KATHLEEN MCCANDLESS: So what --
10 what is the ultimate approval waiting for, then?

11 MR. PETER YIEN: Yeah. The -- the
12 ultimate approval is waiting on the specifics that
13 would come out of the asset liability management. How
14 do we do to matching, how do we -- I allude -- alluded
15 to earlier, one can't perfectly match when we know
16 that. But essentially, at the highest level, what I'm
17 describing is you just want to make sure they have the
18 money to pay the claims as they become due. And that
19 means the duration and the size of the bonds have to
20 be matched to that.

21 You had talked about a little bit
22 earlier also about the pension. If we do decide to go
23 in terms of having matching for that segregated fund,
24 and again, it would have to match with the pension
25 liabilities as they become due. So it depends on

1 that, and we would not simply buy bonds without having
2 a good understanding of what that requires.

3 MS. KATHLEEN MCCANDLESS: Okay. So
4 just to summarize, I think your answer was that the --
5 the approval is contingent on the ALM study?

6 MR. PETER YIEN: That's correct. I do
7 want to add, without excluding the other conditions
8 that we had talked about, which is having the rate
9 stabilization reserve, having that operating range
10 that you talked about, the 30 -- the 438 million,
11 being the upper dynamic capital asset test, and also
12 having the minimum dynamic capital asset test of 201
13 million, and then not having the investment income
14 that Luke was describing to offset premiums, and then
15 following that, following the AAP, accepted actual
16 practice, using best estimates.

17 So those are all the conditions that
18 would go with that. So the ALM study alone is
19 insufficient.

20 MS. KATHLEEN MCCANDLESS: So it's ALM
21 study, asset liability matching study --

22 MR. PETER YIEN: Yes.

23 MS. KATHLEEN MCCANDLESS: -- an -- an
24 upper target for the rate stabilization reserve?

25 MR. PETER YIEN: That's correct, and a

1 minimum that goes with that.

2 MS. KATHLEEN MCCANDLESS: And lastly,
3 you said --

4 MR. PETER YIEN: Two (2) more.

5 MS. KATHLEEN MCCANDLESS: -- and not
6 including --

7 MR. PETER YIEN: Yeah, the investment
8 income, not to be used to the -- offset rates, and
9 following AAP practices, generally accepted practices
10 with best estimates. So really, four (4).

11 MS. KATHLEEN MCCANDLESS: Okay.

12 MR. PETER YIEN: Yes.

13 MS. KATHLEEN MCCANDLESS: So assuming
14 all those four (4) preconditions were met, at that
15 point, then, the Corporation is confident that it
16 would obtain ministerial approval for the increased
17 allocation?

18 MR. PETER YIEN: We do expect that.
19 That was the conversation that we had with the
20 minister.

21 MS. KATHLEEN MCCANDLESS: Thank you.
22 Diana, can you please go to PUB(MPI) 2-24. And that's
23 at Tab 16 of the book of documents.

24

25 (BRIEF PAUSE)

1 MS. KATHLEEN MCCANDLESS: So there was
2 a series of questions asked about the corporate bond
3 allocation. I'm just going to ask about question (d).
4 So the Corporation was asked whether it was its intent
5 to invest in corporate bonds below an 'A' rating, and
6 -- and if so, to please discuss the risk and reward
7 trade-off.

8 If we go to page 3 of the IR response
9 and scroll down to (d) the response was that MPI
10 intends to invest in corporate bonds below an 'A'
11 rating and will consider bonds as low as triple 'B'
12 for its port -- portfolio.

13 And if we go to page 4, so is this --
14 this is the Corporation's assumed mix?

15 MR. PETER YIEN: That's correct.

16 MS. KATHLEEN MCCANDLESS: And so the
17 Corporation is considering investing in 59.7 percent
18 'A' bonds?

19 MR. PETER YIEN: Corporate 'A', yes.

20 MS. KATHLEEN MCCANDLESS: And 40
21 percent in triple 'B' rated bonds, corporate bonds?

22 MR. PETER YIEN: That -- that's right.

23 MS. KATHLEEN MCCANDLESS: And is this
24 to mimic the returns of a bond index?

25

1 (BRIEF PAUSE)

2

3 MR. PETER YIEN: So yes, it does match
4 the relative proportion of the corporate bond market.

5 MS. KATHLEEN MCCANDLESS: Thank you.

6

7 (BRIEF PAUSE)

8

9 MS. KATHLEEN MCCANDLESS: Now, with
10 this increased return, and -- and the Corporation, has
11 it -- has it projected what it thinks the increase to
12 the fixed-income portfolio would be as a result of
13 this change?

14 MR. PETER YIEN: Sorry, can you repeat
15 that question?

16 MS. KATHLEEN MCCANDLESS: So the
17 Corporation obviously is -- is assuming this will
18 provide it with a higher return; yes?

19 MR. PETER YIEN: Correct.

20 MS. KATHLEEN MCCANDLESS: And is that
21 to the order of approximately fifty (50) basis points?

22 MR. PETER YIEN: Yes. It's a little
23 lower, but it's close enough. It's 45, something like
24 that.

25

1 (BRIEF PAUSE)

2

3 MR. PETER YIEN: Yeah. Yeah. So --
4 so the answer is yes, 50 percent basis points on the
5 bonds and 40 percent impact on the claims liability.
6 That's --

7

8 (BRIEF PAUSE)

9

10 MR. PETER YIEN: Forty (40) basis
11 points, yeah. So that's how I got the average. Good
12 enough. Okay.

13 MS. KATHLEEN MCCANDLESS: Thank you.
14 So -- but with this increased return, there will be
15 increased risk within the portfolio?

16 MR. PETER YIEN: Correct.

17 MS. KATHLEEN MCCANDLESS: And can you
18 explain their change in risk profile?

19 MR. PETER YIEN: Sure. Essentially,
20 what we did was as part of rate app this year, we did
21 ask for a dynamic capital asset test max. And when we
22 look at the maximum 1 in 100, it drives an increased
23 equity requirement of about \$9 million. So
24 effectively, the 1 in 100 would create a risk of close
25 to \$9 million impact.

1 MS. KATHLEEN MCCANDLESS: Thank you.
2 Now at Tab 15 of the book of documents, and that's a
3 response to an Information Request PUB-MPI-1-41.

4

5 (BRIEF PAUSE)

6

7 MS. KATHLEEN MCCANDLESS: I believe
8 this just is to confirm your -- your previous
9 testimony, Mr. Yien. The Corporation was asked when
10 it would seek the approval for the increase in
11 allocation to corporate bonds at (a).

12 And so the response on page 2 is really
13 uncontingent on having a sufficient capital reserve
14 approval act -- of actuarial indicated rates without
15 offset by investment income generated from the RSR;
16 yes?

17 MR. PETER YIEN: That's correct.

18 MS. KATHLEEN MCCANDLESS: And to that,
19 you've added the -- the asset liability matching
20 study, as well?

21 MR. PETER YIEN: That's correct. So
22 maybe in just more layman terms, is the -- the Board
23 is not in a position to take on additional risk
24 without sufficient capital.

25 MS. KATHLEEN MCCANDLESS: Now the --

1 the rate stabilization reserve, from the Corporation's
2 perspective, does the Corporation need to have the 100
3 percent MCT targets in order to be satisfied that it
4 can take on the additional risk associated with the 18
5 percent corporate bonds?

6 MR. PETER YIEN: Let me characterize
7 by answering it this way. The MCT test is something
8 that we do view as objective. There is no signs to
9 this, really, at the end of the day, in my view, but
10 having the right amount of sufficient capital is
11 important.

12 In an earlier comment that I made
13 yesterday, I had -- I had talked about operating in
14 the optimal range. There's no desire to continuously
15 -- to operate at the \$438 million mark. We understand
16 it's going to go up or down. So perhaps it might be
17 in the three-fiftys (350s) or so, and it will just
18 bounce up and down. And we don't know what it's going
19 to be, but operating at four thirty-eight (438) would
20 be probably impossible, and I would say probably
21 unreasonable. It's not meant to be a max that we
22 would -- continually to hold.

23 MS. KATHLEEN MCCANDLESS: And just to
24 clarify, and I apologize if I maybe asked you this
25 question already, but the preconditions that you've

1 outlined, are -- are MPI and the Minister of the same
2 mind as to the necessity of those four (4)
3 preconditions?

4 MR. PETER YIEN: I -- I can't speak
5 for the Minister. I'm not in a position to speak on
6 that. I will say that when we had discussed that the
7 conditions that -- that's relative to that, there was
8 definitely approval in principle to proceed with those
9 conditions. Whether those conditions are going to be
10 final will rest with the Minister, whom I am not in a
11 position to speak for.

12 MS. KATHLEEN MCCANDLESS: Thank you.
13 Does MPI have any concern about default of corporate
14 bonds?

15 MR. PETER YIEN: It's something that,
16 yes, we have considered.

17 MS. KATHLEEN MCCANDLESS: Thank you.
18 Diana, at 2-24, which again is at Tab 16 of the book
19 of documents, at (d), in the response to (d), there's
20 some information about the yield on long-term triple
21 'B' corporate bonds. And so that was 4.37 percent;
22 yes?

23 MR. PETER YIEN: Yes.

24 MS. KATHLEEN MCCANDLESS: Okay. And
25 that's fifty-eight (58) basis points higher than the

1 yield on 'A' corporate bonds; yes?

2 MR. PETER YIEN: Yes.

3 MS. KATHLEEN MCCANDLESS: And then at
4 the bottom of that response, the average one (1) year
5 credit loss rates -- so a product of default,
6 frequency, and loss severity for triple 'B' corporates
7 from 1989 to 2013 was .2 percent; yes?

8 MR. PETER YIEN: Yes.

9 MS. KATHLEEN MCCANDLESS: Okay. And
10 for 'A' and higher rated bonds, it was zero; yes?

11 MR. PETER YIEN: Correct.

12 MS. KATHLEEN MCCANDLESS: So obviously
13 there's less risk by -- of default by investing in 'A'
14 rated bonds; yes?

15 MR. PETER YIEN: That's -- that's
16 absolutely right.

17 MS. KATHLEEN MCCANDLESS: So would
18 there be any reason other than capturing the
19 additional return to invest in bonds that have a
20 credit rating less than 'A'?

21 MR. PETER YIEN: Again, I go back to I
22 can't answer that fully until the asset liability
23 matching study is completed, but yes. To your
24 answers, yes, it -- it does mean taking on additional
25 risk.

1 But I go back to my original answer is
2 that if we truly believe in the calculations of the
3 dynamic capital adequacy test and the -- the history
4 of defaults, then it would be effectively a sufficient
5 and appropriate risk to take, given the returns.

6 MS. KATHLEEN MCCANDLESS: Has the
7 Corporation considered what due diligence it would
8 perform before taking on that risk associated with
9 investment in bonds below 'A'?

10 MR. PETER YIEN: Can you describe the
11 question? I just want to make sure I understand.

12 MS. KATHLEEN MCCANDLESS: What form of
13 due diligence, if any, the Cor -- is the Corporation
14 intending to take before investing in those bonds
15 rated below 'A'?

16 MR. PETER YIEN: Yeah. The due
17 diligence that's involved is the ALM study that has
18 already been issued and has already proceed -- is --
19 we're proceeding. That has been built into the
20 assumptions and requirements of the Board, and so that
21 would be reviewed once the report is issued.

22 MS. KATHLEEN MCCANDLESS: So as an
23 example, if, for example, the Board did not approve
24 the Corporation's upper target for the rate
25 stabilization reserve, would MPI reconsider its

1 strategy on corporate bonds?

2 MR. PETER YIEN: Absolutely.

3 MS. KATHLEEN MCCANDLESS: And that's -
4 - can you explain why?

5 MR. PETER YIEN: Management and the
6 Board believes that by taking combined corporate
7 bonds, it does introduce a level of risk.

8 Secondly, currently we are --
9 effectively, if we didn't do what we're going to do,
10 our rate stabilization reserve would fall below the
11 required. It's already below the one eighty-one
12 (181), and potentially -- and the two o-one (201) that
13 we that we had -- understand that we need, we are in
14 danger of falling below that. And as Mr. Johnston has
15 already indicated, the actuarial opinion is that the
16 financial condition of Basic is unsatisfactory. We
17 would not be unwilling to take that risk without those
18 conditions.

19 I mentioned earlier that the investment
20 income -- effectively, if -- if not used, the offset
21 rate will be used to rebuild the rate stabilization
22 reserve. And if we were not able to use that to
23 rebuild the stabilization reserve, then effectively,
24 we are taking on a risk of higher return and not
25 building the reserve, which would be a net zero sum

1 gain, if you will, to protect the Manitoban from
2 instability. And therefore, without being able to do
3 those things, we feel that we cannot build the
4 reserve, and hence, why would we take on that risk?

5 MS. KATHLEEN MCCANDLESS: Thank you.
6 And so I understand that as of now, the Corporation
7 has not yet invested in any corporate triple 'B'
8 bonds. Would that be correct?

9 MR. PETER YIEN: Yes. That's correct.

10 MS. KATHLEEN MCCANDLESS: Thank you.
11 Now, I'd like to ask some questions about the
12 investment portfolio design decision process. We
13 discussed obviously at length the decision for the
14 Corporation to take a step to increase its investment
15 in corporate bonds. And first, there was a -- a 10
16 percent maximum now that's been set. And then there's
17 the possible further investment in 18 percent.

18 Was the -- the idea to increase the
19 allocation to corporate bonds initiated at the
20 Investment Committee Working Group?

21 MR. PETER YIEN: Let me answer in two
22 (2) steps. The Investment Committee Working Group is
23 composed of management, department of finance. And so
24 the discussion was tabled definitely in that meeting.
25 However, the idea started with both the management and

1 the Board decision when we looked at the overall rate
2 stabilization reserve.

3 And we had to take a look at -- given
4 that Basic essentially going to be in trouble from
5 meeting the lower limits of the dynamic capital asset
6 adequacy test, we had to figure a way, How do we build
7 the portfolio up? But even more importantly, as you
8 had indicated earlier, Kathleen, we have one (1)
9 portfolio. And in our previous ALM study, there were
10 considerations that were given perhaps to consider
11 segregating that.

12 And so the bigger question is, We need
13 to ensure that we can pay these claims as they become
14 due. While we're doing it, is it possible to drive a
15 better return? And so ultimately, the discussion
16 happened at the Board and executive level, but in
17 order to change the IPS and -- and get that going,
18 tactically we had to go through the ICWG for
19 discussion. And it went through a couple rounds of
20 discussion before we finalized on what we would
21 recommend to the Investment Committee.

22 Then we tabled it with the Investment
23 Committee to make that final decision, in which we
24 were challenged on, What are things we need to do?
25 And we came in with the recommendation that you saw,

1 which is effectively to go up to 10 percent of the
2 portfolio -- total portfolio with corporate bonds.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 So just to go back a little bit and ask about the
5 Investment Committee Working Group.

6 So can you just explain what it is?

7 MR. PETER YIEN: Sorry?

8 MS. KATHLEEN MCCANDLESS: What -- what
9 is the Investment Committee Working Group, just for
10 the --

11 MR. PETER YIEN: Sure.

12 MS. KATHLEEN MCCANDLESS: -- benefit
13 of the Board.

14 MR. PETER YIEN: Yeah. The Investment
15 Committee group meets on a regular basis at least four
16 (4) times a year, and the idea is that it would review
17 the existing returns, ensure that we generate enough
18 returns. Where appropriate, if an investment manager
19 is not performing, we would watch the performance of
20 that manager to make sure that if we need to reduce
21 our holdings with that manager or otherwise.

22 We also want to make sure that they're
23 true to their investment philosophy, and that we
24 understand what changes may have happened in terms of
25 their trading team, understand how they actually are

1 going to still achieve their objectives with a change;
2 understand the competence and history of that
3 individual.

4 So it's a holistic approach. And on
5 top of that, what I just described here, the -- I will
6 call it more ad hoc, more operational pieces if an
7 investment policy needs to change. And other areas to
8 ensure that there's no -- any rebalancing that's
9 required that we would need to look at.

10 So when I talk about rebalancing, I'm
11 saying, What if market values went really, really up
12 for one -- one (1) part of our portfolio, that it's
13 now above the threshold. Then we need to think about,
14 How do we get out of that and buy something else?

15 So, essentially that's what we do at
16 the Investment Committee Working Group.

17 MS. KATHLEEN MCCANDLESS: Diana, can
18 you please pull up PUB-MPI-1-42, and page 2.

19

20 (BRIEF PAUSE)

21

22 MS. KATHLEEN MCCANDLESS: So just to
23 show on the screen in front of us, as of July 2017,
24 the composition of the Investment Committee Working
25 Group was as follows. I won't go through everyone

1 there, but it includes representatives of the
2 Corporation, and then the department of finance; yes?

3 MR. PETER YIEN: That's correct.

4 MS. KATHLEEN MCCANDLESS: And then if
5 we scroll to the bottom of that invest -- or IR
6 response, the Corporation was asked about the
7 decision-making process at the Investment Committee
8 Working Group. And so the response was the changes to
9 the investment policy statement are presented to the -
10 - the group, and then the group makes recommend -- or
11 so the group makes recommendations to the Investment
12 Committee of the board of directors of MPI; yes?

13 MR. PETER YIEN: That's correct.

14 MS. KATHLEEN MCCANDLESS: Okay. So
15 who typically brings forward recommendations to the
16 Investment Committee Working Group?

17 MR. PETER YIEN: I chair the
18 Investment Committee Working Group. So I would table
19 it with our chair of the Investment Committee.

20 MS. KATHLEEN MCCANDLESS: And so,
21 essentially, the role of the Investment Committee
22 Working Group would be sort of advisory to the
23 Investment Committee?

24 MR. PETER YIEN: Yes, it would be. We
25 just -- we kind of do the dirty work, so to speak, and

1 make sure we gather all the facts, do the analysis,
2 and provide a recommendation.

3 MS. KATHLEEN MCCANDLESS: And is the -
4 - so does the Investment Committee Working Group then
5 provide an -- the analysis and support for decisions
6 that are brought forward to the Investment Committee
7 of the board of directors?

8 MR. PETER YIEN: Absolutely. In fact,
9 the Investment Committee always challenges our
10 recommendations just to make sure they get a better
11 understanding. We're very fortunate that we have a
12 very well-versed, very capable Investment Committee,
13 so that does that allow us to have a higher level of
14 dialogue iteration, if you want to call it, before we
15 finalize anything.

16 MS. KATHLEEN MCCANDLESS: So is the
17 Investment Committee Working Group and a forum -- more
18 of a forum for discussion and recommendations rather
19 than a decision-making body?

20 MR. PETER YIEN: No. In -- in some
21 areas, we could actually make decisions. So, you
22 know, the rebalancing, for example, we absolutely
23 could make those decisions. Other areas include the
24 selection of the trader and who invest with. We could
25 make those decisions, as well.

1 MS. KATHLEEN MCCANDLESS: So perhaps
2 you could just explain. So the Investment Committee
3 Working Group can actually make decisions --

4 MR. PETER YIEN: As long as it's under
5 the auspices of the IPS. We need to work within the
6 constraints of what's already been approved.

7 MS. KATHLEEN MCCANDLESS: Thank you.
8 Does the Investment Committee Working Group do any
9 risk analysis or research on investments to mitigate
10 risk?

11 MR. PETER YIEN: Yes, we do.

12 MS. KATHLEEN MCCANDLESS: And so would
13 the members of the Investment Committee Working Group
14 have input into the investment policy statement?

15 MR. PETER YIEN: Yes, they do.

16 MS. KATHLEEN MCCANDLESS: But
17 ultimately, it would be the Investment Committee that
18 would make the ultimate decision to make changes to
19 the investment policy statement?

20 MR. PETER YIEN: Yes.

21 MS. KATHLEEN MCCANDLESS: And for
22 changes to the investment policy statement, what is
23 the process for getting those decisions approved?

24 MR. PETER YIEN: Maybe I can answer it
25 at a high level first, and we can go deeper if we need

1 to. Any changes that have been tabled at the
2 Investment Committee Working Group generally has been
3 vetted by myself, our corporate controller, Mr.
4 Johnson, our chief actuary, and also, Mr. Bunston, who
5 is our investment manager.

6 And so we would work together to make
7 sure that we build the -- I would call it a small
8 summary, executive summary, so that it's well-
9 understood. We'll then present it for discussion,
10 typically with selected executives that have
11 investment knowledge. In addition to that, we would
12 have a brief discussion with our CEO for input.

13 At that point, then we'll table it with
14 the Investment Committee Working Group. And then we
15 then get challenged, and there are times where we have
16 to rework it, and the Department of Finance brings a -
17 - a good wealth of experience. And then we'll take
18 those comments, and then before we get to the
19 Investment Committee Working Group, we would then have
20 received feedback from all those that are there. And
21 then collectively as a group, we will look at the
22 final draft before we'd make any decisions on that.

23 MS. KATHLEEN MCCANDLESS: Okay. And
24 now for some aspects of changes to the investment
25 policy statement, the final say would be with the

1 minister of finance; yes?

2 MR. PETER YIEN: That's correct.

3 MS. KATHLEEN MCCANDLESS: Or is that
4 for all --

5 MR. PETER YIEN: No. It's not for
6 everything, though. I mean, for our Investment
7 Committee, in its policy statement, we could actually
8 -- yeah. The -- the minister ultimately -- it's
9 important to note that they are actually the one that
10 hires the investment managers, not the ICWG. So they
11 do research and make the recommendations for us. And
12 that's what I was talk about -- the angle, that they
13 bring that expertise to the table.

14 MS. KATHLEEN MCCANDLESS: So what type
15 of decision would needs ultimate approval by the
16 minister of finance, obviously, apart from the
17 investment manager?

18 MR. PETER YIEN: An example of this is
19 to effectively go to 18 percent of corporate bonds.
20 So that's not our decision to make. It's a -- in
21 fact, it's not even our board's decision to make. Our
22 board would recommend it.

23 Effectively, when they make their
24 recommendation to the Minister, then the Minister will
25 ultimately make that decision.

1 MS. KATHLEEN MCCANDLESS: Can you
2 think of any other examples of recommended changes
3 that have needed approval from the Minister of
4 Finance?

5 MR. PETER YIEN: I'm not sure. Just
6 one second.

7

8 (BRIEF PAUSE)

9 MR. PETER YIEN: No, there's --
10 there's no -- nothing I can think of.

11 MS. KATHLEEN MCCANDLESS: Okay. So
12 then I'm not sure if Mr. Johnston would have any input
13 on this but, Mr. Yien, obviously you won't have any
14 given your answer, but it has MPI ever had difficulty
15 in the past having the Minister approve recommended
16 changes to the investment policy statement?

17

18 (BRIEF PAUSE)

19

20 MR. PETER YIEN: Sorry, can you
21 repeat the question?

22 MS. KATHLEEN MCCANDLESS: In the past
23 has MPI had any difficulty in obtaining approval from
24 the Minister of Finance for recommended changes to the
25 investment policy statement?

1 MR. PETER YIEN: Yeah. And maybe I
2 can answer it currently, and then we can go back with
3 Mr. Johnston. You know, I saw the process of due
4 diligence is operating a very high level.

5 What I mean by that is it's very clear
6 the Minister of Crown Services and Minister of Finance
7 wants MPI to run as a first rate corporation. And
8 what that means is that we run it effectively and
9 operationally efficiently. So they do challenge our
10 assumptions.

11 I mentioned earlier this agreement in
12 principle is also subject to additional information.
13 So I wouldn't call it difficulty or anything like
14 that. It's -- it's due diligence that's required.
15 And I see that it is working. It is no automatic
16 approval. That's what -- if we're trying to get at.
17 Absolutely none. We have to just everything that we
18 do. So I don't see really any obstacles or anything
19 like that. And I'm going back in the past, and I'll
20 pass it to Mr. Johnston.

21 MR. LUKE JOHNSTON: We were just
22 discussing, but the only thing -- case we can remember
23 is where a certain asset class, like international
24 equities, for example, where we were going to go into
25 that and -- and that wasn't approved. Yeah. But,

1 like, there may be others, but that's all I can
2 recall.

3 MS. KATHLEEN MCCANDLESS: So just to
4 understand your evidence then, does that mean that
5 there have been other requests that have been
6 approved, or is this the only example where you can
7 think of the request having been made of the Minister?

8

9 (BRIEF PAUSE)

10

11 MR. MATTHEW GHIKAS: Just for
12 clarification, I think Mr. Johnston was answering a
13 different question than the one (1) that you rephrased
14 there. So I think Mr. Johnston was -- Johnston was
15 saying that that is an example that he can think of
16 where a request to make a change had been refused. I
17 think there -- I just wanted to make that
18 clarification because I think you may have been at
19 cross purposes there.

20

21 CONTINUED BY MS. KATHLEEN MCCANDLESS:

22 MS. KATHLEEN MCCANDLESS: No, I
23 understood that, but my question as follow-up was:
24 Then does that mean that's the only instance of any
25 requested change that Mr. Johnston can think of? Or

1 have there been other requests that have been approved
2 as a matter of course?

3 MR. LUKE JOHNSTON: That's all I can
4 think of. And we would -- we wouldn't expect to bring
5 a lot of recommendations to the Minister that we were
6 expecting to get rejected, as you might expect.

7 So we would hope that we would do some
8 diligence in terms of bringing forward reasonable
9 recommendations. So it's very likely that many of
10 them have been accepted. But again, I'm just going by
11 information from my back row, about the last memory we
12 can have a significant recommendation not been
13 approved.

14 MR. PETER YIEN: If I can just add to
15 that, just in terms of the meetings that I've attended
16 this year with the Minister we -- we go in there 200
17 percent prepared. And just on this bond discussion, I
18 can tell you there's been over ten (10) meetings I've
19 attended internally just to make sure we've covered
20 the bases.

21 I don't think as a Corporation that
22 when we expected to run at a -- as a leading
23 organization that we wouldn't do the internal
24 diligence. So I think it's fully expected that we'd
25 do enough diligence to answer any questions that would

1 come up. And, truly, they -- they asked us a lot of
2 good questions in that meeting.

3 MS. KATHLEEN MCCANDLESS: Now, at the
4 investment committee working group level obviously
5 there was -- there's been significant discussion about
6 the increased allocation to corporate bonds.

7 Have there been any other significant
8 decisions or recommendations discussed amongst the
9 committee this year?

10

11 (BRIEF PAUSE)

12

13 MR. PETER YIEN: My apologies,
14 Kathleen, can you repeat that question?

15 MS. KATHLEEN MCCANDLESS: Maybe I'll
16 rephrase it. Is the investment committee working
17 group or the investment committee of MPI have they --
18 apart from the increased allocation to corporate bonds
19 have there been any other significant changes or
20 recommendations to the investment policy statement
21 discussed over the past year?

22 MR. PETER YIEN: No, there hasn't.

23 MS. KATHLEEN MCCANDLESS: Okay. Thank
24 you. To what extent did the investment -- or does the
25 investment committee working group have any input into

1 the development of the request for proposal for the
2 asset liability matching study?

3 MR. PETER YIEN: Yes, in terms of the
4 asset liability matching study the Department of
5 Finance feels that that's a man -- an overall
6 management responsibility. However, they do -- we do
7 provide them with the basis for that decision of who
8 we select. We do get their points of view because
9 some of the members also sits on other boards as well.
10 So we -- we have received their feedback on everything
11 from, Is it possible to get it done in time? What are
12 their -- you know, are the rates reasonable? Just to
13 make sure that we do, the scope of work, and also the
14 team that's brought to the table.

15 So it's quite a wholesome discussion.
16 But yes, we do discuss that. But ultimately the
17 decision itself for selecting the -- the organization,
18 if you will, that does or performs the asset liability
19 management study arrest with management.

20 MS. KATHLEEN MCCANDLESS: Thank you.
21 Now, with respect to the asset liability matching
22 study that was ordered by the Board last year in Order
23 162/16, and perhaps just for our reference, Diana, if
24 you -- if it wouldn't be too much trouble to pull up
25 that order. That's page 88 of last year's order at

1 section 10.13.

2

3

(BRIEF PAUSE)

4

5 MS. KATHLEEN MCCANDLESS: So this was
6 what was ordered by the Board last year, was MPI to
7 obtain an updated ALM study, to be filed in the 2018
8 GRA, which study shall address each of the eighteen
9 (18) recommendations by -- made by Mr. Viola, which
10 were set out in an appendix. And Mr. Viola was the
11 expert brought forward by CAC last year.

12 Now, the updated ALM study obviously
13 was not filed in this year's application. And can the
14 Corporation just explain why that's the case?

15 MR. PETER YIEN: Yes. Actually, I
16 answer the question, let me apologize. I should have
17 addressed you as Ms. McCandless, so I will -- I'll
18 continue to do so. It's -- actually, I'll start to do
19 so.

20 Yeah, the answer -- originally when it
21 was originally filed it was viewed that as a starting
22 assumption we need to understand what the rate
23 stabilization is from both a minimum and a max
24 perspective. The Board at the time was exploring what
25 they thought would have been an appropriate rate

1 stabilization reserve. So it was viewed as a critical
2 input to beginning the ALM study.

3 As part of filing, the Board has
4 effectively taken a look at what other comparable
5 insurance organizations have in order to meet their
6 mandate, the risk appetite of the Board, and
7 effectively have selected and confirm -- we confirmed
8 that the dynamic capital asset management test --
9 adequacy test is equi -- is equivalent to 100 percent
10 of the minimum capital test. So by definition, having
11 the Board making that decision, we now have the
12 starting ingredients for that ALM study.

13 In addition, the Board has taken the
14 time to study and understand the Corporation in a more
15 wholesome way. and as a result of that they now have
16 the confidence to make -- have management go ahead to
17 make certain decisions that go into that study.

18 And then finally, when we had looked at
19 the overall bond strategy we also realized that we
20 couldn't just make that bond strategy just on bringing
21 the rate down alone. It can't be the driver of our
22 investment. We can't put our entire \$3 billion
23 portfolio at risk just because we want to lower the
24 rate of roughly .8 percent. So therefore we also
25 require the ALM study, and as a result we started to

1 accelerate that. So that's really the -- the genesis
2 of why we held back, and why we accelerating it.

3 MS. KATHLEEN MCCANDLESS: Thank you.
4 Diana, can you please pull up PUB-MPI-1-37. In this
5 Information Request the Corporation was asked for a
6 copy of the request for proposals as well as the
7 status of the request for proposals pro -- process.

8 And so the response, as at the time of
9 this Information Request response would have been --
10 which would have been early August of 2017. The
11 response was that the Corporation had started
12 preparing the RFP and expected to complete it and
13 release it by September 1, 2017. And obviously that
14 has not occurred. Can you explain why that's the
15 case?

16 MR. PETER YIEN: Yeah, I need to
17 provide an update. At the time of filing that was
18 true. Since that time we have issued that.

19 MS. KATHLEEN MCCANDLESS: Can you
20 please go to, Diana, PUB-MPI-2-20. So then the
21 Corporation was asked for some information -- further
22 information as to the progress of the request for
23 proposal. And this response would have been issued in
24 September, September 11th, I believe.

25 So at that time the response was that

1 the scope of work for the -- the RFP had not yet been
2 approved by MPI's executive and was not available for
3 circulation. So you're telling me now today that this
4 has been approved? The scope of work has been
5 approved?

6 MR. PETER YIEN: That's correct. It
7 has. And the work has also started.

8 MS. KATHLEEN MCCANDLESS: Okay. So
9 the RFP then, can that be filed with the Board now?

10

11 (BRIEF PAUSE)

12

13 MR. PETER YIEN: The -- the RFP has
14 been issued on MERX as part of the Western trade
15 agreement we have to issue RFPs on MERX, so it is
16 actually available on public record. But I have no
17 issues of filing it.

18 MS. KATHLEEN MCCANDLESS: Perhaps we -
19 - we could have an undertaking to file the request for
20 proposal?

21 MR. MATTHEW GHIKAS: We will -- we
22 will take that and file it. Thank you.

23 MS. KATHLEEN MCCANDLESS: Thank you.
24 So -- sure. That is for the Corporation to file the
25 request for proposal for the -- the asset liability

1 management study.

2

3 --- UNDERTAKING NO. 1: The Corporation is to file
4 the request for proposal for the
5 asset liability management study.

6

7 CONTINUED BY MS. KATHLEEN MCCANDLESS:

8 MS. KATHLEEN MCCANDLESS: Thank you.

9 So the status then is the -- the RFP is on MERX and --

10 MR. PETER YIEN: Yes, it is.

11 MS. KATHLEEN MCCANDLESS: -- and so
12 perhaps you could just tell me what MERX stands for?

13 MR. PETER YIEN: Oh, yeah -- yeah.

14 Thank you. MERX is essentially a publicly available
15 website, if you want to call it that, for people that
16 have signed on to it. And anybody that is interested
17 in looking at an RFP will, essentially, be able to
18 read it and have the opportunity to respond. So it is
19 on, effectively, public record.

20 MS. KATHLEEN MCCANDLESS: So at this
21 time then, MPI is soliciting responses to the RFP?

22 MR. PETER YIEN: No, we -- we've --
23 yes. We've solicited already. We've received
24 responses. We have re-awarded it.

25 MS. KATHLEEN MCCANDLESS: Okay.

1 MR. PETER YIEN: And the -- the work
2 has already started.

3 MS. KATHLEEN MCCANDLESS: Okay.

4 MR. PETER YIEN: Yes.

5 MS. KATHLEEN MCCANDLESS: Are you able
6 to tell us today who will be performing the work for
7 that?

8 MR. PETER YIEN: I -- I need to
9 consult to see if I can -- I should have -- I mean, I
10 know the answer, but...

11

12

13 (BRIEF PAUSE)

14

15 MR. MATTHEW GHIKAS: We don't think
16 there's going to be a problem with that, Mr. Chairman.
17 But when we file we should be able to provide the RFP
18 pretty closely -- pretty -- in pretty short order. If
19 were able to just make sure that we haven't got some
20 sort of confidentiality obligations with the person
21 for the time being. And just advise you after the
22 break.

23 THE CHAIRPERSON: I -- I'm wondering
24 if we just need an undertaking for you to review it
25 and -- and determine if there's anything that would

1 prohibit it, and then advise us otherwise to provide
2 us with the name.

3 MR. MATTHEW GHIKAS: That's -- that's
4 fine, Mr. chairman, and we should be able to get back
5 to you on that in short order. Thank you. That would
6 be another undertaking, yes. Thanks, madam reporter.

7 It's just to advise whether there are
8 any confidentiality obligations that would preclude us
9 from providing the name of the person conduct -- or
10 the group conducting the asset liability management
11 study. Or provide the name of the person that's
12 providing the study.

13

14 --- UNDERTAKING NO. 2: Corporation to advise whether
15 there are any confidentiality
16 obligations that would preclude
17 providing the name of the person or
18 the group conducting the asset
19 liability management study, or to
20 provide the name of the person
21 conducting the study.

22

23 MR. PETER YIEN: If I could maybe just
24 add to that. I will say it's a leading organization
25 that's done hundreds of these before. Very -- very

1 experienced.

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 Mr. Chair, I do have some more time to spend on
4 investments that would take me likely at least another
5 half-hour or more. So I'm at your disposal as to --

6 THE CHAIRPERSON: Yeah, we'll -- we'll
7 adjourn for an hour.

8 MS. KATHLEEN MCCANDLESS: Okay. Thank
9 you.

10 THE CHAIRPERSON: Thank you.

11

12 --- Upon recessing at 12:00 p.m.

13 --- Upon resuming at 1:08 p.m.

14

15 THE CHAIRPERSON: Ms. McCandless, are
16 we ready?

17 MS. KATHLEEN MCCANDLESS: Yes, we're
18 ready.

19 THE CHAIRPERSON: Thank you.

20

21 CONTINUED BY MS. KATHLEEN MCCANDLESS:

22 MS. KATHLEEN MCCANDLESS: All right.

23 So before the break we had a lengthy discussion about
24 the preconditions for the move to the corporate bond -
25 - corporate bonds of 18 percent. And one (1) of the

1 preconditions was that the upper threshold for the
2 Basic total equity target capital range be based on a
3 100 percent MCT ratio?

4 MR. PETER YIEN: Yes.

5 MS. KATHLEEN MCCANDLESS: So if an
6 alternative upper threshold below that level was based
7 on experience driven modelling of Basic risks, could
8 this poss -- possibly also meet the precondition?

9 MR. PETER YIEN: We're asking a
10 hypothetical question. At this point I would stand
11 by the original 438 million. As you were asking me
12 hypothetical question, if you gave me 437 would that
13 the appropriate, I would say probably. So, I think we
14 need to consider materiality and what that difference
15 is.

16 MS. KATHLEEN MCCANDLESS: Okay. So
17 now assuming that that precondition, based on the
18 experience driven modelling -- sorry, assuming that
19 number based on the extre -- experience driven
20 modelling was a material difference from MPI's
21 perspective and -- and in its view not sufficiently
22 close to that 100 percent MCT, then MPI would not
23 proceed with that 18 percent corporate bond
24 allocation, correct?

25 MR. PETER YIEN: If it's

1 insufficiently close, yes.

2 MS. KATHLEEN MCCANDLESS: And so,
3 ultimately, can you comment on what impact not
4 increasing the corporate bond allocation to 18 percent
5 would have on the requested rate.

6 MR. LUKE JOHNSTON: If assuming you
7 don't do any of the implementation, it's about 0.8
8 percent of the rate indication.

9 MS. KATHLEEN MCCANDLESS: And what
10 impact would it have on the compliance filing?

11 MR. LUKE JOHNSTON: I would assume,
12 like -- actually one (1) second.

13

14 (BRIEF PAUSE)

15

16 MR. STEVE SCARFONE: Ms. McCandless,
17 could you just put the question to the witness one
18 more time. I apologize for that delay.

19

20 CONTINUED BY MS. KATHLEEN MCCANDLESS:

21 MS. KATHLEEN MCCANDLESS: So if the
22 precondition of 100 percent MCT was not approved by
23 the Board and instead there was something else in its
24 place. It was, you know, on -- on experience driven
25 modelling of Basic risks and the difference between

1 that 100 percent MCT, and the experience driven
2 modelling, Basic risk was material enough to MPI that
3 they would not then move to the allocation of 18
4 percent corporate bonds, what impact would that have
5 on the compliance filing?

6 MR. LUKE JOHNSTON: Okay, I'll take a
7 shot at this and feel free to jump in.

8 So in this particular case we would
9 assume that all aspects of the application with the
10 exception of the Government of Canada 10 -- 10 year
11 bond rate, which is the current subject of the
12 proposed compliance filing, we'd assume that all of
13 that's been rev -- reviewed by the Board and this one
14 part of the Order would result us having to change --
15 restate the rate -- rate indication excluding the
16 corporate bonds, but still utilizing the -- the
17 proposed 10 year bond compliance filing rate.

18 But, of course, if the Board orders any
19 change whatsoever, we would assume we'd have to create
20 a new filing for that purpose anyways, and I -- again,
21 it would -- I would assume that we would continue to
22 support the idea of using a November 30 base interest
23 rate to minimize interest rate risk.

24

25

(BRIEF PAUSE)

1 MS. KATHLEEN MCCANDLESS: So the
2 compliance filing would remove not only the
3 Government of Canada bond rate, but also the impact of
4 -- right, the corporate bond allocation?

5 MR. LUKE JOHNSTON: Yeah, it would --
6 would have to be to be appropriate. Even in the
7 submission that you have today on accepted actuarial
8 practice, I have to feel confident that the
9 Corporation is -- is able to implement the corporate
10 bond strategy in order to include it in the rate
11 indication. So, if that -- if I -- if that changes
12 then I should restate the rate indication regardless.

13

14 (BRIEF PAUSE)

15

16 MS. KATHLEEN MCCANDLESS: If the
17 allocation to 18 percent corporate bonds was not made,
18 though, from the Corporation's perspective, would it
19 stay at the current corporate bond holdings or would
20 there be some further adjustment of that, within the
21 10 percent maximum?

22

23 (BRIEF PAUSE)

24

25 MR. LUKE JOHNSTON: Yeah, that's a

1 tough question, because we are waiting for the ALM
2 results.

3 My -- my assumption would be if we did
4 not implement the corporate bonds as planned, we would
5 likely just writ -- revert to the existing portfolio
6 holdings unless we have -- I -- I can't think of
7 another reason why we would, you know, restate our
8 whole application for a different strategy at that
9 point.

10 MS. KATHLEEN MCCANDLESS: Thank you.
11 Diana, can you pull up PUB-MPI-2-21, please.

12 Now, if we go to -- so this was an
13 update on investment holdings of the Corporation as at
14 September -- or July 31, 2017. And if we go to the
15 last page of this appendix, on the right-hand side of
16 the page, we see the column for Unrealized
17 Gain/(Loss.)"

18 And so as at July 31, 2017 MPI in total
19 had \$110.8 million in unrealized gains on the equity
20 portfolio?

21 MR. PETER YIEN: That's correct.

22 MS. KATHLEEN MCCANDLESS: And with
23 respect to Canadian equities had \$60.9 million?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: And with

1 respect to US equities had 49.9 or \$15 million in
2 holdings; yes?

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: Now, gains
5 are only realized when the portfolio requires
6 rebalancing from set target limits, is that right?

7 MR. PETER YIEN: It depends on equity
8 but, yeah. It depends on equity from accounting
9 perspective. The treatments vary and we need to
10 follow the accounting principles with regard to that.

11 MS. KATHLEEN MCCANDLESS: Okay, and
12 there is a maximum of 13 percent for Canadian
13 equities, would that --

14

15 (BRIEF PAUSE)

16

17 MR. PETER YIEN: Could you repeat the
18 question, please?

19 MS. KATHLEEN MCCANDLESS: So the
20 maximum for Canadian equities wou -- would be 13
21 percent?

22 MR. PETER YIEN: No, it's a minimum of
23 five, max seven.

24 MS. KATHLEEN MCCANDLESS: Max 7?

25 MR. PETER YIEN: For US -- for US

1 equities

2 MS. KATHLEEN MCCANDLESS: Oh yes, for
3 US it's 7 percent maximum for Canadian?

4 MR. PETER YIEN: Max is 13; minimum is
5 seven.

6 MS. KATHLEEN MCCANDLESS: Okay, for
7 Canadian equities?

8 MR. PETER YIEN: Yes, that's correct.

9 MS. KATHLEEN MCCANDLESS: And then 7
10 percent maximum for US equities?

11 MR. PETER YIEN: That's correct.

12 MS. KATHLEEN MCCANDLESS: Diana, can
13 you please pull up from the investment section of the
14 filing, page 10, that's Figure INV-2.

15 And so if we see in the bottom half of
16 the table, for 2017/18 forecast budget, we have US
17 equities at 5 percent; yes?

18 MR. PETER YIEN: Yes.

19 MS. KATHLEEN MCCANDLESS: And Canadian
20 equities at 12.2 percent?

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: Now this
23 model assumes that gains would be realized when
24 rebalancing occurs?

25 MR. PETER YIEN: Yes.

1 MS. KATHLEEN MCCANDLESS: And if we
2 go, Diana, up one (1) page to page 9 of the investment
3 section at Figure INV-1.

4 At lines 16 and 17 under 2017/18
5 forecast budget. Do you see the lev -- the level of
6 Canadian and US equity gains assumed reflected
7 turnover of the portfolio to meet rebalancing needs,
8 so that would just be the line itself there; 16 and
9 17?

10 MR. LUKE JOHNSTON: Sorry, I'm not
11 sure what you're asking. The portfolio assumes, I
12 believe, a 20 percent -- yeah, a 20 percent regular
13 turnover and then if there's any rebalancing it would
14 be higher in the -- in that year -- or -- or it would
15 add to the change in that year.

16 MS. KATHLEEN MCCANDLESS: And you'd
17 only be selling when you got above the maximum?

18 MR. LUKE JOHNSTON: Above the maximum
19 for rebalancing purposes, and along with any other
20 regular turnover of the portfolio.

21 MS. KATHLEEN MCCANDLESS: Thank you.
22 Now, I'm going to ask some questions about interest
23 rate risk.

24 Now, the Corporation forecasts the
25 marketable bond yields based on the Government of

1 Canada 10 year forecast, plus the duration yield
2 spread?

3 MR. LUKE JOHNSTON: That's right.

4 MS. KATHLEEN MCCANDLESS: And that
5 corresponds to the duration of the marketable bond for
6 the quarter?

7 MR. LUKE JOHNSTON: Yes -- yes, that's
8 right. Different durations would have historically
9 different spreads.

10 MS. KATHLEEN MCCANDLESS: Diana, can
11 we please go to PUP-MPI-1-70. And the Corporation was
12 asked to file a modified SIRF?

13 MR. LUKE JOHNSTON: That's right, yes.

14 MS. KATHLEEN MCCANDLESS: And at page
15 2 of the Information Request response at Figure 1, we
16 have the modified SIRF there.

17 So on the top line on the left, the
18 modified SIRF, so that would be the third line in from
19 the left was forecasting Government of Canada interest
20 rates to increase from 1.82 percent at the end of
21 February 2017.

22 MR. LUKE JOHNSTON: Yes.

23 MS. KATHLEEN MCCANDLESS: And then
24 through to 1.9 percent at the end of August 2017?

25 MR. LUKE JOHNSTON: Yes.

1 MS. KATHLEEN MCCANDLESS: And as we
2 know, MPI is suggesting it use a SIRF rather -- not
3 use the SIRF but rather not use the naive.

4 MR. LUKE JOHNSTON: That's correct.

5 MS. KATHLEEN MCCANDLESS: And at last
6 year's GRA, MPI was proposing a 50-50?

7 MR. LUKE JOHNSTON: That's right.

8 MS. KATHLEEN MCCANDLESS: And so 50-50
9 is the naive and the SIRF at that ratio?

10 MR. LUKE JOHNSTON: Yes.

11 MS. KATHLEEN MCCANDLESS: And what's
12 the reason that MPI is not proposing the use of the
13 50-50 at this year's GRA?

14 MR. LUKE JOHNSTON: So, we have gone
15 on this journey of interest rates for a while now. If
16 we -- maybe I'll bring up the material but the
17 evidence that we have shows that the naive forecast
18 performs the best relative to the SIRF, which hasn't
19 really performed at all. I have no evidence to
20 support the SIRF.

21 The 50-50 last year was seen as a way
22 to recognize that we're at very low interest rates;
23 that they likely will increase at some point in the
24 future. We don't know when, but we think they will,
25 and 50-50 was admittedly somewhat arbitrary, right,

1 you're picking -- you have to pick something. We did
2 look at the future's curve. And it was somewhat
3 consistent with the 50-50 as well.

4 This year -- sorry, before I go there,
5 we basically had another year where the forecast
6 didn't turn out adding to, I think, the evidence that
7 the -- the naive forecast is a more reasonable
8 approach for rate setting, especially. Recognizing,
9 of course, that the SIRF or some form of it has been
10 ordered at these hearings for several years.

11 The conversion to AAP rate setting,
12 which significantly reduces the effect of the interest
13 rate choice and the compliance filing, essentially,
14 bringing the -- the rate calculation to be three (3)
15 months before they're implemented. We're seeing as
16 further support to use a naive-type forecast.

17 You -- you're -- you're getting very
18 close to implementing the actual interest rate at the
19 time of issuance which, from our perspective is the
20 best you can really get. To get as close as you can
21 get to the -- the policy year, and significantly
22 reduces the risk that MPI has which I think is
23 apparent to everybody after the last three (3) years
24 where we lost about \$170 million from non-materially -
25 - materializing interest rates.

1 MS. KATHLEEN MCCANDLESS: Thank You.

2 Diana, I'm going to ask you to please go to PUB-MPI-2-
3 40.

4 And here at (a), MPI was asked to
5 refresh the response to PUB-1-70, using the most
6 current available bank and global insight, interest
7 rate forecasts. And so Figure 1 on the following page
8 includes those numbers. We can. That's perfect.
9 Thank you.

10 So at the end of 2017, three (3) lines
11 in from the left-hand side of the table. You'll see
12 the interest rates for -- for the modified SIRF was
13 forecast to be 2.19 percent. So, Q1 for 2018.

14 MR. LUKE JOHNSTON: Yes.

15 MS. KATHLEEN MCCANDLESS: And the
16 naive would be 2.06 percent.

17 MR. LUKE JOHNSTON: That's right.

18 MS. KATHLEEN MCCANDLESS: At the end
19 of Q4 for 2018, the modified SIRF would be 2.58
20 percent.

21 MR. LUKE JOHNSTON: Correct.

22 MS. KATHLEEN MCCANDLESS: So according
23 to my math that would be an increase of 39 basis
24 points from Q1 in 2018?

25 MR. LUKE JOHNSTON: How -- how much

1 did you say? Sorry.

2 MS. KATHLEEN MCCANDLESS: Thirty-nine
3 (39) basis points.

4 MR. LUKE JOHNSTON: Okay, I'll accept
5 that, yeah.

6 MS. KATHLEEN MCCANDLESS: At the end
7 of 2019, it would be -- so Q4 for 2019, 3.04 percent.

8 MR. LUKE JOHNSTON: That's right.

9 MS. KATHLEEN MCCANDLESS: And so
10 that'd be a further increase of 46 basis points; yes?

11 MR. LUKE JOHNSTON: Correct.

12 MS. KATHLEEN MCCANDLESS: Now the
13 changes in the valuation of the marketable bond
14 investments and the claims liabilities throw -- flow
15 through net income; yes?

16 MR. LUKE JOHNSTON: Change -- can you
17 repeat that? Just to be --

18 MS. KATHLEEN MCCANDLESS: Changes in
19 the valuation of the market bond -- marketable bonds
20 and the claims liabilities would flow through net
21 income.

22 MR. LUKE JOHNSTON: Yes. The -- as
23 that interest rate increases the -- the both the value
24 of the bonds and the liabilities will be reassessed
25 every -- every quarter in the model.

1 MS. KATHLEEN MCCANDLESS: And both
2 valuations would be sensitive then to changes in
3 interest rates.

4 MR. LUKE JOHNSTON: Correct.

5 MS. KATHLEEN MCCANDLESS: So in an int
6 -- increasing interest rate environment then, interest
7 rate changes would cause MPI to realize losses on its
8 bond value -- portfolio valuation.

9 MR. LUKE JOHNSTON: There would be --
10 yeah, there would be declines in the market value of
11 the bonds. Similar to what you -- we saw earlier
12 today on the Pro Formas.

13 MS. KATHLEEN MCCANDLESS: But that
14 would be an offset by a greater reduction in the
15 forecast claims liability.

16 MR. LUKE JOHNSTON: That's the
17 expectation because there are slightly more claims
18 liabilities. And because of how investment income is
19 allocated 85 percent.

20 MS. KATHLEEN MCCANDLESS: So all other
21 things being equal then, it would have a positive
22 impact on operating results.

23 MR. LUKE JOHNSTON: That's correct.

24 MS. KATHLEEN MCCANDLESS: The base
25 forecast used in the DCAT does not reflect any of this

1 additional income that might be realized if interest
2 rate forecast inc -- or interest rates increase, as
3 forecast.

4 MR. LUKE JOHNSTON: That's true and
5 the main reason being that we don't think it's a best
6 estimate. So I don't think we have any shortage of
7 data at this point to show that the SIRF hasn't
8 performed all. And the so it's not -- we're not using
9 as a best estimate in the DCAT.

10 MS. KATHLEEN MCCANDLESS: Thank you.
11 At this point, given the recent experience in the
12 change in interest rates, is it -- does it remain a
13 realistic assumption that interest rates are going to
14 remain constant.

15 MR. LUKE JOHNSTON: Truthfully, I
16 don't know the answer to the question. I know that
17 there's been a couple increases lately, but we've had
18 that occur in the past. The -- yeah -- we're
19 suggesting that I think from an actuarial perspective
20 in terms of making best estimate forecasts. There is
21 a point where you have to just submit that you don't
22 know.

23 And on this interest rate forecast it's
24 pretty clear that even the smartest people at this job
25 don't know because they don't seem to get it right,

1 but we do have evidence that a naive forecast performs
2 well.

3 And in terms of the rates we're asking
4 for in this application, we're doing our best to give
5 the Board the best interest rate that we can use for
6 rate setting for this year's 2018/'19 rates. And of
7 course, we'll update that again, for 2019. If it --
8 if it goes up 100 basis points, but for this year's
9 rates, which is what we're -- we're here for we're
10 just trying to close that gap because we really -- we
11 really don't know. I think we're fooling ourselves if
12 we think the SIRF knows because it -- it -- I've never
13 seen it be right over the long term.

14 MS. KATHLEEN MCCANDLESS: Diana, can
15 you please pull up PUB-MPI-1-40.

16 Now on the second page of this IR
17 response MPI was asked to provide a comparison of
18 MPI's investment returns with other funds in Manitoba.
19 And so Figure 1 before you is the average asset class
20 exposures from 2011 through to 2016 for each of MPI;
21 the civil service superannuation Board, teachers
22 retirement investment fund and the Worker's
23 Compensation Board.

24 MR. LUKE JOHNSTON: Yes.

25 MS. KATHLEEN MCCANDLESS: And if we

1 look to the five-year performance of MPI, as
2 contrasted with each of the other three (3) comparator
3 groups. We have MPI underperforming at 6.8 percent as
4 compared to 9.5 percent for CS -- CSSB, 9.9 percent
5 for TRAF and 8.9 percent for WCB; yes?

6 MR. LUKE JOHNSTON: That's correct.
7 And in the question I believe it explains that, that's
8 mainly due to composition. MPI intentionally has a
9 very high composition of fixed income assets for its
10 asset liability matching strategy. So this is looking
11 purely on the asset return side. We have other
12 reasons to do asset liability matching from a risk
13 mitigation perspective, so.

14 MS. KATHLEEN MCCANDLESS: So, the --
15 the reason then would be the difference in the asset
16 mix from MPI vis-a-vis the other...

17 MR. LUKE JOHNSTON: Most of it is, I
18 believe explained in the -- by the asset mix in this
19 response, yes.

20 MS. KATHLEEN MCCANDLESS: And what is
21 MPI's position as to the value of looking to these
22 three other funds as a comparison of MPI's investment
23 returns.

24 MR. LUKE JOHNSTON: Once you adjust
25 for composition. Then we would say that it's -- it's

1 good to look at other funds to see our performance
2 relative to theirs. As long as we do a fair
3 comparison of some of -- in the right bucket, so to
4 speak, apples to apples, then it's good we would
5 agree.

6 MS. KATHLEEN MCCANDLESS: Thank you.
7 If we go to the next page in this IR response and
8 Figure 2.

9 So MPI was also asked for a return
10 comparison to SGI's, sisk -- Saskatchewan Government
11 Insurance.

12 MR. LUKE JOHNSTON: Yes.

13 MS. KATHLEEN MCCANDLESS: So, this is
14 what Figure 2 shows before you. And so if we look to
15 2015, SGI outperformed MPI with a return of 11.4
16 percent compared to MPI's return of 9.1 percent; yes?

17 MR. LUKE JOHNSTON: Correct.

18 MS. KATHLEEN MCCANDLESS: And 2016,
19 SGI, had a lower return than MPI of .9 percent
20 compared to MPI's 1.1 percent.

21 MR. LUKE JOHNSTON: Yes.

22 MS. KATHLEEN MCCANDLESS: And then,
23 lastly, for 2017, SGI did outperform MPI at 8.3
24 percent compared to MPI 6.2 percent.

25 MR. LUKE JOHNSTON: That's right.

1 MS. KATHLEEN MCCANDLESS: Has the
2 Corporation been able to evaluate the underlying
3 causes for the -- the difference in returns?

4 MR. LUKE JOHNSTON: I'm told this time
5 we haven't done that. The five -- your -- I don't --
6 I don't know off the top of my head if -- if the
7 performance is similar beyond five (5) years, but at
8 least on the five (5) years' time period, the
9 performance is similar. Our portfolios are -- are not
10 the same. SGI is a better comparator to MPI because
11 the liability pro -- Profile would be more similar to
12 -- to us than other property-casualty, but I don't
13 know the -- the reasons why.

14 MS. KATHLEEN MCCANDLESS: And the
15 information that was sourced by MPI for this
16 comparison, was that from the Saskatchewan auto fund
17 financial statements?

18 MR. LUKE JOHNSTON: We'll look into
19 that and get back to you rather than -- if that's
20 okay.

21 MS. KATHLEEN MCCANDLESS: Okay, so
22 just undertake to advise as to whether the information
23 in figure 2 was sourced from the Saskatchewan auto
24 fund financial statements.

25

1 --- UNDERTAKING NO. 3: To advise as to whether
2 the information in figure
3 2 was sourced from the
4 Saskatchewan auto fund
5 financial statements; if
6 so, to file the statements
7 and advise as to why March
8 31.

9
10 MR. LUKE JOHNSTON: Yeah. Rather than
11 speculate I'll -- I'll just get the answer. Yeah,
12 thanks.

13 (BRIEF PAUSE)

14
15 CONTINUED BY MS. KATHLEEN MCCANDLESS:

16 MS. KATHLEEN MCCANDLESS: And just to
17 add to that undertaking, if they -- if it was sourced
18 from the Saskatchewan auto fund financial statements,
19 can those financial statements be filed with the
20 Board.

21 MR. LUKE JOHNSTON: Yeah, that would
22 make sense.

23 MS. KATHLEEN MCCANDLESS: Thank you.
24 Just one (1) question. Figure 2 is a return
25 comparison for SGI to MPI for the period ending March

1 31st. Can you just explain with MPI's fiscal year
2 ending February 28, how that -- that works?

3 MR. LUKE JOHNSTON: We can do that as
4 part of the undertaking, if that's okay. What we can
5 add to this sort of, where they come from, file the
6 portion of the annual report and why March 31. All in
7 one -- can roll it up into one.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 Has the Corporation been able to obtain any
10 comparative information for ICBC?

11 MR. LUKE JOHNSTON: I'm told by my
12 back row that we have a request out for that
13 information, but we haven't heard back as of yet, so
14 we can follow-up on that and let you know, but as of
15 now, we don't have anything.

16 MS. KATHLEEN MCCANDLESS: Perhaps then
17 I could just have another undertaking to advise as to
18 the status of the request for financial information
19 from ICBC. And if obtained then and if able to do so,
20 file the financial information with the Board.

21

22 --- UNDERTAKING NO. 4: Advise as to the status of
23 the request for financial
24 information from ICBC.
25 And if obtained then and

1 if able to do so, file the
2 financial information with
3 the Board.

4

5 CONTINUED BY MS. KATHLEEN MCCANDLESS:

6 MR. LUKE JOHNSTON: Okay. Yes.

7 MS. KATHLEEN MCCANDLESS: Thank you.

8 Now Diana, could you please go to Appendix 8 of the
9 investment section of the filing.

10 And this table provides a comparison of
11 actual as compared to benchmark returns used by the
12 Corporation. So if we look to overall for 2016/'17.
13 So that would be for the benchmark end in February 28,
14 2017, on the right-hand side of the table.

15 At the top line, we see MPI total fund
16 there for the expected bench annual benchmark return,
17 was 6.6 percent; yes?

18 MR. LUKE JOHNSTON: Yes.

19 MS. KATHLEEN MCCANDLESS: And MPI's
20 annual return, ending February 28, 2017, was actual at
21 6.9 percent; yes.

22 MR. LUKE JOHNSTON: That's right.

23 MS. KATHLEEN MCCANDLESS: Now, if we
24 look down to small to mid cap equities. When compared
25 to benchmark what has the Corporation learned if

1 anything about its relative returns on those small to
2 mid cap equities when compared to benchmarks. It
3 appears to have underperformed.

4

5 (BRIEF PAUSE)

6

7 MR. LUKE JOHNSTON: Now, I'm not
8 hearing that we have a response to that particular
9 question. So, I'd suggest we take this one as an
10 undertaking as well, rather than speculate.

11 MS. KATHLEEN MCCANDLESS: So, that
12 would be to advise as to the reasons for the
13 underperformance of MPI's small to mid cap equities at
14 28.3 percent as compared to benchmark of 45.8 percent.

15 MR. STEVE SCARFONE: Well, with
16 respect to that, I think the witness said, Ms.
17 McCandless that we're not sure if we have an answer or
18 reason so we can -- the undertaking should be, I think
19 more properly phrased to be "we'll inquire to see if
20 there is a reason."

21 MS. KATHLEEN MCCANDLESS: That's fine.
22 Thank you.

23 MR. STEVE SCARFONE: Thank you.

24 MR. LUKE JOHNSTON: If -- not that I
25 like to add to undertakings, but it looks -- I'm

1 assuming the focus is on the Canadian equity small to
2 mid cap as the other -- the other asset categories are
3 relatively close to benchmark. If there are others
4 that you would like in the undertaking then we'll add
5 them, but I think that's your focus.

6 MS. KATHLEEN MCCANDLESS: No, just the
7 Canadian, thank you.

8

9 --- UNDERTAKING NO. 5: Inquire to see if there is
10 a reason for the
11 underperformance of MPI's
12 small to mid cap equities
13 at 28.3 percent as
14 compared to benchmark of
15 45.8 percent

16

17 CONTINUED BY MR. KATHLEEN MCCANDLESS:

18 MS. KATHLEEN MCCANDLESS: Now, Diana,
19 could you please go to PUB-MPI-1-44.

20 And the Corporation was asked at (a) to
21 explain the reasons behind poor returns on
22 infrastructure versus expect return -- expected return
23 benchmark for February 28, 2017. If you need to refer
24 back. We can go back to the previous table. But I'd
25 just like to refer you to the response at -- at (a).

1 So the -- impact was foreign currency
2 losses.

3 MR. LUKE JOHNSTON: I see that, yes.

4 MS. KATHLEEN MCCANDLESS: And that's
5 because of the strengthening Canadian dollar; yes?

6 MR. LUKE JOHNSTON: That's correct.

7 MS. KATHLEEN MCCANDLESS: Does MPI
8 have the opportunity through open-ended funds to
9 direct investments into Canadian infrastructure
10 projects to avoid any risk?

11 MR. LUKE JOHNSTON: So we do have
12 investments in Canada, but -- as part of a --a
13 diversified portfolio and infrastructure, we have in
14 multiple, different countries.

15 MS. KATHLEEN MCCANDLESS: Thank you.
16 I'm now going to move on to operating expenses.
17 Diana, could you please pull up from the book of
18 documents Tab 13.

19

20 (BRIEF PAUSE)

21

22 MS. KATHLEEN MCCANDLESS: And so this
23 is a summary of Basic expenses by category, and for
24 2015/'16 through to 2019/2020, broken down by
25 category, and then at the very bottom of the page,

1 under total, that's the -- the total expense there.
2 If we look to compensation, then we can just look at -
3 - at the totals, here.

4 So about the middle of the page, line
5 32, we see from 2016/'17 through to 2019/'20 that
6 there is an increase in compensation; yes?

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: And that and
9 does include a fact -- it factors in the targeted
10 reduction of one hundred and thirty-three (133) full-
11 time equivalent?

12 MR. PETER YIEN: Yes.

13 MS. KATHLEEN MCCANDLESS: So with that
14 reduction in full-time equivalents, can you explain
15 the basis for the increase in compensation through the
16 forecast period?

17 MR. PETER YIEN: Yeah. We tried
18 everything we could in terms of limiting the increase,
19 and you already talked about the full-time equivalent
20 reductions. But we're also tied to the existing
21 collective agreements in which there is the gross wage
22 increase, GWI, that's already included. That's not
23 something we can do.

24 So those elements are things that are
25 beyond our control that are contributing mainly for

1 that increase.

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 Now, when we scroll to the very bottom of the page,

4 just for the record, we show total Basic expenses.

5 Actual for 2016/'17 were \$213.5 million?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: And for the

8 forecast budget for 2017/'18, we have \$221.7 million?

9 MR. PETER YIEN: That's correct.

10 MS. KATHLEEN MCCANDLESS: Now, I'd

11 like to ask some questions about your presentation

12 yesterday, Mr. Yien.

13 MR. PETER YIEN: Yes.

14 MS. KATHLEEN MCCANDLESS: I'll just --

15 a couple. So Diana, could you please pull up MPI

16 Exhibit number 11, page 48. So, you spoke yesterday

17 about the actions to -- to contain expenses, reduce

18 expenses.

19 Now, with respect to the FTE counts,

20 are those expenses being managed at the corporate

21 level or the Basic level?

22 MR. PETER YIEN: It is managed at the

23 corporate level.

24 MS. KATHLEEN MCCANDLESS: Now the very

25 last bullet, the zero percent growth with no CPI built

1 into the forecast, that's consumer -- consumer price
2 index built into the forecast?

3 MR. PETER YIEN: Yeah. To the
4 extent we could -- and I need to clarify this.
5 There's certain elements that we can't control. As an
6 example, there's office supplies, we can't control the
7 CPI that goes with it, but that simply means we
8 reducing the need for consumption. And that's the
9 only way we could absorb it.

10 So I mentioned yesterday about the
11 zero-base budgeting. It is really challenging. Can
12 we do more with less? And then thereby we can absorb
13 the CPI increase.

14 MS. KATHLEEN MCCANDLESS: Are you able
15 just to generally advise as to what categories of
16 expenses would reflect no CPI and -- and those that
17 would require CPI in it?

18 MR. PETER YIEN: When you say
19 "generally," are you looking for me to go line by line
20 and --

21 MS. KATHLEEN MCCANDLESS: No.

22 MR. PETER YIEN: -- talk about that?
23 It's a rather difficult question, because each of them
24 have a different nature. Some of them have been due
25 to, if I could generalize it, some of them have been

1 due to a -- a higher level of attention to RFPs, where
2 we're actually looking at cost more closely and
3 looking at the benefits before we sign on contracts.

4 So you see, for example, in data
5 processing, that's another area that we've indicated
6 that we've reduced it by -- they really pay attention
7 on the costs. Other areas of just reduced use.
8 Again, going back to information technology, is there
9 a way that we can run multiple software on the same
10 computer? There's a technical word for that. It's
11 called virtualization. But that's another area where
12 we can reduce the number of computers, and hence
13 reduce the footprint, and reduce the size of the data
14 centre, and on, and on, and on. And when you start to
15 reduce that, that starts to mean that we have savings.

16 So I would make the general comment
17 that there's a lot of items that we have to purchase
18 that we have no control over, because they are truly
19 CPI driven.

20 But again, I go back to it's really
21 reducing the use of that -- building expenses is other
22 one, you know, reducing through -- reductions from
23 janitorial expenses. Those are through competitive
24 bids, and we are -- just call it a -- a little bit
25 more vigilant in terms of how we have our spendings

1 and make sure that -- that we -- we go through a more
2 rigorous process.

3 Other areas like postage, a little
4 harder to control. We are not as successful in
5 controlling that just because we -- we are required by
6 law to send out some of those things through
7 registered mail. So we -- we couldn't be as
8 aggressive as we are. But again, postage is something
9 out of our control. The number of pieces is -- is
10 something we could control, but actually, the -- the
11 rate in which the -- it costs to send a piece of
12 postage out we can't control. So we can only control
13 the volume to the extent we could do that.

14 I'm not sure if you kind of want more
15 in other areas like furniture and equipment. In some
16 of those places, we have decided to defer, so an exam
17 -- example of that would be deferring the rollout of
18 our computers, just using our computers a little
19 longer and not buying the computers as soon as we need
20 to. Does that -- does that help?

21 MS. KATHLEEN MCCANDLESS: Yes. Thank
22 you.

23 MR. PETER YIEN: Okay.

24 MS. KATHLEEN MCCANDLESS: Reducing the
25 FTE counts by 6.9 percent there at the top bullet, and

1 you mentioned that would be a corporate level. Are
2 any of those FTE reductions taking into account
3 Physical -- the Physical Damage Engineering Project?

4 MR. PETER YIEN: I -- I need to check
5 on that.

6 MS. KATHLEEN MCCANDLESS: Okay.

7

8 (BRIEF PAUSE)

9

10 MR. PETER YIEN: Yes, that does.

11 MS. KATHLEEN MCCANDLESS: Thank you.

12 And do you know how many FTEs?

13 MR. PETER YIEN: Thirty-two (32).

14 MS. KATHLEEN MCCANDLESS: Thirty-two
15 (32). Thank you.

16 The \$2.6 million stretch target, that's
17 the second bullet on page 48?

18 MR. PETER YIEN: Yes.

19 MS. KATHLEEN MCCANDLESS: Where did
20 the stretch target come from? Where that figure come
21 up from?

22 MR. PETER YIEN: Yeah. The -- this --
23 this was a -- a real stretch. The reason why we call
24 a stretch target is when we put it in as part of
25 regional budget, we really didn't know where we were

1 going to get it from. The goal was really just to
2 keep our budget flat. We knew it was a challenge.
3 The way we came at it was we had a certain -- some
4 number of ideas, and those ideas have gone through
5 what I call prioritization to ensure that it doesn't
6 affect customer service. It doesn't impact projects
7 that are ongoing, driving either an increase cost, or
8 perhaps delaying the cost of that project or
9 completion of that project.

10 So some of those ideas would include
11 closing of our service centres. And so we would -- we
12 would do that. And selected reductions in terms of
13 some of our -- I'd call it advertising. So the ones
14 that have a -- I would call it a more -- a less direct
15 correlation to road safety, we would have taken that
16 off the table.

17 MS. KATHLEEN MCCANDLESS: Thank you.
18 Diana, can you please pull up PUB-MPI-1-15, page 2.
19

20 (BRIEF PAUSE)

21
22 MS. KATHLEEN MCCANDLESS: And so this
23 figure is a ten (10) year summary of corporate
24 expenses by category, total expenses. At the
25 corporate level, if we go down to the very bottom of

1 the page, line 29, total operating expenses actual for
2 2016/'17 were \$279.1 million?

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: And they are
5 forecast to increase to \$293.5 million in 2017/'18?

6 MR. PETER YIEN: Yeah. That's
7 correct.

8 MS. KATHLEEN MCCANDLESS: And then
9 \$302.5 million for 2018/'19?

10 MR. PETER YIEN: Yes.

11 MS. KATHLEEN MCCANDLESS: Okay. And
12 if we look to total compensation for 2017/'18, total
13 compensation is forecast -- that's at line 9 -- to be
14 \$170.8 million?

15 MR. PETER YIEN: That's correct.

16 MS. KATHLEEN MCCANDLESS: And that's
17 up just about \$8 million from the 2016/'17 results?

18 MR. PETER YIEN: Correct.

19 MS. KATHLEEN MCCANDLESS: And then
20 forecast to grow by 2021/2022 to \$186 million; yes?

21 MR. PETER YIEN: Correct.

22 MS. KATHLEEN MCCANDLESS: And so the
23 increase in compensation would be mainly attributable,
24 again, to you mentioned before collective agreements
25 and that type of thing, or...?

1 MR. PETER YIEN: No. In this
2 particular case in 2016/'17, we had a change in
3 accounting policy. In the past years, internal labour
4 would not have been capitalized. In other words, we
5 collected that amount and amortize it over our future
6 years. We would have expensed it in the future.

7 So that one (1) time adjustment brought
8 back -- if you saw the number there, one thirty-three
9 nine-six-eight (133968) on line number 2, underneath
10 that, you'll see capitalized labour of prior years.
11 And that's a reduction -- one (1) time reduction. We
12 didn't retroactively adjust. We did it all at once,
13 so.

14 And then we separated that from the
15 actual current year, which means the 2016/'17 actual
16 line 4 of 1.8 million. That is the portion that
17 actually relates to one point eight (1.8).

18 So to make a comparable comparison, if
19 you will, you would have to add back line number 3,
20 which is four point five-three-zero (4.530). So then
21 that would take it to roughly 167 million for
22 comparison purposes.

23 MS. KATHLEEN MCCANDLESS: Thank you.
24 Now with respect to other expenses, so line 25, if we
25 look to 2017/'18 forecast, those are forecast to be

1 \$95.8 million for 2017/'18; yes?

2 MR. PETER YIEN: Yes.

3 MS. KATHLEEN MCCANDLESS: And then
4 \$96.3 million for 2018/'19?

5 MR. PETER YIEN: Yes.

6 MS. KATHLEEN MCCANDLESS: And if we go
7 to line 10, data processing, that looks to be the
8 largest component or largest proportion of other
9 expenses; yes?

10 MR. PETER YIEN: Yes.

11 MS. KATHLEEN MCCANDLESS: And data
12 processing, what does that encompass?

13 MR. PETER YIEN: Yeah. Just one (1)
14 second.

15

16 (BRIEF PAUSE)

17

18 MR. PETER YIEN: There's a number of
19 areas. Some of them relate to license fees. It would
20 also include external labour and then, of course, the
21 data centre fits into that as well.

22 MS. KATHLEEN MCCANDLESS: Thank you.
23 Now I'm going to take you to the allocation to Basic
24 of the expenses. So Diana, could you please pull up
25 PUB-MPI-2-14, page 4.

1

2

(BRIEF PAUSE)

3

4

MS. KATHLEEN MCCANDLESS: And if we
5 scroll to the bottom of the page, we have total
6 expenses for 2017/'18 forecast -- or sorry, 2018/'19,
7 \$230 million at line 28?

8

MR. PETER YIEN: Yes.

9

MS. KATHLEEN MCCANDLESS: Okay. And
10 on the previous table, but I won't take you back, we
11 looked at corporate expenses for 2018/'19. They were
12 302.5 million.

13

MR. PETER YIEN: Okay, I --

14

MS. KATHLEEN MCCANDLESS: I -- I can
15 take you back there if you -- if you'd like to. Sure.

16

MR. PETER YIEN: -- take me back
17 there? Yeah.

18

MS. KATHLEEN MCCANDLESS: Sure.
19 Diana, if you wouldn't mind flipping to --

20

MR. PETER YIEN: Yeah. Thanks.

21

MS. KATHLEEN MCCANDLESS: Okay. 2018/
22 19.

23

MR. PETER YIEN: Yes.

24

MS. KATHLEEN MCCANDLESS: Okay. Line
25 29. And so \$230 million on page 4 of 2-14, the

1 previous table. So that would be -- according to my
2 math, that's 76 percent of the total expenses at the
3 corporate level?

4 MR. PETER YIEN: Yes. That would be
5 approximately right.

6 MS. KATHLEEN MCCANDLESS: Thank you.
7 And the costs are allocated to Basic through MPI's
8 cost allocation methodology?

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: And I
11 understand there were no changes in the cost
12 allocation methodology that would have materially
13 changed the allocation of costs from corporate to
14 Basic over the last year?

15 MR. PETER YIEN: Yeah. We -- we have
16 not changed the cost allocation model that was, I
17 guess, prepared in 2009 by Del -- Deloitte. So -- so
18 no changes.

19 MS. KATHLEEN MCCANDLESS: Thank you.
20 Now, with respect to IT labour, MPI has decided to
21 capitalize the internal labour working on IT projects?

22 MR. PETER YIEN: Yes.

23 MS. KATHLEEN MCCANDLESS: And
24 previously, that was expensed annually?

25 MR. PETER YIEN: That's correct.

1 MS. KATHLEEN MCCANDLESS: So the
2 change was made to be more consistent with accounting
3 expenditures on capitalized expenses?

4 MR. PETER YIEN: That's correct.

5 MS. KATHLEEN MCCANDLESS: And, Diana,
6 can you please go to the previous page, page 3? And
7 so if we look to capitalized labour under 2018/'19 --

8 MR. PETER YIEN: Yes.

9 MS. KATHLEEN MCCANDLESS: -- at line 3
10 --

11 MR. PETER YIEN: Yes.

12 MS. KATHLEEN MCCANDLESS: -- we see
13 that for 2018/'19, capitalized labour was at neg --
14 negative \$1.7 million?

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: Okay. And
17 then forecast to be at negative eight hundred and
18 forty-six thousand (846,000) for 2019/'20?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: And then
21 there are no costs projected forward for 2020/'21 or
22 2021/'22 under line 3. Does MPI not anticipate having
23 any costs of that nature after 2019/'20 fiscal?

24 MR. PETER YIEN: I probably should
25 refer to a comment that I made yesterday about IT

1 strategy. The projects that -- the capital projects
2 that have already been initiated, essentially, that
3 meets the previous business strategy of continuing,
4 are expected to be wrapped up.

5 So until we have established a new
6 business strategy later on this fiscal year, we don't
7 anticipate any further capital expenditures, and
8 hence, utilization of any internal resources for those
9 projects.

10 MS. KATHLEEN MCCANDLESS: Thank you.
11 With respect to data processing fees, if we -- we look
12 to Basic data processing costs, so that would be back
13 to page 4. In 2017/'18, data processing is increasing
14 from 20.9 million as we discussed, and that's -- I
15 believe you said higher licensing fees would cause --

16 MR. PETER YIEN: Yes.

17 MS. KATHLEEN MCCANDLESS: -- the
18 increase?

19 MR. PETER YIEN: Yes. Also ongoing
20 and normal operations expense would increase as well.
21 So they would be due to things like various projects.
22 That includes finance re-engineering, high school
23 driver ed, and for loss and upgrade that we are
24 proceeding with right now, and also the information
25 security and strategies around that.

1 MS. KATHLEEN MCCANDLESS: Okay. Thank
2 you. At line 26, we see the amortization of deferred
3 development costs. And starting with 2017/'18
4 forecast budget, we see \$17.4 million. It increases
5 in 2018/'19 to \$21.3 million?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: And can you
8 explain the -- the amount of the increase in the
9 forecast?

10 MR. PETER YIEN: Sure. PDR is
11 expected to transition to normal operations in the
12 2019/'20, in the 2017 -- 2017 GRA. It -- it was
13 completed earlier than expected. So we expect 2.8
14 million expenses in the 2018 GRA, which is this
15 year's.

16 We also have distributed estimating
17 which translates into roughly 1 million in going to
18 normal ops from ongoing. And we also have a non-Basic
19 project just under about -- just approximately eight
20 hundred and thirty thousand dollars (\$830,000), again,
21 going from -- going into normal operating expenses.

22 And then finally, technology risk
23 management is driving -- is being amortized earlier
24 than expected, meaning it's completed. Therefore,
25 it's six hundred and sixty eight -- six hundred and

1 eighty thousand dollars (\$680,000).

2 MS. KATHLEEN MCCANDLESS: Thank you.
3 So the capitalized IT projects when they're complete,
4 then they're amortized over a five year period?

5 MR. PETER YIEN: That -- that's
6 correct. They generally amortize the year following.
7 Yeah.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 Diana, can you please pull up PUB-MPI-1-30.

10

11 (BRIEF PAUSE)

12

13 MS. KATHLEEN MCCANDLESS: And in this
14 IR, MPI was asked for a schedule showing the total
15 cost for IT projects. So at Appendix 1, if we just
16 scroll to the top, please, Diana.

17 So Appendix 1 lists thirty-four (34)
18 projects in total. Sorry, I'm going to ask you to
19 scroll down again. That's thirty-four (34) projects
20 in total; yes?

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: Okay. And
23 then the following page --

24 MR. PETER YIEN: Actually, sorry,
25 thirty-three (33), to be precise, but yeah.

1 MS. KATHLEEN MCCANDLESS: Yes. You're
2 right, thirty-three (33).

3 MR. PETER YIEN: Okay.

4 MS. KATHLEEN MCCANDLESS: Next page,
5 Appendix 2 lists thirty-seven (37) --

6 MR. PETER YIEN: Correct.

7 MS. KATHLEEN MCCANDLESS: -- projects.

8 MR. PETER YIEN: Yeah. Actually,
9 yeah. That's correct. Insertions have worked as a
10 bundle, but essentially there's pieces in there. So I
11 would call thirty-six (36) plus. Yeah.

12 MS. KATHLEEN MCCANDLESS: Okay. If we
13 just go to the first page of the IR. Sorry, the --
14 the actual question.

15

16 (BRIEF PAUSE)

17

18 MS. KATHLEEN MCCANDLESS: Okay. All
19 right. Sorry about that, Diana. I don't -- I don't
20 actually need that now.

21 My question is, Appendix 1, would that
22 be a -- a listing of all current IT projects underway?

23 MR. PETER YIEN: That's correct.

24 MS. KATHLEEN MCCANDLESS: And so that
25 is thirty-three (33)?

1 MR. PETER YIEN: Yes.

2 MS. KATHLEEN MCCANDLESS: So Appendix
3 1 is the -- is the spending, and then Appendix 2 is
4 the amortization; yes?

5 MR. PETER YIEN: Sorry, which
6 appendix?

7 MS. KATHLEEN MCCANDLESS: The next
8 page, Appendix 2.

9 MR. PETER YIEN: Please show me that
10 briefly.

11 MS. KATHLEEN MCCANDLESS: M-hm. Yeah.

12 MR. PETER YIEN: Yes. That's correct.

13 MS. KATHLEEN MCCANDLESS: Thank you.
14 Sorry to make you jump around, Diana. Can you please
15 go back to Appendix 1.

16 So we see from the bottom of the page,
17 starting in...

18

19 (BRIEF PAUSE)

20

21 MS. KATHLEEN MCCANDLESS: You have
22 total divert -- deferred development costs for the
23 thirty-three (33) projects of \$205 million.

24 MR. PETER YIEN: Sorry, can you repeat
25 that again?

1 MS. KATHLEEN MCCANDLESS: Line 35 --

2 MR. PETER YIEN: Yes.

3 MS. KATHLEEN MCCANDLESS: -- there's
4 total deferred development costs for these projects of
5 \$205 million?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: And then if
8 we go to Appendix 2, we see that with respect to PDR -
9 - so lines 1 -- sorry, physical damage re-engineering,
10 at lines 11 to 13.

11 MR. PETER YIEN: Yeah.

12 MS. KATHLEEN MCCANDLESS: Does that --
13 that would show that MPI's amortizing IT optimiz --
14 optimization projects, but also some of the projects
15 related to physical damage re-engineering; yes?

16 MR. PETER YIEN: That's correct.

17 MS. KATHLEEN MCCANDLESS: And so some
18 of these physical damage re-engineering projects would
19 be complete?

20 MR. PETER YIEN: Yes.

21 MS. KATHLEEN MCCANDLESS: And are they
22 currently providing some utilities to -- to MPI?

23 MR. PETER YIEN: Yes.

24 MS. KATHLEEN MCCANDLESS: If we look
25 to lines 24 through to 34 on Appendix 2, there is an

1 increase in amortization.

2 MR. PETER YIEN: When you say -- can
3 you clarify that question? There's an increase.

4 MS. KATHLEEN MCCANDLESS: It looks as
5 though from the forecast budget period from 2017/'18
6 through to the end of the forecast, there generally
7 would be an increase.

8 MR. PETER YIEN: Yes. It -- there's
9 an increase, and it steadies up, and drops again.
10 Yes.

11 MS. KATHLEEN MCCANDLESS: And that
12 would relate generally -- generally to physical damage
13 re-engineering projects along with others that will
14 have been completed in those years; yes?

15 MR. PETER YIEN: That's -- that's
16 correct. But yeah, the physical damage would be a
17 significant part of that.

18 MS. KATHLEEN MCCANDLESS: Thank you.
19 Now with respect -- I do have some questions with
20 respect to staffing levels. Mr. Chair, it's just ten
21 (10) after 2:00 now. I can keep going or we can take
22 a break.

23 THE CHAIRPERSON: How long will it
24 take you to go through staffing levels?

25 MS. KATHLEEN MCCANDLESS: It could be

1 half an hour or more.

2 THE CHAIRPERSON: Okay. Let's take a
3 break for fifteen (15) minutes.

4 MS. KATHLEEN MCCANDLESS: Thank you.

5

6 --- Upon recessing at 2:11 p.m.

7 --- Upon resuming at 2:33 p.m.

8

9 THE CHAIRPERSON: Okay.

10 MS. KATHLEEN MCCANDLESS: Ready to
11 proceed, thank you.

12

13 CONTINUED BY MS. KATHLEEN MCCANDLESS:

14 MS. KATHLEEN MCCANDLESS: Diana, can
15 you please pull up expenses, page 29 from volume 2 of
16 the filing. I'm going to ask some questions about
17 staffing levels.

18 So this figure here EXP-19 represents
19 the variance in salaries between this year's forecast
20 and last year's forecast.

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: And that's
23 at the corporate level.

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: And so with

1 respect to the 2017 GRA forecast for 2016/17, we see
2 that in the 2017 GRA forecast salaries were forecast
3 at \$130.2 million?

4 MR. PETER YIEN: Yes.

5 MS. KATHLEEN MCCANDLESS: And then the
6 2016/17 actual for the 2018 GRA, was \$132.1 million?

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: And so that
9 shows an increase of \$1.96 million from last year?

10 MR. PETER YIEN: Yes.

11 MS. KATHLEEN MCCANDLESS: And then as
12 we look to the forecast for 2018 GRA on the left-hand
13 side of the table going forward, we see relative to
14 last year's forecast a decrease?

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: Now the
17 increase if we -- just scroll down the page to the
18 narrative portion of the explanation of the table.
19 The 2017/16 increase was mainly due to greater than
20 expected salaries?

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: And that was
23 the timing of the FTE count reductions?

24 MR. PETER YIEN: That's right, we
25 didn't get it earlier enough.

1 MS. KATHLEEN MCCANDLESS: Okay. Thank
2 you. Now, appendix 8 of the expenses portion of the
3 filing. Please, Diana. And if we scroll to the
4 bottom of this -- this table here, we see the
5 variance. It's a comparison of the actual 2016/17
6 FTEs as compared to the 2017 GRA budget.

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: And looking
9 to the very bottom right-hand side of the screen under
10 Total, we see that there is a variance from last year
11 to 28.6 FTEs under the G -- 2017 GRA budget?

12 MR. PETER YIEN: Correct.

13 MS. KATHLEEN MCCANDLESS: And when was
14 the budget established?

15 MR. PETER YIEN: I'll come back to
16 you.

17

18 (BRIEF PAUSE)

19

20 MR. PETER YIEN: The budget cycle is
21 that we complete the budget in October.

22 MS. KATHLEEN MCCANDLESS: Thank you.
23 Diana, can you please go to page 24 of the expenses
24 section of the filing, that's figure EXP-14.

25 And so this is the comparison of actual

1 to budget staffing levels for normal operations from
2 2012/13 through to 2021/22?

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: And this
5 does reflect the targeted reduction of 133 FTE
6 positions?

7 MR. PETER YIEN: It does, but it also
8 includes other improvement initiatives that also
9 contributes to a further reduction.

10 MS. KATHLEEN MCCANDLESS: Okay. So
11 just for clarification purposes, if we look to the
12 2016/17 budget level of 1927.5 FTEs there.

13 MR. PETER YIEN: Yes.

14 MS. KATHLEEN MCCANDLESS: At line 5.

15 MR. PETER YIEN: Yes.

16 MS. KATHLEEN MCCANDLESS: And then the
17 difference between that and say, at 2019/20 of 1794.5
18 FTEs, that would be a difference of 133 FTEs; yes?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: Now, the --
21 the under variance that we saw reflected on the first
22 table and is also reflected here of 28.6 FTEs for
23 2017/18, that relates to the vacancy allowance?

24 MR. PETER YIEN: Can you repeat that
25 question?

1 MS. KATHLEEN MCCANDLESS: The
2 variance, the -- the reduction of 28.6 FTEs for --
3 sorry at line 5.

4 MR. PETER YIEN: Yes.

5 MS. KATHLEEN MCCANDLESS: Does that
6 relate to the vacancy allowance?

7 MR. PETER YIEN: Let me get back to
8 you.

9

10 (BRIEF PAUSE)

11

12 MR. PETER YIEN: Yes.

13 MS. KATHLEEN MCCANDLESS: Thank you.
14 Now, in last year's Order the Board had ordered that
15 MPI in this year's GRA prepare the staffing budget
16 based on a zero-based budgeting approach.

17 Are you familiar with that?

18 MR. PETER YIEN: I am.

19 MS. KATHLEEN MCCANDLESS: Now, Diana,
20 can you please go to PUP-MPI-1-21. Now, in the
21 question MPI was asked to provide a reconciliation of
22 the zero-based budget for FTEs showing the opening
23 zero-based actual FTEs, the vacancy allowance
24 adjustment and ending results FTE forecasts for all
25 years.

1 And if we just go down to the response.
2 So what MPI has indicated here is for the budgeting
3 process relating to 2017/18 and forecasted period.
4 MPI started the FTE budget process with the current
5 FTE complement and then from that point management and
6 executive worked to determine the required FTE
7 complement to ensure effective service delivery while
8 reflecting MPI's commitment to cost containment.

9 So if you just scroll down a bit. Then
10 there's a discussion of the reduction of FTEs and
11 then, finally, the last paragraph says that the -- the
12 annual vacancy allowance was included in the
13 consideration as there was no reconciliation to
14 provide as the actual FT -- FTEs and the forecasted
15 FTEs and vacancy allowance were all disclosed in the
16 rate application.

17 MR. PETER YIEN: M-hm.

18 MS. KATHLEEN MCCANDLESS: So the
19 effect of that -- so M -- MPI is still using the
20 vacancy allowance?

21 MR. PETER YIEN: No. If I can just
22 take a moment and explain what we originally did and
23 what we are doing now, I think it might be helpful.

24 The vacancy allowance is, essentially,
25 a bucket of money that we set aside for money that we

1 don't expect to incur. So what I mean by that is when
2 we budget for the full-time equivalent positions in an
3 organization the size of ours, let's call it just
4 under 2000 people, we know that a number of people
5 will leave the organization. And it will take time
6 for us to find someone else to replace that position.

7 During that time we're not paying out
8 salaries. So that's the money that we need to think
9 about and plan that an organization of the size that
10 we would not pay out the original plan that we
11 initially had for salaries. That's more difficult to
12 manage if we don't actually able -- when we plan for
13 that, we plan at a corporate level. It's difficult to
14 -- for us to look at it and individually by department
15 and say, well, what is that?

16 The difference this year is we're
17 pushing it down. So effectively what we're saying is,
18 instead of using a vacancy allowance, what we're
19 going to do is we're going to do the net number which
20 means, plan on that yourself so that you know by area,
21 roughly, how many people are not going to be around
22 while you are actually searching for a replacement so,
23 therefore, there won't be that vacancy allowance for
24 this year.

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 Diana, can you please pull up PUB-MPI-1-23. And so in
2 this table, MPI was asked to provide a -- an update.
3 And we can just -- to corporate compensation and
4 payroll costs. If we go to figure 1 on page 2. Thank
5 you.

6 So this is corporate total
7 compensation/payroll costs from 2012/2013 through to
8 2019/20.

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: Now if we
11 look to 2016/17, so that's Line 6 on the table, the
12 total payroll costs used in this analysis are \$167.2
13 million; yes?

14 MR. PETER YIEN: Yes.

15 MS. KATHLEEN MCCANDLESS: And then
16 moving along to the right under Average Actual
17 Forecast FTE, that represents 1898.9 corporate normal
18 FTEs?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: And so the
21 gross salaries for 2016/17 actual would relate to this
22 -- the staffing FTE count?

23 MR. PETER YIEN: Yes.

24 MS. KATHLEEN MCCANDLESS: And so that
25 represents payroll for your 1,898 normal FTEs; yes?

1 MR. PETER YIEN: That would be
2 correct.

3 MS. KATHLEEN MCCANDLESS: And that
4 includes all payroll, including overtime and benefits?

5 MR. PETER YIEN: Let me check on that.
6 I believe it does.

7

8 (BRIEF PAUSE)

9

10 MR. PETER YIEN: Yes, it does.

11 MS. KATHLEEN MCCANDLESS: Thank you.
12 Diana, can we please go to page 26 of the expenses
13 section of the filing, figure EXP-15.

14 Now, this is the corporate salary
15 analysis for normal operations and this only looks at
16 the gross salary line and excludes benefits and
17 overtime?

18 MR. PETER YIEN: Yes.

19 MS. KATHLEEN MCCANDLESS: And so would
20 this relate also to the same for -- for 2016/17,
21 relate to the same 1898 normal FTEs?

22 MR. PETER YIEN: I'm sorry, can you
23 repeat that question?

24 MS. KATHLEEN MCCANDLESS: This table
25 here would also relate to the 1,898 FTEs for 2016/17?

1 MR. PETER YIEN: Let me check on that.

2

3 (BRIEF PAUSE)

4

5 MR. PETER YIEN: Yep, it does. I --
6 it's just that I've missed a corporate of 4.12. But
7 yes, it's the same corporate schedule.

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 You had mentioned that the Corporation is no longer
10 using a vacancy allowance, but if we look to 2018
11 forecast budget underline three (3) vacancy allowance,
12 there is a vacancy allowance of \$6.82 million there;
13 yes?

14 MR. PETER YIEN: Yeah. I need to
15 clarify that in terms of operationally we are showing
16 the net to our employees and leaders when they budget.
17 So we're still notionally using it but in terms of
18 actually operationalizing it, we're not. We still
19 have to calculate it at a corporate level.

20 MS. KATHLEEN MCCANDLESS: So it
21 factors into a budgeting exercise?

22 MR. PETER YIEN: Yes, it does factor
23 in our budget -- maybe effectively the way I would
24 describe it is, at a corporate level we still need to
25 plan for it which shows as the number that you see

1 right there 2 -- 6.8 million. But our folks are
2 saying 1. -- 133 million and they need to divide that
3 up within the Corporation so that the budgeting is now
4 pushed down for accountability.

5 MS. KATHLEEN MCCANDLESS: So there'd
6 be no FTEs actually associated with that dollar amount
7 there, the 6.82 million?

8 MR. PETER YIEN: Well, it's a notional
9 amount. One could calculate it as a guess, as I said
10 earlier. We don't know exactly at the beginning of
11 the year who is actually going to be vacant, but I
12 will say that's a more challenging number as we move
13 forward for sure, and we've -- we've looked at it.

14 With staff reductions, effectively,
15 we're saying we do more with fewer people and the
16 expectations that should a vacancy arise, we would
17 have to fill that position quicker, which means that
18 that bucket of money that we were planning on earlier
19 on for these vacancies will last shorter. The number
20 we do expect it to -- to go down.

21 MS. KATHLEEN MCCANDLESS: Are you able
22 to provide sort of an estimate of the number of FTEs
23 in this exercise that would correspond to a vacancy
24 allowance of 6.82 million?

25 MR. PETER YIEN: Yeah, one (1) minute.

1 (BRIEF PAUSE)

2

3 MR. PETER YIEN: Again, this is an
4 approximate. If we use roughly 70 K per -- for each
5 FTE it works out to approximately 90 people.

6 MS. KATHLEEN MCCANDLESS: Thank you.
7 Diana, can we please go to PUB-MPI-1-23, page 2. This
8 is a table we were looking at earlier.

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: So MPI used
11 the -- the actual staffing level for 2016/17 at Line 6
12 for establishing the 2017/18 budget as a starting
13 point?

14 MR. PETER YIEN: Yes.

15 MS. KATHLEEN MCCANDLESS: And then --
16 sorry to jump back, Diana, please to page 26, that we
17 were just looking at.

18 Actually, you know what, you can go
19 back, my mistake, to the previous page. So at the end
20 of 2016/17, MPI had, as we discussed, the 1,898.9
21 FTEs, and then if we go to 2017/18, MPI is forecasting
22 then staff levels to grow to 1,911 for the current
23 year?

24 MR. PETER YIEN: That's correct.

25 MS. KATHLEEN MCCANDLESS: Now, Diana,

1 please go to PUB-MPI-1-26, to the first page.

2 Here MPI was asked to provide a
3 continuity schedule of the 2016/17 actual in (a) to
4 the 2017/18 forecast provided in expenses appendix.

5 Now, can you please go forward to
6 figure 1. Now, if we look to the middle of the table
7 we see in the zero-based budgeting adjustments, the
8 far right column under Total, there's a forecast of
9 12.2 FTE increases from 2016/17?

10 MR. PETER YIEN: That's correct.

11 MS. KATHLEEN MCCANDLESS: Now that --
12 the 12.2 positions increase that's an -- an increase
13 in 29 technical professional staff? You just need to
14 scroll through.

15 MR. PETER YIEN: That -- that's
16 correct.

17 MS. KATHLEEN MCCANDLESS: Okay. And
18 then that's offset by a reduction in management; yes?

19 MR. PETER YIEN: Yes.

20 MS. KATHLEEN MCCANDLESS: Okay. If we
21 go to the next page, under zero -- the zero-based
22 budgeting adjustments for technical professional,
23 there seems to be a reduction there of 5.3 FTEs?

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: Were those

1 staff re-assigned to normal operations?

2 MR. PETER YIEN: You mean the
3 reduction of the 4.3?

4 MS. KATHLEEN MCCANDLESS: The 5.3.

5 MR. PETER YIEN: Sorry, the 5.3? Let
6 me check on that.

7

8 (BRIEF PAUSE)

9

10 MR. PETER YIEN: So -- so they're
11 actual eliminations.

12 MS. KATHLEEN MCCANDLESS: They were
13 eliminations?

14 MR. PETER YIEN: They were.

15 MS. KATHLEEN MCCANDLESS: Okay. Now
16 on page 4 of this document we've got corporate
17 staffing levels and under the zero-based budgeting
18 adjustments, we see overall staffing levels for the
19 Corporation increased by 6.8 FTEs?

20 MR. PETER YIEN: Yes.

21 MS. KATHLEEN MCCANDLESS: Under Total.
22 Was this primarily a reclassification of existing
23 staff to different departments?

24 MR. PETER YIEN: No, they -- they
25 were reductions.

1 MS. KATHLEEN MCCANDLESS: If we scroll
2 to the bottom of the page under the 2017/18 total
3 budget, it looks as though there's been -- if you
4 compare it to zero-based budgeting adjustments,
5 there's been some reclassification or retitling of --
6 of areas -- of staffing?

7 So, for example, people in product in
8 2017/18 seems to be a new category of staff; yes?

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: And there's
11 no longer a category for human resources?

12 MR. PETER YIEN: Correct.

13 MS. KATHLEEN MCCANDLESS: And if we --
14 there is no longer a category for business development
15 and communications under the 2017/18 total budget;
16 yes?

17 MR. PETER YIEN: Can you repeat that?

18 MS. KATHLEEN MCCANDLESS: It looks as
19 though business development and communications under
20 the zero-based budgeting --

21 MR. PETER YIEN: Right.

22 MS. KATHLEEN MCCANDLESS: -- has been
23 eliminated under the 2017/18 total budget.

24 MR. PETER YIEN: It's been combined,
25 not eliminated, yes.

1 MS. KATHLEEN MCCANDLESS: Diana, can
2 we please go to CAC-MPI-2-24. So CAC asked the
3 Corporation to explain the reasons for changes in FTE
4 for human resources, business development and
5 communications and finance. And then at (b) to
6 itemize and explain changes in responsibility due to
7 FTE resource changes.

8 And if we scroll to the response
9 there's an explanation of re-organizational changes;
10 yes?

11 MR. PETER YIEN: Yes.

12 MS. KATHLEEN MCCANDLESS: So it looks
13 as though in amongst human resources, business
14 development and finance, now there have been additions
15 and deletions?

16 MR. PETER YIEN: Yes.

17 MS. KATHLEEN MCCANDLESS: And some of
18 those categories of employment have now been renamed,
19 as we discussed before?

20 MR. PETER YIEN: Yes.

21 MS. KATHLEEN MCCANDLESS: There are
22 major additions on this table to the human resources
23 division.

24 MR. PETER YIEN: Yes.

25 MS. KATHLEEN MCCANDLESS: As well as

1 additions and deletions to business development and
2 communications.

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: And then
5 deletions from finance; yes?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: Can you
8 explain the reason for the new focus on human
9 resources?

10 MR. PETER YIEN: I probably wouldn't
11 classify as a focus on human resources. Generally
12 speaking, there's been a reduction in staff, so I
13 would call it purely restructuring and realigning the
14 Corporation. It's just another way of saying, we
15 think it would operate more effectively under this
16 realignment.

17 MS. KATHLEEN MCCANDLESS: Okay. And
18 can you explain the reason for deleting these
19 categories under finance.

20 MR. PETER YIEN: Just a second.

21

22 (BRIEF PAUSE)

23

24 MR. PETER YIEN: I do know similar to
25 the response I had before, it was to realign the

1 structure based on the -- basically accomplishing our
2 corporate goals and it was felt that that realignment
3 would be better suited to that.

4 MS. KATHLEEN MCCANDLESS: When you say
5 "corporate goals," can you just sort of explain what
6 goals fit into this reorganization?

7 MR. PETER YIEN: Like specifically
8 you're talking about? For -- our corporate goals are
9 outlined as part of a -- in our financial statements.
10 I don't know if you have a copy of that. Just a
11 second.

12

13 (BRIEF PAUSE)

14

15 MR. STEVE SCARFONE: Ms. McCandless,
16 it appears that the response to your question would be
17 rather lengthy. If we could provide that to you by
18 way of undertaking.

19 MS. KATHLEEN MCCANDLESS: Sure. Thank
20 you, okay.

21 The undertaking would be to explain how
22 the staffing reorganization in figure 1 of CAC-MPI-2-
23 24 aligned with the Corporation's corporate goals.

24 MR. STEVE SCARFONE: Yes.

25

1 --- UNDERTAKING NUMBER 6: To explain how the staffing
2 reorganization in figure 1
3 of CAC-MPI-2-24 aligned
4 with the Corporation's
5 corporate goals.

6

7 CONTINUED BY MS. KATHLEEN MCCANDLESS:

8 MS. KATHLEEN MCCANDLESS: Thank you.
9 Diana, can you please pull up MPI Exhibit Number 11.

10 Under the first bullet with respect to
11 reducing FT -- FTE counts by 6.9 percent, there is a
12 15 percent reduction in management FTE to be achieved
13 by December 2017.

14 MR. PETER YIEN: Yes.

15 MS. KATHLEEN MCCANDLESS: Now, does
16 that mean that as of December 2017, that 15 percent of
17 management, employees at MPI will no longer be working
18 for the Corporation.

19 MR. PETER YIEN: Some of them. Not
20 all of them.

21 MS. KATHLEEN MCCANDLESS: So can you
22 explain how that 15 percent reduction then fits in.
23 Some of them are being reassigned into other
24 positions?

25 MR. PETER YIEN: Very minimal are.

1 Very minimal. Okay, hold on a sec. Yes, I do know
2 that there is a couple that has been reassigned to
3 non-management roles.

4 MS. KATHLEEN MCCANDLESS: Fifteen
5 percent, does the Corporation have a number of what
6 that 15 percent translates into?

7 MR. PETER YIEN: We do. Just one
8 second. We'll check a quick undertaking and we'll get
9 back to you.

10 MS. KATHLEEN MCCANDLESS: Perhaps if
11 we could have an undertaking then to advise as to the
12 number of FTEs that are to be reduced by December
13 2017. The number that are no longer -- would no
14 longer be employed by the Corporation. The number
15 that would be reclassified into different positions.

16 MR. PETER YIEN: Yeah.

17 MS. KATHLEEN MCCANDLESS: Thank you.

18 MR. PETER YIEN: Yes.

19

20 --- UNDERTAKING NO. 7: To advise as to the number
21 of FTEs that are to be
22 reduced by December 2017.
23 The number that would no
24 longer be employed by the
25 Corporation. The number

1 Page 20. So we see under the order from last year,
2 there's a summary of the progress made with respect to
3 moving IT consultants -- or moving IT staffing in-
4 house. And on line seven (7) on -- the Corporation
5 notes "the 15 possession -- positions were
6 successfully converted from external to internal".

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: And that was
9 four (4) higher than projected.

10 MR. PETER YIEN: Yes.

11 MS. KATHLEEN MCCANDLESS: And at the
12 bottom of the page we see a reference to the target of
13 twenty-seven (27) external positions and that -- that
14 still -- that remains the target for the Corporation;
15 yes?

16 MR. PETER YIEN: Yes.

17 MS. KATHLEEN MCCANDLESS: So, since
18 those fifteen (15) positions have -- were successfully
19 converted has further progress been made in that
20 regard?

21 MR. PETER YIEN: I need to check, but
22 I believe so because is an ongoing process. So we
23 have achieved five (5) for this year.

24 MS. KATHLEEN MCCANDLESS: So that's
25 five (5) in addition to the fifteen (15)?

1 MR. PETER YIEN: Yeah, and then seven
2 (7) more to go.

3 MS. KATHLEEN MCCANDLESS: Okay.
4 And if we scroll up to Page 19. Just to note at the
5 very bottom, that the transition of -- to those
6 twenty-seven (27) positions from external to internal
7 is expected to achieve at \$2.4 million in annual cost
8 savings by 1920.

9 MR. PETER YIEN: Correct.

10 MS. KATHLEEN MCCANDLESS: Now, can you
11 please go down to MPI Exhibit Number 5, and that's the
12 corrected IR response to PUB-MPI-1-31.

13 And in this IR, the Corporation was
14 asked for a budget and forecast for internal ITs so if
15 we go to the second page. We look to internal FTEs.
16 So, for 2015/'16 so at Figure 1, the Corporation had
17 223 internal FTEs.

18 MR. PETER YIEN: Yes.

19 MS. KATHLEEN MCCANDLESS: And that is
20 said to increase gradually over the period from
21 2015/'16 to 2019/'20. Sorry. To 2018/'19 to 253.2;
22 yes?

23 MR. PETER YIEN: Yes.

24 MS. KATHLEEN MCCANDLESS: And then if
25 we look to consultants. Oh, pardon me. I think we

1 may need to -- just scroll down for one second, Diana,
2 I want to make sure. Okay, never mind. Thank you.
3 So, at Line 2, consultants for that same period of
4 time, so 2015/'16 through 2017/'18 we see a reduction
5 of 114 consultants to 92 consultants.

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: And then on
8 to 81 in 2018, 19 in 80 and 2019, 20.

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: And then,
11 below that we see the associated cost movements for
12 both categories corresponding with those FTE changes;
13 yes?

14 MR. PETER YIEN: Yes.

15 MS. KATHLEEN MCCANDLESS: Now, Diana,
16 can you please go to PUB-MPI Exhibit -- sorry, 2-7.
17 That's Exhibit Number 6, that's the corrected IR
18 response.

19 And in this IR, MPI was asked for the
20 costs for internal and consultant IT staff. At Page
21 5, Figure 7. So here we see the average cost per FTE
22 for internal versus consultants.

23 MR. PETER YIEN: Yes.

24 MS. KATHLEEN MCCANDLESS: And that's
25 over a -- the period from 2011/2012 through to

1 2019/2020.

2 MR. PETER YIEN: Yes.

3 MS. KATHLEEN MCCANDLESS: And
4 obviously what's noted on here is a significant
5 difference in cost between internal FT -- internal IT
6 FTEs and consultants; yes?

7 MR. PETER YIEN: Correct.

8 MS. KATHLEEN MCCANDLESS: With
9 consultants being much more costly to the
10 organization.

11 MR. PETER YIEN: Yes.

12 MS. KATHLEEN MCCANDLESS: So with
13 respect to actual costs for consultants from
14 2012/2013, we see the costs being two hundred and
15 twenty-eight thousand (228,00) for consultants for
16 2012/2013.

17 MR. PETER YIEN: Yes.

18 MS. KATHLEEN MCCANDLESS: And 2016/'17
19 we've got costs of two hundred and twenty-four
20 thousand (224,000) per consultant. And then moving
21 through to 2019/'20, two hundred and thirty-three
22 thousand (233,000) per consultant; yes?

23 MR. PETER YIEN: Yes.

24 MS. KATHLEEN MCCANDLESS: Thank you.

25 Now moving on from staffing. I do have some questions

1 on benchmarking. And I understand the Corporation has
2 four (4) major benchmarking areas and we can put it up
3 on the screen, that's benchmarking section of the
4 filing, page 10.

5 So those benchmarking areas are
6 operational efficiency, IT service delivery
7 capability, serving Manitobans, and then community
8 impact?

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: And the
11 Corporation engages Ward group to provide benchmarking
12 services?

13 MR. PETER YIEN: That -- that's
14 correct.

15 MS. KATHLEEN MCCANDLESS: And that was
16 done, again, for this year's application?

17 MR. PETER YIEN: Yes.

18 MS. KATHLEEN MCCANDLESS: If we go to
19 page 12 of the benchmarking section, please, Diana.
20 Thank you. We see that at line 4 MPI is compared to
21 three (3) benchmark group, so, Canadian Personal Auto
22 Benchmark Group, ten (10) Canadian insurers, Canadian
23 Benchmark Group with ten (10) Canadian insurers and
24 the US Personal Auto Benchmark Group with nine (9) US
25 insurers?

1 MR. PETER YIEN: Yes.

2 MS. KATHLEEN MCCANDLESS: And then
3 scrolling down later in the page we have the metric
4 here, BM -- BMK-1. So, these are the corporate
5 benchmarking performance results?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: Now, first
8 I'd like to look at metric 4.1.1. So that is a total
9 gross expenses as a percentage of gross written
10 premium. If we look to the -- the right-hand side of
11 the table, and MPI for 2015/16, the percentage is
12 27.89 percent; yes?

13 MR. PETER YIEN: Yes.

14 MS. KATHLEEN MCCANDLESS: And so that
15 compares favourably to the Canadian Personal Auto
16 Group at 35.03 percent?

17 MR. PETER YIEN: Yes.

18 MS. KATHLEEN MCCANDLESS: And as well
19 to the other two (2) comparative groups, Canadian
20 Benchmark and US Personal Auto Group?

21 MR. PETER YIEN: Correct.

22 MS. KATHLEEN MCCANDLESS: Does the
23 Corporation know the composition of the various
24 benchmark groups, apart from just the numbers?

25 MR. PETER YIEN: When you say the

1 "composition of the group," you mean each of those
2 independent groups; like, who are the actual
3 insurance?

4 MS. KATHLEEN MCCANDLESS: Yes.

5 MR. PETER YIEN: Let me check.

6

7 (BRIEF PAUSE)

8

9 MR. PETER YIEN: Yes, we do.

10 MS. KATHLEEN MCCANDLESS: And are you
11 able to provide that information or is that
12 confidential?

13 MR. PETER YIEN: Yeah, it's part of
14 the benchmarking contact --

15 MS. KATHLEEN MCCANDLESS: It's
16 contained within --

17 MR. PETER YIEN: We're unable to
18 disclose.

19 MS. KATHLEEN MCCANDLESS: Okay. Thank
20 you. Now metric 4.1.2, total gross expense per policy
21 enforce.

22 MR. PETER YIEN: Yes.

23 MS. KATHLEEN MCCANDLESS: We see that
24 looking to MPI for 2015/16 the amount there is 280?

25 MR. PETER YIEN: Yes.

1 MS. KATHLEEN MCCANDLESS: And that
2 compares favourably against the benchmarks of 433 for
3 Canadian Personal Auto Group, 530 for Canadian
4 Benchmark Group and 433 for US Personal Auto Group;
5 yes?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: Now with
8 respect to figure 4.1.3, full-time equivalents per
9 \$100 million of gross written pre -- gross premium
10 written.

11 MR. PETER YIEN: Yes.

12 MS. KATHLEEN MCCANDLESS: We see that
13 MPI in this metric under 2015/16 does not compare
14 favourably with the benchmark groups. Would you
15 agree?

16 MR. PETER YIEN: Yes, I do.

17 MS. KATHLEEN MCCANDLESS: Okay. But
18 that generally we see the trend from 2011/2012 through
19 to 2015/16, that it is improving from MPI's perspect -
20 - perspective?

21 MR. PETER YIEN: That's correct.

22 MS. KATHLEEN MCCANDLESS: And I
23 believe that in the past MPI has said that it doesn't
24 compare favourably with the US and Canadian benchmarks
25 because of its end-to-end business model; would that

1 be accurate?

2 MR. PETER YIEN: I wasn't part of that
3 conversation, I just need to check.

4

5 (BRIEF PAUSE)

6

7 MR. PETER YIEN: Yeah, I can confirm
8 that's what we said in the past.

9 MS. KATHLEEN MCCANDLESS: Thank you.
10 Do you know if ICBC or SGI have a similar end-to-end
11 service delivery model?

12 MR. PETER YIEN: One second.

13

14 (BRIEF PAUSE)

15

16 MR. PETER YIEN: There are some
17 similarities, but we can't identify all the different
18 -- like the definitive differences for sure.

19 MS. KATHLEEN MCCANDLESS: Does MPI do
20 any comparison internally with -- SGI or Saskatchewan
21 Auto Fund?

22 MR. PETER YIEN: When you say
23 "internally," in -- in what aspects are you referring
24 to?

25 MS. KATHLEEN MCCANDLESS: Well, as --

1 as opposed to sourcing it to Ward Group, does MPI
2 perform any of its own internal analysis comparing its
3 benchmarks as against SGI or SAF?

4 MR. PETER YIEN: No, no, other than
5 kind of ad hoc what we talked about the bonds, for
6 example where, you know, if we identify a specific
7 need that's high risk we would -- we would do that,
8 but it would be completely ad hoc.

9 MS. KATHLEEN MCCANDLESS: Thank you.
10 Diana, can you please pull up PUB-MPI-1-47. And to
11 the question, the Corporation was asked to expand its
12 benchmarking tables for rating comparisons to add
13 other centres, so, Regina, Halifax, Charlottetown,
14 Quebec city and Hamilton, if available.

15 And if we go to the table at figure 1,
16 we see there are a number of different categories. So
17 for each comparator, 35-year-old couple, claims and
18 conviction free at -- at the top, then 40-year-old
19 couple and 16-year-old son, claims and conviction
20 free. And then further down, a 21-year-old male,
21 claims and conviction free.

22 So -- and yesterday, Mr. Yien, I recall
23 you mentioning the rates that you've unfortunately
24 have to -- had to pay in Ontario for your auto
25 insurance. Now, if we look to the com -- the other

1 comparator centres in Manitoba -- or, pardon me, in
2 Canada for each of these three (3) categories. If we
3 scroll to the top, for example.

4 Now on the 20 -- for 2017, we see
5 Winnipeg, \$1142. Toronto seems to be a bit of an
6 outlier in this group, you would agree?

7 MR. PETER YIEN: Yes.

8 MS. KATHLEEN MCCANDLESS: And with
9 respect to centres that -- that would be accurate
10 comparators for Winnipeg, would you agree that
11 Calgary, Regina, Halifax would be closer to Winnipeg
12 for comparison purposes?

13 MR. PETER YIEN: You could look at it
14 that way. It's possible.

15 MS. KATHLEEN MCCANDLESS: Thank you.
16 Now, Diana, could you please pull up PUB-MPI-1-49, and
17 page 3. Again, on benchmarking.

18 Now -- you just scroll to the bottom of
19 the page, please. Okay, thank you. So this table is
20 to give a detailed of benchmarks that are provided to
21 give trends in MPI's operations?

22 MR. PETER YIEN: Yes.

23 MS. KATHLEEN MCCANDLESS: Can you
24 please explain how MPI uses this type of a trend
25 analysis?

1 MR. PETER YIEN: You mean just gen --
2 generically what we do? You know, the trend analysis
3 is important for the Board. The Board does hold
4 management accountable in terms of what we do. In
5 areas where we might be slightly off the chart, let's
6 call it or not -- not within average or certainly
7 above average, we will get questioned on it.

8 I had mentioned earlier about the
9 business strategy. Data like this gets factored into
10 the business strategy. Areas that we need to speed up
11 or slow down in areas IT that we'll talk about later
12 as well also gets factored in this.

13 It is important to note that while some
14 of the areas like claims expenses may continue to go
15 up, we also need to remember that one (1) of our items
16 is to return 85 percent to every Manitoban.

17 So, you know, cost-cutting is -- is
18 great, but if we are cost-cutting at the detriment of
19 our claimants and our ratepayers that would not be so
20 great. So in some of those areas there are limits in
21 terms of where we can go, I know the Board is
22 cognizant of that as well.

23 Another thing to note in terms of just
24 having these benchmarks. I do know the Board is
25 cautious in not over-vectoring in one (1) area. You

1 asked a great question earlier, similarities and
2 dissimilarities. We have to look at our PIPP
3 program. The coverage we have, which is exemplary, if
4 -- if we kind of look at the whole life kind of
5 principle of that. So when we -- when we look at
6 these stats it's not looking at it in isolation of one
7 (1) stat. Over-focussing on one (1) stat can be very
8 dangerous.

9 And then finally, I guess the last
10 piece that I would say is we do a -- do ad hoc
11 discussions about everything from IT, as an example,
12 through our Gartner interactions. As example, we get
13 to interact with other insurance companies, and we
14 figure are there any of these stats that perhaps we
15 should be doing better, and others maybe we don't need
16 to do as well because we have fundamentally a
17 different IT structure, for example.

18 So just at a high level, we use these
19 sparingly when the benefit is there. And then the
20 final piece is the cost for us to get there. Other
21 organizations may already be there for other reasons
22 that we cannot get to, and we have to factor that in -
23 - in play as well.

24 MS. KATHLEEN MCCANDLESS: Thank you.
25 Diana, can you please go down to next page. So this

1 table reflects the ratio of operating expense incurred
2 for the number of policies outstanding?

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: And that
5 would be at line 21 specifically?

6 MR. PETER YIEN: Yes. Yes.

7 MS. KATHLEEN MCCANDLESS: So
8 historically if we look to the right-hand side of the
9 table and at line 21, the five (5) year historical is
10 that the expense -- operating expense per policy has
11 increased to 2.8 percent?

12 MR. PETER YIEN: Yes.

13 MS. KATHLEEN MCCANDLESS: And moving
14 back along line 21, it looks as though the operating
15 expense per policy peaked in 2016/'17 at sixty-six-
16 ninety (6690) -- at sixty-six-point-seventy-nine
17 (66.79)?

18 MR. PETER YIEN: Yes.

19 MS. KATHLEEN MCCANDLESS: And that was
20 that from 2012/'13, which is fifty-nine-point-seventy-
21 two (59.72); yes?

22 MR. PETER YIEN: Correct.

23 MS. KATHLEEN MCCANDLESS: And if we
24 look to the right-hand side of the table for the years
25 following 2016/'17, we see that the Corporation is now

1 forecasting that this will decline over the forecast
2 periods; yes?

3 MR. PETER YIEN: Yes.

4 MS. KATHLEEN MCCANDLESS: And so this
5 would be related to lowering operational costs?

6 MR. PETER YIEN: Yes.

7 MS. KATHLEEN MCCANDLESS: Operating
8 costs, pardon me.

9 MR. PETER YIEN: Yes.

10 MS. KATHLEEN MCCANDLESS: At line 23,
11 we see the claims expense?

12 MR. PETER YIEN: Yes.

13 MS. KATHLEEN MCCANDLESS: Okay. And
14 that the trend has historically been growing for the -
15 - the five (5) year historical at a rate of 4.7
16 percent?

17 MR. PETER YIEN: That's correct.

18 MS. KATHLEEN MCCANDLESS: And so that
19 started in 2012/2013, at four hundred and fifty point
20 thirty-six (450.36) per claim?

21 MR. PETER YIEN: Yes.

22 MS. KATHLEEN MCCANDLESS: To five
23 hundred and forty point six three (540.63) per claim
24 in 2016/'17?

25 MR. PETER YIEN: Correct.

1 MS. KATHLEEN MCCANDLESS: Can you
2 explain what is behind this trend?

3 MR. PETER YIEN: Okay. I'm going to
4 pass it to our chief actuary, Mr. Johnston.

5

6 (BRIEF PAUSE)

7

8 MR. LUKE JOHNSTON: Hello. So I think
9 the question is on line 23, why -- why did the -- why
10 did we see the claims expense ratio peak in 2017/'18?

11 MS. KATHLEEN MCCANDLESS: Yes.

12 MR. LUKE JOHNSTON: So to a large
13 extent, the claims expense costs will follow the
14 claims costs themselves. So, for example, in the
15 actuarial report we look at the cost of claims and
16 then the percentage of claims expenses to -- to manage
17 those claims.

18 So I suspect most of this increase just
19 relates to claims cost growth in general, which as
20 you've seen in this application we've had -- we've had
21 increases on that -- on that front.

22 MS. KATHLEEN MCCANDLESS: Okay. Thank
23 you. So from 2017/'18 through to 2019/'20, it looks
24 as though the growth is -- is forecast to be
25 relatively flat?

1 MR. LUKE JOHNSTON: That's right. The
2 -- the cost containment measures that you've heard of
3 do -- or have -- have and are expected to impact some
4 of our claims handling processes, staff, et cetera.
5 And we've -- we've seen that here, and also in the
6 actuarial analysis where -- where we are seeing our
7 expenses per dollar of claim paid drop in recent
8 years. Yeah.

9 MS. KATHLEEN MCCANDLESS: So mainly
10 attributable then to cost containment efforts?

11 MR. LUKE JOHNSTON: The -- the
12 declining rate? Yes. Yeah.

13 MS. KATHLEEN MCCANDLESS: At line 27
14 we have claims per claims employees. So this reflects
15 the number of claims that a claims employee would
16 handle; yes? That's line 27.

17 MR. LUKE JOHNSTON: Yes.

18 MS. KATHLEEN MCCANDLESS: So
19 generally, the higher the number that would be better,
20 because it -- it shows higher efficiency per employee?

21 MR. LUKE JOHNSTON: That's a tricky
22 one (1). There's a -- there's kind of an inflection
23 point where not having enough staff can start causing
24 trouble with claims costs. So if you just approve
25 every claim automatically you could have almost no

1 staff. So I want to be careful on that one (1). But
2 per your comment that is true that we are -- appear to
3 be doing more with certain number of claims staff.

4 MS. KATHLEEN MCCANDLESS: Okay. And
5 receive for the five (5) year historical that claims
6 per claims employees has declined a rate of 1.1
7 percent?

8 MR. LUKE JOHNSTON: That's right.

9 MS. KATHLEEN MCCANDLESS: And so that
10 -- if we look at the trend from 2012/2013, we had
11 twenty (20) -- two hundred and fifty-five (255) claims
12 per employee. And through to 2016/'17, that's two
13 hundred and forty-four (244) claims per employee?

14 MR. LUKE JOHNSTON: That's right.

15 MS. KATHLEEN MCCANDLESS: And then
16 through 2018/'19, 2019/'20, there's a significant
17 increase in claims per employee, two hundred and fifty
18 (250) in 2018/'19 and two hundred and sixty-two (262)
19 and 2019/'20?

20 MR. LUKE JOHNSTON: That's right. And
21 that would reflect expected reductions in staff
22 relative to the number of claims we're expecting to
23 have.

24 MS. KATHLEEN MCCANDLESS: Okay. Thank
25 you. Mr. Chair, my next area of questioning will be

1 on IT projects, but I expect it'll run an hour or
2 more, so.

3

4 (BRIEF PAUSE)

5

6 THE CHAIRPERSON: I'm just wondering
7 if we can figure out where we're going to be tomorrow.
8 I'm -- I'm prepared to adjourn early today. I just
9 want to make sure that we don't get backed up.

10 Can we take five (5) minutes and
11 counsel can discuss and we can figure out how long
12 we're going to be tomorrow?

13 MS. KATHLEEN MCCANDLESS: Yes. Thank
14 you.

15 THE CHAIRPERSON: Okay.

16

17 --- Upon recessing at 3:26 p.m.

18 --- Upon resuming at 3:30 p.m.

19

20 THE CHAIRPERSON: Okay. I spoke to
21 counsel, and I think we're going to adjourn now and
22 we'll resume at nine o'clock tomorrow morning. Thank
23 you.

24 MS. KATHLEEN MCCANDLESS: I -- I
25 believe -- Mr. Scarfone, did you have something you

1 wanted to say now before we adjourn?

2 THE CHAIRPERSON: Okay.

3 MR. STEVE SCARFONE: I -- yes. Thank
4 you, Ms. McCandless. I spoke to her about it and I
5 forgot.

6 So, Mr. Chair, we had promised -- we
7 had promised early in the day that we'd have one (1)
8 response, at least, to an undertaking that we'd like
9 to provide to you now. And -- and that was with
10 respect to the request for proposal and the
11 contractor, that the Corporation has retained.

12 So we've had a chance to review the RFP
13 and it does provide for MPI disclosing the winning
14 bid. And that's been awarded to Mercer Canada, is the
15 -- is the firm that will be providing the ALM study
16 for MPIC.

17 THE CHAIRPERSON: Okay. And we have a
18 copy of the RFP?

19 MR. STEVE SCARFONE: We --

20 THE CHAIRPERSON: I think that was
21 part of the undertaking.

22 MR. STEVE SCARFONE: That -- that
23 aspect of the undertaking is still -- and I believe
24 that was a -- a separate undertaking.

25 THE CHAIRPERSON: Okay. That's fine.

1 MR. STEVE SCARFONE: Yes.

2 THE CHAIRPERSON: Thank you.

3 MS. KATHLEEN MCCANDLESS: Thank you.

4

5 --- Upon adjourning at 3:32 p.m.

6

7 Certified Correct,

8

9

10

11 _____

12 Cheryl Lavigne, Ms.

13

14

15

16

17

18

19

20

21

22

23

24

25