

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)

2018/2019 GENERAL RATE APPLICATION

HEARING

Before Board Panel:

Robert Gabor, Q.C. - Board Chairperson

Michael Watson - Board Member

Carol Hainsworth - Board Member

Allan Morin - Board Member

Robert Vandewater - Board Member

HELD AT:

Public Utilities Board

400, 330 Portage Avenue

Winnipeg, Manitoba

October 16, 2017

Pages 1549 to 1747



1 APPEARANCES
2
3 Kathleen McCandless) Board Counsel
4 Robert Watchman) Board Counsel
5 Roger Cathcart) Consultant
6 Alex McQuarrie) Consultant
7
8 Steve Scarfone) Manitoba Public
9 Matthew Ghikas) Insurance
10
11 Byron Williams) CAC (Manitoba)
12 Katrine Dilay)
13
14 Raymond Oakes (np)) CMMG
15
16 Erika Miller (np)) CAA Manitoba
17
18 Christian Monnin (np)) Bike Winnipeg
19
20
21
22
23
24
25

	TABLE OF CONTENTS	
		Page No.
1		
2		
3	List of Exhibits	1552
4	List of Undertakings	1553
5		
6	CAC PANEL 1:	
7	WAYNE SIMPSON, Sworn	
8		
9	Examination-in-Chief by Ms. Katrine Dilay	1558
10	Presentation by Dr. Wayne Simpson	1564
11	Cross-Examination by Mr. Steve Scarfone	1585
12	Cross-Examination by Mr. Robert Watchman	1644
13	Re-Direct Examination by Dr. Byron Williams	1663
14		
15	CAC PANEL 2:	
16	ANDREA SHERRY, Sworn	
17		
18	Examination-in-Chief by Ms. Katrine Dilay	1668
19	Presentation by Ms. Sherry	1674
20	Cross-Examination by Mr. Matthew Ghikas	1678
21	Cross-Examination by Mr. Robert Watchman	1733
22	Re-Direct Examination by Dr. Byron Williams	1744
23		
24	Certificate of Transcript	1747
25		

1 LIST OF EXHIBITS

2 EXHIBIT NO.	DESCRIPTION	PAGE NO.
3 CAC-22	Presentation of Dr. Simpson	1557
4 CAC-23	PowerPoint presentation by	
5	Ms. Sherry	1668

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1	LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION
3	34	CAC to reflect on the question
4		of whether investment fees paid in
5		pension expense are appropriately
6		charged to the investment income on
7		assets supporting total equity, and
8		whether or not the inclusion or non-
9		inclusion of those amounts has any
10		bearing on the estimate of the cash
11		flow discount rate for rates setting
12		purposes
		1742
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 1:04 p.m.

2

3 THE CHAIRPERSON: Good afternoon. If
4 everybody is ready we'll start. Today we'll start
5 with the Consumer Association of Canada witness, Dr.
6 Simpson.

7 Ms. Dilay, would you like to start
8 or...

9 MR. MATTHEW GHIKAS: Mr. Chairman, I
10 actually have a few -- a few --

11 THE CHAIRPERSON: Oh, okay. I'm
12 sorry, Mr. Ghikas.

13 MR. MATTHEW GHIKAS: No, no, no,
14 that's okay. It's -- the first thing that I wanted to
15 deal with, Mr. Chairman, was MPI Exhibit 40 was the
16 response to Pre-Ask PUB-5. And there -- it was
17 missing some appendices last week. Then we circulated
18 an electronic version this weekend that was also
19 missing appendix. So we are -- we now have a version
20 of MPI Exhibit Number 40 that is complete, and we are
21 circulating it. And that would just simply be a
22 replacement for MPI Exhibit 40, as I understand from
23 what we discussed with My Friend Ms. McCandless
24 earlier.

25 The second thing, it was just in going

1 through the -- the materials notice to -- that in the
2 GRA in the DCAT section, there was actually one (1)
3 figure where another figure had been replicated twice
4 rather than having a separate figure. So we caught
5 that in the process and we thought we may as well,
6 just to make the record clean, file an errata. And so
7 we had -- this would be MPI Exhibit 54. And there is
8 a black lined version and -- and a clean version, and
9 it just simply replaces DCAT Figure 64 with what
10 should have been there to begin with. And that's,
11 that's all I have today.

12 MR. STEVE SCARFONE: And, Mr.
13 Chairman, I have one (1) matter to address as well.
14 So Board counsel was good enough to point out that a
15 mistake was made that has been captured in the
16 transcript from Friday's proceedings. And it -- it
17 concerned the redirect that I did for Mr. Yien.

18 During that re-examination of Mr. Yien
19 I had put to him that Mr. Geffen gave evidence --
20 Martin Geffen gave evidence about having experience on
21 projects the size of PDR. You'll recall that and --
22 and that I had said to Mr. Yien that Mr. Geffen's
23 evidence in that respect was that he could count on
24 one (1) hand the number of projects the size of PDR in
25 his entire career.

1 But that was -- that evidence that I
2 put to him was improper -- not improper, but there was
3 a mistake there because, as Ms. McCandless pointed
4 out, the evidence of Mr. Geffen was that it wasn't in
5 his career, but rather in one (1) year. And I don't
6 know if Mr. Chair picked up on that, but that was your
7 question, sir.

8 THE CHAIRPERSON: I -- I did pick up
9 on it at the time. And --

10 MR. STEVE SCARFONE: Yes.

11 THE CHAIRPERSON: -- but I didn't want
12 to interrupt. I wanted to make sure I was -- it was -
13 - I was correct. But I -- I think the question was:

14 In an average year, or something like that --

15 MR. STEVE SCARFONE: Yes.

16 THE CHAIRPERSON: -- or on a yearly
17 basis how many times.

18 MR. STEVE SCARFONE: And so that's an
19 important distinction because I do recall Mr. Yien
20 saying to me I was -- he was surprised that Mr. Geffen
21 had only experienced that in his entire career. And,
22 of course, that's not the case.

23 THE CHAIRPERSON: Right.

24 MR. STEVE SCARFONE: It was just over
25 the past -- in one (1) year.

1 THE CHAIRPERSON: yeah.

2 MR. STEVE SCARFONE: So we wanted to
3 make the -- the record -- clear the record up on that.

4 THE CHAIRPERSON: Thank you, sir.

5 Appreciate that. Ms. Dilay.

6 MS. KATRINE DILAY: Thank you, Mr.

7 Chair.

15

16 --- EXHIBIT NO. CAC-22: Presentation of Dr.

17 Simpson

18

19 MS. KATRINE DILAY: So before
20 starting, I believe that Dr. Simpson has to be
21 affirmed or sworn for the record.

22

23 CAC PANEL 1:

24

25 WAYNE SIMPSON, Sworn

1 EXAMINATION IN-CHIEF BY MS. KATRINE DILAY:

2 MS. KATRINE DILAY: Thank you, Mr.
3 Crystal. So good afternoon, Dr. Simpson. It's our
4 understanding that you have already been pre-qualified
5 with the Board and that your curriculum vitae has
6 already been filed. But before you begin your
7 presentation, I'd like to ask you a few questions to
8 highlight your qualifications as they relate to your
9 testimony today, as well as the written evidence you
10 have already provided in this proceeding.

11 So in terms of your education, Dr.
12 Simpson, you received an MSC in economics from the
13 London School of Economics in 1974?

14 DR. WAYNE SIMPSON: That's correct.

15 MS. KATRINE DILAY: And a PhD from the
16 London School of Economics in 1977?

17 DR. WAYNE SIMPSON: Yes, I still
18 remember that. Yes.

19 MS. KATRINE DILAY: That's good. And
20 you are currently a full professor in the Department
21 of Economics at the University of Manitoba?

22 DR. WAYNE SIMPSON: Yes.

23 MS. KATRINE DILAY: And you taught
24 there since 1979?

25 DR. WAYNE SIMPSON: Yes.

1 MS. KATRINE DILAY: You've served as
2 department head on two (2) separate occasions from
3 1997 to 2008? Is that right?

4 DR. WAYNE SIMPSON: That's correct.

5 MS. KATRINE DILAY: And in terms of
6 your experience, so your areas of academic expertise
7 in specialization include labour economics, applied
8 econometrics, applied microeconomics, and economic and
9 social policy analysis?

10 DR. WAYNE SIMPSON: Yes. Self
11 declared.

12 MS. KATRINE DILAY: You have co-
13 authored or authored three (3) books and more than
14 sixty (60) peer-reviewed articles on these and related
15 topics?

16 DR. WAYNE SIMPSON: Yes.

17 MS. KATRINE DILAY: Among those peer-
18 reviewed articles are two (2) papers on the impact of
19 risk on the behaviour of the firm. Is that correct?

20 DR. WAYNE SIMPSON: Yes.

21 MS. KATRINE DILAY: And you are
22 currently on the editorial board of Canadian Public
23 Policy?

24 DR. WAYNE SIMPSON: Yes.

25 MS. KATRINE DILAY: And that would be

1 Canada's foremost peer-reviewed academic journal for
2 economic and social policy, right?

3 DR. WAYNE SIMPSON: Yes.

4 MS. KATRINE DILAY: And you have
5 served on the executive council of the Canadian
6 Economics Association?

7 DR. WAYNE SIMPSON: Yes.

8 MS. KATRINE DILAY: You were also the
9 2014 recipient of the McCracken award for the
10 development and analysis of economic statistics for
11 the -- from the Canadian Economics Association,
12 correct?

13 DR. WAYNE SIMPSON: That's correct.

14 MS. KATRINE DILAY: You have worked at
15 the Bank of Canada, the Federal Department of Labor,
16 as well as the Economic Council of Canada. Is that
17 right?

18 DR. WAYNE SIMPSON: Yes.

19 MS. KATRINE DILAY: You have also
20 served as a consultant both to the private sector and
21 government, primarily in the areas of labour economics
22 and policy evaluation. Is that right?

23 DR. WAYNE SIMPSON: Yes.

24 MS. KATRINE DILAY: And you have
25 served as an expert advisor to Prairie Research

1 Associates and Human Resources and Skill Development
2 Canada. Is that right?

3 DR. WAYNE SIMPSON: Yes.
4 MS. KATRINE DILAY: Now, in terms of
5 your experience before the Public Utilities Board in
6 the context of MPI hearings, you testified in the
7 2007, 2010, 2013, 2014, and 2016 GRAs on an evidence-
8 based approach to setting the RSR on considerations in
9 looking at interest rate forecasting and on issues
10 relating to investments?

11 DR. WAYNE SIMPSON: Yes.
12 MS. KATRINE DILAY: And you have been
13 qualified as having expertise in both applied
14 microeconomics and applied econometrics before the PUB
15 on a number of occasions. Is that right?

16 DR. WAYNE SIMPSON: Yes.
17 MS. KATRINE DILAY: In terms of your
18 qualifications in this proceeding, Dr. Simpson, you
19 have been pre-qualified as an expert in applied
20 econometrics, applied microeconomics, and quantitative
21 methods.

22 DR. WAYNE SIMPSON: Yes.
23 MS. KATRINE DILAY: Just the kind of
24 walk our way through that, applied economic --
25 econometrics is the study of the behaviour of

1 individual agents, whether firms or households, in the
2 market using modern theory and empirical methods. Is
3 that right?

4 DR. WAYNE SIMPSON: Yes, applied
5 microeconomics and applied econometrics. Yes. They
6 both cover that field. Yeah.

7 MS. KATRINE DILAY: Okay. And applied
8 econometrics seeks to apply that analysis we just
9 discussed to practical problems such as risk
10 management and investment strategies?

11 DR. WAYNE SIMPSON: Yes, that's one
12 (1) of the areas.

13 MS. KATRINE DILAY: And applied
14 econometrics uses specific statistical techniques,
15 particularly regression methods, to analyze and
16 predict econometric -- economic behaviour and to apply
17 it to practical social problems.

18 DR. WAYNE SIMPSON: Yes.

19 MS. KATRINE DILAY: Dr. Simpson, would
20 you agree that your professional expertise in applied
21 microeconomic and applied econometrics provides a
22 foundation for the analysis of issues related to the
23 management of risk by firms, and to the assessment of
24 risk using modern economic and statistical techniques?

25 DR. WAYNE SIMPSON: Yes.

1 MS . KATRINE DILAY: And just a final
2 few questions in terms of the evidence that you have
3 prepared for this proceeding, Dr. Simpson. You were
4 the primary author of the written evidence filed as
5 exhibit CAC-5 entitled, "Does the RSR need to be so
6 large?", correct?

7 DR. WAYNE SIMPSON: That's correct.

8 MS . KATRINE DILAY: You were also
9 responsible for responses to Information Requests
10 contained within exhibit PUD-11?

11 DR. WAYNE SIMPSON: Yes.

12 MS . KATRINE DILAY: And can you
13 confirm that the written material was prepared under
14 your direction and control, and is accurate to the
15 best of your knowledge and belief?

16 DR. WAYNE SIMPSON: Yes.

17 MS . KATRINE DILAY: Thank you, Dr.
18 Simpson. And now I will pass it on to Dr. Simpson for
19 his presentation.

20

21 PRESENTATION BY DR. WAYNE SIMPSON:

22 DR. WAYNE SIMPSON: Okay. Well, thank
23 you for allowing me to speak once again on this topic.
24 I'll try not to repeat myself excessively. There are
25 some things that come up that bear repeating, but I'll

1 try to limit that. And I'll try to take a somewhat
2 broader perspective on this in recognition that the --
3 that the issue goes beyond the simple business
4 interests of MPI to the broader social interests, and
5 the reflection of the fact that there's some sort of
6 balance to be achieved between the intr -- business
7 interests, the legitimate business interests of MPI in
8 stabilizing rates and protecting against risks, and
9 the value to consumers, ratepayers, of having money in
10 their pockets to spend and invest. So that balance
11 has to be recognized.

12 Next slide. Thank you. So we have a
13 fairly significant increase. I tried to represent a
14 balloon, but my computer graphics failed me, so those
15 are circles. It's getting bigger. The increase in
16 the RSR range, according to what MPI asked the last
17 time, 181 million is the lower threshold, and 404
18 million is the higher threshold, up to 201 million for
19 the lower threshold this time, and 438 million for the
20 upper threshold, or increases of 13.8 and 8.4 percent.
21 And indeed, if you look at -- the Board ordered a
22 lower threshold of 159 million. The increase is
23 substantially higher, in the range of 26 percent
24 increase. So that's quite substantial.

25 The benchmarks, I think, that are

1 legitimate here are 1) Inflation, which is expected to
2 be around 2 percent, but in fact, in Manitoba right
3 now, it's more like 1.2 percent, and the rate request,
4 which is a 2.7 percent increase. And so the questions
5 I asked are around, Why does the RSR have to be so
6 large in the context of what risk factors would
7 account for this kind of -- of increase.

8 So the purpose -- next slide, please.

9 The purpose of the RSR, again, this is not
10 controversial. It's been repeated over and over, and
11 there's some slight changes the last time around, but
12 it's to protect motorists from rate increases due to
13 unexpected variances from forecasted results and
14 events and losses revised -- rising from nonrecurring
15 events or factors. And the two (2) bolded words, my
16 bolding, are key, I think, and the -- the event should
17 be unexpected, and therefore nonrecurring in the sense
18 that they shouldn't be predictable for the fact, and
19 they shouldn't be repeating themselves over and over
20 again.

21 And this is important, because it then
22 connects this definition to the -- what I call a
23 standard statistical concept of risk or uncertainty
24 arising from a set of outcomes with assigned
25 probabilities of occurrence, resulting in an expected

1 outcome, best-case scenario, if you wish, and a set of
2 unexpected outcomes favourable and unfavourable with
3 specified probabilities, the unfavourable ones being
4 the -- the adverse events that form the -- the basis
5 of the DCAT analysis beyond the best case scenario.

6 And I think this is a crucial
7 foundation in the basis on which I was enthusiastic
8 about using the DCAT in a collaborative and
9 transparent way to -- to look at the RSR range, and I
10 think CAC was willing to go along, at least with that
11 opinion.

12 Next slide, please. So using the DCAT
13 to determine the RSR, the idea of the DCAT, then, is
14 to identify the risks of unexpected, nonrecurring
15 events -- in other words, find out which risks are --
16 are what we call major risks in the DCAT -- to
17 quantify the -- the probabilities of their occurrence
18 from available historical data, where possible, and to
19 achieve some degree of consensus, not agreement, but
20 certainly, discussion and the meaningful collaboration
21 whether we agree or not among MPI, the PUB, and the
22 stakeholders on these methodological issues.

23 And indeed, there was a technological
24 conference this year on using the DCAT to establish
25 the RSR range, where a number of issues were discussed

1 around interest rate forecasting and other things,
2 some of which I referred to below.

3 And I going to focus on three issues
4 with the DCAT report and the RSR thresholds. These --
5 first of all, returning to the issue of the MCT to set
6 the upper threshold. Secondly, the determination of
7 the base DCAT scenario, the best -- best case, if you
8 will, expected value, and thirdly, the formulation of
9 interest rate and decline -- interest rate decline in
10 combined scenarios that are the core of the
11 determination of the -- of the RSR range, the lower
12 bound.

13 Number 1, use of the MCT to set the
14 upper RSR threshold, MPI continues these -- this
15 argument for a 100 percent MCT criterion for the upper
16 threshold of the RSR. They argue that it is a
17 standardized test used by the property and casualty
18 insurance industry and its regulators, although MPI
19 itself is a Crown monopoly insurer, which is not in a
20 competitive market, and has no real possibility of
21 bankruptcy, and I'll come back to this in the context
22 of an ICBC report in a minute or two (2).

23 They argue that it's a risk-based
24 approach that better reflects the riskiness of
25 individual property and casual insurers. When I read

1 this, I was very curious as to what "better" meant in
2 the sense of, is it better than the DCAT? The link to
3 risk is certainly far more opaque.

4 And the hundred percent MCT criterion
5 was rejected, I think, quite sensibly by the PUB last
6 time, the 2017 GRA, where the Board stated that they
7 were concerned that the degree of conservatism implied
8 may be excessive based on the Corporation scenario
9 testing. And I think -- and -- let's see. PUB-MPI-2-
10 26.

11 There were questions about just what
12 degree of conservatism is implied, and they state that
13 based on the DCAT modelling, the estimated probability
14 level that will exhaust the proposed maximum upper RSR
15 target of 438 million, which is the hundred percent
16 MCT level, without management action is a 1:2,000,
17 although I would say it's greater than 1:2,000,
18 because they then go on to say the DCAT modelling did
19 not identify any adverse scenarios with management
20 action that exhausted the \$438 million upper target.

21 So essentially, it's unknown, but a
22 lower bound of 1:2,000 is placed on it with management
23 action. And I relate this kind of conservatism, if
24 you will, to things like the Floodway, which is a
25 major concern about risk, as opposed to a much more

1 minor concern with Autopac rates, and there, the --
2 the standard is now 1:700, so quite a bit lower than -
3 - than 1:2,000.

4 Then we have the Ernst & Young report
5 for ICBC, which I think further supports the Board's
6 position. It states that -- this is just a portion of
7 what I have in the report I -- I made. As a
8 government-owned monopoly insurer of the base product,
9 ICBC is not required to adhere to OSFI's MCT
10 guidelines. Reasons government-owned monopoly
11 insurers would consider having lower tactile --
12 capital targets than would be required for private
13 insurers include capital surplus above target levels
14 may be put to better use by the government for the
15 broader benefit of the Province, rather than being
16 tied up in investment assets of the insurer. That's
17 my point about the balance between the insurer and the
18 more broader -- broader social interests.

19 And whereas a sole private insurer
20 would face bankruptcy in the event of insufficient
21 capital, leaving policyholders and claimants at risk
22 of not being fully indemnified for their losses, a
23 government insurer is implicitly backed by the
24 government, meaning this risk is minimal. In other
25 words, the risk of -- of bankruptcy is minimal.

1 And increased capital levels require
2 higher premiums auto owners need to pay. And it can
3 be argued in the light of the above two (2) points,
4 there is no need to have higher premiums. So again,
5 this is the balance between what auto owners need to
6 pay and what the Crown insurer needs to ensure secure
7 financial operation.

8 Consideration should also be given to
9 whether the OSFI MCT ratio is the appropriate
10 framework for setting the Basic product. And I think
11 we certainly agree with that statement, and think that
12 the DCAT should be used consistently for setting both
13 the upper and the lower thresholds.

14 And then -- so what is a better way?
15 Well, a better way, in fact, is recognized, I think by
16 the PUB Board Order 162/'16: "Beyond which -- beyond
17 what percentile level," they say.

18 This is about excess conservatism.

19 "Is it no longer reasonable and
20 appropriate for the Corporation to
21 hold funds against possible adverse
22 circumstances instead of rebating
23 these excess funds back to
24 ratepayers? The Board directs that
25 the next application will include

the appropriate scenarios in support
of this proposed upper threshold for
the Basic target capital range.
This includes testing of at least
the 99th and 99 point -- point 5th
percentile outcomes."

7 So the 1:100 and 1:200 cases. And in
8 fact, this echos something that the Andrea Sherry and
9 I submitted in -- in 2016, illustrating how the DCAT
10 could be used to consistently develop the appropriate
11 RSR range. We developed based on the -- on the DCAT,
12 a wide range and a narrow range. The wide range would
13 use percentile levels of tolerance of 1:10 to 1:200,
14 and the narrow range, 1:20 to 1:100, both spanning a
15 target midpoint of 1:40, which is the -- the target
16 that's been accepted by both sides in terms of -- of
17 what we're aiming for.

18 So CAC-MPI second round interrogatory
19 2-45, we have the figures which give us those numbers.
20 The wide range yields a lower threshold of 152 million
21 and an upper threshold of 268 million, the narrow
22 range yields a lower threshold of 185 million, and the
23 upper threshold of 249 million, which I think are
24 reasonable in the context of the lower threshold of
25 159 million granted by the Board last time and 181

1 million requested by MPI.

2 But -- and if you look at the upper
3 threshold of 268 million and 249 million, well below
4 the MPI requests of 438 million, which is not
5 surprising, because the risk tolerance levels that are
6 now being applied of 1:100 and 1:200 are considerably
7 below the implied tolerance levels of in excess of
8 1:2,000 for the hundred percent MCT benchmark of 438
9 million.

10 And there's an argument -- some
11 argument for a wider range, since there -- an issue
12 has been made of this that the range is too narrow by
13 greater risk tolerance levels. Not 1:2,000, but maybe
14 1:500. But again, we now start to see that we're
15 right up there with the Floodway. And the question,
16 then is: Do ratepayers want to protect themselves as
17 much from a catastrophic flood as they do from a -- a
18 rate shock? And I -- I think the answer to that is
19 no. I think 1:200, for example, is a reasonable level
20 of protection.

21 So now the second point is
22 determination of the DCAT base scenario. Again, this
23 -- the DCAT always starts with the definition of the
24 base scenario as a realistic set of assumptions to
25 forecast the insurer's financial position over the

1 forecast period. And normally, the base scenario is
2 consistent with the insurer's business plan. It has a
3 set of assumptions that are used to -- obviously, to
4 make that -- set up that base scenario over the -- the
5 four (4) year horizon; volume growth, vehicle
6 upgrades, inflation, interest rates, and so on. And
7 the two (2) bolded, inflation and interest rates, are
8 the two (2) that I am going to look at in this -- in
9 this presentation.

10 So interest rates first. Here, we have
11 a revised methodology. The problem we had coming out
12 of the -- the so-called Great Recession of 2008, which
13 wasn't much of a recession in Manitoba, we were -- got
14 off rather luckily in that respect; were -- far more
15 harsh elsewhere in the world, and -- and even --even
16 elsewhere in Canada -- is that interest rates have
17 stayed relatively low, and growth has been relatively
18 sluggish. And that has restrained any efforts by the
19 Bank of Canada to restore interest rates to normal
20 levels.

21 And the standard interest rate
22 forecast, which is the consensus forecasts from banks
23 and other financial institutions of interest rates,
24 which was used for many years, has consistently
25 understated interest rates. The solution to that in

1 the last DCAT was to adopt a 50/50 average of the
2 SIRF, the Standard Interest Rate Forecast, and a naive
3 constant current forecast, because interest rates have
4 remained what I call uncharacteristically low.

5 But that strict reliance on the naive
6 forecast for 2018/'19 is really coming at just the
7 wrong time. It's coming at a time when interest rates
8 are now beginning to ari -- to rise, and the -- this
9 naive Government of Canada ten-year bond forecast in
10 the DCAT of 1.64 percent, based on the February 28th
11 figure, would have to be compared to current interest
12 rates, which are considerably higher, which I'll come
13 to in a minute.

14 As a collaborative process, including
15 the April technical conference, I think there's been
16 no agreement on the 50/50 or naive forecast going
17 forward. And indeed, at the April technical
18 conference, I made the argument that the zero lower
19 bound on interest rates was a real thing, that there
20 was a real lower bound in interest rates, and the
21 notion in the SIRF that interest rates were going to
22 eventually rise, and the Bank of Canada was going to
23 act as soon as growth became less sluggish, is -- is
24 coming to fruition. That's exactly what is now -- now
25 happening. So I feel good about that -- that

1 statement, anyway, that forecast, if you will.

2 So the SIRF continues to predict
3 interest rates will begin to rise, and hence, that a
4 naive forecast would be unrealistic. And sure enough,
5 the Bank of Canada announced increases in its
6 overnight or policy rate to .75 percent in July, and 1
7 percent in September. And these were followed quite
8 directly by interest rate increases at the Canadian
9 banks and in the bond markets.

10 So the Government of Canada ten (10)
11 year bond rate, I have two point o-seven (2.07) as of
12 September 14th. It's settled at 2.10 percent as of
13 October the 11th, I think is the last time I looked.
14 The reference is in the paper -- the -- the website,
15 and that's an increase about of point four-six (.46)
16 basis points over the 1.64 percent that's in the DCAT,
17 and roughly .5 percent, exactly what the Bank of
18 Canada has done with its policy rate.

19 But moreover, I think there's --
20 there's good reason to believe that interest rates
21 will continue to rise, that the Bank of Canada will
22 respond to what has been characterized as the best
23 Canadian six (6) month growth in fifteen (15) years,
24 to what the IMF and the -- the World Bank have
25 characterized as the -- the excellent growth prospects

1 for Canada, well ahead of any other -- of the other
2 countries in the G7, and the Bank of Canada can be
3 expected to lean against the wind to try to dampen
4 inflationary expectations that come out of that kind
5 of growth and increase the policy rate further. I'd
6 expect some increases in the fall, at least one (1),
7 maybe even two (2) increases, and if not, then -- then
8 in the winter.

9 The lower interest rates have the
10 translated into lower total equity, all else the same.
11 MPI argues that forecasted interest rates did not
12 materialize and resulted in \$163 million in premiums
13 deficiencies in recent years that presented
14 significant financial challenges. And we therefore
15 asked if there is a change in interest rates, it
16 results in a material impact on the DCAT base
17 scenario?

18 MPI replied to our request. The
19 applied-for rate indication and indicated DCAT, lower
20 RSR rate, then it would be appropriate for the
21 Corporation to update the DCAT figure.

22 So they've agreed in this IR that, in
23 fact, there is a -- a need to update the interest
24 rates if they have a material impact. I'm not sure
25 what "material impact" means, but interest rates have

1 risen a half percent, and will increase further during
2 the first year, and I suspect in subsequent years of
3 the -- of the DCAT. Certainly, the SIRF continues to
4 project that kind of trajectory for interest rates.

5 And I ask, Wouldn't even an up-to-date
6 naive forecast perform as well as the SIRF consensus
7 forecast of interest rate experts going forward, as
8 interest rates begin their upward climb? The reason I
9 state this is because this is not a question that's
10 even considered in the DCAT. The DCAT proceeds with
11 the naive forecast. It doesn't even consider the
12 50/50 forecast that was used last year, or the SIRF
13 forecast that was used in previous years, despite the
14 fact that interest rates are now rising.

15 Now in the defence of that, this wasn't
16 as apparent in February when the growth numbers would
17 not of been out even for the first quarter, as it is
18 now, but certainly, the case for the naive forecast
19 and for the DCAT relying on it is much weaker, given
20 current events.

21 Turning now to the inflation
22 assumptions. As someone who lived through the -- the
23 stagflation of the 70s, where we had high unemployment
24 and high inflation, it's -- it's nice to see a
25 relatively low inflation and relatively stable

1 inflationary expectations over time. The unemployment
2 rate has also, although sluggishly, begun to come back
3 to what are considered pretty reasonable levels.
4 Employment growth and -- and growth in general is now
5 proceeding fairly well.

6 So in this era of kind of stable
7 inflation and inflationary expectations, I find it odd
8 that the base scenario assumes no increase in the
9 third and fourth years. And even in the second year
10 they characterize an increase of two (2) per --
11 project an increase of 2 percent as an RSR increase.
12 Whereas, I would project those increases as the kinds
13 of increases in costs you would expect of an
14 operation, wages and other things, and the kinds of --
15 of increases that ratepayers would be expecting in
16 this period.

1 the RSR target from 201 to 191 million.

2 Well, a better anchor for inflation
3 would really be 2 percent. This is a projection, you
4 know, of the Bank of Canada and the banks, and every -
5 - just about everybody else, including that which is
6 reflected in the base case scenario. So a 2 percent
7 rate increase to reflect anticipated cost inflation
8 would reduce the RSR lower threshold to about 181
9 million, which is MPI's revised request in the 2007
10 GRA.

11 So to summarize, what are the
12 implications of interest rate and inflation
13 assumptions? The combination of one (1) on rising
14 interest rates, and two (2) the premium rate increases
15 in line with forecast inflation would produce
16 significantly higher total equity for the base
17 scenario in 2018/'19 and beyond, essentially repeating
18 what MPI is telling us. And I'm projecting that the
19 higher total equity in the base scenario should
20 significantly reduce the low RSR lower and upper
21 thresholds in the DCAT for the same level of risk
22 tolerance, subject to them working through the details
23 of that.

24 The third point is the determination of
25 the interest rate and combined scenarios. Again,

1 historically low interest rates have posed a
2 forecasting challenge. They've remained sluggish and
3 low as growth has remained sluggish and low. That's
4 now changing. But the interest rate decline scenario
5 that has evolved to attempt to capture this -- this
6 risk is one (1) that lacks any base to historical
7 fact. That's not a fault. We don't have -- we don't
8 have any historical fact to lean on and not --
9 therefore no probabilistic methodology.

10 And it has to be recognized as not
11 credible in the sense that, say, the equity decline
12 scenario, which is another one (1) of the major risks
13 they talk about, is -- is based on historical fact.
14 So it lacks the kind of credibility in terms of the
15 evidence gathered and the way in which it's
16 constructed. And we say that -- we've said in the
17 past that it produces virtually identical total equity
18 results regardless of the specified risk.

19 The probability level, which plays an
20 important part in other scenarios and in the purported
21 advantages of using the DCAT methodology, simply does
22 not matter in the presence of the floor that is
23 applied to interest rates. And now that interest
24 rates are rising, the rising interest rates will then
25 improve the financial position of the Corporation as

1 reflected in the base scenario, and will affect the
2 lower threshold calculation of the RSR. This is a
3 question we asked.

4 Now, while that seems like a reasonable
5 conclusion from the rising interest rates that are now
6 occurring, MPI says on the basis of the existing
7 interest rate decline scenario -- and I think this is
8 more a reflection of our point that this is not really
9 a credible scenario -- it says, not necessarily
10 because the lower RSR target would increase as
11 interest rates rise. Interest rate risk is capped by
12 the assumption of an interest rate floor. This is
13 what drives the interest rate decline scenario.

14 The risk immediately -- the scenario
15 immediately drives to the interest rate floor, which
16 at the moment is quite low 1.64 percent. If interest
17 rates increase significantly there would be an
18 increased risk of a decline in interest rates,
19 creating the need for additional RSR.

20 To us this only makes sense when the
21 interest rate decline scenario is driven by an ad hoc
22 interest rate floor arbitrarily anchored to the lowest
23 monthly Government of Canada ten (10) year bond yield
24 from 1989 -- which I think I said one-point-six-four
25 (1.64), but it's substantially less than that. I -- I

1 can't pull out -- the figure out of my mind right at
2 this moment -- to the present that lacks any
3 probabilistic assessment of adverse events.

4 Now -- and then finally, in the past
5 the combined scenario has really restricted itself to
6 the -- the three (3) major risks and it -- the
7 interest rate decline scenario, I think in recent
8 years, has driven the combined scenario. And so
9 that's one (1) of the reasons that I've concentrated
10 on -- on discussion of it because I think that risk
11 scenario is -- is badly flawed.

12 But this year, in addition, they've
13 introduced a corporate bond default risk because
14 they've added corporate bonds -- more risky corporate
15 to the investment portfolio. And they've said that
16 allocation to corporate bonds is a material change in
17 the risk profile of the Corporation's asset portfolios
18 which should be modelled in this scenario. The
19 introduction of a fourth risk to the combined scenario
20 has not been raised at any point with the
21 stakeholders, and doesn't represent the kind of
22 collaboration that I think anybody would expect in a -
23 - in the process.

24 It's also not clear how such investment
25 risk should be independently introduced into the

1 scenario, bearing in mind that there are risk premiums
2 attached to more risky investments, such as corporate
3 bonds, and those are reflected in the yields and in
4 the investment decisions that MPI would make and its
5 investment advisors and managers would make in
6 deciding to include these bonds in their portfolio. I
7 simply don't know how this should be dealt with, but I
8 think it's something that should be considered
9 further.

10 So recommendations. One (1), the DCAT
11 analysis is the best vehicle to assess the risks
12 facing MPI, should continue to be used independently -
13 - or consistently, I'm sorry, and collaboratively to
14 determine the lower and upper thresholds for the RSR;
15 that the MCT criterion used to set the upper threshold
16 for the RSR should again be rejected by the Board;
17 that the appropriate methodology for setting the upper
18 RSR threshold resides in the use of the DCAT in a
19 comparable fashion to the methodology used to
20 establish the lower threshold for the RSR, involving
21 testing of at least the 1:100 and 1:200 outcomes, and
22 certainly not the outcomes as large as 1:2000.

23 Strict use of the naive forecast in the
24 DCAT be replaced with at least the 50/50 forecast,
25 which was used in the previous DCAT and is more

1 relevant to the current interest rate environment,
2 certainly, than it was last year. The MPI -- that MPI
3 undertake to assess the 50/50 forecasts in the light
4 of rising interest rates. I think it's crucial that
5 they update their interest rate forecasts and consider
6 what has happened since February.

7 The DCAT base scenario assume a 2
8 percent rate increases in 2019/'20, '21/'22 as
9 expected future cost and price inflation, and as the
10 anchor to what ratepayers might expect. Results for
11 the interest rate decline combined scenarios in the
12 DCAT should be discounted because of the ad hoc nature
13 of the interest rate decline scenario. And that MPI
14 consider revising the interest rate decline scenario
15 in future DCAT reports to reflect rising interest
16 rates, and use forecasting methods that take account
17 of -- of the historical evidence as interest rates
18 move into charted territory from the uncharted
19 territory they've been in recently, and inclusion of
20 the -- of the risk of corporate bond default risk in
21 the combined scenario be reviewed.

22 MS. KATRINE DILAY: Thank you, Dr.
23 Simpson. Thank you. Dr. Simpson is now ready for
24 cross-examination as well as questions from the Board.

25 THE CHAIRPERSON: Mr. Scarfone...?

1 MR. STEVE SCARFONE: Mr. Chair, I know
2 we've only been going for forty-five (45 minutes), but
3 would it be possible to take a five (5) minute break
4 before we begin cross-examination?

5 THE CHAIRPERSON: Sure. We can take a
6 -- we'll take a fifteen (15) minute break.

7 MR. STEVE SCARFONE: Oh, thank you.
8 Thank you.

9 THE CHAIRPERSON: How about that?

10

11 --- Upon recessing at 1:45 p.m.

12 --- Upon Resuming at 2:05 p.m.

13

14 THE CHAIRPERSON: Thank you. Mr.
15 Scarfone, you can begin.

16 MR. STEVE SCARFONE: Thank you, Mr.
17 Chair.

18

19 CROSS-EXAMINATION BY MR. STEVE SCARFONE:

20 MR. STEVE SCARFONE: Good afternoon,
21 Dr. Simpson.

22 DR. WAYNE SIMPSON: Good afternoon.

23 MR. STEVE SCARFONE: I'm Steve
24 Scarfone, counsel for MPIC. We just shook hands.

25 DR. WAYNE SIMPSON: Pleased to meet

1 you.

2 MR. STEVE SCARFONE: I just have a
3 couple of questions for you. Before we begin the
4 cross-examination proper about your qualifications
5 that appear at Appendix A attached to your paper.

6 DR. WAYNE SIMPSON: M-hm.

7 MR. STEVE SCARFONE: Dr. Simpson, I've
8 reviewed this. Is it fair to say, sir, that you're an
9 economist, not a practitioner, but a professor in the
10 social science discipline of Economics?

11 DR. WAYNE SIMPSON: Yes.

12 MR. STEVE SCARFONE: And the CV, sir,
13 or the -- the appendix indicates herein that you've
14 written three (3) books in this capacity; is that
15 correct?

16 DR. WAYNE SIMPSON: Yes.

17 MR. STEVE SCARFONE: And, sir, I think
18 you'll confirm that none of these books relate to
19 finance and capital market conditions?

20 DR. WAYNE SIMPSON: That's correct.

21 MR. STEVE SCARFONE: And the books
22 also don't relate to the insurance industry; is that
23 correct?

24 DR. WAYNE SIMPSON: No.

25 MR. STEVE SCARFONE: They are -- is it

1 fair to say, sir, that those books are almost
2 exclusively focused on labour economics?

3 DR. WAYNE SIMPSON: Broadly defined,
4 yes.

5 MR. STEVE SCARFONE: And, sir, your CV
6 also lists sixty (60) peer-reviewed articles; is that
7 correct?

8 DR. WAYNE SIMPSON: Rough estimate,
9 yeah.

10 MR. STEVE SCARFONE: Including two (2)
11 papers as My Friend indicated on the impact of risk on
12 the behaviour of the firm; is that correct?

13 DR. WAYNE SIMPSON: That's correct,
14 yes.

15 MR. STEVE SCARFONE: Just for my own
16 edification, sir, what does that mean; the risk on the
17 behaviour of the firm?

18 DR. WAYNE SIMPSON: How the firm
19 responds to risky situations where there's a change in
20 the amount of risk.

21 MR. STEVE SCARFONE: Okay, thank you.
22 And so I expect, sir, that most of the other 50 plus
23 articles focused on labour economics and social and
24 economic policy?

25 DR. WAYNE SIMPSON: Yes. Although in

1 recent years, I've done a number of other pieces that
2 would not be in that category. For example, papers
3 like balanced-budget analysis or -- what else have I
4 done in recent years. I'm doing some work on
5 provincial finances and so on. So the -- there's a
6 fairly broad application of the ideas, but earlier on
7 in my career that would be primarily focused on labour
8 and social -- economics and social policy, yes.

9 MR. STEVE SCARFONE: Thank you. And I
10 guess none of the papers re -- relate directly to
11 finance or capital market conditions then?

12 DR. WAYNE SIMPSON: Subject to check -

13 - well, I've -- I've got some published work on

14 balanced-budget legislation which does relate to

15 provincial finances, yes.

16 MR. STEVE SCARFONE: Okay. And none
17 of those papers would relate directly to the insurance
18 industry; is that fair?

19 DR. WAYNE SIMPSON: No. I agree with
20 you.

21 MR. STEVE SCARFONE: Yes. Yes.

22 DR. WAYNE SIMPSON: Not -- not I don't
23 agree with you, no, I agree with you.

24 MR. STEVE SCARFONE: And would the
25 same answer apply to certain -- any peer-reviewed

1 journal -- journal articles on economic and social
2 policy, that none of those relate to the insurance
3 industry?

4 DR. WAYNE SIMPSON: They do not.

5 MR. STEVE SCARFONE: And lastly, sir,
6 if you look in the third paragraph of that appendix,
7 it that speaks to you having worked as a consultant to
8 the private sector and government.

9 Again, none of those in the areas of
10 finance and capital market conditions?

11 DR. WAYNE SIMPSON: No. No, other
12 than -- than that which I've done for these hearings.

13 MR. STEVE SCARFONE: Yes.

14 DR. WAYNE SIMPSON: In those other
15 years.

16 MR. STEVE SCARFONE: And your work as
17 a consultant to the private sector and government not
18 in relation to the industry -- insurance industry
19 other than the work and testimony that you've given
20 here in prior proceedings; is that correct?

21 DR. WAYNE SIMPSON: I think that would
22 be correct, yes.

23 MR. STEVE SCARFONE: And lastly, sir,
24 concerning your qualifications, you're not an actuary;
25 correct?

1 DR. WAYNE SIMPSON: No.

2 MR. STEVE SCARFONE: And so to the
3 extent that your -- your paper touches upon actuarial
4 science, you will defer to your co-author Ms. Andrea
5 Sherry in that respect, correct?

6 DR. WAYNE SIMPSON: I -- I can try to
7 answer questions to the best of my ability but she
8 probably can add things that I can't, that's correct.

9 MR. STEVE SCARFONE: Okay. Thank you.
10 And I can assure you, sir, that I don't intend to
11 engage you here today in an economic quarrel.

12 So on to the paper, sir. It's
13 entitled, Does the RSR Need To Be So Large. You'd
14 agree with me, sir, that it deals -- it also deals
15 with interest rate forecasting, in addition to the
16 RSR; correct?

17 DR. WAYNE SIMPSON: That's right,
18 because interest rate forecasting is an important part
19 of some of the DCAT scenarios and the best -- the best
20 case scenario.

21 MR. STEVE SCARFONE: And it also deals
22 with, as you've just said, the interplay between
23 interest rates and the DCAT; correct?

24 DR. WAYNE SIMPSON: Yes.

25 MR. STEVE SCARFONE: Yes. Dr.

1 Simpson, I assume you've been ma -- been made aware,
2 generally speaking, of the relief that MPI is seeking
3 in this year's General Rate Application?

4 DR. WAYNE SIMPSON: Yes.

5 MR. STEVE SCARFONE: So you're aware,
6 sir, that the -- the Corporation would like the Board
7 to set to certain targets or thresholds, as you call
8 them in your paper, for the rate stabilization
9 reserve?

10 DR. WAYNE SIMPSON: Yes, I prefer
11 thresholds because, first of all, you can't have two
12 (2) targets or won't hit either of them probably.

13 MR. STEVE SCARFONE: So I'll -- I'll
14 try and make use of your terminology.

15 DR. WAYNE SIMPSON: Target thresholds
16 would be acceptable.

17 MR. STEVE SCARFONE: Okay. Lower
18 target threshold of 201 million; you aware that's some
19 of the relief that MPI is seeking?

20 DR. WAYNE SIMPSON: That's right, yes.

21 MR. STEVE SCARFONE: Yes. And an
22 upper threshold of 438 million?

23 DR. WAYNE SIMPSON: Yes.

24 MR. STEVE SCARFONE: And you're also
25 aware, sir, that the Corporation would like to grow

1 the rate stabilization reserve use -- using investment
2 income from the reserve itself; correct?

3 DR. WAYNE SIMPSON: I hope that that's
4 what they would do with the money, yes.

5 MR. STEVE SCARFONE: Yes. And that
6 MPIC would like an operating range and the range
7 between those two (2) numbers we just spoke of is 237
8 million?

9 DR. WAYNE SIMPSON: Right.

10 MR. STEVE SCARFONE: In which there
11 would be no rebates or rebuilding fees provided the
12 RSR was below 438 and above 201.

13 You're aware of that?

14 DR. WAYNE SIMPSON: Yes, I was kind of
15 curious as to why the increase projected. I think in
16 the base case scenario, as I read it, was 0 percent
17 plus 2 percent RSR. I'm -- I'm not sure why that was
18 there as a projection, given what you've just said but
19 -- but I agree with what you've just said.

20 MR. STEVE SCARFONE: Okay. And you
21 also agree, sir, that a situation where you are
22 issuing rebates one year followed by a rebuilding fee
23 the next is, generally speaking, a situation that one
24 should avoid for the benefit of the -- of the
25 ratepayers?

1 DR. WAYNE SIMPSON: I suppose that's -
2 - that's true. You'd need pretty substantial
3 fluctuations to get that kind of a scenario but those
4 fluctuations cannot be ruled out.

5 MR. STEVE SCARFONE: Correct. But
6 those fluctuations in that scenario, sir, is -- is --
7 is more likely to be avoided with a wider range, you'd
8 agree with that?

9 DR. WAYNE SIMPSON: Of course, the
10 wider the range the less likelihood of -- the greater
11 likelihood that you'll fall within the range and,
12 therefore, have neither happen.

13 My point, in my presentation, was to
14 indicate that that comes at some cost outside of MPI
15 in terms of -- of ratepayers and what they're expected
16 to -- to pay to achieve this kind of -- this degree
17 of, you know, conservatism.

18 MR. STEVE SCARFONE: Your narrow I
19 believe, sir, between 185 and 249, by my math is \$64
20 million; that's the operating range?

21 DR. WAYNE SIMPSON: Sure.

22 MR. STEVE SCARFONE: And your wide
23 range, sir, between 152 and 268 would be a hundred and
24 sixteen million; is that correct?

25 DR. WAYNE SIMPSON: Yep.

1 MR. STEVE SCARFONE: Which you'd agree
2 with me, sir, is significantly lower than the 237,
3 that's been proposed by MPIC?

4 DR. WAYNE SIMPSON: Exactly.

5 MR. STEVE SCARFONE: Dr. Simpson,
6 you'd agree that the insurance companies, both private
7 and public, should have sufficient capital reserves.

8 DR. WAYNE SIMPSON: Yes, recognizing
9 the difference between private and public Crown
10 insurers, yes.

11 MR. STEVE SCARFONE: And even with
12 that difference though, sir, both companies need to
13 have sufficient reserves in place.

14 I think that was your answer, correct?

15 DR. WAYNE SIMPSON: Not -- not the
16 same sorts of reserves because of the questions of the
17 competitive nature of the business and bankruptcy, but
18 they should both have adequate reserves to -- to --
19 well, in the case of MPI, the focus is really rate
20 shock. I'm not sure that is really the focus of a
21 private insurer.

22 The focus of a private insurer is -- is
23 avoidance of difficult financial circumstances which
24 is really not rate shock. They have a different set
25 of concerns because they -- they don't control the

1 rates set, in the sense they have to be competitive
2 whereas MPI doesn't have that concern.

3 So they're -- they're really quite
4 different, I think. So satisfactory in their own
5 domains.

6 MR. STEVE SCARFONE: Were you aware,
7 sir, that the Act that governs MPIC, the Manitoba
8 Public Insurance Corporation Act, mandates sufficient
9 reserves in place for the Corporation?

10 DR. WAYNE SIMPSON: Sure, in the
11 context of a Crown monopoly insurer, yes.

12 MR. STEVE SCARFONE: And, sir, as part
13 of your preparation for this afternoon's testimony,
14 did you review at least some of the materials filed by
15 MPIC in this General Rate Application?

16 DR. WAYNE SIMPSON: Absolutely.

17 MR. STEVE SCARFONE: Did you review
18 the overview section of the application, Dr. Simpson?

19 DR. WAYNE SIMPSON: Yes.

20 MR. STEVE SCARFONE: You did. And so
21 you're aware, sir, that MPIC has said that its basic
22 insurance operations is financially vulnerable and
23 that -- in the Corporation's view?

24 DR. WAYNE SIMPSON: They made that
25 statement, yes.

1 MR. STEVE SCARFONE: And you're also
2 aware, sir, I expect having read the -- the DCAT
3 report that the chief actuary has made a finding that
4 the projected financial condition of Basic is not
5 satisfactory?

6 DR. WAYNE SIMPSON: Yes, that's what
7 the statement was, yes.

8 MR. STEVE SCARFONE: And that over the
9 past few years as -- as you've canvassed, forecasted
10 interest rates did not materialize and resulted in
11 \$163 -- \$163 million in premium deficiencies.

12 You're aware of that?

13 DR. WAYNE SIMPSON: Yes, the last few
14 years have been in the negative and before that there
15 were positive years before the great recession,
16 primarily, yeah,

17 MR. STEVE SCARFONE: When you speak to
18 the great recession, which are you -- are you talking
19 2008 --

20 DR. WAYNE SIMPSON: 2008/2009.

21 MR. STEVE SCARFONE: Yes.

22 DR. WAYNE SIMPSON: The great
23 moderation, great recession. It wasn't so great as I
24 said in Manitoba but elsewhere in the world, and that
25 certainly affects interest rates, which are much

1 broader than -- than Manitoba or even Canada.

2 MR. STEVE SCARFONE: But I'm -- I'm
3 speaking even more recently than that, sir. The \$163
4 million, as I understand it, from premium deficiencies
5 was the result of operations in the past two (2) maybe
6 three (3) years. Are you aware of that?

7 DR. WAYNE SIMPSON: Yes. And I've
8 referred to some of that as coming from the interest
9 rate forecasting, yeah, or the -- the stickiness of
10 interest rates at a relatively low level, yep.

11 MR. STEVE SCARFONE: And in the
12 overview section of the application it speaks to hail
13 claims during the last two (2) fiscal years that have
14 resulted in claims being \$89 million over budget.

15 Are you aware of that?

16 DR. WAYNE SIMPSON: Yes. I guess I
17 could add there that the -- I don't see any careful
18 analysis, statistical analysis of the -- the trend to
19 see, in fact, if there is a change in the trend or the
20 variability related to things like hail.

21 But, subject to that, the last two (2)
22 years have been what they've been, yes.

23 MR. STEVE SCARFONE: Yes. So you
24 might quarrel with whether that's unexpected or
25 unforeseen, as you -- as you call it?

1 DR. WAYNE SIMPSON: Well, I -- I just
2 think that there should be constant assessments of the
3 -- of the prospect of climate change.

4 MR. STEVE SCARFONE: So with the \$163
5 million, that's from the interest rate forecasting and
6 the 80 million -- \$89 million as a result of the hail
7 claim, sir --

8 DR. BYRON WILLIAMS: Mr. -- Mr. Chair,
9 I'm just going to -- we'll -- we will just in terms of
10 the characterization of the 163 million, our witness
11 will certainly be prepared to answer the question and
12 we will accept that MPI has characterized it as being
13 exclusively because of forecasting challenges and in
14 interest rates.

15 Our client may take issue with how
16 they've characterized it. So, I just want to be not
17 as a statement of fact but the previous questions were
18 how MPI had characterized it. We'll accept that --

19 MR. STEVE SCARFONE: Yes.

20 DR. BYRON WILLIAMS: -- that assertion
21 of how you've characterized it.

22 MR. STEVE SCARFONE: Yes.

23 DR. BYRON WILLIAMS: But that's not an
24 -- an acceptance of the fact.

25 MR. STEVE SCARFONE: And I think that

1 -- thank you, Mr. Williams, for that. I -- I do
2 believe that was -- that was my question, was that
3 MPIC has maintained in its application that a hundred
4 and sixty-three million dollars was deficient as a
5 result of interest rate forecasting.

6 DR. WAYNE SIMPSON: And that's -- I
7 agreed that that was the statement they made.

8 MR. STEVE SCARFONE: I thought you
9 did, yes. Thank you.

10 CONTINUED BY MR. STEVE SCARFONE:

11 MR. STEVE SCARFONE: So given those
12 two (2) numbers, sir, it wouldn't surprise you, I
13 don't think, to learn that the rate stabilization
14 reserve has been depleted over the past few years?

15 DR. WAYNE SIMPSON: Yes. And the rate
16 stabilization reserve would be expected to go up and
17 down, which is why there's a range -- should be range.

18 MR. STEVE SCARFONE: Yes. And indeed,
19 Diana, could you put on the screen for me, please,
20 Exhibit Number 37, MPIC Exhibit Number 37.

21 One (1) of the undertakings recently
22 filed in this proceeding, Dr. Simpson, was asking the
23 Corporation to identify unexpected and unforeseen
24 events that have drawn down the rate stabilization
25 reserve, over the past number of years.

1 And if you scroll down, Diana, there's
2 a list of them there beginning in 2008 and 2009 with
3 the -- with the stock market crash, or the recession,
4 as you called it, Dr. Simpson. Below that is \$163
5 million that the Corporation says was the result of
6 interest rate forecasting; the hail as we've
7 mentioned, and if you scroll down further, Diana.

8 There was an increase in collision
9 frequency in the years there stated and, lastly, an
10 increase in injury claims of \$54 million and \$36
11 million.

12 So, sir, scrolling back up to the top,
13 beginning at 2008/2009, so that's in the past nine (9)
14 years, the Corporation has seen \$560 million in losses
15 due to what we say are unexpected and unforeseen
16 events.

17 Do you have for any reason to dispute
18 those numbers?

19 DR. WAYNE SIMPSON: No. I'd like to
20 put it in context because it's -- it's kind of a one-
21 sided question. In other words, I think they've
22 responded -- you've responded to a question about the
23 adverse events, but the whole idea of risk and risk
24 analysis is to look at both the favourable and
25 unfavourable events around a best-case scenario.

1 And, for example, in the case of -- of
2 equities, there are -- there are probably many --
3 there's a dramatic recovery in -- in equities
4 following 2008/2009. And there are dramatic positive
5 events on the other side.

6 So again, that's part of the component
7 of the RSR, and why it goes up and down, and why it
8 needs a range, but adding up these adverse events,
9 sure, they're -- they're balanced against favourable
10 events as well. But the stock markets a good example.

11 In fact, I would use the stock market,
12 the equity decline scenario in the DCAT as a -- as a
13 model scenario, and -- and it's really the -- the kind
14 of thing that I think the interest rate decline
15 scenario should aspire to when conditions are
16 appropriate for it to be like that.

17 MR. STEVE SCARFONE: Well and on that
18 point, sir, the -- the \$560 million loss in nine (9)
19 years, there's no DCAT scenario that speaks to a 1:9
20 year scenario, is there?

21 DR. WAYNE SIMPSON: I -- I don't
22 understand the question.

23 MR. STEVE SCARFONE: Well, most of the
24 scenarios, the adverse scenarios, that the DCAT runs
25 involve 1:40 years, 1:100 years. I haven't seen -

1 maybe you have - a scenario that would contemplate
2 this kind of loss in nine (9) years.

3 DR. WAYNE SIMPSON: These -- these are
4 -- the DCAT deals with individual events such as the
5 equity decline scenario.

6 MR. STEVE SCARFONE: Yes.

7 DR. WAYNE SIMPSON: And I -- I don't
8 know what you're getting at but there are
9 corresponding, offsetting -- I mean, favourable events
10 associated with every one (1) of these, with the
11 exception of the interest rates; that is to say, the
12 stock market crash is followed by a significant
13 recovery and quite robust returns in recent years.

14 The -- and the -- he hail, you
15 mentioned the last two (2) years, but there were other
16 years where I suspect hail was better than the
17 forecast. In other words, if you forecast an average
18 set of hail events, there are years when you do better
19 than that.

20 There's another case where the
21 statistical analysis would -- would be quite -- quite
22 straightforward.

23 MR. STEVE SCARFONE: On the opening
24 page of your paper, sir, you -- you speak to the
25 definition or the purpose of the RSR, sorry, and it's

1 to protect motorists from rate increases that would
2 otherwise have been necessary due to unexpected
3 variances from forecasted results and due to events
4 and losses arising from non-reoccurring events or
5 factors. And that is, as you've said is -- is the
6 accepted definition that -- that everyone's been
7 working with.

8 Is there anything in the list that we
9 just went through, Dr. Simpson, I'm going to suggest
10 to you there isn't, that doesn't meet that definition?

11 DR. WAYNE SIMPSON: No.

12 MR. STEVE SCARFONE: Those are all
13 unexpected and unforeseen; you would agree with that?

14 DR. WAYNE SIMPSON: That's -- that's
15 correct. But if you said to me, what are the chances
16 of this -- this occurring over a nine (9) year period,
17 like anything else statistically, they're not -- it's
18 not zero.

19 MR. STEVE SCARFONE: Correct. And
20 over the past three (3) years, sir, you're aware
21 having read the overview that \$176 million has been
22 transferred into Basic's rate stabilization reserve?

23 You're aware of that?

24 DR. WAYNE SIMPSON: That's been
25 repeated many times in the Application, yes.

1 MR. STEVE SCARFONE: And we've heard
2 evidence in this proceeding, sir, that during the past
3 three (3) years Ba -- Basic has been operating at a
4 minimum level of capital.

5 Were you aware of that?

6 DR. WAYNE SIMPSON: I can't say that
7 that -- that I -- I am aware of that, no, I would
8 take that -- your statement.

9 MR. STEVE SCARFONE: Okay. Well,
10 you'd agree with me I think that operating at
11 something other than a minimum level of capital is,
12 generally, recommended for an insurance company?

13 DR. WAYNE SIMPSON: Yes, depending on
14 what you define as the minimal level.

15 MR. STEVE SCARFONE: The -- in your
16 paper, sir, the first paragraph, and you spoke to this
17 in your -- in your presentation as well. You indicate
18 that the requested targets of 201 million and four
19 hundred and thirty-eight (438) are higher than -- than
20 those targets request -- threshold, sorry -- than
21 those thresholds requested last year of one eighty-one
22 (181) and four o-four (404).

23 DR. WAYNE SIMPSON: Yes.

24 MR. STEVE SCARFONE: And in fact, much
25 larger than the \$159 million approved last year as the

1 lower threshold, correct?

2 DR. WAYNE SIMPSON: Yes.

3 MR. STEVE SCARFONE: Were you aware,
4 Dr. Simpson that the Board of Directors for MPIC
5 directed a top up of the RSR in February of this year
6 of \$27 million?

7 DR. WAYNE SIMPSON: I don't recall.

8 MR. STEVE SCARFONE: And that was the
9 result of Basic operating, again, below its minimum
10 capital target threshold?

11 DR. WAYNE SIMPSON: I -- I don't
12 recall.

13 MR. STEVE SCARFONE: Don't recall.
14 You have no reason to dispute that that -- that amount
15 of money was transferred into --

16 DR. WAYNE SIMPSON: No.

17 MR. STEVE SCARFONE: -- Basic --

18 DR. WAYNE SIMPSON: No, no reason to
19 dispute.

20 MR. STEVE SCARFONE: And you have no
21 reason to dispute, sir, that without the \$27 million
22 transfer from the non-Basic line of business that a
23 rebuilding fee may have been required for this year's
24 general rate application?

25 DR. WAYNE SIMPSON: I think that is

1 correct, subject to check.

2 MR. STEVE SCARFONE: And the question
3 that you put in -- to the audience in your paper, sir,
4 at the end of that first paragraph is,

5 "Have the risks facing the
6 Corporation risen that much in one
7 (1) year." Do you see that?

8 DR. WAYNE SIMPSON: Yeah.

9 MR. STEVE SCARFONE: And I think you'd
10 agree, sir, that the Corporation can't responsibly
11 consider its financial state on a year-by-year basis;
12 would you agree with that?

13 DR. WAYNE SIMPSON: We're talking
14 about risks, so we're talking about the variability of
15 -- of outcomes that they assess could happen from year
16 to year. I think that can be assessed on a year-to-
17 year basis. In other words, those risks are changing,
18 and they should be assessed. And that's the purpose
19 of the DCAT and the RSR.

20 MR. STEVE SCARFONE: But my question
21 to you, sir, was that -- I didn't ask what risks. I
22 asked about the Corporation's financial state
23 generally, and that they shouldn't be considering
24 that, not responsibly, at least, on a year-to-year
25 basis?

1 DR. WAYNE SIMPSON: No. I suppose
2 that is correct. I'm not sure what that has to do
3 with the statement I've made.

4 MR. STEVE SCARFONE: Well, the
5 statement you made, sir, does speak to risks, but
6 you're asking why the Corporation has indicated that
7 it needs an increase of that magnitude in just one (1)
8 year.

9 DR. WAYNE SIMPSON: In the RSR, which
10 is supposed to deal with unexpected and non-recurring
11 events to avoid rate shock. The general health of the
12 -- financial health of the -- of the Corporation is
13 largely independent of that.

14 MR. STEVE SCARFONE: Sorry. Should I
15 take that to mean, sir, that the financial state of
16 the Corporation is independent of the amount of
17 capital it has available it?

18 DR. WAYNE SIMPSON: Of -- of the -- of
19 the size of the RSR, which is supposed to deal with
20 the possibility of adverse events which would be non-
21 recurring.

22 MR. STEVE SCARFONE: Yes.

23 DR. WAYNE SIMPSON: So therefore, if
24 they're non-recurring, they wouldn't be occurring from
25 year to year, and so looking out beyond one (1) year

1 is -- is not -- I -- I don't understand what the con -
2 - your connection is that you're trying to make, but I
3 don't accept it.

4 MR. STEVE SCARFONE: Okay.

5

6 (BRIEF PAUSE)

7

8 MR. STEVE SCARFONE: Perhaps you'll
9 agree with me on this, then. The -- the rate
10 stabilization reserve, sir, is essentially a capital
11 reserve? Would you agree with that?

12 DR. WAYNE SIMPSON: Yes.

13 MR. STEVE SCARFONE: And that every
14 insurance company in Canada, I think we've
15 acknowledged, has a capital reserve, correct?

16 DR. WAYNE SIMPSON: Yes.

17 MR. STEVE SCARFONE: And the -- the
18 test, as I understand it, sir, that -- that you'd like
19 to make use of in identifying for the Corporation an
20 upper threshold is the dynamic capital adequacy test,
21 correct?

22 DR. WAYNE SIMPSON: Consistent with
23 the lower threshold determination.

24 MR. STEVE SCARFONE: Yes. And the
25 test that the Corporation has -- has advocated for in

1 this application is the minimum capital test, correct

2 --

3 DR. WAYNE SIMPSON: Right.

4 MR. STEVE SCARFONE: -- for its upper
5 threshold?

6 DR. WAYNE SIMPSON: That's right.

7 MR. STEVE SCARFONE: The MCT, sir, the
8 minimum capital test, that is, simply put, the ratio
9 of capital available equals the capital required.

10 DR. WAYNE SIMPSON: Yes.

11 MR. STEVE SCARFONE: Would you agree
12 with that? And would you agree, sir, that it was a
13 test that was developed by the office of the
14 Superintendent of Financial Institutions?

15 DR. WAYNE SIMPSON: Yes.

16 MR. STEVE SCARFONE: And at page 2 of
17 your paper, sir, and you touched upon this in your --
18 in your presentation, you indicate that what makes MPI
19 distinct is the fact that it's a Crown monopoly
20 insurer, and that the minimum capital test is
21 therefore not appropriate. Is that -- does that sum
22 up fairly your position?

23 DR. WAYNE SIMPSON: Distinct from
24 private insu -- private property and casual insurers,
25 yes.

1 MR. STEVE SCARFONE: Yes.

2 DR. WAYNE SIMPSON: Not distinct from,
3 say, ICBC.

4 MR. STEVE SCARFONE: Okay. But
5 distinct from an insurer like Ms. Sherry's Wawanesa,
6 correct?

7 DR. WAYNE SIMPSON: Yeah.

8 MR. STEVE SCARFONE: And you go on to
9 say that the -- that distinction has some connection
10 to the fact that a prop -- a private insurer has a
11 real possibility of bankruptcy. Do you see that, sir?

12 DR. WAYNE SIMPSON: Yeah.

13 MR. STEVE SCARFONE: Is the
14 implication, sir, there that MPIC should not therefore
15 need the protection afforded by the 100 percent MCT
16 criterion?

17 DR. WAYNE SIMPSON: Yes.

18 MR. STEVE SCARFONE: Simply by virtue
19 of it being a Crown Corporation?

20 DR. WAYNE SIMPSON: In comparison with
21 private property and casual insurers who would need
22 more protection because there's a higher risk of -- of
23 bank -- well, there is a risk bankruptcy.

24 MR. STEVE SCARFONE: And you're aware,
25 sir, that Wawanesa operates -- and maybe you're not,

1 but Ms. Sherry certainly would be -- operates at over
2 300 percent MCT?

3 DR. WAYNE SIMPSON: I -- I didn't know
4 the figure, but I knew it was more than a hundred.

5 MR. STEVE SCARFONE: And you'd agree
6 that MPIC is not here today asking for 300 percent
7 MCT?

8 DR. WAYNE SIMPSON: No.

9 MR. STEVE SCARFONE: And at least to
10 that extent, then, MPIC is not comparing itself to a
11 private insurance company?

12 DR. WAYNE SIMPSON: Well, it is in the
13 context of its argument for a hundred percent MCT. It
14 made specific reference to the -- the private property
15 and casual insurers, and their -- and their standards.

16 MR. STEVE SCARFONE: Were you aware,
17 Dr. Simpson, that SGI -- SGI's, that's the
18 Saskatchewan Government Insurance, they have an auto
19 fund that has a target of 100 percent MCT?

20 DR. WAYNE SIMPSON: I was made aware
21 of that, yes.

22 MR. STEVE SCARFONE: And SGI, you'll
23 agree, is a provincial Crown Corporation, just like
24 MPIC?

25 DR. WAYNE SIMPSON: Still is, yes.

1 MR. STEVE SCARFONE: And it has the
2 same monopoly over automobiles that MPIC has?

3 DR. WAYNE SIMPSON: Right. And I
4 think ICBC is similar to that in circumstance to that.

5 MR. STEVE SCARFONE: Similar, except
6 as I understand it, sir, ICBC has a regulatory minimum
7 of 100 percent MCT. Were you aware of that?

8 DR. WAYNE SIMPSON: I was made aware
9 of that, yes.

10 MR. STEVE SCARFONE: And that their
11 upper target is at approximately 160 percent MCT?

12 DR. WAYNE SIMPSON: Yes, I'll -- I'll
13 take your point on that. I am -- I'm not aware of
14 that.

15 MR. STEVE SCARFONE: Okay. And again,
16 you'd agree with me that ICBC is a provincial Crown
17 Corporation, like MPI?

18 DR. WAYNE SIMPSON: That's correct.

19 MR. STEVE SCARFONE: And they too have
20 a mon -- monopoly on the automobiles in that province?

21 DR. WAYNE SIMPSON: That's correct.
22 And that's precisely the Ernst & Young point -- or one
23 (1) of their points about the appropriateness of the
24 hundred percent MCT criterion.

25 MR. STEVE SCARFONE: Yeah. And we'll

1 get to that, sir. And Dr. Simpson, you're aware that
2 MPIC is currently operating at approximately 30
3 percent MCT?

4 DR. WAYNE SIMPSON: Right.

5 MR. STEVE SCARFONE: Are you aware of
6 any private insurer that operates at 30 percent MCT?

7 DR. WAYNE SIMPSON: No.

8 MR. STEVE SCARFONE: And that's in
9 large part, I expect, because OSFI wouldn't allow for
10 that. Is that correct?

11 DR. WAYNE SIMPSON: I -- I take your -
12 - I take your word on that. I would expect not.

13 MR. STEVE SCARFONE: And you -- I
14 think you've just confirmed that SGI and ICBC operate
15 at least a hundred percent MCT, correct?

16 DR. WAYNE SIMPSON: Yes.

17 DR. BYRON WILLIAMS: I'm just going to
18 take issue. I think he confirmed what their targets
19 were --

20 MR. STEVE SCARFONE: Their targets.

21 DR. BYRON WILLIAMS: -- and minimums--

22 MR. STEVE SCARFONE: Yes.

23 DR. BYRON WILLIAMS: -- and I think
24 the factual premise that ICBC is offering on that, I'm
25 not sure that we would be -- so the -- if you wanted

1 to rephrase that question, sir.

2

3 CONTINUED BY MR. STEVE SCARFONE:

4 MR. STEVE SCARFONE: Sure. We'll
5 rephrase it to this. We just heard that -- and I
6 think you agreed, sir, that SGI and ICBC operate, at
7 least at 100 percent MCT target?

8 DR. WAYNE SIMPSON: That -- that's a
9 target, yeah. I don't know that they operate at or
10 above that level. I mean, they -- they -- that's a
11 target. They may miss the target.

12 MR. STEVE SCARFONE: I've just been
13 made aware that -- and again, you're probably not in a
14 position to disagree, in any event, sir, that ICBC has
15 an MCT target of 145 percent.

16 Are you aware, Dr. Simpson, of any
17 other insurers in the country, private or public, and
18 what they might operate at terms of MCT?

19 DR. WAYNE SIMPSON: No.

20 MR. STEVE SCARFONE: So it could be,
21 sir, as we sit here today, that Manitoba Public
22 Insurance is the most undercapitalized insurance
23 company in Canada?

24 DR. WAYNE SIMPSON: It could be.

25 MR. STEVE SCARFONE: You have no

1 reason to dispute that -- that suggestion?

2 DR. WAYNE SIMPSON: I have no reason
3 to dispute that.

4 And I don't -- I'd just add that I -- I
5 don't necessarily think that's a -- a bad thing. I --
6 I think the implication you're trying to draw is that
7 that's a bad thing, and from the sole standpoint of
8 MPI, I would agree with you.

9 However, from the sti -- that -- what I
10 would call the balance standpoint of taking into
11 consideration the opportunity costs, foregone of
12 having ratepayers without the funds to spend and
13 invest, I -- I wouldn't necessarily characterize that
14 as a bad thing. And I interpret the Ernst & Young
15 statements to support that that position that the -- a
16 balance has to be drawn, and that perhaps the hundred
17 percent MCT and higher levels, if -- if their targets,
18 for example, is -- is excessively conservative when
19 you weigh the two (2) -- two (2) sides. And that's
20 precisely my -- that was my opening point.

21 MR. STEVE SCARFONE: Well, let me just
22 then turn your attention to the excerpts from the E
23 and Y report that was prepared for the Insurance
24 Corporation of British Columbia. It's on page 2 of --
25 of your paper.

1 THE CHAIRPERSON: Can -- can I just
2 ask, do we have the EY report in as an exhibit?

3 MR. STEVE SCARFONE: I believe it is,
4 yes.

5 THE CHAIRPERSON: Yeah. Could we --
6 and -- and --

7 DR. BYRON WILLIAMS: It was filed in
8 response to an Information Request of the PUB.

9 THE CHAIRPERSON: Thank you. Okay.
10 That's what I was looking for. Thank you.

11

12 CONTINUED BY MR. STEVE SCARFONE:

13 MR. STEVE SCARFONE: So at -- at the
14 bottom of page 2, sir, of your paper, you make
15 reference to the E and Y report that -- that had to
16 say that government-owned monopoly insurers are not
17 required to adhere to OSFI guidelines.

18 Do you see that?

19 DR. WAYNE SIMPSON: Right.

20 MR. STEVE SCARFONE: And that capital
21 surplus, in their view, can be put to better use by
22 government. That is, not tied up investments. Do you
23 see that?

24 DR. WAYNE SIMPSON: I -- I can read
25 that, yeah.

1 MR. STEVE SCARFONE: You would agree
2 with me, sir, that to investments by, their very
3 nature, can be redeemed, sold, rebalanced, otherwise
4 made available to their owner, the cash proceeds, I
5 mean?

6 DR. WAYNE SIMPSON: Yes.

7 MR. STEVE SCARFONE: And we've heard
8 evidence in this proceeding, sir, from Mr. Steski.
9 He's at the treasury division for the Government of
10 Manitoba that the investments that MPIC holds are
11 owned by the Crown.

12 You have no reason to dispute that?

13 DR. WAYNE SIMPSON: No.

14 MR. STEVE SCARFONE: And so there
15 would be nothing based on that that would prevent the
16 Province of Manitoba from demanding from MPIC that it
17 redeem its investments and send the cash over to the
18 people at Broadway?

19 DR. BYRON WILLIAMS: Is My Friend
20 asking for a legal opinion?

21 MR. STEVE SCARFONE: No. I don't
22 think that's a legal opinion. I think that's just a
23 follow-up question to the witness having confirmed
24 that the Crown owned the investments.

25 DR. BYRON WILLIAMS: I think he can --

1 let me put it this way. If the witness feels
2 comfortable answering that question, we won't stop him
3 if -- if he feels able to comment on it.

4 DR. WAYNE SIMPSON: I feel less
5 comfortable now than I did a moment ago. It perhaps
6 was a bit leading. But I would -- I would add that
7 the other side of that would be that a rebate to tax -
8 - to ratepayers would allow them to make the kind of
9 spending and investment decisions that the -- socially
10 would also be beneficial.

11 Just going to the government, I'm --
12 I'm not sure that's the only option, although that is
13 the reference in the -- at the top. But there's a
14 further reference down below to actual -- to
15 ratepayers to keeping money in ratepayers' pockets.

16

17 CONTINUED BY MR. STEVE SCARFONE:

18 MR. STEVE SCARFONE: Well, no. I see
19 that in the first bullet there, sir, at the bottom of
20 page 2, it reads "Capital surplus above target levels"
21 --

22 DR. WAYNE SIMPSON: Yeah.

23 MR. STEVE SCARFONE: -- "may be better
24 -- put to better use by the government." My
25 suggestion to you, sir, though, is if there was

1 capital surplus above an upper threshold, that that
2 would result in a rebate to the -- to the customers.
3 Is that not your understanding?

4 DR. WAYNE SIMPSON: I'm -- and I'm
5 saying, I would hope so.

6 MR. STEVE SCARFONE: Yes.

7 DR. WAYNE SIMPSON: Yeah.

8

9 (BRIEF PAUSE)

10

11 MR. STEVE SCARFONE: The bullet on the
12 next page, at the top of page 3, again, from the E and
13 I rep -- E and Y report reads that:

14 "Increased capital level -- levels
15 require higher premiums that
16 automobile owners need to pay."

17 And it can be argued that in light of
18 the above two (2) points, there is no need to have
19 part -- prior pre -- higher premiums. Do you see
20 that, sir?

21 DR. WAYNE SIMPSON: Yes. That was
22 actually the point I was referring to a moment ago.

23 MR. STEVE SCARFONE: Yes. But you
24 would agree with me, sir, that has no application if
25 as the Corporation intends to do, is having the

1 investment income retained in the RSR?

2 DR. WAYNE SIMPSON: Yes. An extremely
3 conservative and high upper threshold for the RSR
4 would ensure that -- that auto owners would not have
5 the money in -- in the form of lower rebates -- lower
6 rates and rebates.

7 MR. STEVE SCARFONE: And the -- the
8 strategy being proposed by MPIC in this rate
9 application is that there would be no additional
10 monies being paid by ratepayers. Do you agree with
11 that?

12 DR. WAYNE SIMPSON: At this time, no.
13 Although, that's why that curious 2 percent RSR -- I
14 guess RSR rebuilding fee in the -- in the DCAT is --
15 is a bit of a curious way to -- to state what I would
16 consider a -- a rate increase at the rate of
17 inflation. I'm not sure where that -- what -- what's
18 behind that. It's -- there's no discussion of it in
19 the DCAT.

20 MR. STEVE SCARFONE: As part of your
21 review of the materials, did you read that the chief
22 actuary's DCAT report, Dr. Simpson?

23 DR. WAYNE SIMPSON: The -- the DCAT
24 report in the application?

25 MR. STEVE SCARFONE: Yes, filed in

1 this year's application.

2 DR. WAYNE SIMPSON: Yes.

3 MR. STEVE SCARFONE: Yes. Diana,

4 could you pull up the DCAT 66, please.

5

6 (BRIEF PAUSE)

7

8 DR. WAYNE SIMPSON: Was it -- 66 is --

9 isn't it? Yeah. Yeah.

10

11 (BRIEF PAUSE)

12

13 MR. STEVE SCARFONE: Yes. Oh, sorry.

14 I meant Figure 66.

15

16 (BRIEF PAUSE)

17

18 MR. STEVE SCARFONE: And then if you--

19 MR. BYRON WILLIAMS: Is this the

20 revised figure that was filed today, sir, or is this

21 the original figure?

22 MR. STEVE SCARFONE: No, this is the
23 original.

24 MR. BYRON WILLIAMS: And that's the
25 one that MPI has corrected? Okay. So it's --

1 MR. STEVE SCARFONE: No.
2 MR. BYRON WILLIAMS: Okay. Thank you.
3 MR. STEVE SCARFONE: This -- this is
4 the same.

5 MR. BYRON WILLIAMS: And I'm sorry
6 for interrupting.

9 MR. MATTHEW GHIKAS: The -- just for
10 clarity on that, the only thing that was revised was
11 DCAT 64. Figure 64.

12

13 CONTINUED BY MR. STEVE SCARFONE:

14 MR. STEVE SCARFONE: And, Diana, from
15 the opening presentation of Mr. Yien and Mr. Johnston,
16 we would need page 37. If you could pull it up and --
17 and do them a split screen.

18

19 (BRIEF PAUSE)

20

21 MR. STEVE SCARFONE: And if it helps,
22 the presentation, I think, was marked as MPI Exhibit
23 Number 11.

24

25 (BRIEF PAUSE)

1 MR. STEVE SCARFONE: 37. Thank you.

2 So, Dr. Simpson, you've earlier confirmed that your
3 recommendation is that the DCAT be used to set the
4 upper RSR target; correct?

5 DR. WAYNE SIMPSON: Yes.

6 MR. STEVE SCARFONE: And that the M --
7 M -- MPI's position is that the threshold should be
8 set using the minimum capital test; correct?

9 DR. WAYNE SIMPSON: Yeah.

10 MR. STEVE SCARFONE: On the left, sir,
11 do you recognize the modelling that was done in DCAT
12 66 that resulted in an RSR target of \$442 million
13 upper target using the DCAT analysis?

14 DR. WAYNE SIMPSON: Okay.

15 MR. STEVE SCARFONE: Were you aware of
16 that?

17 DR. WAYNE SIMPSON: M-hm.

18 MR. STEVE SCARFONE: And you'd agree
19 with me, sir, that the results of that modelling,
20 using the DCAT test, results in a higher upper
21 threshold than what MPIC is recommending in its
22 application?

23 DR. WAYNE SIMPSON: Yes, that's why my
24 concerns about the interest rate and inflation
25 assumptions in the DCAT simulations.

1 (BRIEF PAUSE)

2

3 MR. STEVE SCARFONE: On the interest
4 rate forecasting part of your presentation, sir, would
5 you agree that the starting point concerning any
6 interest rate forecasting begins with the uncertainty
7 surrounding interest rates and the forecasting of
8 them?

9 DR. WAYNE SIMPSON: Right.

10 MR. STEVE SCARFONE: And would you --

11 DR. WAYNE SIMPSON: But -- but I

12 imagine less uncertainty in recent years than, say,
13 equities in 2008/'09, where you saw the huge drop,
14 which you -- you -- that you've -- we've already
15 discussed.

16 MR. STEVE SCARFONE: And -- and
17 perhaps less uncertainty than we've seen with interest
18 rates over the past number of years; correct?

19 DR. WAYNE SIMPSON: Right.

20 MR. STEVE SCARFONE: And --

21 DR. WAYNE SIMPSON: Although, I -- I
22 still would maintain that the interest rate decline
23 scenario has driven the combined scenario for a number
24 of years. That's why I found it curious. There was a
25 statement in the transcript of October 6 by Luke

1 Johnston where he said that he did not expect the
2 interest rate decline scenario to be a major concern
3 in future years. And I just don't know what would
4 take its place. I'm not sure what was going on there.
5 And I was -- it would be interesting to have heard
6 some follow-up to that.

7 MR. STEVE SCARFONE: But on the issue
8 of interest rate uncertainty, sir, you will agree that
9 there will always be interest rate uncertainty.

10 DR. WAYNE SIMPSON: Yes.

11 MR. STEVE SCARFONE: And, for example,
12 sir, interest rates over the past number years were
13 not forecast to remain at such historic lows for such
14 a prolonged period of time; correct?

15 DR. WAYNE SIMPSON: No, we were in our
16 unchart -- what I characterize as uncharted territory.

17 MR. STEVE SCARFONE: Unprecedented;
18 correct?

19 DR. WAYNE SIMPSON: Right.

20 MR. STEVE SCARFONE: And in your paper,
21 Dr. Simpson, you're recommending that MPIC abandon its
22 use of the naive forecast and replace it instead with
23 the 50/50 forecast model it used last year; correct?

24 DR. WAYNE SIMPSON: Right. That's
25 been fairly consistently my position, including at the

1 April technical conference where I argued that there
2 were good reasons why the cons -- the banks and other
3 people who spend a lot of money in forecasting these
4 things, because it matters a lot to them, have
5 continued to indicate that interest rates would be
6 expected to rise because there are very strong
7 economic foundations behind those kinds of forecasts.
8 And -- and that's what we're seeing happening now.

9 MR. STEVE SCARFONE: And I'm going to
10 suggest to you, sir, that it also matters to MPIC,
11 because as you've heard, the Corporation takes the
12 position that due to interest rate forecasting there
13 were premium deficiencies of \$163 million.

14 DR. WAYNE SIMPSON: Right. And when
15 the banks get it wrong it costs them a lot more.

16 MR. STEVE SCARFONE: And so the
17 forecast, sir, the one (1) that's being proposed by
18 MPIC in this rate application, is one (1) in which
19 interest rates remain the same now throughout the
20 forecast; correct?

21 DR. WAYNE SIMPSON: Right. That's
22 what I'm quarreling with.

23 MR. STEVE SCARFONE: And I gathered
24 from your paper, sir, on page 6 that you're
25 uncomfortable with the naive model because you believe

1 that interest rates will rise or continue to rise. Is
2 that -- is that fair?

3 DR. WAYNE SIMPSON: I believe that
4 they would -- can -- would rise. In other words, I
5 believed the standard interest rate forecast all
6 along. And now I -- I'm not going to just believe it.
7 I see it.

8 MR. STEVE SCARFONE: Yes. And at the
9 top of the page it -- it reads:

10 "There is also a good reason to
11 believe that interest rates will
12 rise further in the autumn as the
13 SIRF predicted would eventually
14 occur."

15 That would --

16 DR. WAYNE SIMPSON: Right.

17 MR. STEVE SCARFONE: -- that -- that
18 was your statement?

19 DR. WAYNE SIMPSON: And I originally
20 wrote this before the second increase, the first
21 draft.

22 MR. STEVE SCARFONE: I'm going to
23 suggest to you, sir, that predicting a rise in
24 interest rates when they were at historic lows for a
25 sustained period of time is -- is no great feat; is

1 it?

2 DR. WAYNE SIMPSON: No.

3 MR. STEVE SCARFONE: And so the SIRF -
4 - and now purchasing -- or, sorry, now predicting the
5 continued rise in interest rates is something that
6 isn't necessarily reliable, given their history of
7 predicting their rise for the past several years, when
8 in fact they stayed at sustained periods of low
9 interest?

10 DR. WAYNE SIMPSON: I think given the
11 forecasts of growth and the fact that they've already
12 risen a couple of times, and the Bank of Canada
13 statements which are in the monetary policy reports, I
14 think it's a pretty good bet that they're not going
15 down in the near future.

16 MR. STEVE SCARFONE: And you wouldn't

17 --

18 DR. WAYNE SIMPSON: They're probably
19 going to rise.

20 MR. STEVE SCARFONE: I don't think
21 though that means, sir, that you can't reasonably
22 include a scenario that has interest rates dropping in
23 your adverse modelling.

24 DR. WAYNE SIMPSON: There -- there
25 should be an analysis of the degree of risk associated

1 with favourable and unfavourable events around
2 interest rates movements, just like there are, say,
3 with equity movements in the equity decline scenario.
4 And recent historical experience has made that more
5 difficult. And so what we have is what I've
6 characterized as an ad hoc process of characterizing
7 the -- the lower floor on -- on interest rate
8 declines.

9 The problem with that is that as
10 interest rates rise the scenario still drives interest
11 rates to the floor in predicting the adverse event,
12 which suggests that as interest rates rise interest
13 rate risk will rise. And I would take exception to
14 that.

15 For example, you wouldn't predict that
16 from the interest -- the equity decline scenario,
17 because the risks around the equity movements would be
18 characterized by historical evidence and it wouldn't
19 change as interest rates begin -- as equities began to
20 rise. So it's different. That's why I characterize
21 it as ad hoc because it's quite different from the
22 equities scenario characterization and the claims
23 characterization, which is also statistically based.

24 MR. STEVE SCARFONE: But we do know,
25 sir, that the standard interest rate forecast analysis

1 has been off for many, many years now; correct?

2 DR. WAYNE SIMPSON: Yeah.

3 MR. STEVE SCARFONE: And if we look at
4 a figure from the investment section, Diana, Figure
5 INV-46.

6

7 (BRIEF PAUSE)

8

9 MR. STEVE SCARFONE: There's a --
10 there's a graph here. It's -- it's a somewhat busy
11 one (1), but it shows in black the actual interest
12 rates from February 2008 until the present. You see
13 that, sir?

14 DR. WAYNE SIMPSON: Well, it goes up
15 to 2021 actually. Doesn't it?

16 MR. STEVE SCARFONE: Yes. No, I'm --

17 DR. WAYNE SIMPSON: Which one (1) are
18 you referring to?

19 MR. STEVE SCARFONE: I'm -- I'm
20 referring to the actual, the -- the black line.

21 DR. WAYNE SIMPSON: Oh, yes. Okay.

22 MR. STEVE SCARFONE: So that's
23 represents the drop in interest rates --

24 DR. WAYNE SIMPSON: February '17. So
25 it's -- it's not updated to the current.

1 MR. STEVE SCARFONE: No. But that
2 represents the drop in interest rates over the past
3 ten (10) years, roughly; correct?

4 DR. WAYNE SIMPSON: Right. And if you
5 extended that to October interest rate would be at two
6 point one zero (2.10), which would put it back up --
7 back up to where it was February of '14, at least.

8 MR. STEVE SCARFONE: Yes. But if you
9 look back historically, sir, to the first GRA that's
10 depicted there, the one (1) in the blue on the left-
11 hand side, you'll see that the forecast using the
12 standard interest rate forecasting was for the
13 interest rates to go up; correct?

14 DR. WAYNE SIMPSON: Right.

15 MR. STEVE SCARFONE: And again in 2010
16 the Corporation was forecasting interest rates to go
17 up, based on the SIRF.

18 DR. WAYNE SIMPSON: Yeah.

19 MR. STEVE SCARFONE: And the actual
20 went down?

21 DR. WAYNE SIMPSON: That's right.

22 MR. STEVE SCARFONE: It happened again
23 in 2013, in 2014, and 2015; correct, sir?

24 DR. WAYNE SIMPSON: Yes.

25 MR. STEVE SCARFONE: And so you can

1 understand, sir, why the Corporation might have some
2 hesitation in hanging its hat on what the SIRF has to
3 say about what can happen in the next few months?

4 DR. WAYNE SIMPSON: Not as much
5 hesitation as (a) ignoring interest rate increases
6 that have occurred and ignoring the bank consensus
7 forecasts that they will continue to rise, no.

8 MR. STEVE SCARFONE: So you're aware
9 that as part of its rate application this year the
10 Corporation, in conjunction with its -- with its
11 suggestion of a naive interest rate forecasting
12 methodology, has suggested that the Board consider
13 allowing it to do a compliance filing. Were you aware
14 of that?

15 DR. WAYNE SIMPSON: I've read that,
16 yeah.

17 MR. BYRON WILLIAMS: I just want to be
18 clear, we're not talking about the DCAT modelling
19 anymore, sir?

20 MR. STEVE SCARFONE: No.

21 MR. BYRON WILLIAMS: Okay.

22 DR. WAYNE SIMPSON: That would -- that
23 -- I think I read that in the rate application.

24

25 CONTINUED BY MR. STEVE SCARFONE:

1 MR. STEVE SCARFONE: Yes.
2 DR. WAYNE SIMPSON: I believe so.
3 MR. STEVE SCARFONE: And -- and the --
4 the idea was, at least, that if they were to update
5 the -- the Board with the actual interest rate at the
6 end of November, they mitigate the risk of any rise or
7 fall in interest rates that might happen before the
8 policy year begins in March 1st; correct?

9 DR. WAYNE SIMPSON: That's correct.
10 Yes.

11 MR. STEVE SCARFONE: And you'd agree
12 with me, sir, that that at least somewhat addresses
13 the risk that interest rates may arise in the next
14 month or two (2)?

15 DR. WAYNE SIMPSON: That's right. I'm
16 more focused on the four (4) here -- four (4) year
17 horizon associated with the DCAT, but that's a --
18 that's a different issue because the horizon's longer.

19 MR. STEVE SCARFONE: Yes. And you'd
20 agree with me, sir, that MPI's interest rate
21 forecasting models are based on forecasting the
22 expected yield of the -- the ten (10) year government
23 bond rate?

24 DR. WAYNE SIMPSON: That's correct.
25 The benchmark rate.

1 MR. STEVE SCARFONE: Yes. And that
2 there is little if any connection to the overnight
3 rate that -- that drives interest rates for the major
4 banks; correct?

5 DR. WAYNE SIMPSON: Oh, I don't agree
6 with that at all. The -- the term structure of
7 interest rates is -- is largely driven by the policy
8 rate unless there are intervening factors. But I -- I
9 don't see anything that would not cause interest rates
10 to rise reasonably uniformly with the overnighter
11 policy rate.

12 MR. STEVE SCARFONE: Well, would you
13 agree with me, sir, that the long-term interest rates
14 are mostly driven by real economic growth and
15 inflation?

16 DR. WAYNE SIMPSON: They are, but that
17 is what the policy rate is also reacting to.

18 MR. STEVE SCARFONE: By 'policy rate',
19 you mean the overnight?

20 DR. WAYNE SIMPSON: Overnight,
21 overnight rate. Yes.

22 MR. STEVE SCARFONE: At page 6 of your
23 report, sir, in the first -- or second paragraph, you
24 make a number statements there that begin with:

25 "The question remains, however, as

1 to the justification of the naive
2 forecast, and the base scenarios
3 interest rates begin to rise."

4 Do you see that?

5 DR. WAYNE SIMPSON: M-hm. Yeah.

6 MR. STEVE SCARFONE: And then later
7 you say:

8 "Well, hindsight has provided
9 evidence that the SIRF forecast has
10 been off. It may be now useful to
11 look to the SIRF about the expected
12 trajectory of interest rates to be
13 incorporated into the base
14 scenario."

15 Do you see that?

16 DR. WAYNE SIMPSON: Right. It's
17 supposed to be the best guess, the best estimate, the
18 best forecast. Right.

19 MR. STEVE SCARFONE: Right. And you
20 phrase it by asking:

21 "Is there now useful information in
22 the SIRF?"

23 Do you see that?

24 DR. WAYNE SIMPSON: Yes.

25 MR. STEVE SCARFONE: Yes. And later

1 you say in that same par -- full paragraph:

2 "Would even an up-to-date naive
3 forecast now be expected to perform
4 as well as the SIRF?"

5 Do you see that?

6 DR. WAYNE SIMPSON: Over the rise and
7 the -- the -- considered in the DCAT. The four (4)
8 year. Yeah.

9 MR. STEVE SCARFONE: Yes. And then,
10 lastly, at the end of that paragraph it says:

11 "These are all questions raised at
12 the GRA last year that require even
13 more consideration."

14 DR. WAYNE SIMPSON: In the light of --
15 in light of events, yes.

16 MR. STEVE SCARFONE: Yes. So, sir,
17 I'm going to suggest you that with respect to that
18 paragraph, respectfully, your paper doesn't answer any
19 of those questions does it, sir?

20 DR. WAYNE SIMPSON: No, I'm -- I'm
21 posing those questions as things that the DCAT should
22 begin addressing. That's right.

23 MR. STEVE SCARFONE: But it -- more
24 than that, sir, it's -- it's because these questions
25 involve forecasting, which is inherently

1 unpredictable.

2 DR. WAYNE SIMPSON: Well, if you're
3 saying that it is -- is not a useful endeavour, I
4 don't agree. And I doubt that the banks would agree
5 either.

6 MR. STEVE SCARFONE: I -- I didn't
7 suggest it wasn't and --

8 DR. WAYNE SIMPSON: I'm not sure what
9 you mean by 'unpredictable'. I mean, interest rates
10 are inherently unpredictable, like other economic
11 events. Yes.

12 MR. STEVE SCARFONE: Yes. And in fact
13 in the paper that -- and -- you filed last year in
14 this proceeding on the interest rate forecasting risk
15 factor that the Corporation was proposing, you've
16 included in there that since prediction of the future
17 is inherently risky.

18 And that's all I'm getting at, sir, is
19 that it is difficult to make these projections into
20 the future about what the interest rates will do.

21 DR. WAYNE SIMPSON: Right. And that's
22 why we have the interest rate decline scenario,
23 because there are potentially adverse events, yes.

24 MR. STEVE SCARFONE: Yes. Yes.

25 DR. WAYNE SIMPSON: My point there

1 really was that it isn't clear to me why the -- the
2 risk of interest rate decline should increase as
3 interest rates increase. That's -- that's, I think,
4 an anal -- example of how the interest rate decline
5 scenario is -- is simply a mechanical, an ad hoc
6 formulation trying to grapple with the problem where
7 the historical evidence isn't particularly helpful.
8 But that also makes it less valuable than the other
9 scenarios, such as the equity decline and the high
10 loss ratio.

11 MR. STEVE SCARFONE: Last -- last
12 year, sir you filed that note before the Board on this
13 -- in this proceeding on -- on what is called the
14 interest rate forecast risk factor that was being
15 proposed by MPIC; correct? Do you remember that?

16 DR. WAYNE SIMPSON: Right.

17 MR. STEVE SCARFONE: And I appreciate
18 you may not have the note before you. I don't know if
19 your counsel has a copy for you. Just --

20 DR. WAYNE SIMPSON: They're very good.
21 I've got it.

22 MR. STEVE SCARFONE: Thank you. Just
23 generally, you were comparing the methodologies used
24 in the DCAT report for an interest rate decline
25 scenario against that used to calculate the -- the

1 interest rate forecasting risk factor that the
2 Corporation was proposing; correct?

3 DR. WAYNE SIMPSON: Yeah. Yeah.

4 MR. STEVE SCARFONE: And you were of
5 the view, sir, that the in -- the risk of interest
6 rates falling was already included in the DCAT report,
7 so why count it twice was your -- was your position?

8 DR. WAYNE SIMPSON: Yeah, and once it
9 was taken as a risk and the other was taken as a -- as
10 a certainty, and I thought that was a contradiction.

11 MR. STEVE SCARFONE: And in any event,
12 the risk factor used by MPIC was calculated using a
13 50/50 weighting between the SIRF and the naive;
14 correct?

15 DR. WAYNE SIMPSON: Yeah, that was a
16 form of compromise to deal with the -- the SIRF
17 forecast not doing as well as the diagram indicated.

18 MR. STEVE SCARFONE: Right. So MPI
19 used the 50/50?

20 DR. WAYNE SIMPSON: They went to the
21 50/50.

22 MR. STEVE SCARFONE: And the decline
23 scenario in the DCAT report used the standard interest
24 rate forecasting? Used the SIRF.

25 DR. WAYNE SIMPSON: Used the SIRF.

1 Right. I thought it used the 50/50. I -- I -- wait a
2 minute. It used the SIRF in con -- in conjunction
3 with the naive forecast, so it used the 50/50. They
4 both used the 50/50.

5 MR. STEVE SCARFONE: No, the DCAT used
6 the SIRF as, if I understood your report correctly.

7 DR. WAYNE SIMPSON: Well, subject to
8 check. I -- I would be surprised --

9 MR. STEVE SCARFONE: Okay.

10 DR. WAYNE SIMPSON: -- if that were
11 the case.

12 MR. BYRON WILLIAMS: Will you -- Mr.
13 Scarfone, on that specific fact, you may want to point
14 our -- or my witness to a reference from the DCAT.

15 MR. STEVE SCARFONE: Yes. Yes, yes,
16 yes.

17

18 (BRIEF PAUSE)

19

20 MR. BYRON WILLIAMS: And if you need a
21 couple seconds to -- to check on that we don't --

22 MR. STEVE SCARFONE: I don't think so.

23 MR. BYRON WILLIAMS: -- we don't mind.

24

25 (BRIEF PAUSE)

1 CONTINUED BY MR. STEVE SCARFONE:

2 MR. STEVE SCARFONE: I just took that
3 from page 4 of your paper, sir.

4 DR. WAYNE SIMPSON: Yeah.

5 MR. STEVE SCARFONE: At the top.

6 DR. WAYNE SIMPSON: Yeah, that is --
7 that is what I said. Yeah. Well, it's been a year.

8 MR. STEVE SCARFONE: I'm sorry?

9 DR. WAYNE SIMPSON: It's been a year,
10 I said, so.

11 MR. STEVE SCARFONE: And again at page
12 4 in your paragraph numbered number 3, you'll see that
13 it reads:

14 "It is difficult to see how any
15 proposed assessment of the extent of
16 the risk and risk tolerance of the
17 IRFRF would have any reasonable
18 foundation."

19 Do you see that? It's right at the
20 very end.

21 DR. WAYNE SIMPSON: Number 3 and page
22 4?

23 MR. STEVE SCARFONE: Yes, at the very
24 end:

25 "It is difficult to see how any

1 proposed assessment of the extent of
2 the risk and risk tolerance" --
3 DR. WAYNE SIMPSON: Yeah, this is the
4 same criticism as -- as the interest rate decline
5 scenario.

6 MR. STEVE SCARFONE: Right. And --
7 and again, the risk that you speak of here, of course,
8 is the risk of interest rates falling; correct?

9 DR. WAYNE SIMPSON: That's right.

10 MR. STEVE SCARFONE: And MPI's use of
11 the 50/50; correct?

12 DR. WAYNE SIMPSON: That's right.

13 MR. STEVE SCARFONE: And you were
14 critical of this last year; correct?

15 DR. WAYNE SIMPSON: I was critical of
16 the -- I was critical of the coincidence of an
17 interest rate decline scenario and an IRFRF which I
18 thought were both dealing with the same problem. One
19 (1) is a risk and the other is a certainty. I don't
20 think I was necessarily critical there of the 50/50
21 per se.

22 MR. STEVE SCARFONE: Okay. And that's
23 what I was getting at.

24 DR. WAYNE SIMPSON: Yeah.

25

1 (BRIEF PAUSE)

2

3 MR. STEVE SCARFONE: Just give me one
4 (1) second, Mr. Chairman, to review my notes.

5

6 (BRIEF PAUSE)

7

8 MR. STEVE SCARFONE: Thank you, Dr.
9 Simpson. Those are all my questions.

10 DR. WAYNE SIMPSON: Okay. Thank you.

11 THE CHAIRPERSON: Thank you. Mr.
12 Watchman, did you want to go now or did you want to
13 break?

14 MR. ROBERT WATCHMAN: I don't have a
15 preference. I could go now. It -- I don't expect to
16 be all that long.

17 THE CHAIRPERSON: Okay. How long do
18 you expect to be?

19 MR. ROBERT WATCHMAN: Less than half
20 an hour.

21 THE CHAIRPERSON: You know what?
22 Let's take a break for ten (10) -- for fifteen (15)
23 minutes.

24

25 --- Upon recessing at 3:10 p.m.

1 --- Upon resuming at 3:26 p.m.

2

3 THE CHAIRPERSON: All right then. Mr.
4 Watchman

5

6 CROSS-EXAMINATION BY MR. ROBERT WATCHMAN:

7 MR. ROBERT WATCHMAN: Thank you, Mr.
8 Chairman.

9 Good afternoon, Dr. Simpson.

10 DR. WAYNE SIMPSON: There we go.

11 Hello.

12 MR. ROBERT WATCHMAN: And, as
13 indicated, I don't have too many questions for you.
14 And I'm going to avoid repetition. And in that vein,
15 I'm going to go right to the recommendation portion of
16 your report.

17 DR. WAYNE SIMPSON: Okay.

18 MR. ROBERT WATCHMAN: Diana, if we
19 could call up Exhibit -- CAC Exhibit Number 5. And I
20 believe it's page 10, the PDF, scroll down. Okay.

21 And I'm going to go to Recommendation
22 Number 4, which is that the naive forecast in the DCAT
23 should be replaced with a 50-50 forecast.

24 And that's your recommendation this
25 year?

1 DR. WAYNE SIMPSON: Yes. I think that
2 balances the -- the factors. It basically suggests
3 that interest rates won't go up as fast as the SIRF.
4 And I'm not quite sure -- you know, I still think, you
5 know, the banks know more about interest rates than I
6 do.

7 So I thought I said in the report, and
8 maybe I left, that it should be -- at least be
9 replaced with a 50-50 forecast. And I think some
10 consideration -- more consideration of the actual SIRF
11 forecast should be included in the DCAT.

12 MR. ROBERT WATCHMAN: And -- and just
13 -- yeah, just on that point, we're looking at your
14 report. And I believe in your presentation today, it
15 does read with at least the 50-50 forecast.

16 DR. WAYNE SIMPSON: That's right.
17 That's what I've said, yes.

18 MR. ROBERT WATCHMAN: So -- so maybe
19 I've modified it in that fashion in my mind as we've
20 gone along, yes.

21 DR. WAYNE SIMPSON: Thank you.

22 MR. ROBERT WATCHMAN: Now, we've heard
23 that in last year's application, the 2017 GRA, it was
24 Dr. Cleary's recommendation to use a 50/50 forecast.
25 And Dr. Cleary was MPI's expert witness.

1 Do you recall that?

2 DR. WAYNE SIMPSON: I do recall that,
3 yes.

4 MR. ROBERT WATCHMAN: And you recall -
5 -

6 DR. WAYNE SIMPSON: And I think we've
7 clarified that the 50-50 forecast was used in the DCAT
8 -- the revised DCAT in October. So that was a source
9 of confusion earlier.

10 The original -- original DCAT used the
11 SIRF, and then the revised DCAT used the 50-50, which
12 would be consistent with the IRFRF application.

13 MR. ROBERT WATCHMAN: And there was
14 some reference to your criticism of Dr. Cleary's
15 recommendation. But I understand that your criticism
16 last year was directed to the supporting analysis that
17 had been undertaken by Dr. Cleary.

18 Is that -- do you recall that?

19 DR. WAYNE SIMPSON: I do recall that.
20 You may have to refresh my memory on exactly what --
21 you -- what you're getting at. But, yes.

22 MR. ROBERT WATCHMAN: Well, I just
23 want to clarify the -- 'cause you made the comment
24 today that the you don't feel that there's anything
25 wrong with the 50/50 forecast per se.

1 And the point was made that you were
2 critical of Dr. Cleary's recommendation last year.
3 And my understanding was is that your criticism last
4 year was more directed to the rigour of the
5 statistical analysis that -- leading up to Dr.
6 Cleary's report.

7 DR. WAYNE SIMPSON: Right. Right.
8 And, essentially, the notion that there's a
9 substantial amount of anal -- analytical rigour
10 attached to the -- to the SIRF. And -- and that they
11 devote a significant amount of resources to
12 forecasting and getting that right, because it matters
13 to the -- to their business line if -- if they get it
14 wrong, and that those people would be introducing, you
15 know, the kind of rigour that you would expect from
16 that kind of an exercise.

17 MR. ROBERT WATCHMAN: Okay. I want to
18 turn now -- just -- and this is more for
19 clarification. Diana, if we could call up PUB-CAC-1-
20 2. And Part A there where the interrogatory was
21 whether you and Ms. Sherry considered the 50/50
22 interest rate forecast to be a best estimate forecast
23 for capital target purposes.

24 And if you scroll down to the answer --
25 you sum it up in the last line there. It says:

1 "Thus they return -- at least they
2 return to the 50/50 forecast -- used
3 previously would seem appropriate."

4 And I just want to understand, is there
5 any distinction between what we've referred to as
6 'best estimate forecast' and your response that, Well,
7 it would at least be appropriate?

8 DR. WAYNE SIMPSON: Well, I think I
9 get -- I think I should say that -- that timing is
10 important in all this because events are happening --
11 you know, quite significant events are happening, in
12 terms of interest rates. And, in particular, over the
13 summer, the movements by the Bank of Canada and the --
14 the news' reports on the growth of the Canadian
15 economy have change people's opinions about -- at
16 least changed my opinions about the where interest
17 rates are going.

18 And I'm more inclined now towards the
19 SIRF than I was before, and less inclined certainly
20 towards the naive forecast. So as -- as those weights
21 shift, when I say, "at least the 50/50," I don't
22 discount the possibility that -- that we should pay
23 more serious attention to the SIRF as well, given
24 where interest rates have gone over the last four (4)
25 months.

1 MR. ROBERT WATCHMAN: So in your view -- in
2 your view, is -- is there such a thing as a best
3 estimate approach to forecasting interest rates?

4 DR. WAYNE SIMPSON: Yes. Any forecast
5 should have in it -- at least statistically, it should
6 have an expected value and that expected value should
7 be their best -- the best estimate with a -- with a
8 variation around it which constitutes the forecasting
9 risk.

10 MR. ROBERT WATCHMAN: Now, is it fair
11 to conclude that the reason, or at least in part, the
12 reason why interest rate forecasting is so difficult
13 is because it's so that context sensitive? By that I
14 mean it's highly influenced by the changing economic
15 and market forces.

16 DR. WAYNE SIMPSON: It is, but I think
17 it's more the recent episode that has -- has
18 confounded interest rate forecasting. Because of the
19 economic fundamentals that I outlined at the technical
20 conference would -- would suggest interest rates have
21 to rise, but the timing is not so easy to predict and
22 -- and this is where the problems have arisen and
23 where the SIRF has gotten it wrong, to some degree,
24 over the last few years.

25 MR. ROBERT WATCHMAN: Okay then. Is

1 it -- is it fair to say that with these recent
2 increases -- and as I understand that your evidence
3 that it's reasonable to expect that this will continue
4 at least in the near future? Is that something that
5 you can say with a higher level of confidence this
6 year than was the case a year ago?

7 DR. WAYNE SIMPSON: Absolutely.

8 MR. ROBERT WATCHMAN: If I can -- If
9 we -- Diana, if we can go back to Exhibit 5, CAC
10 Exhibit 5, back to the recommendations. And I want to
11 look at Recommendations 7 and 8, sort of straddling
12 the page I think there.

13 And in 7, your recommendation is that
14 the results for the interest rate decline and combined
15 scenario -- scenarios in the DCAT continue to be
16 discounted because of the ad hoc nature of the
17 interest rate decline scenario. And then in
18 Recommendation 8, that MPI consider revising the
19 interest rate decline scenario in future DCAT reports
20 to reflect rising interest rates.

21 And is it fair to say that part of your
22 criticism with respect to the interest rate decline
23 modeling is the use of this interest rate floor?

24 DR. WAYNE SIMPSON: Yes, that's --
25 that's not only the fundamental driver of the entire

1 scenario, but also a -- what I characterize as an ad
2 hoc element.

3 MR. ROBERT WATCHMAN: And, Diana, if
4 we could turn to PUB-CAC-1-3.

5 And you see there in Question A, you
6 were asked the practical alternative to imposing an
7 interest rate floor. And if we scroll down to the
8 answer, again you -- you indicate that you consider
9 that to be an ad hoc response. And the response goes
10 on to say that the traditional statistical methods of
11 interest rate forecasting that yield best predictions
12 should be used.

13 DR. WAYNE SIMPSON: Right.

14 MR. ROBERT WATCHMAN: And --

15 DR. WAYNE SIMPSON: And I think this
16 was actually before the interest rates began to rise,
17 or about the same time, and so this was sort of in
18 anticipation that that would eventually occur and
19 allow MPI just to go back to more traditional meth --
20 methods, yeah.

21 MR. ROBERT WATCHMAN: And are you
22 satisfied that these more traditional methods -- or an
23 alternative approach would avoid assuming
24 exceptionally low rates, or even negative interest
25 rates?

1 DR. WAYNE SIMPSON: Yes, and -- and --
2 and while I'm critical of the floor assumption, I
3 think it -- it is -- it was reasonable in the context
4 of the recovery from the recession and the low
5 interest rate period to assume that there was some
6 floor below which interest rates would not go because
7 the cash alternative sort of sets a zero lower bound.

8 And -- and -- so the preponderance of -
9 - of economic opinion, and I think financial opinion,
10 was that interest rates had a floor. I was critical
11 of how that was characterized in the scenario because
12 it was based I think on a -- the lowest monthly
13 interest rate as opposed -- when you're talking about
14 annual episodes for the DCAT.

15 But I think some sort of floor was
16 necessary to capture, essentially, the fact that there
17 is a lower bound interest rates. And -- and -- and
18 we've seen that. They -- they crypt along the -- this
19 lower bound for a while and now they're beginning to
20 rise.

21 MR. ROBERT WATCHMAN: So if I
22 understand that correctly, it's your opinion that
23 there's less of a need for a floor now, with increased
24 rates?

25 DR. WAYNE SIMPSON: I think so, and

1 particularly as we go, say, forward to next year the -
2 - the DCAT should take -- it should take a careful
3 look at how it characterizes this scenario, and
4 whether the floor is appropriate given interest rate
5 events that will likely involve some further
6 increases.

7 MR. ROBERT WATCHMAN: Okay, if I could
8 -- if we could go back to Exhibit 5, Diana, and just
9 down to recommendation Number 9. And you're
10 recommending the inclusion of the -- the risk of
11 corporate bond default in the combined scenario be
12 reviewed; correct?

13 DR. WAYNE SIMPSON: Yes.

14 MR. ROBERT WATCHMAN: And as -- as a
15 starting point, though, would you agree that a move to
16 change the asset mix to include relatively more
17 corporate bonds in the Corporation's investment
18 portfolio that that would be expected to elevate the
19 Corporation's exposure to market interest rate risks?

20 DR. WAYNE SIMPSON: That's right. It
21 would certainly -- and that's reflected in the -- in
22 the premium paid to these corporate bonds, and I --
23 and I would guess that also reflects default risk.
24 Although, I've never thought of it that way. I've
25 always thought of it as -- as interest rate -- as the

1 bond rates being more volatile, and therefore, there
2 being a premium to volatility.

3 MR. ROBERT WATCHMAN: Now, the
4 Corporation has provided some support for its
5 modelling of the corporate bond default risk in the
6 investment section and elsewhere in the Application,
7 and I assume that you had some opportunity to review
8 that documentation?

9 DR. WAYNE SIMPSON: Yes, I can't
10 remember much about it right at this moment to be
11 truthful.

12 MR. ROBERT WATCHMAN: Okay. Well, my
13 final question to you was going to be as to whether
14 there are -- you could provide the panel with any more
15 specifics as to what it is you're recommending be
16 reviewed in greater detail with respect to the default
17 risk?

18 DR. WAYNE SIMPSON: Well, I -- I would
19 simply say that some -- some expert opinion, and I'm
20 not an expert in this area, some expert opinion be --
21 be sought by MPI and perhaps stakeholders, and perhaps
22 PUB just to see whether, in fact, this is a reasonable
23 way to add.

I mean, we're adding a fourth risk, I
don't know how immaterial it is to the outcome and I

1 don't want to overemphasize it because I don't --
2 don't know how big the risk -- you know, how big an
3 impact it would have on the assessment of risk in the
4 combined scenario.

5 But I -- I -- I would like some expert
6 opinion on -- on whether this is a sensible way to
7 characterize the risk in a -- in a DCAT.

8 MR. ROBERT WATCHMAN: Thank you, Mr.
9 Chairman, those are all of my questions.

10 THE CHAIRPERSON: Okay, I'd ask the
11 panel if you have any questions?

12 Dr. Simpson, I've got a few. Diana,
13 can you pull up the transcript from last year's GRA
14 application? Go to 2083 -- 2083. Okay, keep going.
15 Okay. Just go -- yeah, okay, let's stop there.

16 So, Dr. Simpson, I'm wondering if you
17 remember this last year Ms. McCandless asked what you
18 would use for changes in interest rates and your
19 comment was,

20 "I don't forecast interest rates on
21 a regular basis in teaching students
22 about labour economics or in doing
23 research on income maintenance
24 programs."

25 But then you asked if -- if -- what you

1 would do about forecasting interest rates - if you
2 could just go down, Diana - and -- and this -- and you
3 said,

4 "You'd look back at the forecasting
5 record. You'd give some significant
6 weight to what has gone on in the
7 last five (5) or six (6) years but
8 I'd probably look back further than
9 that at interest rates."

10 What I'm hearing from you today is that
11 there seems to be a significant change from last year
12 to this year; that we're not going back five (5) or
13 six (6) years we're going back to recent interest rate
14 increases this year and making the sort of the
15 prediction based on that.

16 Am I hearing that accurately?

17 DR. WAYNE SIMPSON: That -- that --
18 yeah, I think depending on how much interest rates
19 rise, we'll get closer to the kind of territory that
20 we've had in the past, before, in particular the
21 period before the -- what I've characterized as a
22 great recession where inflation was -- was low and
23 stable, so interest rates would also -- nominal
24 interest rates would also have been low and stable.

25 THE CHAIRPERSON: Okay. So, prior to

1 this year if you went back five (5) or six (6) years,
2 essentially, you're looking at flat interest rates; is
3 that correct?

4 DR. WAYNE SIMPSON: Well, five (5) or
5 six (6) years from that year. I guess I was guessing
6 back with -- I'm thinking more before the great
7 recession.

8 THE CHAIRPERSON: Okay.

9 DR. WAYNE SIMPSON: So 2006/'7/'8,
10 that period.

11 THE CHAIRPERSON: Well, the period
12 after the -- the recession --

13 DR. WAYNE SIMPSON: Yeah.

14 THE CHAIRPERSON: -- to last year, the
15 interest rates were pretty flat for that period.

16 DR. WAYNE SIMPSON: That's right,
17 yeah.

18 THE CHAIRPERSON: Okay.

19 DR. WAYNE SIMPSON: They've been flat
20 the last few -- I guess they track -- tracked down and
21 then flattened out, yeah.

22 THE CHAIRPERSON: Okay. Last year, as
23 I understood it, MPI proposed 50/50 as the interest
24 rate forecast to be used.

25 DR. WAYNE SIMPSON: Right. And

1 initially the initial DCAT used the SIRF and then this
2 -- the revised DCAT in October used the 50/50.

3 THE CHAIRPERSON: Right. Then at the
4 time of last year's hearing my understanding was that
5 you thought that SIRF was a better -- a better target
6 than 50/50.

7 DR. WAYNE SIMPSON: Yes, because in
8 the DCAT you're looking forward four (4) years and I
9 thought interest rates would begin to rise and that
10 probably the banks had a better handle on it than we
11 did.

12 THE CHAIRPERSON: Okay. Now I
13 remember the discussion from last year.

14 DR. WAYNE SIMPSON: I'm repeating --

15 THE CHAIRPERSON: I was going to say,
16 do you think that maybe you're giving the banks too
17 much credit.

18 DR. WAYNE SIMPSON: Well, I'm not so
19 much giving the banks so much credit as saying that
20 they know more about this than anybody in this room.

21 THE CHAIRPERSON: Yes. I guess the
22 question I have --

23 DR. WAYNE SIMPSON: Know more about it
24 anyway.

25 THE CHAIRPERSON: Well, they certainly

1 know more about it than me but I guess the question
2 is: Given how flat interest rates were last year and
3 you thought SIRF was the standard for last year, I'm
4 wondering why you think 50/50, at least, is the
5 standard for this year when interest rates are going
6 up. I would have thought you would have gone
7 immediately to SIRF?

8 DR. WAYNE SIMPSON: Well, I said at
9 lease 50/50 because we'd kind of reached agreement
10 last year that the 50/50 was a compromise. I said --
11 I said, and probably some of this had to do with --
12 with when it happened, but, I said that we were trying
13 to out guess the banks, and I had some trouble with
14 that. And I still have some trouble with that.

15 So my comment at least 50/50 sort of
16 reflects the fact that we shouldn't be going in the
17 wrong direction at exactly the wrong time.

18 THE CHAIRPERSON: Now, I guess,
19 there's a certain aspect of -- of interest rate
20 projection that's an art versus science. I'm going to
21 give you a hypothetical and you can certainly decide
22 not to answer it.

23 What happens if the United States
24 terminates NAFTA? Do you think interest rates will go
25 up or down?

1 DR. WAYNE SIMPSON: It will cause a
2 lot of volatility to markets, and that's a long
3 process, because once the executive branch announces
4 that they are -- are through with NAFTA, it has to go
5 through Congress and it's -- it's a lot more
6 unpredictable than -- than anything else and creates a
7 lot of volatility.

8 If NAFTA is actually repealed then the
9 question is what happens next. The Canada/US Free
10 Trade Act, I guess, is not -- not the default. So,
11 there'd -- there'd have to be new negotiations. I
12 suspect that there be a new Canada US Free Trade deal
13 and if that -- if all this un -- uncertainty results
14 in a recession in Canada then -- then that would
15 probably slow interest rate increases. I doubt it
16 would drive them back as they have before, but it
17 would slow things down.

18 THE CHAIRPERSON: Dr. Simpson, you
19 made an interesting comment that I hadn't heard
20 before. And I -- I just want to make sure I got this
21 correct. I think you said you -- that we need
22 constant assessment of the cost of climate change.

23 Now, was I right in writing that down
24 or --

25 DR. WAYNE SIMPSON: In the context of

1 hail damage, yeah.

2 THE CHAIRPERSON: Okay. So, your
3 comment about the climate change was simply in
4 relation to the hail damage that -- that MPI is --
5 experiences?

6 DR. WAYNE SIMPSON: Well, I think here
7 it would be primarily the -- the loss ratio in the
8 sense -- in the sense that climate change, that would
9 be the most immediate impact you could think of. I
10 think in the longer term it -- it will also affect --
11 it could also affect equities.

12 THE CHAIRPERSON: Okay.

13 DR. WAYNE SIMPSON: But that -- that's
14 guesswork, really, at this point, because we don't
15 really know how much change there will be and we don't
16 know what its impact wi -- is going to be with any
17 certainty, especially in a province like Manitoba
18 where we have some degree of protection.

19 THE CHAIRPERSON: Dr. Simpson, you --
20 you also made a reference to the cost to the
21 ratepayers by having too high an upper threshold.

22 DR. WAYNE SIMPSON: Right.

23 THE CHAIRPERSON: How do you quantify
24 that? I mean, I -- I understand the concept of it,
25 but it -- how do we quantify what the actual cost is

1 to ratepayers if the -- if the threshold is MCT 100
2 versus the -- the mid target that you were talking
3 about?

4 DR. WAYNE SIMPSON: Well, you could
5 actually quantified it in the sense that you could do
6 what's referred to as an input-output analysis where
7 you look at -- a couple of scenarios, one where the --
8 the -- the rate -- the rate is higher, and the money
9 is -- is invested by MPI or by the government on
10 behalf of MPI, the RSR money.

11 And the other scenario would be one
12 where the rates are lower and, therefore, consumers
13 have more money in their pockets and are able to spend
14 that money and, to some extent, save and invest that
15 money as they see fit, and the implications of that
16 for the Manitoba economy. I mean, the immediate
17 assessment would be that since a significant portion
18 of that would be spent, it would be more stimulative
19 than -- than MPI investing the money in the -- in the
20 RSR.

21 In other words, the investment returns
22 would be returns that would scattered in investments
23 across Canada and the world, and the rates would be
24 spent largely in Manitoba.

25 THE CHAIRPERSON: Okay. And I take

1 that if you were going to do that kind of study you
2 would have to create a list of assumptions on which
3 you're -- you're basing your examination?

4 DR. WAYNE SIMPSON: Right and -- and
5 you'd use the Statistic Canada input-output tables to
6 assess impact. They -- they periodically produce
7 tables that -- for the provinces, and indicate how --
8 how money is spent and what -- in what fashion.

9 THE CHAIRPERSON: Thank you, Dr.
10 Simpson. Ms. Dilay, any redirect? Sorry, Mr.
11 Williams.

12 DR. BYRON WILLIAMS: Yes and I have --
13 I have just a few questions in re-direct.

14 THE CHAIRPERSON: Okay, certainly.

15

16 RE-DIRECT EXAMINATION BY DR. BYRON WILLIAMS:

17 DR. BYRON WILLIAMS: And perhaps if we
18 can turn to MPI Exhibit 37, Doctor, and to the very
19 first paragraph.

20 Dr. Simpson you were directed to this
21 response by MPI in cross-examination, you recall that?

22 DR. WAYNE SIMPSON: Yes. My short-
23 term memory is still there.

24 DR. BYRON WILLIAMS: I'm reassured to
25 hear that. I want to direct your attention to the

1 first paragraph and -- where you see the suggestion by
2 MPI that the correct way to assess the risk of a
3 significant draw-down is using the results of the
4 dynamic capital adequacy test report.

5 Do you see that, sir?

6 DR. WAYNE SIMPSON: Right.

7 DR. BYRON WILLIAMS: And assuming that
8 you were in agreement on the methodology is -- is that
9 something that you would agree with, sir, in -- in
10 terms of the conclusion?

11 DR. WAYNE SIMPSON: Right.

12 DR. BYRON WILLIAMS: Was that a "yes"?

13 DR. WAYNE SIMPSON: Yes.

14 DR. BYRON WILLIAMS: If we can go to
15 the DCAT report, figure 66, that was referred to in
16 cross-examination by My Friend for MPI. And just
17 below Figure 66, Dr. Simpson, go down one (1) more
18 line, Diana, you'll see at line 4 that the -- this is
19 a combined scenario before management action, sir?

20 DR. WAYNE SIMPSON: Right.

21 DR. BYRON WILLIAMS: And do you have
22 any comments about further -- from the perspective of
23 the DCAT report about whether one should be seeing the
24 RSR before or after management action?

25 DR. WAYNE SIMPSON: Yeah, we've had

1 discussions about this before. It seems unreasonable
2 to believe that -- that in a three-year horizon, for
3 example, there'll be no management action to adverse
4 events.

5 And -- and -- so it -- it seems
6 meaningless as the longer you go out to assume that --
7 that nothing will happen.

8 DR. BYRON WILLIAMS: Okay, thank you.
9 If we could go, Diana, to the 2016 DCAT report of
10 Manitoba Public Insurance dated October 7th, page 25.
11 That's fine there.

12 Dr. Simpson, you recall some discussion
13 about whether the scenario for the 2016 DCAT was the -
14 - the SIRF or the 50/50?

15 DR. WAYNE SIMPSON: Right.

16 DR. BYRON WILLIAMS: And I'll direct
17 your attention to lines 2 to 4, sir.

18 DR. WAYNE SIMPSON: Right which
19 indicates that it was the 50/50.

20 DR. BYRON WILLIAMS: Okay, thank you.
21 And finally, just as follow-up to one (1) of the
22 questions asked by the Chair, Dr. Simpson, you recall
23 reference by the Chair to a question about constant
24 assessment of the impacts of climate change?

25 DR. WAYNE SIMPSON: Right.

1 DR. BYRON WILLIAMS: And can you
2 indicate whether or not that constant assessment would
3 involve a review of the data for structural breaks in
4 the data, or how one might undertake that?

5 DR. WAYNE SIMPSON: Right, either a --
6 a change in trend; if it's a case of hail you'd look
7 at to see whether, in fact, there's changes in the
8 trend over time that you can detect, as well as
9 possibly changes in volatility.

10 And one (1) way of looking at changes
11 in trend would be the idea of an actual structural
12 break, if you could identify it somewhere in the data.

13 DR. BYRON WILLIAMS: Thank you. I
14 have no further questions.

15 THE CHAIRPERSON: Thank you. We will
16 adjourn until five o'clock. Mr. Williams, I
17 understand, Dr. Sherry, is here at five o'clock?

18 DR. BYRON WILLIAMS: Ms. Sherry will
19 be here for five o'clock, and Dr. Simpson, I think has
20 kindly agreed to be her back row.

21 THE CHAIRPERSON: Okay.

22 DR. BYRON WILLIAMS: So he'll be
23 sticking around as well.

24 THE CHAIRPERSON: Good, thank you,
25 we'll adjourn until five o'clock

1

2 --- Upon recessing at 3:55 p.m.

3 --- Upon resuming at 4:59 p.m.

4

5 THE CHAIRPERSON: Good afternoon. Mr.

6 Ghikas, did -- did you want to --

7 MR. MATTHEW GHIKAS: That's something

8 I'm going to use during cross-examination so --

9 THE CHAIRPERSON: Okay, that's fine.

10 MR. MATTHEW GHIKAS: -- yeah, I just
11 want to make sure everybody had it in advance.

12 THE CHAIRPERSON: Thank you. Sure,
13 okay. Now, Ms. Dilay...?

14 MS. KATRINE DILAY: Thank you, Mr.
15 Chair.

16 MS. KATRINE DILAY: Good afternoon,
17 Ms. Sherry, and thank you for joining us and we'd also
18 like to thank the Board and counsel and parties for
19 accommodating the schedule this evening.

20 So we'd like to maybe call upon Mr.
21 Christle to swear or affirm Ms. Sherry in as a
22 witness.

23

24 CAC PANEL 2

25

1 ANDREA SHERRY, Sworn.

2

3 EXAMINATION-IN-CHIEF BY MS. KATRINE DILAY:

4 MS. KATRINE DILAY: Thank you, Mr.

5 Christle. Before starting we have distributed
6 electronically and a paper version of Ms. Sherry's
7 PowerPoint presentation, which we would file as
8 Exhibit CAC-23.

9

10 --- EXHIBIT CAC-23: PowerPoint presentation by
11 Ms. Sherry.

12

13 CONTINUED BY MS. KATRINE DILAY:

14 MS. KATRINE DILAY: And so, Ms.
15 Sherry, it's our understanding that you have already
16 been prequalified with the Board, and that your
17 curriculum vitae has been filed as well. But before
18 you begin your presentation, I'd just like to ask a
19 few questions to highlight your qualifications, as
20 they relate to your testimony today, as well as the
21 written evidence that you have provided in this
22 proceeding.

23 So in terms of your education, Ms.
24 Sherry, you received a Bachelors of Commerce with a
25 major in actuarial mathematics in 1990, is that right?

1 MS . ANDREA SHERRY: That's true.
2 MS . KATRINE DILAY: And you became a
3 Fellow of the Casualty Actuarial Society, and of the
4 Canadian Institute of Actuaries in the year 200?

5 MS . ANDREA SHERRY: That's right.
6 MS . KATRINE DILAY: You became a
7 chartered risk manager and a Fellow chartered
8 insurance professional in 2005?

9 MS . ANDREA SHERRY: Correct.
10 MS . KATRINE DILAY: And you received
11 your certified management accountant designation in
12 2008, and you are now chartered professional
13 accountant, certified management accountant; is that
14 right?

15 MS . ANDREA SHERRY: That's true.
16 MS . KATRINE DILAY: In terms of your
17 experience, you have served as an associate actuary at
18 Manitoba Public Insurance between 1991 and 1998,
19 correct?

20 MS . ANDREA SHERRY: Correct, yeah.
21 MS . KATRINE DILAY: And your role
22 there involved the calculation of policy liabilities,
23 the forecast of premiums and claims amounts?

24 MS . ANDREA SHERRY: True.
25 MS . KATRINE DILAY: And you were also

1 involved in the preparation of Extension rates
2 reports, rate-making methodology reports, and claim's
3 forecasting reports; is that right?

4 MS. ANDREA SHERRY: Yes, that's true.

5 MS. KATRINE DILAY: You also assisted
6 in the preparation of the application to the Public
7 Utilities Board as well during this time period?

8 MS. ANDREA SHERRY: I did.

9 MS. KATRINE DILAY: In terms of your
10 other experience, you served as an actuary with
11 Federated Insurance Company between 1999 and 2004,
12 correct?

13 MS. ANDREA SHERRY: Correct.

14 MS. KATRINE DILAY: And you were their
15 first in-house actuary responsible for actuarial
16 systems?

17 MS. ANDREA SHERRY: Yes.

18 MS. KATRINE DILAY: You were
19 responsible for all rate changes, including the
20 calculation of indications and rate filings with
21 regulators in all the provinces in which the company
22 wrote insurance; is that right?

23 MS. ANDREA SHERRY: Yes, it is.

24 MS. KATRINE DILAY: And you also
25 monitored -- you also monitored the IBNR, the incurred

1 but not reported adequacy on a monthly basis?

2 MS. ANDREA SHERRY: I did, yeah.

3 MS. KATRINE DILAY: You also served as
4 both assistant vice-president and corporate actuary
5 for Saskatchewan Government Insurance between 2004 and
6 2008; is that right?

7 MS. ANDREA SHERRY: That's right,
8 yeah.

9 MS. KATRINE DILAY: And in that role
10 you operated as the valuation actuary both for the
11 Auto Fund and SGI Canada Insurance Services?

12 MS. ANDREA SHERRY: True.

13 MS. KATRINE DILAY: You prepared
14 regular rate indications and rate filings for the
15 province of Alberta?

16 MS. ANDREA SHERRY: I did, yeah.

17 MS. KATRINE DILAY: Moving on to your
18 -- the next experience, from 2008 to I believe '10 you
19 served as vice-president solvency and vice-president
20 corporate actuary for Aviva Canada?

21 MS. ANDREA SHERRY: I did, yeah.

22 MS. KATRINE DILAY: As part of your
23 duties you managed the solvency II and economic
24 capital teams; is that right?

25 MS. ANDREA SHERRY: That's right.

1 MS . KATRINE DILAY: You worked within
2 enterprise risk management to ensure continued
3 viability of the company from a regulatory and
4 economic capital basis; is that right?

5 MS . ANDREA SHERRY: Yes.

6 MS . KATRINE DILAY: And turning now to
7 your cur -- current position, you are vice-president
8 insurance solution at the Wawanesa Mutual Insurance
9 Company?

10 MS . ANDREA SHERRY: That's right.

11 MS . KATRINE DILAY: And in that role
12 you're responsible for the company's actuarial
13 pricing, product development and maintenance, as well
14 as head office personal lines underwriting for all of
15 Canada?

16 MS . ANDREA SHERRY: That's right.

17 MS . KATRINE DILAY: As well as the US?

18 MS . ANDREA SHERRY: Yep.

19 MS . KATRINE DILAY: And you are
20 responsible for underwriting structure and function
21 across the organization; is that right?

22 MS . ANDREA SHERRY: That's correct,
23 yeah.

24 MS . KATRINE DILAY: Now, in terms of
25 your work before the Public Utilities Board, you have

1 consulted with CAC Manitoba on MPI rate applications
2 for the last six (6) years, including reviews of
3 claims liabilities, rate setting methodology, and RSR
4 -related issues; is that right?

5 MS. ANDREA SHERRY: That's true, yeah.

6 MS. KATRINE DILAY: And you were
7 qualified as an expert and provided testimony to the
8 PUB last year and the year before on issues related to
9 the RSR, as well as accepted actuarial practice?

10 MS. ANDREA SHERRY: M-hm, yes.

11 MS. KATRINE DILAY: And Ms. Sherry,
12 you have been cre -- prequalified in this proceeding
13 as having expertise in actuarial matters,
14 specifically, as they relate to valuation, including
15 the calculation of policy liabilities, forecast
16 premiums, and claims amounts based upon trends, as
17 well as solvency and economic capital, including
18 oversight of capital stress testing and economic
19 capital calculations and, also, actuarial pricing and
20 product development.

21 And so, Ms. Sherry, in terms of your
22 evidence, you are responsible for the written evidence
23 filed in this proceeding as Exhibit CAC-4 which was
24 entitled Actuarially Indicated Rates for MPI
25 Investment Return on RSR, correct?

1 MS . ANDREA SHERRY: Correct, yep.
2 MS . KATRINE DILAY: And you were
3 jointly responsible for the report filed in this
4 proceeding as Exhibit CAC-5 entitled Does the RSR need
5 To Be So Large; correct?

6 MS . ANDREA SHERRY: Yes.
7 MS . KATRINE DILAY: And you were
8 responsible for Information Request responses con --
9 contained within Exhibit PUB-11, correct?

10 MS . ANDREA SHERRY: Correct.
11 MS . KATRINE DILAY: And can you
12 confirm that this written material was prepared under
13 your direction and control, and is accurate to the
14 best of your knowledge and belief?

15 MS . ANDREA SHERRY: I can.
16 MS . KATRINE DILAY: So those are my
17 questions for Ms. Sherry before her presentation so I
18 would now turn it over to Ms. Sherry.

19
20 PRESENTATION BY MS . ANDREA SHERRY:

21 MS . ANDREA SHERRY: First of all,
22 thank you to the Board for having me today and thank
23 you to everyone who is present for accommodating my
24 schedule. I do really appreciate it. I understand
25 that's it's 5:00 p.m. now, so it's getting late so

1 thank you for being here.

2 We can go to the second slide, Diana.

3 Just in terms of a quick overview, I think it's been
4 obvious from what I've written in various times
5 throughout this hearing that it is my belief that MPI
6 should use the investment income on the total equity
7 in the calculation of their rate indication and I gave
8 some reasons for that in my report, and I'll go
9 through a few of them here.

10 So this is Section 2620.01 of the
11 Standard of Practice of the Canadian Institute of
12 Actuaries and I know that you have all seen this
13 throughout the hearing because I've read it in the
14 transcripts.

15 But, in particular, I wanted to point
16 out on this slide that the best estimate present value
17 of cashflows relating to the revenue at the indicated
18 rate includes a present value of a provision for
19 profit. As you can see in the second last line there.
20 So that's really what I'm getting at is that there
21 should be a provision for profit in the cashflows
22 relating to revenues.

23 And further to that because the
24 standards read like that, it is normal best practice
25 to include the investment income on the surplus

1 packing the book that you're pricing for. In a
2 private organization, obviously, there is fear of
3 pricing for many different products in many different
4 regions but you always have a certain amount of
5 capital that is backing that book and you do take into
6 account the investment income on the capital backing
7 the book that you are pricing for in the rate
8 indication that you calculate.

9 So my point is that the RSR is the
10 capital backing the Basic book and, therefore, the
11 investment income on it should be taken into account
12 when you calculate the rate indication.

13 I wanted to make the point with this
14 slide and I apologize for the large black font, I
15 didn't mean it to come across as quite as strongly as
16 that but I didn't want to miss the point that I'm not
17 suggesting in any way that we reduce the RSR, and
18 include some sort of monies in the rate indication.
19 What I'm suggesting is the investment income on the
20 RSR, as it's calculated, should be included in the
21 rate indication.

22 Really, the investment income on the
23 RSR is a revenue to Basic. It shouldn't be added to
24 the RSR to -- as any sort of buffer.

25 It's also come up quite a bit in the

1 transcripts I've read quite a bit that the fact that a
2 lot of the capital in the RSR now has been transferred
3 from Extension or SRE, I don't think that's relevant
4 to this discussion. Extension, SRE wouldn't exist
5 without Basic. The profits from these lines of
6 business should benefit the customers of MPI. I feel
7 that the further removed the investment income on the
8 RSR is from the people who invested the funds, that
9 make that investment income, does create an
10 intergenerational equity issue.

11 So I think it should be included in the
12 rate indication to keep the rate indication lower so
13 that it benefits the people closest to that money.

14 Which leads, basically, to my
15 recommendation. And this is a very -- the typical
16 calculation of a profit provision in a rate
17 indication. In the case of MPI, the return on equity
18 would be zero. So that formula, basically, boils with
19 a zero in the ROE, or return on equity spot. The
20 formula boils down to a negative I over -- IR over PSR
21 which IR is the before tax investment return rate on
22 the assets supporting total equity. PSR is the
23 premium to surplus ratio. So that would be consistent
24 with the zero profit to our breakeven objective of the
25 Corporation with the return on equity at zero.

1 And that concludes my presentation.
2 MS. KATRINE DILAY: Thank you, Ms.
3 Sherry. Ms. Sherry will now be available for
4 questions from cross-examination and from the Board.

5 THE CHAIRPERSON: Thank you. Mr.
6 Ghikas...?

7 MR. MATTHEW GHIKAS: Thank you, Mr.
8 Chairman.

9

10 CROSS-EXAMINATION BY MR. MATTHEW GHIKAS:

11 MR. MATTHEW GHIKAS: Good afternoon,
12 Ms. Sherry. As you know from last year my name is
13 Matt Ghikas, I'm counsel for MPI. I want to start by
14 dealing first with Exhibit CAC-5, which is the
15 evidence that you co-authored with Dr. Simpson, okay.

16 MS. ANDREA SHERRY: Okay.

17 MR. MATTHEW GHIKAS: If we can --
18 thank you, Diana, and the pages aren't numbered but
19 what -- it's the second page of text towards the
20 bottom, the last full paragraph. The moreover
21 paragraph. There we go. Up on the screen in front of
22 you.

23 Do you have that there?

24 MS. ANDREA SHERRY: I do, yeah.

25 MR. MATTHEW GHIKAS: Okay. Now this

1 is a passage that Dr. Simpson included verbatim in his
2 PowerPoint presentation earlier. And what -- first of
3 all, you're familiar with the E&Y report?

4 MS. ANDREA SHERRY: I am -- well, I
5 wouldn't say -- I haven't memorized it, I'm familiar
6 with it.

7 MR. MATTHEW GHIKAS: Okay. And
8 certainly enough to have included this in your co-
9 authored evidence, correct?

10 MS. ANDREA SHERRY: Yep.

11 MR. MATTHEW GHIKAS: All right. Can
12 we -- if we just go down a little bit on to the next
13 page there, keep going a little bit, please. All
14 right.

15 And what I am interested in is about
16 six (6) -- five (5) lines down from the top of the
17 page, do you see there's an ellipsis there? Three (3)
18 little dots?

19 MS. ANDREA SHERRY: Yeah.

20 MR. MATTHEW GHIKAS: Okay. Who made
21 the decision to omit a portion of that passage; you or
22 Dr. Simpson or both of you?

23 MS. ANDREA SHERRY: We would've
24 agreed.

25 MR. MATTHEW GHIKAS: Okay.

1 MS. ANDREA SHERRY: Which page? Can
2 you direct me to which page on the ICBC report -- oh,
3 it's right there, sorry.

4 MR. MATTHEW GHIKAS: Yes. I'm -- this
5 is actually the -- yeah, page 85 and you're -- you're
6 ahead of me here. So what I would -- what I would
7 like to do then, Diana, is to do -- actually go to PUB
8 Exhibit 11, which is the ICBC report and maybe we can
9 go right to page 85, please. And I'd just like to
10 find the same passage, if we can. Right. Yeah, so if
11 you can scroll up just a little bit to the previous
12 page. It's the there -- there we go, right.

13 And you'll see the reference to "as a
14 government owned monopoly insurer"?

15 MS. ANDREA SHERRY: Yes, yep.

16 MR. MATTHEW GHIKAS: Okay, so your
17 quote started there and it went down to the very end
18 of that page, and then you inserted an ellipses after
19 "to have higher premiums." Do you see that?

20 MS. ANDREA SHERRY: Yep.

21 MR. MATTHEW GHIKAS: And so -- then
22 you skipped over a little bit. You skipped over the
23 next sentence at the top of the next page and over the
24 table and over one (1) more sentence after the table,
25 and then you included,

1 "Consideration should be -- should
2 also be given to whether the OSFI
3 MCT ratio is the appropriate
4 framework for setting capital for
5 the Basic product."

6 Correct?

7 MS. ANDREA SHERRY: Correct, yeah.

8 MR. MATTHEW GHIKAS: Okay. Now, the -
9 - in the course of -- I looked at your report, Ms. --
10 Ms. Sherry, and over the course of nine (9) pages
11 there were at least two (2) other quotations that were
12 significantly longer than the one that you included
13 here.

14 And I'm wondering, you know, whether
15 you just put that ellipses in there to save space or
16 why did you do that?

17 MS. ANDREA SHERRY: I think we left
18 out parts that we didn't think would be relevant to
19 the discussion.

20 MR. MATTHEW GHIKAS: All right. Well,
21 let's -- let's go to the sentence right above the
22 table then.

23 So you'd agree with me that ICBC's
24 basic MCT target ratio is 145 percent?

25 MS. ANDREA SHERRY: I see that, yes.

1 MR. MATTHEW GHIKAS: Okay and that's -
2 - that's true, isn't it?

3 MS. ANDREA SHERRY: I think that's --
4 sorry, their target ratio?

5 MR. MATTHEW GHIKAS: Yeah.

6 MS. ANDREA SHERRY: At the time of
7 this paper, yes.

8 MR. MATTHEW GHIKAS: Right. And --
9 now the sentence, if we go down and -- and sorry,
10 you'll -- you also or you're aware that they have a
11 regulatory minimum of 100 percent MCT?

12 MS. ANDREA SHERRY: I am.

13 MR. MATTHEW GHIKAS: Okay. And that
14 they have a capital level of 160 MCT over which they
15 may consider a rebate; correct?

16 MS. ANDREA SHERRY: I did not know
17 that.

18 MR. MATTHEW GHIKAS: Okay. You'll
19 agree with me that ICBC's regulatory minimum at 100
20 percent MCT is equivalent to what the upper level of
21 the RSR that MPI is seeking here?

22 MS. ANDREA SHERRY: I am.

23 MR. MATTHEW GHIKAS: Okay. Now if we
24 can go after the paragraph -- sorry, after the table
25 to the next sentence, you'll see it says:

1 "In light of the above discussion
2 ICBC in conjunction with the
3 government should consider a lower
4 target capital provision for the
5 Basic product more in line with
6 other jurisdictions."

7 Do you know what other jurisdictions
8 they're referring to there, Ms -- Ms. Sherry?

9 MS. ANDREA SHERRY: I don't know but I
10 could put forward a guess.

11 MR. MATTHEW GHIKAS: Okay. So why
12 don't -- why don't we look then. Diana, if you
13 wouldn't mind scrolling up to the paragraph
14 immediately prior to the one that Dr. Simpson and Ms.
15 Sherry quoted. All right.

16 MS. ANDREA SHERRY: There we go.

17 MR. MATTHEW GHIKAS: And see where it
18 says:

19 "other automo -- auto monopoly
20 government schemes in Canada have a
21 target MCT of 100 percent. Manitoba
22 and Saskatchewan, while similar
23 schemes in Australia for Auto and
24 Worker's Compensation have targets
25 that are no higher than an MCT of

1 100 percent. ICBC's capital target
2 is high relative to those schemes."

3 Do you see that?

4 MS. ANDREA SHERRY: I do see that,
5 yes.

6 MR. MATTHEW GHIKAS: And was it your
7 consideration, Ms. Sherry, that it wouldn't be of
8 interest to the PUB to know that the recommendation
9 that was being made was that ICBC's target ratio be
10 reduced to 100 percent MCT to be on par with Manitoba?

11 MS. ANDREA SHERRY: We felt that the
12 comment, the last comment that we quote in our paper
13 was the most relevant to the discussion.

14 MR. MATTHEW GHIKAS: Okay, so maybe
15 you could go back. Diana, could you go back to the
16 evidence for me. And scroll up slightly from the
17 quotation, the E&Y quotation.

18 And if we -- the previous paragraph,
19 just slightly higher, right under the heading, okay.
20 And you'd agree with me that the first sentence of
21 that section, Ms. Sherry, is:

22 "MPI continues to argue for the use
23 of 100 percent MCT criterion to set
24 the upper threshold for the RSR."

25 MS. ANDREA SHERRY: Agreed.

1 MR. MATTHEW GHIKAS: Right. And you'd
2 agree with me that portions of that sentence -- or
3 that passage from the E&Y report deals directly with
4 whether or not it's appropriate to have an MCT ratio
5 equal to 100 percent MCT?

6 MS. ANDREA SHERRY: No, it -- the
7 quote from the E&Y report suggests that the OSFI MCT
8 might not be -- or consideration should be given to
9 whether it's the appropriate framework for setting
10 capital for a monopoly auto insurer.

11 MR. MATTHEW GHIKAS: I recognize
12 that's the portion you quoted, Ms. Sherry. I'm asking
13 about the portion you didn't quote. And you'd agree
14 with me that the portion you chose not to quote is
15 right on the subject of that first sentence in the
16 section there?

17 MS. ANDREA SHERRY: I'm sorry but I'm
18 not seeing the connection between the two (2)
19 necessarily.

20 MR. MATTHEW GHIKAS: Okay. Why don't
21 we do it this way. So, Ms. Sherry, in the section in
22 which you quoted the passage from the E&Y report,
23 you'd agree with me that you are also making an
24 argument that 100 percent MCT is too high for MPI?

25 MS. ANDREA SHERRY: We are making that

1 argument. We're also quoting the part that says that
2 consideration should be given whether the MCT is the
3 right framework for setting capital.

4 MR. MATTHEW GHIKAS: And if we can go
5 to the paragraph immediately following where you quote
6 Ernst & Young. The first sentence there:

7 "MPI continues to advocate for the
8 hundred percent MCT to set the upper
9 threshold in the absence of an
10 approved methodology."

11 So there you are talking, again, about
12 100 percent MCT; correct?

13 MS. ANDREA SHERRY: M-hm, yep.

14 MR. MATTHEW GHIKAS: Now, Ms. Sherry,
15 I'm going to turn to the topic of capital reserves,
16 generally, and we should go fairly smoothly here so
17 long as you answer the questions the same way as you
18 did last year. And I suspect that won't be an issue,
19 because I don't think this is controversial.

20 All right. You'd agree with me, Ms.
21 Sherry, that every insurance company in Canada, public
22 or private, has a capital reserve?

23 MS. ANDREA SHERRY: Yes.

24 MR. MATTHEW GHIKAS: And that OSFI,
25 the Office of the Superintendent of Financial

1 Institutions sets capital levels for private insurers
2 in Canada?

3 MS. ANDREA SHERRY: It does for
4 federally regulated insurers.

5 MR. MATTHEW GHIKAS: Right. And it's
6 developed a test called the Minimum Capital Test to
7 assess capital adequacy; correct?

8 MS. ANDREA SHERRY: That's right.

9 MR. MATTHEW GHIKAS: And it's applied
10 to those federally regulated insurers; correct?

11 MS. ANDREA SHERRY: Correct.

12 MR. MATTHEW GHIKAS: And simply
13 stated, Ms. Sherry, the MCT test is the ratio of
14 capital available to capital required, expressed as a
15 percentage?

16 MS. ANDREA SHERRY: Yes, that's true.

17 MR. MATTHEW GHIKAS: And 100 percent
18 MCT is where the capital available equals the capital
19 required, correct?

20 MS. ANDREA SHERRY: Correct.

21 MR. MATTHEW GHIKAS: And OSFI's
22 guidelines stipulate how those amounts are to be
23 calculated, correct?

24 MS. ANDREA SHERRY: That's correct.

25 MR. MATTHEW GHIKAS: Okay. Now, I

1 sent -- let me -- let me ask you this. If you go to -
2 - back to your evidence that you prepared with Dr.
3 Simpson. And now I'm on -- under the heading, again,
4 right under -- same page, right under the heading One
5 Use of MCT to Set The Upper Threshold for the RSR. So
6 slightly higher, Diana. Okay. Right there.

7 You'll see right there there's a
8 reference to MPI continues to argue for the use of 100
9 percent MCT criterion to set the upper threshold for
10 the RSR, and then you go and say -- let's see -- you
11 make the point that:

12 "MPI as a Crown monopoly insurer is
13 in quite a distant position, excuse
14 me, from the private property and
15 casualty insurers who operate in a
16 competitive market with real
17 possibility of bankruptcy."

18 So that's one (1) of the arguments that
19 you make that the MCT criterion should not be used;
20 correct?

21 MS. ANDREA SHERRY: Correct.

22 MR. MATTHEW GHIKAS: Okay. Now, I
23 sent an email to your counsel yesterday indicating
24 that I'd be referring to the OSFI guidelines and you -
25 - you got that notice, did you?

1 MS. ANDREA SHERRY: I did, yeah, I got
2 a copy here.

3 MR. MATTHEW GHIKAS: Okay and I
4 circulated or I had somebody circulates some excerpts
5 from that guideline earlier and everybody should have
6 those on their desk. And this excerpt was, in fact,
7 an exhibit last year, MPI Exhibit 81 from last year.
8 And I believe it will be MPI Exhibit Number 53 in this
9 proceeding.

10 But do you recognize this document, the
11 excerpt says, "excerpts from the guideline Minimum
12 Capital Test Guideline?

13 MS. ANDREA SHERRY: I do recognize it,
14 yeah.

15 MR. MATTHEW GHIKAS: So what I'd like
16 to do is, first of all, if you can go over to page 4
17 of the -- of the guidelines within that excerpt in
18 section 1.1 overview. Right.

19 And you'll soon under the heading 1.1.1
20 it indicates:

21 "Under the MCT regulatory capital
22 requirements for various risks are
23 set directly at a predetermined
24 target confidence level. OSFI has
25 elected 99 percent of the expected

1 shortfall conditional tail
2 expectation, or CTE 99 percent over
3 a one year time horizon as the
4 target confidence level."

5 Do you see that?

6 MS. ANDREA SHERRY: I do.

7 MR. MATTHEW GHIKAS: So what this is
8 saying is that the probability that it is assessing is
9 a 1:100 scenario?

10 MS. ANDREA SHERRY: Correct.

11 MR. MATTHEW GHIKAS: Right. And --
12 and the probability that they're measuring is the
13 probability simply of the capital reaching zero,
14 correct?

15 MS. ANDREA SHERRY: Correct.

16 MR. MATTHEW GHIKAS: Okay. Now, if we
17 go over to the following page -- first of all, you'll
18 agree with me that what the MCT test does is it looks
19 at the particular balance sheet of an insurer; right?

20 MS. ANDREA SHERRY: M-hm.

21 MR. MATTHEW GHIKAS: Sorry, you'll
22 have answer "yes" or "no".

23 MS. ANDREA SHERRY: Yes.

24 MR. MATTHEW GHIKAS: And each
25 individual insurer's own balance sheet is going to be

1 different, right?

2 MS. ANDREA SHERRY: Correct.

3 MR. MATTHEW GHIKAS: And so what this
4 test does is it looks at that individual insurer's
5 characteristics, and comes up and assesses the
6 itemized risks in the context of an individual
7 insurer; correct?

8 MS. ANDREA SHERRY: Correct.

9 MR. MATTHEW GHIKAS: Okay. And so an
10 indiv -- an individual insurer's risk profile and the
11 risk to its balance sheet are assessed under this
12 test, correct?

13 MS. ANDREA SHERRY: Correct.

14 MR. MATTHEW GHIKAS: Now, keeping it
15 really simple, at a high level, that means that if
16 there are two (2) different insurers, and they're both
17 operating at 100 percent MCT, the amount of capital
18 that they're actually retaining in dollars could be
19 quite different, depending on the risks to their
20 balance sheet and the size of the business?

21 MS. ANDREA SHERRY: The type of
22 business they write, et cetera, yes.

23 MR. MATTHEW GHIKAS: Right. Okay.
24 So, if we can look on page 5, you'll see there is an
25 overview of the minimum capital requirements, and how

1 they're calculated. And I just wanted to run through
2 some of them with you, Ms. Sherry.

3 You'll see it says "minimum capital
4 requirements are calculated as follows: Some of..."
5 and then there's a list. Do you see that?

6 MS. ANDREA SHERRY: I do, yeah.

7 MR. MATTHEW GHIKAS: Okay. So let's
8 go through some of the items. First of all, 1(a)
9 capital required for unpaid claims and premium
10 liabilities. Do you see that?

11 MS. ANDREA SHERRY: M-hm. Yes, I do.

12 MR. MATTHEW GHIKAS: Okay. You'd
13 agree with me that Basic Autopac has unpaid claims and
14 premium liabilities?

15 MS. ANDREA SHERRY: I would agree.

16 MR. MATTHEW GHIKAS: And you'd agree
17 with me that Basic Autopac has risks associated with
18 the potential for catastrophes?

19 MS. ANDREA SHERRY: I would have to
20 look into that one, to be honest with you because I'm
21 not sure if that's thr -- anything related to
22 earthquake.

23 MR. MATTHEW GHIKAS: Okay. But
24 depending on the catastrophe and depending on what
25 they're writing, they can conceivably have that;

1 correct?

2 MS. ANDREA SHERRY: Correct.

3 MR. MATTHEW GHIKAS: Right. And to
4 the extent that they have less than another insurer,
5 that's going to be picked up in the -- in the balance
6 sheet, correct?

7 MS. ANDREA SHERRY: Yep.

8 MR. MATTHEW GHIKAS: Okay. And the
9 next one "margin required for reinsurance seated to
10 unregistered reinsurers." MPI doesn't include
11 anything for that.

12 MS. ANDREA SHERRY: M-hm.

13 MR. MATTHEW GHIKAS: But -- so we'll -
14 - we'll leave that one.

15 But you'll agree with me that MPI has
16 exposure to interest rate risk?

17 MS. ANDREA SHERRY: Yes.

18 MR. MATTHEW GHIKAS: And that, for
19 example, would be reflected in the fact that there is
20 -- there is -- had to be \$163 million transferred from
21 optional to the Basic side of the business to deal
22 with interest rate variances?

23 MS. ANDREA SHERRY: I would agree that
24 MPI has interest rate risk, yes.

25 MR. MATTHEW GHIKAS: Right. And you'd

1 agree with me that MPI has foreign-exchange risk on
2 investments that are US denominated or US
3 infrastructure investments?

4 MS. ANDREA SHERRY: Yep.

5 MR. MATTHEW GHIKAS: And you'd agree
6 with me that MPI, to the extent that it is holding
7 equity in its portfolio, has equity risk?

8 MS. ANDREA SHERRY: Yes.

9 MR. MATTHEW GHIKAS: And you would
10 agree with me that if there is real estate in MPI's
11 portfolio - which I understand there is - MPI would
12 also face real estate risk?

13 MS. ANDREA SHERRY: Yes.

14 MR. MATTHEW GHIKAS: And you'd agree
15 with me -- let's skip over the next one.

16 You'd agree with me that there is the
17 potential for counter-party default risk for MPI?

18 MS. ANDREA SHERRY: Yes.

19 MR. MATTHEW GHIKAS: Okay. And the
20 next two they are no values for MPI, so I'll skip over
21 those.

22 And there is the potential for
23 operational risk, just like any other insurer;
24 correct?

25 MS. ANDREA SHERRY: Correct.

1 MR. MATTHEW GHIKAS: Okay. Now, I
2 take it that the fact that MPI is not subject to
3 competition, the only place for that to fit is under
4 2(e) capital required for other market risk exposures?

5 MS. ANDREA SHERRY: Yes, I believe
6 you're correct in the MCT.

7 MR. MATTHEW GHIKAS: Okay. And so for
8 Basic then what MPI would simply do is put a zero
9 value in for that, on their P&C-1 form. Right?

10 MS. ANDREA SHERRY: Is that a
11 question?

12 MR. MATTHEW GHIKAS: It is.

13 MS. ANDREA SHERRY: I don't know what
14 MPI would do.

15 MR. MATTHEW GHIKAS: Okay. So if --
16 if there is no market risk exposure from competition,
17 you would expect that simply -- the insurer would
18 simply fill -- fill out that line item reflecting the
19 fact that they have no competitive risk; correct?

20 MS. ANDREA SHERRY: Okay.

21 MR. MATTHEW GHIKAS: Now, I just want
22 to clarify your position, Ms. Sherry, on whether you
23 oppose the use of the MCT as a test for MPI, or
24 whether you simply believe that 100 percent MCT is too
25 high?

1 MS. ANDREA SHERRY: My belief is that
2 the MC -- a choice of a target, a higher level of the
3 RSR using 100 percent MCT is arbitrary. The MCT
4 wasn't created for an RSR target per se, it was
5 created so that OSFI would know when a company was in
6 to the potential of going insolvent.

7 So the tests around it including tests
8 of a BC earthquake, et cetera, things that MPI does
9 not face. As well, MPI does not face the risk of
10 insolvency and the risk to the whole economy of Canada
11 if we -- they go down on. That's what OSFI is trying
12 to protect the consumers against. It wasn't built for
13 a monopoly public insurer.

14 MR. MATTHEW GHIKAS: Okay. So let me
15 -- let me ask you this again. I'm not sure if I
16 understood whether you are objecting to the use of the
17 test itself, or whether you're objecting to the use of
18 100 percent.

19 MS. ANDREA SHERRY: I'm objecting to
20 the use of the MCT as -- in setting the RSR range.

21 MR. MATTHEW GHIKAS: Okay.

22 MS. ANDREA SHERRY: You can calculate
23 the MCT and see where you're at, but it's -- I -- I
24 don't think it should be used to set the RSR range.

25 MR. MATTHEW GHIKAS: Okay. Can we go,

1 Diana, if you can pull up last year's transcript,
2 please. And to page 2,059. And you can -- if you go
3 down to line 15, please.

4 Okay. Now, last year, Ms. Sherry, you
5 -- I cross-examined you last year, right?

6 MS. ANDREA SHERRY: I recall.

7 MR. MATTHEW GHIKAS: And if --
8 starting at line 15 of this transcript, I asked you:

9 "And I've seen your transcripts, Ms.
10 Sherry, where you had indicated that
11 you didn't believe MCT was the
12 appropriate -- was appropriate for
13 use for MPI. Is that correct?"

14 Answer:

15 "I wouldn't say that it's not
16 appropriate to use for MPI. The MCT
17 is really just an output of a set of
18 financial statements. My opinion is
19 that it shouldn't serve as the -- a
20 hundred percent MCT shouldn't serve
21 as the upper target for the RSR."

22 Now, do you recall being asked those
23 questions?

24 MS. ANDREA SHERRY: Vaguely.

25 MR. MATTHEW GHIKAS: Okay. And do you

1 recall giving those answers?

2 MS. ANDREA SHERRY: Yes.

3 MR. MATTHEW GHIKAS: And were they
4 true?

5 MS. ANDREA SHERRY: Yes.

6 MR. MATTHEW GHIKAS: Thank you. Now,
7 you said that the MCT test was prepared to deal with
8 the issue of solvency. You'd agree with me, Ms.
9 Sherry, that basic Autopac has a risk of reaching zero
10 capital?

11 MS. ANDREA SHERRY: I would agree with
12 that.

13 MR. MATTHEW GHIKAS: Thank you. And
14 you'd agree with me that -- that SGI Auto Fund uses
15 the minimum capital test?

16 MS. ANDREA SHERRY: I have been told
17 they do, and seen documents that show they do.

18 MR. MATTHEW GHIKAS: Okay. And you'd
19 agree with me that currently ICBC does, as well,
20 right?

21 MS. ANDREA SHERRY: Yes.

22 MR. MATTHEW GHIKAS: Okay. All right.

23 Are you aware, Ms. Sherry, that MPI's current capital
24 level is 29 percent MCT?

25 MS. ANDREA SHERRY: I believe I read

1 that throughout the hearing process, yes.

2 MR. MATTHEW GHIKAS: Okay. And you --
3 you seem to have a lot of experience in Canada. Are
4 you aware of any P&C insurer anywhere in Canada, Crown
5 or private, where the applicable regulator has
6 determined that such a capital level is sufficient?

7 MS. ANDREA SHERRY: I am not aware of
8 that, no.

9 MR. MATTHEW GHIKAS: Okay. And are
10 you aware of any P&C insurer anywhere in Canada, Crown
11 or private, that has -- that is more thinly
12 capitalized than basic Autopac?

13 MS. ANDREA SHERRY: I can't answer
14 that question with certainty because I don't know the
15 risk profile of all of the companies in Canada.

16 MR. MATTHEW GHIKAS: Okay. Well, it
17 wouldn't be a private one, would it, or else it would
18 be under the -- under OSFI's control right now,
19 correct?

20 MS. ANDREA SHERRY: True. If it was
21 feg -- federally regulated, yeah.

22 MR. MATTHEW GHIKAS: Right. And --
23 and the FSCO in Ontario also uses the MCT test?

24 MS. ANDREA SHERRY: FSCO? No. FSCO
25 is a rating regulator.

1 MR. MATTHEW GHIKAS: Okay.

2 MS. ANDREA SHERRY: As far as I know
3 they do not use the MCT.

4 MR. MATTHEW GHIKAS: Okay. So, to
5 your knowledge, is there anyone more thinly
6 capitalized than Autopac?

7 MS. ANDREA SHERRY: As I said, I -- to
8 my knowledge no because I don't know the risk profile
9 of every company in Canada.

10 MR. MATTHEW GHIKAS: Okay. And in
11 terms of the lower RSR level coming out of the
12 collaborative process, that's based on a 1:40 DCAT
13 scenario, Ms. Sherry?

14 MS. ANDREA SHERRY: That is what is
15 being proposed, yes.

16 MR. MATTHEW GHIKAS: And you're aware
17 that that currently translates to \$201 million for
18 basic Autopac?

19 MS. ANDREA SHERRY: I'm just checking
20 the number. You are correct, yes.

21 MR. MATTHEW GHIKAS: Okay. And that
22 that translates to 37 percent MCT?

23 MS. ANDREA SHERRY: Yes.

24 MR. MATTHEW GHIKAS: Okay. Are you
25 aware of any other P&C insurer anywhere in Canada,

1 public or private, where the applicable regulator has
2 determined that an acceptable minimum level of capital
3 is the amount generated by a 1:40 DCAT scenario?

4 MS. ANDREA SHERRY: No, I am not
5 aware.

6 MR. MATTHEW GHIKAS: Okay. Are you
7 aware of any P&C insurer anywhere in Canada, public or
8 private, where the applicable regulator has determined
9 that 37 percent MCT is an acceptable minimum level of
10 capital?

11 MS. ANDREA SHERRY: No, I am not
12 aware.

13 MR. MATTHEW GHIKAS: And last year --
14 if you'll just confirm for me, Ms. Sherry, last year
15 you were advocating that the PUB put in place a band
16 around the lower RSR with the bottom level based on a
17 1:10 DCAT risk tolerance?

18 MS. ANDREA SHERRY: We had an upper
19 and a lower band, I believe. So there was a 1:10 and
20 a 1:20 that we thought should be considered right.

21 MR. MATTHEW GHIKAS: Right. And a
22 1:10 scenario, that would be a 10 percent probability
23 of hitting zero capital after management action,
24 correct?

25 MS. ANDREA SHERRY: Correct.

1 MR. MATTHEW GHIKAS: And I think we
2 established last year that you as a professional
3 actuary would never endorse or sign off on that type
4 of probability level for DCAT?

5 MS. ANDREA SHERRY: Not for running
6 scenarios, no.

7 MR. MATTHEW GHIKAS: Right. You
8 wouldn't sign off on that, would you?

9 MS. ANDREA SHERRY: No.

10 MR. MATTHEW GHIKAS: Right. And that
11 level of capital is so low, in fact, Ms. Sherry, that
12 actuarial standards of practice would not even permit
13 an actuary to sign off on a DCAT with that
14 probability, would it?

15 MS. ANDREA SHERRY: If you were a
16 federally regulated company, they would not.

17 MR. MATTHEW GHIKAS: Right. If you
18 were subject to the standards of practice, right?

19 MS. ANDREA SHERRY: No. If you were a
20 federally regulated company.

21 MR. MATTHEW GHIKAS: I see. So the
22 standards of practice only apply to actuaries at
23 federally regulated companies?

24 MS. ANDREA SHERRY: I'm sorry. Can
25 you show me the standards of practice that say that

1 you have to -- I know there's the OSFI guidelines, but
2 I'm not familiar with the standard of practice that
3 requires you to run the DCAT at a certain level of
4 probability.

5 MR. MATTHEW GHIKAS: Okay.

6 MS. ANDREA SHERRY: Am I missing that?

7 MR. MATTHEW GHIKAS: Isn't -- are you
8 familiar with the educational note regarding plausible
9 adverse events?

10 MS. ANDREA SHERRY: Yeah. It's an
11 educational note; it's not a standard of practice.

12 MR. MATTHEW GHIKAS: I see. And --
13 and the -- the educational note is suggesting that a
14 95 percentile or 1:20 is the minimum, correct?

15 MS. ANDREA SHERRY: That would be
16 correct, yeah.

17 MR. MATTHEW GHIKAS: And so it's
18 educational note because that's considered a best
19 practice, Ms. Sherry?

20 MS. ANDREA SHERRY: It's an
21 educational note. I can't say that it -- I think it -
22 - best practices would vary among -- amongst the
23 circumstances for which the work is being used.

24 MR. MATTHEW GHIKAS: Okay. Wawanesa
25 sells automobile insurance?

1 MS . ANDREA SHERRY: Sure do. Yeah.

2 MR . MATTHEW GHIKAS: And in 2016, your

3 MCT, based on your annual report, was 317 percent MCT?

4 MS . ANDREA SHERRY: Yes, it was.

5 MR . MATTHEW GHIKAS: Okay. Now, all I

6 -- OSFI's supervisory target is 150 percent, correct?

7 MS . ANDREA SHERRY: That's correct,

8 yeah.

9 MR . MATTHEW GHIKAS: And OSFI has an

10 early intervention process if the capital levels fall

11 below a hundred and fifty (150)?

12 MS . ANDREA SHERRY: Yeah.

13 MR . MATTHEW GHIKAS: And so in order

14 to avoid falling below 150 percent, private insurers

15 retain sufficient capital above that level to absorb

16 volatility, correct?

17 MS . ANDREA SHERRY: We actually agree

18 with OSFI on a target, and if we go below the target

19 OSFI shows interest.

20 MR . MATTHEW GHIKAS: Okay. In your

21 joint report, if we can just flip back there very

22 briefly, Diana, please. The last page, I believe, in

23 the joint recommendations, numbers 4 and 5.

24 Right. So numbers 4 and 5. The joint

25 recommendations that you made with Dr. Simpson are

1 that the strict use of the naive forecast in the DCAT
2 be replaced with the 50/50 forecast used previously.

3 And 5: That MPI undertake to assess
4 the 50/50 forecast, in light of rising interest rates.

5 Do you see that?

6 MS. ANDREA SHERRY: I do, yeah.

7 MR. MATTHEW GHIKAS: Okay. So this
8 year, Ms. Sherry, you'll agree with me that the SIRF
9 is not a best estimate forecast?

10 MS. ANDREA SHERRY: I'm going to go to
11 my back row. That's okay?

12

13 (BRIEF PAUSE)

14

15 MS. ANDREA SHERRY: Sorry about that.
16 So I guess the question begs another question. Is --
17 you asked if the SIRF was not a best estimate
18 forecast, and I think that would depend on whose
19 opinion you're asking, but --

20 MR. MATTHEW GHIKAS: I'm asking yours.

21 MS. ANDREA SHERRY: I think that it's
22 -- it's probably better than the naive forecast, but
23 we think that, based on the uncertainty that the
24 50/50, as was done for last year's, would make more
25 sense.

1 MR. MATTHEW GHIKAS: Okay. So the
2 SIRF is not a best estimate?

3 MS. ANDREA SHERRY: I think it's
4 probably --

5 DR. BYRON WILLIAMS: Mr. Ghikas, just
6 to be clear, you're asking in the context of the DCAT
7 methodology, sir?

8 MR. MATTHEW GHIKAS: I'm asking
9 whether it's --

10 DR. BYRON WILLIAMS: Well, this --

11 MR. MATTHEW GHIKAS: -- Mr. Williams,
12 whether it's a -- whether it's a best estimate or not.

13 DR. BYRON WILLIAMS: And this is in
14 the context of their evidence, which is the DCAT
15 methodology, sir?

16 MR. MATTHEW GHIKAS: That's fine.

17 DR. BYRON WILLIAMS: And the
18 recommendation?

19 MR. MATTHEW GHIKAS: That's fine.

20

21 (BRIEF PAUSE)

22

23 MS. ANDREA SHERRY: So we believe that
24 the SIRF is a better forecast than the naive forecast.
25 So we feel that at least moving part way to the SIRF,

1 using the 50/50 makes more sense than simply using the
2 naive.

3 I'm not sure that answers your
4 question.

5 MR. MATTHEW GHIKAS: Well --

6 MS. ANDREA SHERRY: I don't think that
7 we can say that we can do better than the banks at
8 forecasting. It might...

9 MR. MATTHEW GHIKAS: Okay. So you
10 don't think you can do better than the banks, but
11 you're not going to use their forecast. Have I got
12 that correct?

13 MS. ANDREA SHERRY: Well, what we're
14 suggesting is that we move between the naive and the
15 SIRF forecast.

16 MR. MATTHEW GHIKAS: And that's
17 because the SIRF itself is not a good forecast,
18 correct?

19 MS. ANDREA SHERRY: I don't want to
20 say that it's not a bad -- or not a good forecast. I
21 certainly don't want to pretend I could do better.
22 But I think that we could move towards the SIRF.

23 MR. MATTHEW GHIKAS: Okay. Your --
24 your recommendation is to use 50/50, correct?

25 MS. ANDREA SHERRY: That's correct.

1 MR. MATTHEW GHIKAS: Okay. And do you
2 recall giving evidence last year, Ms. Sherry, and I
3 can take you there, but where you indicated it would
4 be poor practice -- and those were your words -- poor
5 practice to purposefully, purposely use an estimate or
6 a forecast that is not what you believe to be the best
7 estimate?

8 MS. ANDREA SHERRY: I agree with that
9 statement, and I didn't say that the best estimate was
10 my best forecast. I'm saying that it's -- it's a
11 estimate, an estimate, and the -- the banks' estimate.
12 And because I don't have anything -- the best estimate
13 is really a combination of what information you have
14 out there, and that what we have is the naive and the
15 SIRF forecast.

16 MR. MATTHEW GHIKAS: Did you pick
17 50/50, or did Dr. Simpson, Ms. Sherry?

18 MS. ANDREA SHERRY: We decided -- we
19 talked about that together.

20 MR. MATTHEW GHIKAS: Okay. And so you
21 must have turned your mind as to whether or not you
22 were exercising poor practice by putting forward a
23 50/50?

24 MS. ANDREA SHERRY: Of course.

25 MR. MATTHEW GHIKAS: All right. I

1 want to spend a moment changing gears, here, to just
2 walk through some basics with you, and hopefully we
3 can agree on -- on these con -- concepts.

4 MS. ANDREA SHERRY: Okay.

5 MR. MATTHEW GHIKAS: So as we
6 addressed earlier, Ms. Sherry, that MCT is the ratio
7 of capital available to capital required, expressed as
8 a percentage, correct?

9 MS. ANDREA SHERRY: Correct.

10 MR. MATTHEW GHIKAS: And the capital
11 available, the numerator, is essentially the total
12 equity available to pay claims liabilities, correct?

13 MS. ANDREA SHERRY: Correct.

14 MR. MATTHEW GHIKAS: And the capital
15 required, which is the denominator, is the amount
16 determined under the criteria specified in the MCT
17 guidelines as being necessary to address risks to the
18 balance sheet, effectively?

19 MS. ANDREA SHERRY: Yes.

20 MR. MATTHEW GHIKAS: And so a hundred
21 percent, as we said before, is when capital available
22 is equal to capital required, right?

23 MS. ANDREA SHERRY: Yes. Correct.

24 MR. MATTHEW GHIKAS: Okay. So if we
25 can -- maybe the best way to -- to deal with this is

1 if we can turn to PUB-MPI-2-38. And this is the SGI
2 capital plan document, capital management policy. And
3 did you get a copy of -- of this? I --

4 MS. ANDREA SHERRY: I did, yeah.

5 MR. MATTHEW GHIKAS: -- advised your --

6 MS. ANDREA SHERRY: Yeah.

7 MR. MATTHEW GHIKAS: -- counsel --
8 counsel last night.

9 MS. ANDREA SHERRY: Yeah.

10 MR. MATTHEW GHIKAS: Okay. And you
11 had a chance to take a look at that?

12 MS. ANDREA SHERRY: No, I haven't,
13 actually.

14 MR. MATTHEW GHIKAS: Okay. Well, what
15 -- we don't have to get into the specifics of it.
16 What -- what I actually thought is there was a useful
17 description of the concepts that I was trying to work
18 through here.

19 Right. It's on page 4, under the
20 heading 3, capital management policy. And you'll see
21 there's a little 2, capital maintenance provision,
22 there. So this -- I actually thought this was a very
23 useful discussion.

24 And so what SGI says is that as the
25 business volume grows through inflationary pressures

1 and vehicle population, an additional amount of
2 capital is required in order to maintain the MCT at
3 the current level. Specifically, the denominator in
4 the MCT calculation, the capital required, is
5 increased by factors such as higher claims costs and
6 growth in investments.

7 So pausing there for second, so far
8 that -- you'd agree with that description of what
9 would happen?

10 MS. ANDREA SHERRY: Yes, as a company
11 grows.

12 MR. MATTHEW GHIKAS: Right, as the
13 company grows, the denominator grows, right?

14 MS. ANDREA SHERRY: Yeah.

15 MR. MATTHEW GHIKAS: And so as your
16 fleet gets bigger, your exposure to -- gets bigger,
17 and so the denominator is growing, the capital
18 required grows?

19 MS. ANDREA SHERRY: M-hm.

20 MR. MATTHEW GHIKAS: Yes?

21 MS. ANDREA SHERRY: Yes.

22 MR. MATTHEW GHIKAS: All right. And
23 so then they say, correspondingly, the numerator,
24 capital available, must grow by the same percentage as
25 the denominator in order to maintain the same MCT

1 ratio. And that's correct, isn't it?

2 MS. ANDREA SHERRY: Correct, yeah.

3 MR. MATTHEW GHIKAS: Right. So -- and
4 then it goes on to say -- put another way, even if the
5 SAF were able to break even on rates every year, MCT
6 would erode over time as the growth and capital
7 required outpace the growth and capital available.

8 And that would be true, just simply by math?

9 MS. ANDREA SHERRY: Yes.

10 MR. MATTHEW GHIKAS: And -- so when
11 SGI is saying, Breaking even, what they are saying,
12 effectively, is based on a zero profit provision,
13 correct?

14 MS. ANDREA SHERRY: That's correct,
15 yeah.

16 MR. MATTHEW GHIKAS: Okay. And so the
17 dynamic that SGI is describing here that the MCT falls
18 due to growth in the business, that's true for any
19 insurer, correct?

20 MS. ANDREA SHERRY: Sorry, say that
21 again, please?

22 MR. MATTHEW GHIKAS: The dynamic that
23 they're describing here that the MCT will fall due to
24 growth in the business, other things being equal, that
25 -- that's a -- that would be true for any business?

1 MS . ANDREA SHERRY: Well, it depends
2 on your capital available and what's happening with
3 that as well.

4 MR . MATTHEW GHIKAS: Right. If you're
5 increasing that --

6 MS . ANDREA SHERRY: It -- it depends.
7 Yeah.

8 MR . MATTHEW GHIKAS: Right. But other
9 things being equal, the effect would be -- if other
10 things being equal, if the numerator is staying
11 constant, and the denominator is getting bigger, then
12 you are --

13 MS . ANDREA SHERRY: If you did nothing
14 else --

15 MR . MATTHEW GHIKAS: -- your MCT is
16 going down?

17 MS . ANDREA SHERRY: -- if you did
18 nothing else, yes.

19 MR . MATTHEW GHIKAS: You'd agree with
20 me that MPI's Basic business is growing?

21 MS . ANDREA SHERRY: Yes.

22 MR . MATTHEW GHIKAS: And it's subject
23 to inflationary pressures?

24 MS . ANDREA SHERRY: Yes.

25 MR . MATTHEW GHIKAS: And the vehicle

1 population is growing?

2 MS. ANDREA SHERRY: Yes, and they have
3 the -- they have drift factors, et cetera, in their
4 rate-making that accounts for that.

5 MR. MATTHEW GHIKAS: Sorry, they have
6 what?

7 MS. ANDREA SHERRY: In your rate-
8 making, you have drift factors so that you -- if the
9 type of vehicles you're writing, et cetera, et cetera,
10 change over time, that's included in rates.

11 MR. MATTHEW GHIKAS: Okay. But what
12 MPI doesn't have is a -- a capital provision, a
13 capital maintenance provision, right?

14 MS. ANDREA SHERRY: Right.

15 MR. MATTHEW GHIKAS: Okay. And just -
16 - just so that we -- we look there as to -- that's
17 described by SGI as saying, To address this, a capital
18 maintenance provision will be added to the base rate
19 designed to offset the decline in MCT arising from the
20 overall growth in SAF's business.

21 So -- so a capital maintenance
22 provision, Ms. Sherry, just so we're on the same page,
23 effectively, that increases the numerator to match the
24 increase in the denominator so, you still end up with
25 the same MCT, right?

1 MS. ANDREA SHERRY: That's correct --
2 MR. MATTHEW GHIKAS: Okay.
3 MS. ANDREA SHERRY: -- it would
4 appear.

5 MR. MATTHEW GHIKAS: Now, for a
6 private insurer, Ms. Sherry, if they wanted to
7 maintain an MCT ratio in the face of business growth,
8 they would price the product to incorporate a profit
9 provision that's sufficient to cover -- to increase
10 its capital available and still generate an acceptable
11 return, correct?

12 MS. ANDREA SHERRY: Quite frankly, the
13 MCT is not considered at all in pricing or rating --

14 MR. MATTHEW GHIKAS: Right.

15 MS. ANDREA SHERRY: -- in a private
16 company.

17 MR. MATTHEW GHIKAS: Right, but you'd
18 have to consider it to make sure that you don't fall
19 offside with your regulator?

20 MS. ANDREA SHERRY: We don't look at
21 it at all. Proper rate-making doesn't consider the
22 MCT in rates.

23 MR. MATTHEW GHIKAS: Right. Not your
24 individual product pricing, but your overall
25 capitalization you need to pay attention to, right?

1 MS. ANDREA SHERRY: Of course it's
2 monitored, yes.

3 MR. MATTHEW GHIKAS: Right. And so
4 you -- in order to ensure -- if you -- if your capital
5 has fallen, for example, you want to have coming out
6 of -- a sufficient provision in your rates to ensure
7 that your MCT ratio will not fall below unacceptable
8 levels?

9 MS. ANDREA SHERRY: There is not a
10 direct line between our capital level and pricing.
11 There's too many other things that a private company
12 has to take into account, like the loss of business,
13 our competitors, new entrants. There's so many
14 factors that go into a private company's pricing, and
15 the MCT is not considered as one (1) of them.

16 MR. MATTHEW GHIKAS: Okay. So SGI
17 pays attention to it, obviously, based on this
18 document, right?

19 MS. ANDREA SHERRY: M-hm.

20 MR. MATTHEW GHIKAS: Yes?

21 MS. ANDREA SHERRY: Yes, obviously.

22 MR. MATTHEW GHIKAS: Okay. And you'd
23 agree with me that one (1) of the things that they
24 have is a capital maintenance provision?

25 MS. ANDREA SHERRY: I would agree with

1 you, yes.

2 MR. MATTHEW GHIKAS: All right. And
3 they also -- you'll see on that page, there, they have
4 a capital build and release provision?

5 MS. ANDREA SHERRY: I see that, yes.

6 MR. MATTHEW GHIKAS: Okay. And you'd
7 agree with me that the purpose of a capital build
8 provision, according to SGI, is to not just maintain
9 the MCT, but to build it back to their target one-
10 fifth (1/5) each year?

11 MS. ANDREA SHERRY: This is
12 interesting, because SGI doesn't apply for rate
13 changes every year.

14 MR. MATTHEW GHIKAS: You'd agree with
15 me that that's their capital policy?

16 MS. ANDREA SHERRY: Yes, but they
17 don't apply for rate changes every year and don't have
18 rate changes every year, so I don't know if this
19 policy is applied every year.

20 MR. MATTHEW GHIKAS: Okay. Fair
21 enough. You'd agree with me that they have a capital
22 policy that allows for them to maintain their MCT
23 level with a capital maintenance provision and a
24 capital build provision to build it?

25 MS. ANDREA SHERRY: It looks that way,

1 yes.

2 MR. MATTHEW GHIKAS: All right. Now,
3 one (1) of the things that -- if we turn to your --
4 your report, the one that you wrote individually, CAC
5 Exhibit 4.

6

7 (BRIEF PAUSE)

8

9 MR. MATTHEW GHIKAS: Now, you -- you
10 indicated on page 2, just above -- just above the
11 quote of the actuarial standards, right above heading
12 1, actuarial best practice. Although -- so you
13 identify there that MPI's proposal has a significant
14 flaw in its calculation, being that the calculation
15 includes a 0 percent profit provision?

16 MS. ANDREA SHERRY: I do, yes.

17 MR. MATTHEW GHIKAS: Okay. And so
18 that -- and which you say has the effect of allowing
19 the expected return on the investment assets
20 supporting total equity to be available to grow the
21 RSR, and you say, The investment income on the RSR
22 should be accounted for in the rate indication
23 calculation, which is consistent with actuarial
24 practice generally, and is applied to other Crown
25 insurers such as SGI and ICBC.

1 I just want to be absolutely clear
2 about this, Ms. Sherry. MPI's proposal is also
3 consistent with accepted actuarial practice, isn't it?

4 MS. ANDREA SHERRY: I actually
5 struggled with that, because if you look at the
6 standards of practice, it says, Includes a present
7 value of a provision for profit. So I did struggle
8 with that a little bit, and I can't say for sure that
9 it's against the standards of practice, but if I was
10 the actuary, I would probably contact someone on -- at
11 the Canadian Institute of Actuaries to ensure that I
12 wasn't against standards.

13 MR. MATTHEW GHIKAS: Ms. Sherry,
14 you've said that they've included a zero percent
15 profit provision, right? Well, let's -- let's look at
16 the standards.

17 MS. ANDREA SHERRY: No -- so in that
18 case, if you're trying to get a -- I said, It includes
19 a zero percent profit provision, but it's actually the
20 formula at the back, here, and that might have been a
21 misstatement.

22 MR. MATTHEW GHIKAS: I'm sorry?

23 MS. ANDREA SHERRY: Well, the fact is
24 that they don't include a zero percent profit
25 provision, because if the rate indication did, it

1 would follow the formula of negative 'I' over -- 'R'
2 over PSR.

3 MR. MATTHEW GHIKAS: Your -- your
4 profit provision, by proposing what you've proposed to
5 do with the total equity, to credit the total --
6 sorry, the investment income on total equity, using
7 that formula, that results in a negative profit
8 provision, doesn't it?

9 MS. ANDREA SHERRY: It results in a
10 negative underwriting profit provision, but a zero
11 return on equity --

12 MR. MATTHEW GHIKAS: Right.

13 MS. ANDREA SHERRY: To be clear.

14 MR. MATTHEW GHIKAS: So you're
15 focusing on the dollar amount, but the profit
16 provision on an actuarial basis is negative?

17 MS. ANDREA SHERRY: Yes.

18 MR. MATTHEW GHIKAS: Okay.

19 MS. ANDREA SHERRY: The underwriting
20 profit provision.

21 MR. MATTHEW GHIKAS: Right.

22 MS. ANDREA SHERRY: Yes.

23 MR. MATTHEW GHIKAS: Now, one (1) of
24 the things that -- that you say is, if you look just
25 slightly down below the actuarial best practice quote

1 there, the paragraph afterwards, it says, The
2 investment income on the assets supporting total
3 equity is a cash flow to the Corporation and should be
4 included in the cash flows used to determine the rate
5 indication.

6 You'd agree with me, Ms. Sherry, that
7 something being, "A cash flow to the Corporation" is
8 not the test under the section you've quoted?

9 MS. ANDREA SHERRY: Sorry, I -- I --

10 MR. MATTHEW GHIKAS: Well --

11 MS. ANDREA SHERRY: -- don't
12 understand the question.

13 MR. MATTHEW GHIKAS: You've said it
14 belongs there because it's quote unquote, a cash flow
15 to the Corporation, and I'm just -- I'm zeroing in on
16 the fact that that passage you've quoted says it's the
17 best estimate present value of cash flows relating to
18 the revenue at the indicated rate. That's the test,
19 right?

20 MS. ANDREA SHERRY: Yes.

21 MR. MATTHEW GHIKAS: Right. And the
22 rev --

23 MS. ANDREA SHERRY: And the revenues
24 flowing in, m-hm.

25 MR. MATTHEW GHIKAS: The revenues

1 flowing in from the policies written in the policy
2 year for which you are setting rates, correct?

3 MS. ANDREA SHERRY: And which -- you
4 include the capital backing the book of business. The
5 investment income from that capital is a revenue for
6 that book of business.

7 MR. MATTHEW GHIKAS: As a profit
8 provision, right?

9 MS. ANDREA SHERRY: It could be, yeah.

10 MR. MATTHEW GHIKAS: Well, what do you
11 mean, "It could be," Ms. Sherry? You've -- you've
12 indicated that it belongs there as a negative profit
13 provision.

14 MS. ANDREA SHERRY: Okay. Fair
15 enough.

16 MR. MATTHEW GHIKAS: Okay. So the
17 profit provision, you'd agree with me, is something
18 that management can set?

19 MS. ANDREA SHERRY: Yes, in a private
20 company. We -- there is judgement involved in that,
21 although regulators are involved as well.

22 MR. MATTHEW GHIKAS: Right. And...

23

24 (BRIEF PAUSE)

25

1 MR. MATTHEW GHIKAS: You'd agree with
2 me that having a negative profit provision on top of
3 not having a capital maintenance provision would
4 result in the MCT level declining for basic Autopac,
5 all other things equal?

6 MS. ANDREA SHERRY: Yes, I would agree
7 with that.

8 MR. MATTHEW GHIKAS: Now the -- I
9 found -- switching gears, here -- that on page 3 of
10 your report, the paragraph right above
11 intergenerational equity, you say, The Corporation
12 concedes the investment income earned on the RSR as
13 revenue, but argues that this revenue is not related
14 to policies issued in the 2018/'19 policy year. This
15 is only partially true.

16 So stopping there, from a financial
17 perspective, Ms. Sherry, that is absolutely true,
18 isn't it?

19 MS. ANDREA SHERRY: Well, its
20 investment -- its investment income that has been
21 collected from prior policyholders -- or on the RSR
22 that has been collected from prior policyholders. So
23 my point there is that since MPI is a monopoly, the
24 current policyholders were most likely policyholders -
25 - or most likely will be next year, and were the year

1 before, and last, et cetera. You have a fair -- fairly
2 stable book of policyholders.

3 MR. MATTHEW GHIKAS: Right. But if we
4 are in this application, setting rates for the
5 upcoming policy year, MPI hasn't even started to
6 collect any revenues associated with policies written
7 in that year, has it?

8 MS. ANDREA SHERRY: Well, except a
9 large percentage of the policyholders that will be
10 with you in 2018/'19 were with you in the past.

11 MR. MATTHEW GHIKAS: Right.

12 MS. ANDREA SHERRY: So it's pol -- the
13 same -- obviously there's change, but a -- probably a
14 large percentage of the book --

15 MR. MATTHEW GHIKAS: Okay.

16 MS. ANDREA SHERRY: -- is the same
17 people.

18 MR. MATTHEW GHIKAS: So I hear what
19 you're saying about the same people, but the sentence
20 that you've quoted, or that you've stated there, or
21 you've said that MPI argues that:

22 "This revenue is not related to
23 policies issued in 2018/2019 policy
24 year. This is only partially true."

25 And that's just plain and simple wrong,

1 right?

2 MS. ANDREA SHERRY: I don't think so.

3 I think it is only partially true. I think you've got

4 the same policyholders. So the RSR is built up over

5 the same policyholders that have been there for years.

6 And so that -- that revenue is related to them, and to

7 the people that will have policies in 2018/'19.

8 MR. MATTHEW GHIKAS: It's not related
9 to the premiums collected on the policies to be
10 written in 2018/2019, is it?

11 MS. ANDREA SHERRY: Well, I'm arguing
12 that it is, that it should be factored into that.

13 MR. MATTHEW GHIKAS: Okay. Okay. Has
14 MPI collected any premiums associated with policies
15 written in 2018/2019 yet?

16 MS. ANDREA SHERRY: No.

17 MR. MATTHEW GHIKAS: Thank you. All
18 right. Can we go to your slide deck, please, Diana.

19

20 (BRIEF PAUSE)

21

22 MR. MATTHEW GHIKAS: And there's a
23 slide that says, Transfers from Basic, which I think
24 it was probably it -- it's a typo of, Transfers from -
25 - from Extension, I think, to Basic --

1 MS. ANDREA SHERRY: Very correct,
2 sorry about that.

3 MR. MATTHEW GHIKAS: It's okay. It's
4 -- we're all --

5 MS. ANDREA SHERRY: It should be,
6 Transfers to Basic.

7 MR. MATTHEW GHIKAS: Yes. Now, on
8 this point, essentially, your point is -- well, let's
9 -- let's backup. You indicated that in your -- in
10 your evidence, you said, under the topic of
11 intergenerational equity:

12 "The money held in the RSR today has
13 been built up over the years by
14 policyholders that are either still
15 going to be ensured by MPI in the
16 2018/2019 rating year or not,
17 because of relocation, death or
18 other reasons."

19 And then MPI indicated in its rebuttal
20 evidence that, in fact, \$176 million of the \$181
21 million in the RSR was actually from extension; right?

22 MS. ANDREA SHERRY: Yes.

23 MR. MATTHEW GHIKAS: And so your
24 riposte to that, I guess, is -- is this slide here?

25 MS. ANDREA SHERRY: Well, that was in

1 response to that. I knew it would be an issue.

2 MR. MATTHEW GHIKAS: And so the
3 essence of yours is that -- your -- your position on
4 this is that Extension should be cross-subsidizing
5 Basic Autopac?

6 MS. ANDREA SHERRY: I believe that
7 Extension wouldn't exist without Basic Autopac. So,
8 yes.

9 MR. MATTHEW GHIKAS: Okay. One (1) of
10 the things I understood you to be saying earlier, is
11 that the RSR is cash that's backing Basic. And so the
12 income on it should be backing Basic.

13 MS. ANDREA SHERRY: Yes.

14 MR. MATTHEW GHIKAS: Okay. Would it
15 not, then, be true that the income from optional line
16 of business would be -- would -- should be backing the
17 optional line of business?

18 MS. ANDREA SHERRY: MPI doesn't need
19 to be in the optional lines of business. Basic is
20 their basic policy. That's where they have the
21 monopoly.

22 MR. MATTHEW GHIKAS: And is that -- is
23 that your actual --

24 MS. ANDREA SHERRY: It's actually
25 their primary concern.

1 MR. MATTHEW GHIKAS: -- is that your
2 actuarial opinion, Ms. Sherry? Yeah. Okay. All
3 right. Now, I want to turn to your slide that says
4 "standards." The second slide that says "standards,"
5 the one (1) that talks about normal best practice. I
6 think it's the next one (1), Diana. Right.

7 So you -- you have on this slide saying
8 you're invoking normal best practices to include
9 investment income on the surplus backing the book that
10 you were pricing for, as it is a revenue cash flow to
11 that book; right?

12 MS. ANDREA SHERRY: Correct.

13 MR. MATTHEW GHIKAS: Okay. Is it
14 normal best practice to have a 27 percent MCT?

15 MS. ANDREA SHERRY: Not in a private
16 insurance company regulated ASFI, no.

17 MR. MATTHEW GHIKAS: Okay. And is it
18 -- is it normal best practice to have a DCAT at 1:40?

19 MS. ANDREA SHERRY: No, not in private
20 organizations regulated by ASFI.

21 MR. MATTHEW GHIKAS: And is it your --
22 is it common best practice to run a private business
23 where your lines of business are running a negative
24 profit?

25 MS. ANDREA SHERRY: Actually --

1 MR. MATTHEW GHIKAS: Collectively?

2 MS. ANDREA SHERRY: Not collect --
3 well, not collectively, but we definitely run some
4 lines in -- in a profit.

5 MR. MATTHEW GHIKAS: Right. As a
6 market -- as a market share issue.

7 MS. ANDREA SHERRY: No, because we
8 can't. Yeah. There's a lot of issues, but I don't
9 think it's really relevant to this discussion.

10 MR. MATTHEW GHIKAS: Right.

11 Collectively your shareholders would be -- I know you
12 don't have shareholders --

13 MS. ANDREA SHERRY: We --

14 MR. MATTHEW GHIKAS: -- but in a
15 private business, the shareholders would be unhappy
16 with you if you weren't building in a positive profit
17 provision.

18 MS. ANDREA SHERRY: Correct.

19 MR. MATTHEW GHIKAS: Now, let's --
20 let's talk about your -- if we can go back, Diana --
21 Sorry to jump around on you here -- back to the
22 evidence of Ms. Sherry. And I'm on page 2. And right
23 above the heading "actuarial best practice," the
24 paragraph above. There we go. I just wanted to focus
25 in on the investment. The sentence that says:

1 "The investment income on the RSR
2 should be accounted for in the rate
3 indication calculation, which is
4 consistent with actuarial practice
5 generally, and is applied to other
6 Crown insurers such as SGI and
7 ICBC."

8 And you'd agree with me -- I think we
9 canvassed before that both SGI and ICBC have capital
10 targets considerably above MPI's?

11 MS. ANDREA SHERRY: That's correct.
12 Yeah.

13 MR. MATTHEW GHIKAS: Okay. And you'd
14 agree with me again that SGI has a capital plan that
15 contemplates a maintenance and build provision?

16 MS. ANDREA SHERRY: Yes.

17 MR. MATTHEW GHIKAS: And you'd agree
18 with me that ICBC has that -- that those types of
19 provisions as well?

20 MS. ANDREA SHERRY: I didn't know they
21 have a capital maintenance provision as well, sorry?
22 ICBC?

23 MR. MATTHEW GHIKAS: Yes.

24 MS. ANDREA SHERRY: Oh, okay.

25 MR. MATTHEW GHIKAS: Okay.

1 MS. ANDREA SHERRY: I will take your
2 word for that.

3 MR. MATTHEW GHIKAS: Okay.

4 MR. BYRON WILLIAMS: We're going to
5 take that one (1) subject to check, Mr. Ghikas.

6 MR. MATTHEW GHIKAS: That's fine.

7

8 CONTINUED BY MR. MATTHEW GHIKAS:

9 MR. MATTHEW GHIKAS: All right. Now,
10 you had -- over on to page 4, under the heading 4.
11 You've quoted from MPI's response to PUB-2-10 there.
12 Do you see that?

13 MS. ANDREA SHERRY: Yes, I do. Yeah.

14 MR. MATTHEW GHIKAS: And maybe we can
15 turn to Exhibit 15, PUB-2-10, Diana, please.

16

17 (BRIEF PAUSE)

18

19 MR. MATTHEW GHIKAS: Okay. If you can
20 scroll down a bit. Right. So there we have the
21 passage that you've -- that you've quoted. Can you
22 scroll down a little bit further? Okay.

23 And you see there you're -- right at
24 the beginning of the second page there you stop the
25 quotation just before the word "however?"

1 MS. ANDREA SHERRY: Yes.

2 MR. MATTHEW GHIKAS: And I'm just
3 wondering if, you know, given the value that you place
4 on adhering to public industry -- public insurance
5 industry norms, why you wouldn't have continued with
6 that paragraph when you quoted it in your evidence?

7 MS. ANDREA SHERRY: Well, the question
8 was whether investment income on the RSR should be
9 included in the rate indication. And I was pointing
10 out that they do that.

11 MR. MATTHEW GHIKAS: And -- and not
12 pointing out that they also have another mechanism to
13 replenish their capital?

14 MS. ANDREA SHERRY: That would -- that
15 would take it off the subject matter. It wasn't
16 essentially hiding it. It's right there in the
17 Information Request.

18 MR. MATTHEW GHIKAS: Thank you.

19 MS. ANDREA SHERRY: And I didn't know
20 that ICBC did.

21 MR. MATTHEW GHIKAS: Thank you, Ms.
22 Sherry. Thank you, Mr. Chairman. Those are my
23 questions.

24 THE CHAIRPERSON: Thank you, Mr.
25 Ghikas. Mr. Watchman...?

1 MR. ROBERT WATCHMAN: Thank you, Mr.
2 Chairman. I -- I don't anticipate being very long.

3 THE CHAIRPERSON: That's fine. We'll
4 continue.

5

6 CROSS-EXAMINATION BY MR. ROBERT WATCHMAN:

7 MR. ROBERT WATCHMAN: Okay. Good
8 evening, Ms. Sherry.

9 MS. ANDREA SHERRY: Hello.

10 MR. ROBERT WATCHMAN: Now, if we could
11 go back, Diana, to exhibit CAC Number 4, Ms. Sherry's
12 report. And on page 2. And just scroll down a little
13 bit there at the midpoint. Is it fair to say that the
14 thrust of your paper is captured in that sentence just
15 above the heading "actuarial best practice" where you
16 say that effectively the investment income on the RSR
17 in the rate indication -- or should be included in the
18 rate indication?

19 MS. ANDREA SHERRY: Yes, that's
20 definitely the argument to the paper.

21 MR. ROBERT WATCHMAN: Yes. And again,
22 just -- just so we're clear for the record, you've
23 referred to -- in the RSR, and sometimes total equity.
24 And I think in previous Board orders, what the Board
25 has spoken of, is basic total equity for target

1 capital purposes. Do you recall that?

2 MS. ANDREA SHERRY: Yes.

3 MR. ROBERT WATCHMAN: Yeah. And so

4 we're just -- just again --

5 MS. ANDREA SHERRY: Okay. Yeah.

6 MR. ROBERT WATCHMAN: -- to make the
7 record clear, we're talking about the same thing.

8 When you use RSR you're talking about the same thing?

9 MS. ANDREA SHERRY: Yes.

10 MR. ROBERT WATCHMAN: Now, and then
11 your arguments are -- you -- you provide four (4)
12 arguments, beginning with the actuarial best practice.
13 And if we could just scroll down to the standard and
14 because there was some discussion between you and Mr.
15 Ghikas about this.

16 And I just -- just so we're clear, can
17 you tell us why you believe it's appropriate to
18 include the expective -- expected return on investment
19 in the rate indication based upon that practice?

20 MS. ANDREA SHERRY: When you do a
21 rate indication you always look at the capital backing
22 the book of business it's been priced for. And you
23 take into consideration the return on investment on
24 that capital. So to me it should be done here as
25 well, for that reason as well as other reasons.

1 MR. ROBERT WATCHMAN: So if I'm
2 understanding correctly that investment income would
3 come in by virtue of the first part of the standard,
4 the present value of cash flows relating to the
5 revenue at the indicated rate. Is that where it comes
6 in?

7 MS. ANDREA SHERRY: You could do it in
8 a few different ways, but another way is you could use
9 the discount rates to discount -- you could take the
10 discount rate on the entire portfolio and discount the
11 cash flows that way. That's one (1) way to include
12 the investment income on the RSR. What I'm suggesting
13 is the formula that we've talked about here.

14 MR. ROBERT WATCHMAN: Okay. And so
15 when we talk about AAP, this is the standard that
16 we're talking about. And specifically, this is with
17 respect to deriving indicated rates for insurance
18 contract of property and casualty insurance.

19 Is that right?

20 MS. ANDREA SHERRY: Yeah.

21 MR. ROBERT WATCHMAN: And this is
22 binding on all actuaries practicing in Canada?

23 MS. ANDREA SHERRY: It is, yes.

24 MR. ROBERT WATCHMAN: Now, if we could
25 turn to the bottom of page 4, please, Diana. Right to

1 the bottom there. And then,-- now, you've already --
2 you've given evidence with respect to the
3 determination of that breakeven formula --

4 MS. ANDREA SHERRY: M-hm.

5 MR. ROBERT WATCHMAN: -- the IR over
6 the PSR.

7 MS. ANDREA SHERRY: Yes.

8 MR. ROBERT WATCHMAN: And the IR is
9 again, so we're clear, is the expected income return
10 on assets supporting basic total equity?

11 MS. ANDREA SHERRY: That's correct.

12 Yeah.

13 MR. ROBERT WATCHMAN: And this formula
14 is the formula that had been the subject of discussion
15 previously during the collaborative process?

16 MS. ANDREA SHERRY: That's right.

17 Yes.

18 MR. ROBERT WATCHMAN: And If we could
19 turn to the top of the next page, please. Now, here
20 you talk about the -- the (INDISCERNIBLE) -- indicated
21 rates based upon two (2) different approaches?

22 MS. ANDREA SHERRY: Yes. That's
23 straight from PUB-2-11.

24 MR. ROBERT WATCHMAN: Okay. Thank
25 you.

1 MS. ANDREA SHERRY: If that's your
2 question.

3 MR. ROBERT WATCHMAN: Can you just
4 explain for the panel the -- the two (2) different
5 approaches and -- and what the significance is as
6 between them?

7 MS. ANDREA SHERRY: Can we go to PUB-
8 2-11?

9 MR. ROBERT WATCHMAN: Certainly.

10 MS. ANDREA SHERRY: Actually, I might
11 have it here. Let me see. So, actually, if you go
12 back to the first page there it explains it. So,
13 sorry, down a little bit. There we go.

14 So it's saying there that the premium
15 to surplus ratio is based on the forecasted 2018/'19
16 Basic written premium divided by the basic total
17 equity midway between the proposed upper and lower
18 basic total equity target levels. So is that clear or
19 helpful?

20 MR. ROBERT WATCHMAN: Okay. Sorry.
21 If we go back to page 5, just so we understand. So --

22 MS. ANDREA SHERRY: So that's for the
23 midway --

24 MR. ROBERT WATCHMAN: The midway.

25 MS. ANDREA SHERRY: That's between the

1 upper and lower total equity target levels.

2 MR. ROBERT WATCHMAN: Right. And it
3 provides that the indicated rate would be 1.1 percent
4 in that case?

5 MS. ANDREA SHERRY: Yes.

6 MR. ROBERT WATCHMAN: And then it goes
7 on to say if the PSR is based on the forecasted
8 2018/'19 total equity of 205 million instead of the
9 midway target of three-ten (310) --

10 MS. ANDREA SHERRY: Right.

11 MR. ROBERT WATCHMAN: -- the rate
12 increase would be 1.6 percent.

13 MS. ANDREA SHERRY: Yes.

14 MR. ROBERT WATCHMAN: So I was just --
15 so there's two (2) different scenarios there and I was
16 just trying to understand the difference between the
17 two (2).

18 MS. ANDREA SHERRY: So the one (1) is
19 the midway between the lower and upper target for
20 total equity, and the other is what the projected
21 total equity for 2018/'19 in the base scenario.

22 MR. ROBERT WATCHMAN: And in your
23 paper or are you suggesting that one (1) of these two
24 (2) scenarios is preferred?

25 MS. ANDREA SHERRY: I actually did not

1 indicate a preference in my paper.

2

3 (BRIEF PAUSE)

4

5 MR. ROBERT WATCHMAN: Oh.

6 MS. ANDREA SHERRY: Because the
7 targets, or the lower and upper targets for the RSR is
8 being still discussed I would suggest that the
9 forecasted 2018/'19 total equity would probably be a
10 more stable figure to use. But I did not express that
11 opinion in the paper.

12 MR. ROBERT WATCHMAN: Now, Diana, if
13 we could turn to MPI Exhibit 27. And, Ms. Sherry,
14 this is relates to an undertaking that was given. And
15 it had to do with the determination of investment
16 income on the assets supporting total equity. I don't
17 know if you've had an opportunity to see this
18 previously.

19 MS. ANDREA SHERRY: No, I haven't.

20 MR. ROBERT WATCHMAN: Well, then just
21 in --

22 MS. ANDREA SHERRY: I've had the
23 opportunity, but it's my own fault I haven't.

24 MR. ROBERT WATCHMAN: Okay.

25 MS. ANDREA SHERRY: Yeah.

1 MR. ROBERT WATCHMAN: Well, what the
2 question -- or what the undertaking was directed to is
3 whether or not it was appropriate to charge investment
4 fees and expansion -- pension expense, rather, to the
5 investment income. And the question is, is whether
6 you have an opinion as to whether those items should
7 have been charged to the investment income on assets
8 supporting total equity.

9 MS. ANDREA SHERRY: Sorry, I just need
10 a moment to actually read this over carefully.

11

12 (BRIEF PAUSE)

13

14 MS. ANDREA SHERRY: I actually don't
15 want to express an opinion on that right now. I'd
16 have to give it more thought.

17 MR. ROBERT WATCHMAN: Okay. Thank
18 you.

19 MR. BYRON WILLIAMS: Just for the
20 Board, if the Board deems it appropriate for Ms.
21 Sherry to reflect upon that, we would be prepared to
22 do an undertaking.

23 MS. ANDREA SHERRY: For sure. I just
24 --

25 MR. BYRON WILLIAMS: But -- so we

1 don't -- and we could probably have that available for
2 tomorrow, but we leave that to the Board's discretion.

3

4 (BRIEF PAUSE)

5

6 MR. ROBERT WATCHMAN: Okay. So then
7 can we have the as an undertaking, please?

8 MS. ANDREA SHERRY: M-hm.

9 MR. ROBERT WATCHMAN: And --

10 MR. BYRON WILLIAMS: And -- and the
11 undertaking, as I understand it, is to reflect on the
12 question of whether investment pay -- fees paid in
13 pension expense are appropriately charged to the
14 investment income on assets supporting total equity?

15 MR. ROBERT WATCHMAN: Yes.

16 MR. BYRON WILLIAMS: Thank you.

17 MR. ROBERT WATCHMAN: And -- and if I
18 might, as a -- as a follow-up to that, and whether or
19 not the inclusion or non-inclusion of those amounts
20 has any bearing on the estimate of the cash flow
21 discount rate for rates setting purposes.

22 MR. BYRON WILLIAMS: We'll confirm
23 that undertaking.

24 MS. ANDREA SHERRY: Okay.

25

1 --- UNDERTAKING NO. 34: CAC to reflect on the
2 question of whether
3 investment fees paid in
4 pension expense are
5 appropriately charged to
6 the investment income on
7 assets supporting total
8 equity, and whether or not
9 the inclusion or non-
10 inclusion of those amounts
11 has any bearing on the
12 estimate of the cash flow
13 discount rate for rates
14 setting purposes

16 CONTINUED BY MR. ROBERT WATCHMAN:

17 MR. ROBERT WATCHMAN: Diana, if we
18 could go to PUB-MPI-2-38, and attachment A. Oh, right
19 there. Perfect. To that page. This is -- as you
20 recall Mr. Ghikas had asked you some questions about
21 the capital maintenance provision in the first
22 paragraph and the portion about -- or the purpose of
23 the capital maintenance provision to keep the
24 numerator in percentage with the denominator. And I
25 just wanted to go to the paragraph following that,

1 which provides:

2 "To address this, a capital
3 maintenance provision will be added
4 to the base rate designed to offset
5 the decline in MCT arising from the
6 overall growth in SAF's business."

7 My question to you is whether or not
8 you believe that a similar provision could be built
9 into the rate-making in Manitoba.

10 MS. ANDREA SHERRY: I believe it could
11 be. I don't believe it should be.

12 MR. ROBERT WATCHMAN: Can you
13 elaborate on that?

14 MS. ANDREA SHERRY: Well, for the same
15 reason. I think that when the PUB determines what the
16 target RSR range should be set based on, and whether
17 it's a range of the DCAT or the 1:40 and the 100
18 percent MCT, whatever that range is, then I think as
19 long as the company operates within that range then we
20 don't need to throw on top of that any sort of
21 maintenance provision.

22 It's -- if you -- you will manage
23 within that range, and if you fall below the lower
24 level of the range, then you have an RSR rebuilding
25 whatever it is, 2 percent, to get you back into it. I

1 don't think that we need to arbitrarily guess what we
2 think we're going to need in this fashion.

3 MR. ROBERT WATCHMAN: So you're in
4 favour of having the range rather than a single
5 capital target? Is that -- is that right?

6 MS. ANDREA SHERRY: Very much so, yes.

7 MR. ROBERT WATCHMAN: Thank you very
8 much, Ms. Sherry. Mr. Chairman, those are all my
9 questions.

10 THE CHAIRPERSON: Okay. Does the
11 panel have any questions? Any redirect?

12

13 RE-EXAMINATION BY DR. BYRON WILLIAMS:

14 MR. BYRON WILLIAMS: Ms. Sherry, I
15 have three (3) general areas of redirect. You'll re -
16 - recall a considerable discussion with My Learned
17 Friend representing MPI about the MCT targets in --
18 related to SGI, as well as ICBC. You recall that
19 conversation?

20 MS. ANDREA SHERRY: Yes, I do.

21 MR. BYRON WILLIAMS: And if Diana can
22 pull up PUB-1-73B, if we need it. But, Ms. Sherry, to
23 your knowledge, would it be fair to suggest that the
24 MCT target in Saskatchewan ICBC have been set by
25 indepen -- have been set by the government rather than

1 independent regulators?

2 MS. ANDREA SHERRY: I'm sorry. Are
3 you asking if it was set by the provincial government
4 in those provinces?

5 MR. BYRON WILLIAMS: Yes.

6 MS. ANDREA SHERRY: I don't know that
7 with certainty.

8 MR. BYRON WILLIAMS: Ms. Sherry, in
9 terms of the -- in terms of the -- perhaps you recall
10 a discussion that you had with My Learned Friend on
11 behalf of MPI in terms of whether the SIRF, the 50/50,
12 or the naive forecasts were a best estimate for the
13 purposes of the DCAT?

14 MS. ANDREA SHERRY: I do. Yes.

15 MR. BYRON WILLIAMS: Okay. Can we
16 pull up PUB/CAC-1-2 for a minute? And the response.
17 Ms. Sherry, just in terms of that discussion that you
18 had with My Learned Friend, is there anything you just
19 want to add to that, based upon this response?

20 MS. ANDREA SHERRY: Well, I think
21 that's -- and perhaps I didn't make myself clear, but
22 what we're saying is that the naive forecast is -- and
23 that's what Wayne's presentation -- or Dr. Simpson's
24 presentation was earlier, that we feel that the naive
25 forecast is the most unrealistic forecast. And the

1 SIRF might not be -- well, it's another forecast that
2 should be used as well. So we feel like the 50/50
3 would be the best. At least moving to a 50/50 would
4 make more sense than using the naive.

5 MR. BYRON WILLIAMS: Okay. Thank you.
6 You recall a conversation, both with learned counsel
7 for MPI as well as with Board counsel, in terms of the
8 growth of -- of reserves via a capital maintenance
9 fee?

10 MS. ANDREA SHERRY: M-hm.

11 MR. BYRON WILLIAMS: You recall that
12 discussion?

13 MS. ANDREA SHERRY: Yeah.

14 MR. BYRON WILLIAMS: Would it be fair
15 to say that unbiased forecast -- an unbiased
16 forecasting process takes into account inflationary
17 impacts on both revenues and costs?

18 MS. ANDREA SHERRY: Yes.

19 MR. BYRON WILLIAMS: And assuming a
20 well-run business with unbiased forecasting, would we
21 expect positive variances as well as negative
22 variances from forecasts?

23 MS. ANDREA SHERRY: Of course.

24 MR. BYRON WILLIAMS: And over time,
25 the level of both positive variances and negative

1 variances should refer -- reflect inflationary
2 pressures assuming unbiased forecasting?

3 MS. ANDREA SHERRY: Yes.

4 MR. BYRON WILLIAMS: I have no further
5 questions.

6 THE CHAIRPERSON: Thank you. We're
7 going to adjourn now until Wednesday morning. And
8 when the applicant will be putting in its submission.
9 Thank you, Ms. Sherry. Thank you all. Have a good
10 evening.

11

12 --- Upon adjourning at 6:34 p.m.

13

14

15 Certified Correct,

16

17

18

19

20 Cheryl Lavigne, Ms.

21

22

23

24

25