



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)  
2021/2022 GENERAL RATE APPLICATION

HEARING

Before Board Panel:

Robert Gabor, Q.C. - Board Chairperson

I Hamilton, Q.C. - Panel Chair

C. Hainsworth - Board Member

(by Teleconference)

HELD AT:

Public Utilities Board

400, 330 Portage Avenue

Winnipeg, Manitoba

October 26, 2020

Pages 1163 to 1381

1 APPEARANCES  
2  
3 Kathleen McCandless ) Board Counsel  
4 Robert Watchman (by phone) ) Board Counsel  
5  
6 Steve Scarfone ) Manitoba Public  
7 Anthony Guerra (by phone) ) Insurance  
8  
9 Byron Williams ) CAC (Manitoba)  
10  
11 Charlotte Meek ) CMMG  
12  
13 Antoine Hacault (by phone) ) Taxicab Coalition  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	1166
4	List of Undertakings	1167
5		
6	Resumed:	
7	MPI PANEL NO. 4 re: Revenues/Expenses/Pro Formas	
8		
9	LUKE JOHNSTON, previously Affirmed	
10	MARK GIESBRECHT, previously Affirmed	
11		
12	Continued Cross-examination by Dr. Byron Williams	1168
13		
14	MPI PANEL NO. 7 re Benchmarking/PIPP/Claims Incurred:	
15		
16	LUKE JOHNSTON, Previously Affirmed	
17	CURTIS WENNBERG, Affirmed	
18	MARK GIESBRECHT, Previously Affirmed	
19		
20	Examination-in-Chief by Mr. Steve Scarfone	1185
21	Cross-Examination by Ms. Kathleen McCandless	1212
22	Cross-Examination by Dr. Byron Williams	1289
23	Cross-Examination by Ms. Charlotte Meek	1354
24	Re-direct Examination by Mr. Steve Scarfone	1376
25	Certificate of Transcript	1381

1	LIST OF EXHIBITS		
2	EXHIBIT NO.	DESCRIPTION	PAGE NO.
3	MPI-41	Response to Undertaking number 22	1182
4	MPI-42	Benchmarking and Claims forecast	
5		presentation.	1183
6	MPI-43	Response to Undertaking number 3	1183
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1		LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION	PAGE NUMBER
3	26	MPI to advise as to the variance in	
4		the COVID-19 adjustment for the	
5		2020/'21 accident year between MPI	
6		Exhibit number 42, page 11, and	
7		figure CI-10	1229
8	27	MPI to update figure CI-14 to include	
9		claim counts by accident year and	
10		severity bucket, similar to CI-14.	1250
11	28	MPI to provide the discount rate used	
12		for the calculation of the interest	
13		rate impact on claims incurred in PUB-	
14		MPI-2-11 and MPI Exhibit Number 27;	
15		and, if possible, include the	
16		calculations involved in the	
17		calculation of the discount rate as at	
18		June 30, 2020, and August 31, 2020	1262
19	29	MPI to update figure on PIPP loss	
20		experience after PIPP cost allocation	
21		methodology that MPI uses	1357
22			
23			
24			
25			

1 --- Upon commencing at 9:01 a.m.

2

3 THE PANEL CHAIRPERSON: Carol, are  
4 you on the line?

5 MS. CAROL HAINSWORTH (by phone): Yes,  
6 I am.

7 THE PANEL CHAIRPERSON: Great. Thank  
8 you.

9 Okay. Good morning, everyone. I  
10 believe that we are going to start this morning with  
11 questions for Mr. Giesbrecht from Mr. Williams that  
12 the Panel on Friday was unable to answer. So please  
13 proceed.

14

15 RESUMED:

16 MPI PANEL NO. 4 re: Revenues/Expenses/Pro Formas

17

18 LUKE JOHNSTON, previously Affirmed

19 MARK GIESBRECHT, previously Affirmed

20

21 CONTINUED CROSS-EXAMINATION BY DR. BYRON WILLIAMS:

22 DR. BYRON WILLIAMS: Yes, and we're  
23 going to start with some questions which probably  
24 should have been directed to Mr. Giesbrecht last week,  
25 so it was my fault on Thursday when I -- I directed

1 them to the wrong panel. So, Mr. Giesbrecht, I  
2 appreciate your courtesy in -- in coming back.

3 And -- and perhaps Ms. Schubert can  
4 pull up CAC-2-20, and you can just leave it on the --  
5 the first page for right now.

6 Mr. Giesbrecht, generally speaking and  
7 currently, Manitoba Public Insurance does not debt  
8 finance any of its project initiatives, correct?

9 MR. MARK GIESBRECHT: That is correct.

10 DR. BYRON WILLIAMS: In essence, its  
11 capital projects currently are financed through cash  
12 generated from operations, agreed?

13 MR. MARK GIESBRECHT: That is correct.  
14 We will have the amortization of our capital projects  
15 flow into the -- the future forecast. They will then  
16 flow into the rate-making process and -- and are  
17 generated through cash and operations.

18 DR. BYRON WILLIAMS: Thank you. And  
19 then just to make sure I understand that, in the  
20 context of Basic capital expenditures, ultimate  
21 project costs are recovered by insurance ratepayers as  
22 the programs are amortized over time and included in  
23 future years' Basic expenses for the purpose of rate  
24 setting. Is that right?

25 MR. MARK GIESBRECHT: Sounds about

1 right, yes.

2 DR. BYRON WILLIAMS: And when we look  
3 -- just jumping to the minimum capital test just for  
4 one (1) second and we look at the estimate of capital  
5 available under the minimal capital test calculation,  
6 cash accounts would be considered in that estimate,  
7 sir?

8 MR. MARK GIESBRECHT: It is. However,  
9 they have typically a zero charge for -- for capital  
10 but yes.

11 DR. BYRON WILLIAMS: If we just go to  
12 the CAC-2-20, Attachment A.

13 Sir, this shows the -- the interest  
14 rates on fixed-term loans made by the Province of  
15 Manitoba to the Crown Corporation and government  
16 agencies, effective September 1st, 2020.

17 Would that be fair?

18 MR. MARK GIESBRECHT: Yes.

19 DR. BYRON WILLIAMS: And if we  
20 focussed on the -- the second column, being Principle  
21 to be Repaid at End of Term, and went down to the  
22 twenty (20) year term, does that suggest that payments  
23 of loans on fixed-term loans from the province of  
24 Manitoba for a twenty (20) year term, it's costing MPI  
25 about 2.65 percent?

1 MR. MARK GIESBRECHT: If we were to  
2 access through this lending program --

3 DR. BYRON WILLIAMS: Yeah.

4 MR. MARK GIESBRECHT: -- yes.

5 DR. BYRON WILLIAMS: Exactly. Sorry.  
6 And that's for refining that question.

7 And to your knowledge, sir, that would  
8 reflect nearly all-time lows in terms of long-term  
9 debt?

10 MR. MARK GIESBRECHT: At twenty (20)  
11 years, I would expect that would be near or at all-  
12 time lows.

13 DR. BYRON WILLIAMS: And, Mr.  
14 Giesbrecht, let me assure you our client is agnostic  
15 on the issue, but presumably, as compared to purely  
16 cash financing its capital projects, one (1) other  
17 option for Manitoba Public Insurance would be to  
18 finance them through debt financing or some mixture of  
19 debt financing and cash?

20 MR. MARK GIESBRECHT: That would be an  
21 option.

22 DR. BYRON WILLIAMS: Yeah. And a  
23 third way presumably to finance its capital projects  
24 might be to pre-collect the capital from prior  
25 ratepayers and draw down retained earnings from

1 ratepayers to finance a project as well?

2 MR. MARK GIESBRECHT: Possibly. I'm  
3 not sure how that would be reflected in the rate-  
4 making process. It's a possibility, but I couldn't  
5 speak specifically if that was a true option or not.

6 DR. BYRON WILLIAMS: We did speak last  
7 week, though, about a couple of circumstances where  
8 Manitoba Public Insurance in the past financed capital  
9 projects through the pre-collection and the draw down  
10 of Extension, agreed?

11 MR. MARK GIESBRECHT: I don't recall  
12 being a part of that conversation, so I'll take your  
13 word for it.

14 DR. BYRON WILLIAMS: Okay. Would it  
15 be accurate to say that Manitoba Public Insurance, in  
16 terms of the implications for the Corporation, its  
17 ratepayers, or the Capital Management Plan, has not  
18 reviewed the comparative strengths and weaknesses of  
19 cash financing versus debt financing versus pre-  
20 collecting to finance capital projects or combinations  
21 of that? You haven't done a critical assessment of  
22 that, sir, or -- or have you?

23 MR. MARK GIESBRECHT: Only very high  
24 level. I wouldn't say we've gone through a -- a  
25 thorough -- as you've described, a critical

1 assessment, no.

2 DR. BYRON WILLIAMS: And it would be  
3 fair to say that MPI has not considered the  
4 implications of debt financing on the Capital  
5 Management Plan or the overall capital structure of  
6 the Corporation?

7 MR. MARK GIESBRECHT: Not to the  
8 length that you describe.

9 DR. BYRON WILLIAMS: Okay. And just  
10 if we can turn your attention to the Corporation's  
11 response to CAC/MPI 2-2(b) and (c).

12

13 (BRIEF PAUSE)

14

15 DR. BYRON WILLIAMS: Sir, you -- you  
16 see a reference suggesting that MPI is currently  
17 examining a strategic alliance -- alignment of its  
18 Cap. Ex. capital structure? You see that, sir?

19 MR. MARK GIESBRECHT: I do.

20 DR. BYRON WILLIAMS: And that that  
21 management review will be completed in late 2021,  
22 correct?

23 MR. MARK GIESBRECHT: Yes.

24 DR. BYRON WILLIAMS: And also a  
25 statement near the -- the end that the risk-reward

1 tradeoff will be considered in the -- in the  
2 Management Review. You see that reference, sir?

3 MR. MARK GIESBRECHT: I do.

4 DR. BYRON WILLIAMS: Just -- I wonder  
5 if you can at a high level just elaborate on -- on  
6 what's contemplated or what's being assessed in terms  
7 of the strategic alignment of its Cap. Ex. capital  
8 structure, sir.

9 MR. MARK GIESBRECHT: Certainly. So  
10 currently, we do not debt finance because we have the  
11 -- the cash means to -- to pay for our various  
12 projects. And so if we were to borrow funds through  
13 the government lending program, that would be  
14 additional cash that we would have at our disposal  
15 which could be then invested to -- to gain a return.

16 And so the whole premise of this -- I  
17 believe that what your client is getting at is there  
18 could be a spread gain between the low cost of  
19 borrowing, that two point six (2.6) that was  
20 referenced in that provincial schedule. And if we  
21 could then over that time period earn a return greater  
22 than that, then that could be to the benefit of  
23 Manitobans.

24 And so we will look at, you know, what  
25 are the spreads, what are the investment options, what

1 are the risks associated with those different  
2 investments? You'd have to look at all those factors  
3 to consider is it worthwhile to go down that path.

4           So right now, if we look at the current  
5 spreads, while the cost of borrowing for the province  
6 is at near all-time lows, the investment options, if  
7 we're looking at fixed income, are also at all-time  
8 near lows. And so there's -- there's -- little reward  
9 in that regard.

10           So, you'd want to then consider growth  
11 assets, equities, as an example, but then, of course,  
12 you're taking the risk of would you actually have  
13 those funds available when it came time to repay that  
14 -- that debt. So, those are the factors that would be  
15 considered.

16           DR. BYRON WILLIAMS: Thank you for  
17 that. And when one's looking at the -- the costs and  
18 the benefits, would one be looking at that exclusively  
19 through the eye of the financial position of Manitoba  
20 Public Insurance or would one also be considering the  
21 -- the value for ratepayers, their -- their value in  
22 terms of the various options?

23           MR. MARK GIESBRECHT: Ultimately, it  
24 all would come through the eyes of the ratepayer.  
25 There's -- there's really two (2) aspects to it.

1 There's the immediate impact to current rate setting,  
2 and then what is the ultimate impact on the capital  
3 position of the Corporation, or for Basic, that would  
4 have a future benefit, as well.

5 So -- but it's all about what is the --  
6 the end result to ratepayers.

7 DR. BYRON WILLIAMS: Yeah. And the  
8 point I was trying to get at very inelegantly, sir, is  
9 that Manitoba Public Insurance has a certain cost of  
10 capital. Ratepayers may, indeed, have a very  
11 different cost of capital if -- if they're looking at  
12 lower rates that enable them, for example, to pay off  
13 credit card debt or something like that.

14 Do you understand my point, sir?

15 MR. MARK GIESBRECHT: It would be very  
16 different for sure, individual versus corporate.

17 DR. BYRON WILLIAMS: And so, my  
18 question is: When -- when MPI does that assessment,  
19 does it look exclusively at the value financially for  
20 Manitoba Public Insurance or does it go that extra  
21 step and look at the -- you know, some notional social  
22 discount rate for consumers?

23 MR. MARK GIESBRECHT: Interesting  
24 question. I -- I'm not sure I have the answer. That  
25 could be contemplated. But at first thought, I would

1 think we look at how does it impact the financials of  
2 MPI, and then ultimately back to rate setting, which  
3 is what a customer will pay as opposed to using some  
4 sort of notional cost of capital.

5                   We should also note that, if we were to  
6 borrow funds, utilize those funds to pay for projects,  
7 and then invest excess operating cash, there would be  
8 a capital required on that investment, as well, so  
9 there could be short-term requirements or implications  
10 as opposed to the long-term benefits in the rate  
11 setting process.

12                   DR. BYRON WILLIAMS:    Okay.    Just my  
13 last question.    In terms of this review, and if you  
14 can speak to this, what, if any, implications would it  
15 have for the financing of Project Nova, for example?

16                   MR. MARK GIESBRECHT:    We're early in  
17 the Project Nova, so we have not yet spent much of the  
18 anticipated budget.

19                   If we were to determine that this was a  
20 viable option and made sense to do so, I would expect  
21 that we would know soon enough to deploy or to -- to  
22 fund the majority of Project Nova if it made sense to  
23 do so.

24                   And just to give a bit of context to  
25 the potential impacts that we're looking at, and this

1 is just kind of early rough math, but, you know, if we  
2 look at corporate bonds, whether they be single rated  
3 'A' or BBB, those kind of spreads as they stand today  
4 would yield roughly, we're -- we're talking pennies to  
5 the -- the rate-setting process.

6                   On the equity side where there could be  
7 a greater return derived, if we had returned, roughly  
8 speaking, 6 1/2 percent return on average over that  
9 period, you know, we're talking less than a dollar  
10 impact on the rate-setting process, so it -- it's not  
11 a material difference to -- to rate setting.

12                   DR. BYRON WILLIAMS:    Okay.  Thank you.  
13 I appreciate those answers.  And you're excused, from  
14 our clients' perspective.

15                   THE PANEL CHAIRPERSON:    Mr. Gabor...?

16                   THE CHAIRPERSON:    Mr. Giesbrecht, I've  
17 got a few questions.  Just on this page where it says:

18                                   "MPI anticipates a management review  
19                                   will be completed in late 2021."

20                                   Can you give me a month or months?  
21 What do you mean by, "late 2021"?  What's --

22                   MR. MARK GIESBRECHT:    I'd say Q4 of --  
23 of the year.  It is on our controller's to-do list, so  
24 to speak, amongst other priorities.  So, what we  
25 committed to in this answer was late in the fiscal

1 year of 2021, so that would be sometime probably in --  
2 between January and March of 2021.

3 THE CHAIRPERSON: Right. So, we're  
4 talking next spring --

5 MR. MARK GIESBRECHT: Yes.

6 THE CHAIRPERSON: -- something like  
7 that?

8 MR. MARK GIESBRECHT: Yes.

9 THE CHAIRPERSON: Okay. Secondly,  
10 further to Mr. Williams's comment where he put the  
11 hypothetical to you of come up with more cash, and  
12 then you can invest, you're in a position -- part of  
13 the management review is we -- we've generated more  
14 cash, however you've done it, and then we can invest  
15 it to see what the return is.

16 We've heard that MPI has a very  
17 specific investment strategy based on allocating funds  
18 to different things. If you were going to invest,  
19 would it follow that strategy or do you think that  
20 there would be potentially a different strategy that  
21 would take into account higher rates of return for  
22 these funds?

23 MR. MARK GIESBRECHT: It's possible  
24 that we could look at something unique given this  
25 could be over a specific time period for a specific

1 purpose to be determined.

2 THE CHAIRPERSON: Yeah.

3 MR. MARK GIESBRECHT: It -- it may  
4 fall into RSR and a surplus of Extension SRE on a pro  
5 rata basis, for example, but it -- it could be on a  
6 standalone basis, but we'd have to go through that  
7 full analysis to make that determination.

8 THE CHAIRPERSON: Thank you. Those  
9 are my questions. Thanks.

10 THE PANEL CHAIRPERSON: Ms.

11 Hainsworth, do you have any questions?

12 MS. CAROL HAINSWORTH (via phone): No,  
13 I do not.

14 THE PANEL CHAIRPERSON: Thank you.  
15 Mr. Scarfone, any redirect?

16 MR. STEVE SCARFONE: Sorry about that.  
17 No, Madam -- or, no, Madam Chairperson, there's -- I  
18 have no redirect.

19 THE PANEL CHAIRPERSON: Thank you, Mr.  
20 Scarfone. And thank you, Mr. Giesbrecht.

21

22 (PANEL STANDS DOWN)

23

24 THE PANEL CHAIRPERSON: So, we will  
25 now proceed with the next panel. Mr. Wennberg is here

1 and has not been sworn. I'm not sure where our  
2 secretary is. If she's listening, perhaps she could  
3 come. Here we go.

4

5 MPI PANEL NO. 7 re Benchmarking/PIPP/Claims Incurred:

6

7 LUKE JOHNSTON, Previously Affirmed

8 CURTIS WENNBERG, Affirmed

9 MARK GIESBRECHT, Previously Affirmed

10

11 THE PANEL CHAIRPERSON: Mr.

12 Scarfone...?

13 MR. STEVE SCARFONE: Thank you, Madam

14 Chair. I'm just trying to sort out what's happening.

15 So, I can -- I -- I can tell you that we have this

16 presentation before you on benchmarking and claims

17 forecast.

18 I've just been asked by Mr. Giesbrecht

19 that he's going to speak to the first few slides on

20 operational benchmarking. And if the -- the questions

21 arising from that -- if there are questions arising

22 from that, then Mr. Giesbrecht can -- can also stick

23 around and answer those questions from My Learned

24 Friends.

25 But we have that in front of us, and

1 that's up next. Just before we begin though, perhaps  
2 I should mark it as an exhibit. It's not the next  
3 exhibit though. MPIC will mark as its next Exhibit  
4 number 41, which is the highly anticipated response to  
5 Undertaking number 22. And I -- I have it here before  
6 me on hard copy. It's on blue paper, which tells me  
7 it's top secret. But I can circulate those to  
8 everyone if they want a copy.

9

10 --- EXHIBIT NO. MPI-41: Response to Undertaking  
11 number 22

12

13 MR. STEVE SCARFONE: It might be a  
14 useful time, if I might, to remind -- a gentle  
15 reminder that this particular undertaking was on  
16 broker commissions, and it asked for an update to some  
17 commissions that were estimated for the original  
18 business case for Legacy systems modernization and --  
19 and compare those against the estimated commissions in  
20 the 2021 GRA.

21 So, a lot of work went into providing  
22 the new information that's in this response. It's  
23 adjusted for CERP, as we know.

24 And so, we're just reminding everyone  
25 that, if we can get these earlier -- so this probably



1 THE PANEL CHAIRPERSON: Thank you, Mr.  
2 Scarfone. Just one (1) question.

3 With regard to undertaking number 22,  
4 is there information in there that is -- where  
5 questions are best answered by Mr. Giesbrecht?

6 MR. STEVE SCARFONE: Probably to some  
7 extent Mr. Giesbrecht. And I expect that Mr. Wennberg  
8 may be able to respond to some of those questions as  
9 well. So as --

10 THE PANEL CHAIRPERSON: Okay.

11 MR. STEVE SCARFONE: -- Madam  
12 Chairperson is suggesting that he just stay for -- for  
13 the day, essentially, if there's questions that --  
14 because I spoke with My Learned Friend, Board Counsel,  
15 sounds as though we're probably going camera later  
16 today --

17 THE PANEL CHAIRPERSON: Yes.

18 MR. STEVE SCARFONE: -- to deal with  
19 that undertaking. And Mr. Wennberg is available also  
20 to be in camera for other issues that we may have  
21 questions on, including the -- the broker update that  
22 the Mr. Giesbrecht provided last week, to the extent  
23 that there is one.

24 THE PANEL CHAIRPERSON: I think that  
25 it's -- it's really up to you, Mr. Scarfone, in

1 consultation with Mr. Giesbrecht. But if he can do  
2 the benchmarking position of this panel's information,  
3 and then, you know, subject to how long the balance of  
4 the presentation and questions are likely to take, he  
5 could come back for the CSI. And so, that he  
6 doesn't's have to stay for the entire morning, if it's  
7 easier to --

8 MR. STEVE SCARFONE: Yes.

9 THE PANEL CHAIRPERSON: -- deal with  
10 benchmarking, go back to the office, and then come  
11 back.

12 MR. STEVE SCARFONE: Very good. That  
13 Sounds like a plan. And I see him shaking his head  
14 'yes'.

15 So if there's nothing further, I'm just  
16 -- I was trying to -- I thought there was one (1)  
17 further undertaking that we had, but I can do that  
18 after the morning break. And then we can begin with  
19 the presentation. I provided Kristen with a copy for  
20 Mr. Gabor, a hard copy that he should have.

21 THE PANEL CHAIRPERSON: Yeah. Thank  
22 you. Please proceed.

23

24 EXAMINATION-IN-CHIEF BY MR. STEVE SCARFONE:

25 MR. MARK GIESBRECHT: All right. I'll

1 begin with a brief discussion on benchmark before  
2 passing to Mr. Johnston and Mr. Wennberg to speak to  
3 the other issues for the panel.

4                   So with respect to operational  
5 benchmarking, there are -- there's different facets of  
6 benchmarking that we historically have undertaken.  
7 One (1) report that we had relied on -- on in past was  
8 through a consultant group called the Ward Group. And  
9 this was a benchmarking exercise that had a number of  
10 metrics compared to the North American market, the  
11 Canadian marketplace, for P&C insurance and auto  
12 insurance.

13                   And we had participated in this for a  
14 number of years, however, last year, our executive  
15 committee had made the decision to not continue with  
16 that exercise. And, instead, to pursue a  
17 collaboration with our -- our Crown peers to the west.

18                   So we have been in talks with those  
19 Crowns and we are close to complete a high level  
20 benchmarking exercise that would, in a way, reproduce  
21 some of the main metrics that were included in that  
22 Ward Group report.

23                   We have encountered a few difficulties  
24 in wrapping this up and bringing it to a point where  
25 it would be ready to be made public, just due to some

1 various issues with some personnel at the various  
2 corporations, as well as the pandemic has caused some  
3 -- some changing of priorities. So that -- we do  
4 expect to complete that, hopefully, some time in the  
5 next couple of months. And it would be made available  
6 at future GRAs. But as right now, we do not have a  
7 report from, you know, that -- that exercise with SGI  
8 and ICBC.

9                   On to the next slide. Speaking to  
10 information technology, we do also do a thorough  
11 benchmarking exercise which, in the past, had been led  
12 by Gartner, who is an industry leader in that space.

13                   Last year, we had undertaken to -- to  
14 re-issue an RFP to -- to, again, conclude who would be  
15 the best suited to continue on that basis. And it  
16 turned out that -- that Gartner did win that process.  
17 And so, they continued to provide benchmarking from an  
18 IT perspective to MPI.

19                   We also do a number of benchmarking to  
20 other jurisdictions in terms of rates that ratepayers  
21 set and see. And MPI does continue to perform  
22 favourably when comparing to other jurisdictions. And  
23 then, that is seen in the reports that we file based  
24 on a number of the most common vehicles that we find  
25 here in the province.

1                   So what we see there is, since the  
2 beginning of the year 2000, we have had roughly a 1.76  
3 percent increase year-over-year on our rates. So less  
4 than 2 percent. And that -- that does place us very  
5 favourably as compared to other jurisdictions where  
6 we've seen headlines of late where there's caps being  
7 removed in terms of the regulatory landscape, whether  
8 it be Ontario or Alberta. And -- or -- or the east  
9 coast, where we're seeing double-digit rate increases.

10                   And so, you know, it's always a very  
11 interesting exercise to compare against other  
12 jurisdictions and we do -- it shows the value of the -  
13 - the public model.

14

15                   (BRIEF PAUSE)

16

17                   MR. MARK GIESBRECHT: So I'll pass it  
18 over, I believe, to Mr. Johnston to talk about claims.

19                   THE PANEL CHAIRPERSON: Excuse me for  
20 one (1) moment. Do you want to deal with the rate-  
21 making process now, so that Mr. Giesbrecht can be  
22 excused? And then, we'll go on to Mr. Johnston? I'm  
23 sorry, benchmarking. Yeah.

24                   MR. STEVE SCARFONE: Yes. So what we  
25 envisioned was having Mr. Johnston just carry on with

1 the presentation and then, at the conclusion of it,  
2 have both gentlemen here to answer any questions.

3 THE PANEL CHAIRPERSON: Thank you.

4 MR. LUKE JOHNSTON: Good morning. So  
5 the -- going into the claims forecast, the agenda you  
6 see here is really hitting the -- the highlights.  
7 There's, obviously, a lot going on in the collision  
8 side, but the big items would be, I guess, the first  
9 pretty significant -- volatility in our claims  
10 forecast. COVID is an obvious reason, but we've also  
11 seen -- the second bullet point -- pretty big changes  
12 in collision frequency in recent years.

13 Third bullet point related to  
14 centralized reserving, I'll talk about that. Just how  
15 we manage and reserve PIPP claims. And then, COVID.  
16 And the last bullet point on CERP.

17 Maybe it's best to maybe just jump to  
18 slide 9 and I'll go back.

19 So this slide just shows the total  
20 losses for Basic over the stretch since 2004/'05 to  
21 our forecast. Despite a lot of noise, year-to-year,  
22 that you see in forecasting and -- and such, for the  
23 most part it's a very stable experience. We have had  
24 a few ups and downs in there. Sometimes we have a  
25 hailstorm or something like that. But for the most

1 part, Manitobans have driven pretty consistently over  
2 -- over time.

3 Average annual growth in claims over  
4 this -- over the historical stretch shown here has  
5 been 3.71 percent. And that -- if you look at our  
6 historical upgrade factors, a little over 2 percent.  
7 Volume growth is about 1 1/2 percent.

8 By staying in a growth environment of  
9 about this magnitude, we're -- we're able to keep  
10 rates -- rate changes close to zero (0), which is what  
11 -- what we've done.

12 If you can go back to slide 7, please.

13 So in terms of our ultimate losses --  
14 so ultimate losses would be accidents that occur in a  
15 particular accident year, and the "ultimate" meaning  
16 that the actuary's estimate of the final settlement  
17 value of all -- all the claims that happened in that  
18 particular year.

19 If you look at the chart here, a couple  
20 of notable items. Twenty nineteen twenty (2019/'20)  
21 is a thirteen (13) month year. So we grew 2 percent  
22 over the previous year, but there's an extra month in  
23 there, so in reality, we were pretty favourably under  
24 budget.

25 2020/'21 includes adjustments for

1 COVID, so that -- that's why that number is -- is  
2 going down. And then '21/'22, we've essentially  
3 reverted back to the -- more of the historical trend  
4 line that you would have seen in that earlier graph.

5                   Going far to the right column, you'll  
6 see some pretty dramatic reductions in the forecast.  
7 The '20/'21 year, of course, has adjustments for --  
8 for COVID, but also some collision frequency  
9 reductions. '21/'22 and after reflects collision  
10 frequency and adjustments for the new products  
11 changes, and I'll run through those.

12                   So this slide talks about the -- the  
13 rating year impact, so '21/'22. As mentioned,  
14 collision frequency, we've seen very favourable  
15 experience, and we continue to reflect that as we see  
16 it. So that was a \$26 million adjustment to the  
17 forecast.

18                   Collision severity has also performed  
19 better than -- than anticipated. As -- as you're  
20 aware, there was pressure on severity for a number of  
21 years. We saw some year-over-year increases in the 7,  
22 8, 9 percent range, which was very unusual. That was  
23 a key driver in some of the rate increases that we  
24 needed a -- a few years ago. That is now -- appears  
25 to be under control or at least better understood in

1 terms of the -- the annual growth.

2                   The product changes amount to about 30  
3 million a year. In the first year, only about half of  
4 those -- due to staggered renewals, we'll see about  
5 half of that impact. The remaining impacts, I would  
6 say, are minor, just updating the forecast based on  
7 observed results. Property damage is a pretty -- is a  
8 pretty significant decline relative to the size of  
9 that category, but that is simply a reflection of  
10 reduced collision frequency.

11

12                   (BRIEF PAUSE)

13

14                   MR. LUKE JOHNSTON: I'm going to jump  
15 -- maybe just -- probably should have put these slides  
16 in a better order, but let's maybe jump to twelve  
17 (12), and I'll use the same approach.

18                   We talked a bit about collision  
19 frequency reductions, and this slide is great in --  
20 in, I guess, showing everybody what, you know, we've  
21 been faced with in terms of dec -- decision making on  
22 the forecasting.

23                   So if you look at the history, you can  
24 see the grey line vol -- like, fluctuating in about  
25 the point one three (.13), point one four (.14) range,

1 so thirteen (13) to fourteen (14) claims per hundred  
2 vehicles. And that was really the longer-term norm.

3                   2013, we had that really bad winter,  
4 and so, you know, coming off of that, we definitely  
5 weren't expecting what we saw the next year, where  
6 2014 just dramatically dropped to below -- below point  
7 one two (.12).

8                   Since that time, we haven't come  
9 anywhere close to going back above point one three  
10 (.13), and if you look at the -- the orange line,  
11 that's the forecast we made at that time based on --  
12 on the historical experience. So you can see pretty  
13 reasonable forecast at that time.

14                   The previous few years were hovering  
15 around point one two (.12), but MPI still had to be  
16 cautious that we weren't just having a couple good  
17 winters and maybe we were going back to -- to, you  
18 know, his -- more historical norms.

19                   A year later, you can see 2019  
20 completely fell off the table in terms of frequency,  
21 and we're down to point one one (.11). It -- I  
22 wouldn't call the last winter a harsh winter by any  
23 means, but still, that's a pretty dramatic drop.

24                   Our updated forecast, the grey line  
25 extending into the forecast period, you can see that

1 we've definitely considered that drop in our forecast  
2 but not given it full weight, you know, based on one  
3 (1) year that -- that dropped to a record -- record  
4 low level.

5                   So really, I think our point here is  
6 that MPI's -- you know, we don't feel like we're being  
7 conservative at all in this forecast. We're actually  
8 pretty aggressive if you look at the -- the recent  
9 history. But sure, could -- could collision be --  
10 frequency be trending down even further? It's -- it's  
11 possible. Will it be easy to figure that out in a  
12 year with COVID impacting the frequency so  
13 dramatically? Probably not, but we'll have to deal  
14 with that one next year, yeah.

15                   If you can go back two (2) slides.

16                   So this is just the collision frequency  
17 and severity and ultimate in numerical form, basically  
18 what I talked about earlier on the frequency side.  
19 Severity, you can see we are at about forty-one (41),  
20 forty-two hundred (4,200) is the average collision  
21 severity for Basic, and the forecast variances  
22 including CERP are shown on the far right.

23                   Next slide, please.

24

25                   (BRIEF PAUSE)

1 MR. LUKE JOHNSTON: Yeah, nothing  
2 really else to add on this slide except just to  
3 highlight the -- the COVID-19 adjustment in the  
4 '20/'21 year. So we've included an assumed \$35  
5 million benefit. And add a \$25 million impact from  
6 '21 from frequency and about five (5) from severity,  
7 you get a total impact of about 61 million favourable  
8 in the '21 -- or, '20/'21.

9 Centralized reserving -- so moving on  
10 to injury claims. The -- you recall back in 2010,  
11 2011, we talked about BI3 and some of the issues  
12 around that. The -- the biggest issue -- or, one (1)  
13 of the biggest issues involved reserving, and some  
14 difficulties with that system and other factors  
15 resulted in reserves not being put up appropriately in  
16 a lot of cases or -- or at least there was a lag.

17 The solution to that particular issue  
18 was to create a centralized reserving area that takes  
19 ownership of this particular issue and ensures  
20 consistent reserve-setting for all claims,  
21 particularly claims that reach about the twenty-four  
22 (24) month or later mark or serious claims that are  
23 quite obviously long-term claims when they happen, so  
24 like a major accident or such.

25 This process is working very well. The

1 main issue that we have from an actuarial standpoint  
2 is reserving patterns are changing. So what I mean by  
3 that is we created the centralized reserving area, put  
4 the rules in place. They're doing their job, but  
5 we're seeing reserves come in the system early, which  
6 is great because it -- it shows us exposure we have.

7                   But the issue we're having on the  
8 actuary side is, okay, so what does that mean to  
9 future development? If we put more money in the early  
10 stages of the claim, will we see favourable  
11 development later on -- later on in -- in the cycle?

12                   So for weekly indemnity -- this would  
13 be income replacement, lost income of claimants. We  
14 look -- it looks like we have a pretty good handle on  
15 this one. We've been, in a lot of ways, centralized  
16 reserving for -- for years.

17                   We have seen a little bit earlier  
18 reserving but, for the most part, it's -- I would say  
19 it's stable. The big piece we're watching here is how  
20 quickly can we return claimants to work and  
21 preventing, I guess, non-serious claims from reaching  
22 that twenty-four (24) month period.

23                   So, in previous hearings, we talked  
24 about more claims going lifetime than -- than normal  
25 and that that was putting a lot of pressure on -- on

1 PIPP.

2                   We can't really see the full effects of  
3 that until, you know, we've run through this process.  
4 And -- and Mr. Wennberg can talk about that through  
5 questions, I guess.

6                   If we get claimants back to work, we  
7 will see favourable development in later years and we  
8 would have reductions in the PIPP forecast, but until  
9 we see that it's pretty hard for me to change  
10 actuarial assumptions.

11                   On the accident benefits other side,  
12 that would be other potential lifetime benefit  
13 streams, medical benefits, personal care expenses.

14                   Historically, we did not centralize our  
15 lifetime reserve. A lot of these benefits were not to  
16 the same consistency as income replacement, so we've  
17 started doing that. This area's a bit new.

18                   So, again, we're following the process,  
19 but on the actuarial side we're struggling a little  
20 bit to determine how development is coming in. And in  
21 our -- in our forecasts and our evidence, you'll see  
22 that we've lowered the estimates quite a bit for --  
23 for this -- for these coverages.

24                   We have seen favourable development  
25 come in in the years post the centralized reserves, so

1 we started to adjust those numbers down.

2                   Weekly indemnity. So just a couple  
3 highlights here. You'll note on the left second  
4 column claim counts have actually stayed pretty  
5 consistent over time, so that's really good news. As  
6 collision counts rise, injuries per collision are  
7 falling. So that's -- that's good news. We would be  
8 in a very different rate request situation if injuries  
9 were growing at the same pace as collisions over time.  
10 So that's really good new that those are stable.

11                   In terms of ultimate costs and  
12 severity, so if you look at the 2010 year, you'll see  
13 that year costs, expected to cost, is about 91  
14 million.

15                   We are still in our forecast period  
16 kind of floating around the mid 90 million range. And  
17 we've only been able to -- to do that again because  
18 claim counts have stayed the same or even trending  
19 down over the forecast period.

20                   You'll see severity, as well. We've  
21 peaked at around fifty thousand (50,000) or so, and we  
22 seem to be able to manage that at roughly inflationary  
23 levels or better.

24                   Accident benefits other index, so,  
25 again, personal care, medical, rehab expenses, a

1 similar story. Claim -- claim counts pretty stable or  
2 flat, which is great news.

3                   Severity did have some growth in the  
4 2010 to '14/'15 period. We seem to have that managed  
5 down to relatively inflationary levels.

6                   If you look at the far right, you'll  
7 see variance to forecast. When I mentioned that we  
8 changed some of our development assumptions as a  
9 result of centralized reserving, those are the impacts  
10 there. So we -- we pretty significantly adjusted some  
11 of our numbers based on how claims were developing.

12

13                   (BRIEF PAUSE)

14

15                   MR. LUKE JOHNSTON: COVID-19. I think  
16 we've discussed this quite a bit, so everyone's aware  
17 of the rebate and -- and how the capital -- where the  
18 capital came from.

19                   As of August 31st, our -- our collision  
20 ultimate incurred is estimated to be about 13 million  
21 below what we forecasted in the GRA, so below -- in  
22 addition to the assumed COVID-19 savings that we  
23 included in the forecast.

24                   So it has been a little better than --  
25 than forecast. Can I say that the whole 13 million is

1 COVID? No, but probably most of it is. But just the  
2 -- I think the point here is that the difference is  
3 not really close to what it was in the early stages of  
4 -- of COVID. And we talked on the first day about how  
5 it's pretty difficult to predict what that'll be.

6 In terms of the additional scenarios  
7 MPI provided on COVID savings, so if we assume kind of  
8 a uniform returned forecast by December 31st, that  
9 would be an additional 15 million of savings. And if  
10 we assume the same uniform approach until the end of  
11 the fiscal year, March 31, 2021, that would be another  
12 27 million.

13 So this graph just shows the frequency  
14 in the original filing and the different approaches to  
15 returning to the original forecast over time. So you  
16 can see the July/August, definitely a difference  
17 between what we forecasted, but nowhere close to the  
18 April/May type levels.

19 Product changes. We've talked about  
20 those a few times so I'm not going to go through the  
21 details again. This slide shows you how the  
22 approximately 30 million is broken down into the  
23 different coverages, a pretty equal split between  
24 collision and comprehensive. And then property damage  
25 just relates to the deductible transfer impact.

1                   That's the last slide. Thank you.

2

3                                   (BRIEF PAUSE)

4

5                   THE PANEL CHAIRPERSON: Mr.

6 Scarfone...?

7                   MR. STEVE SCARFONE: Thank you, Madam  
8 Chair. Just a couple questions for Mr. Johnston and a  
9 few for Mr. Wennberg.

10

11 CONTINUED BY MR. STEVE SCARFONE:

12                   MR. STEVE SCARFONE: So, Mr. Johnston,  
13 if Ms. Schubert can go to slide 12 of your  
14 presentation. Thank you. And we see there since in  
15 mid-2000s, it would appear, as the application  
16 indicates, that collision frequency is -- is -- has  
17 been showing a downward trend.

18                   Is that -- is that fair to say?

19                   MR. LUKE JOHNSTON: The first real  
20 evidence of any downward trend, I would say, was in  
21 2014. And obviously, at that stage we would have  
22 looked back and said, well, this -- maybe this was a  
23 special year, right, it's so different. And then --  
24 and then a few years after that, it hadn't really  
25 changed.

1                   So I would say we -- we really stuck  
2 around that thirteen (13) -- or .13, .14 range for a  
3 while. And then we almost just stepped down, right  
4 down to .12 all of a sudden and -- and stayed there,  
5 and we might have had some good luck there.

6                   But on an overall basis over, like, a  
7 longer term, it does appear that we are starting to --  
8 to trend down on collision frequency.

9                   MR. STEVE SCARFONE: And has the  
10 Corporation identified some reasons for staying down  
11 around that .12, even towards .11, frequency rate?

12                   MR. LUKE JOHNSTON: One (1) reason  
13 that we believe it would be a driver safety rating,  
14 when we presented the initial DSR, driver safety  
15 rating program, we had expectations for accident  
16 frequency for demerit level drivers. Post-  
17 implementation of DSR, pretty much everyone on the  
18 scale stayed the same, except demerit drivers. So  
19 they -- they saw improved experience, so that's --  
20 that's one (1) reason.

21                   We have had a very good take-up of  
22 winter tires. And although we haven't had really bad  
23 winters since the winter tire program and the take-up  
24 took -- took place, we do have evidence that that has  
25 improved experience in the winter.

1                   And another reason that we know but  
2 we're having trouble quantifying would be the  
3 technology side. And if you think about something  
4 like an air bag, I can't remember the exact year, but  
5 let's just say that -- that that became more prevalent  
6 in the early mid-2000s. It takes a while for the  
7 fleet to start having those -- you know, the whole --  
8 like MPI's average vehicle is about ten (10) years  
9 old.

10                   So when those first air bags were  
11 coming out, the vast majority of the fleet didn't have  
12 -- have that. But when we talked about the injury  
13 counts, no doubt the safety of vehicles and the --  
14 kind of incorporating that into the fleet has -- has  
15 been a -- a factor in keeping the injury counts flat.

16                   So frequency, I think we'll see the  
17 same thing. Some of these features in vehicles,  
18 whether it's collision avoidance or lane departure or  
19 back-up cameras, they're starting to become a bigger  
20 and bigger portion of the fleet.

21                   MR. STEVE SCARFONE: Thank you for  
22 that. Just on that point on the technology aspect of  
23 it, does the Corporation currently track that  
24 information from its customers when they're making  
25 their insurance claims following an accident?

1 MR. LUKE JOHNSTON: We don't track it  
2 from customers. We do have information from Insurance  
3 Bureau of Canada through their CLEAR Rating System.  
4 However, to the extent that there's favourable  
5 frequency reduction in our severity reduction impacts  
6 from that technology, that should be reflected in the  
7 vehicle rate groups that we get from the Insurance  
8 Bureau of Canada.

9 So if -- you know, if we have all the  
10 safety features and -- and such, we would expect a  
11 lower rate group, all else equal, at least through to  
12 frequency.

13 Saying that, I had to be cautious,  
14 though, because those vehicles also cost a lot more to  
15 fix if you can imagine once -- you know, if you hit a  
16 vehicle with all the gizmos, it's going to be more  
17 expensive.

18 So there -- there's two (2) -- several  
19 things at play, and you're seeing that in our results:  
20 the frequency going down and the severity going up.  
21 So that's going to -- that's going to continue.

22 MR. STEVE SCARFONE: And lastly, on  
23 frequency, Mr. Johnston, can you explain why it is  
24 that the Corporation places more weight on the driving  
25 habits of its customers during the summertime when

1 forecasting frequency than it does for the winter  
2 driving?

3 MR. LUKE JOHNSTON: Yeah. The -- the  
4 main reason would be just -- just the level of  
5 confidence we have in the -- in the summer data. As  
6 you can appreciate, without winter, the results are  
7 much more consistent and -- and a very tight bell  
8 curve, so to speak, around the average.

9 So if you see changes there, you know  
10 things are really happening. So we have -- that is --  
11 that's one (1) of the ways that we -- we're confident  
12 that DSR had actually made a dent in experience  
13 because we were seeing changes in those -- in those  
14 summer months, and they were coming from demerit  
15 drivers, for example.

16 Winter -- yeah. If we have a few weeks  
17 of snowstorms and -- and such, that could essentially  
18 ruin a whole year in terms of frequency, so you need  
19 to isolate the -- the different times of year to do an  
20 analysis.

21 MR. STEVE SCARFONE: Thank you. And  
22 on your COVID slide, you indicated there that  
23 frequency is increasing. And I expect that what you  
24 mean by that is it's increasing from those days back  
25 in the spring when claims were down by 50 percent.

1 MR. LUKE JOHNSTON: Yeah. I guess  
2 another way to say it is the -- the decreases are less  
3 than they were, yeah.

4 MR. STEVE SCARFONE: Yes.

5 MR. LUKE JOHNSTON: So, yeah, that's  
6 right.

7 MR. STEVE SCARFONE: And a question  
8 for Mr. Wennberg. So Mr. Wennberg of course was just  
9 sworn, but I didn't -- I neglected to -- to introduce  
10 him. Just for the record, Mr. Wennberg, of course, is  
11 Vice-President of Customer Service and MPIC's Chief  
12 Operating Officer.

13 Kristen, on Mr. Johnston's presentation  
14 at slide 13, there was a discussion there, Mr.  
15 Wennberg, about centralized reserving. Couple  
16 questions on that.

17 We heard Mr. Johnston say that the PIPP  
18 case managers, the Personal Injury Protection Plan  
19 case managers, are returning claimants to work sooner.  
20 Do you recall that -- that, sir?

21 MR. CURTIS WENNBERG: Yes, I do.

22 MR. STEVE SCARFONE: And -- and just  
23 briefly, can you -- if you can, describe for the --  
24 the Panel the efforts that the case managers are --  
25 are making in getting that result.

1 MR. CURTIS WENNBERG: Yes, happy to.  
2 So it was very early in 2018, actually after our  
3 results at the end of fiscal '16/'17, we did a -- a  
4 very large internal strategy piece of work around our  
5 PIPP product or injury customers and how we get them  
6 back to work, and then also the internal processes.  
7 Reserving was one (1) of them.

8 But reserving doesn't change the actual  
9 outcomes, and so what changes the outcomes is how we  
10 work with claimants and -- and especially get them  
11 back to work.

12 And on the slide that Luke was talking  
13 about, the weekly indemnity, those are roughly the  
14 seventeen hundred (1,700) or eighteen hundred (1,800)  
15 customers of ours that are off work. That's how we  
16 categorize the weekly indemnity, and they are the main  
17 drivers of our injury ultimate incurred.

18 And what we'd been finding is that,  
19 after we put in the Fineos system -- or BI3 we called  
20 it -- we did let go of a number of our capacity of  
21 case management. And so aside from fixing up how we  
22 do the reserve processes, we hired thirteen (13) more  
23 people in to the Injury Department. It's really one  
24 (1) of the only major areas that we -- we really  
25 looked at staffing and added resources.

1                   And then we also did a lot of training,  
2 and we got case managers to -- to adopt a lot more of  
3 the return-to-work types of processes and real  
4 specific expectations of productivity of -- of having  
5 a claimant come into their area, particularly the  
6 weekly indemnity or the off-work claims, and work with  
7 those customers to get them back to work as fast as  
8 possible, as much for the client's own benefit as --  
9 as ours.

10                   And so we've made some good inroads in  
11 that area. We've been tracking the 2018 series of  
12 claims, and we like to track them. Luke and I will  
13 look at them after twelve (12) months, eighteen (18)  
14 months, twenty-four (24) months, and what we're  
15 finding is their ability to go back to work is a  
16 little bit better than what it was post-FINEOS  
17 implementation. So we like -- we like where those --  
18 those long-term metrics are trending.

19                   MR. STEVE SCARFONE: Thank you for  
20 that. And we've -- we've heard that the Corporation  
21 is seeing lower-than-budgeted costs for individual  
22 claims this year.

23                   I'm wondering if you can, Mr. Wennberg,  
24 just speak to some of the other efforts being  
25 undertaken by the Corporation to realize those reduced

1 costs including fraud prevention and some of those  
2 other campaigns.

3 MR. CURTIS WENNBERG: Sure. Well, the  
4 -- in -- in spending some time -- and I'll -- I'll  
5 talk a little bit about the PIPP book or the injury  
6 book, but then there's also a lot of the lower  
7 severity on the LVA side, or the repairing of the  
8 vehicles.

9 So on the PIPP side, that's where a lot  
10 of our additional fraud pieces have come to play. So  
11 as we moved our fraud needle from getting about 6 to 8  
12 million a year, which is about half and half repair  
13 fraud and half and half of it was injury fraud, we --  
14 we started seeing the injury needle move up. So we're  
15 getting 8 to 10 million a year on the injury fraud  
16 side. The repair side is about the same amount, so  
17 we're seeing about 14 million a year, and as some of  
18 you may have seen, some of the advertisements out  
19 there on -- on different news networks.

20 And -- and it -- and it's really  
21 interesting. I -- I think it's also helped our  
22 employees, as much as other Manitobans out in the  
23 marketplace, realize that we're -- we're not just here  
24 to pay claims and -- and, you know, not work to help  
25 people go back to work.

1                   When we perform at our best at MPI,  
2 it's -- it's protecting all of our claimants or  
3 potential claimants or customers by making sure that  
4 if you are injured, then -- then we'll give you the --  
5 the help that you need.

6                   But if you aren't or you -- you know,  
7 in a worse case, you're in one (1) of these fraudulent  
8 situations, we will actively work to -- to move you  
9 off the book and in the last year and a half actually  
10 press charges and work with the Crown prosecutor to do  
11 so. So that's introduced a lot of nice disciplines  
12 within the firm. And I believe there was a question  
13 around the appeal process, an AICAC process, but I can  
14 address that later, as well.

15                   On the LVA side, we have seen recently  
16 a return to about a 5 percent increase in the average  
17 repair severity that we see per car.

18                   The industry average over the last  
19 eight (8) years has been roughly been 4 to 6 percent  
20 year-on-year increases in the amount of costs it takes  
21 to repair a vehicle, and we've been fairly lumpy as  
22 we've moved through our last six (6) years  
23 particularly. As a reminder, I've been working for  
24 MPI for about four (4) of those years.

25                   And when we first put in the Mitchell

1 system, Mitchell allowed the repair shops to add a lot  
2 of different parts to a repair or get reminded about  
3 not using certain Estimatics pieces they could charge  
4 MPI for.

5                   And so we saw over the first two (2)  
6 years, as my colleague was describing, a higher than  
7 industry severity increase to the -- to the 8 percent,  
8 9 percent marks for a couple of years.

9                   And then, in mid-2016, we really -- we  
10 really started stemming that. We started to  
11 understand how Mitchell is being used. We also shared  
12 a lot more of our Estimatics. We did a lot of  
13 internal and shop training. And we saw, over the  
14 intervening years, low single-digit severity growth,  
15 which we were very happy with. And -- and recently,  
16 it's -- it's come back up to industry standards.

17                   So that's probably where we should  
18 remain as we don't want to underpay for repairs, we  
19 don't want to overpay. We want to be roughly around  
20 the industry. So I hope that answers your question.

21                   MR. STEVE SCARFONE: Thank you. And  
22 just briefly, because it was addressed last week by  
23 Mr. Giesbrecht in his presentation, was there anything  
24 further since that time concerning the conciliation  
25 and the ongoing negotiations with the -- the broker

1 network?

2 MR. CURTIS WENNBERG: There's no  
3 further progress that I can report today.

4 MR. STEVE SCARFONE: Okay. Thank you.  
5 Those are all my questions for Mr. Wennberg and Mr.  
6 Johnston.

7 THE PANEL CHAIRPERSON: Thank you, Mr.  
8 Scarfone. Ms. McCandless...:

9

10 CROSS-EXAMINATION BY MS. KATHLEEN MCCANDLESS:

11 MS. KATHLEEN MCCANDLESS: Thank you.

12 With respect to benchmarking, I just  
13 have two questions for Mr. Giesbrecht. Ms. Meek has  
14 emailed to advise that she has none, so perhaps I'll  
15 just ask these briefly and then Mr. Giesbrecht could  
16 be released.

17 THE PANEL CHAIRPERSON: Yes, that  
18 would be fine. Thank you.

19 MS. KATHLEEN MCCANDLESS: Thank you.

20 So Kristen, can you please go to PUB-  
21 MPI 1-90.

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: And perhaps

1 while we're waiting for the IR, Mr. Giesbrecht, you  
2 said in your presentation that the updated completion  
3 -- or the -- the benchmarking report is delayed and  
4 that it may be available for future GRAs, I believe is  
5 to paraphrase what you said.

6 I'm just -- for purposes of  
7 clarification, does MPI anticipate having that  
8 benchmarking report complete for the 2022 GRA?

9 MR. MARK GIESBRECHT: Yes, I would  
10 expect so. I don't have a definitive timeline from my  
11 peers as to when they can complete their end of this.  
12 I did just hear back from -- from one Corporation last  
13 week and the issue around the delay was a departure  
14 earlier this year of one of their key personnel, and  
15 that just made this drop on their priority list, given  
16 their -- their staff issue.

17 So we're going to follow up, but right  
18 now I don't have a definitive -- I mean, I -- I've  
19 stated earlier, I expect the next few months. But I  
20 don't have an exact timeline, but I would say after  
21 this hearing concluded at some point.

22 MS. KATHLEEN MCCANDLESS: And now  
23 that we've got the Information Request up, the  
24 question at (a) was for MPI to indicate which of the  
25 corporate and operational benchmark measures provided

1 last year were to be incorporated in the new  
2 comparison. And if we scroll to the response, there  
3 are a number of metrics there.

4 And just by way of follow-up, does MPI  
5 still anticipate that the report, when it's provided,  
6 will contain all of these metrics?

7 MR. MARK GIESBRECHT: Yes.

8 MS. KATHLEEN MCCANDLESS: Thank you.  
9 Those are my questions for Mr. Giesbrecht.

10 THE PANEL CHAIRPERSON: Mr. Gabor?

11 Okay, thank you.

12 Thank you very much, Mr. Giesbrecht.

13 We'll see you soon.

14 MR. MARK GIESBRECHT: Thank you.

15

16 (BRIEF PAUSE)

17

18 THE PANEL CHAIRPERSON: Ms.

19 McCandless...?

20 MS. KATHLEEN MCCANDLESS: Thank you.

21 I'm going to start with questions for  
22 Mr. Johnston on claims incurred, and then move into  
23 some questions for Mr. Wennberg after.

24 Just starting out, if we could have a  
25 look at pro forma 6, and page 2, these are the

1 explanation of variances from the 2022/'21  
2 comparative.

3                   And with respect to the explanations  
4 for changes in net claims incurred for 2021, we see  
5 that, at line 16 -- pardon me. Just to -- to start,  
6 is the difference in the estimates provided relative  
7 to the changes in forecast claims incurred shown in  
8 the claims incurred section?

9                   MR. LUKE JOHNSTON: Yes. In the -- in  
10 the claims in -- I believe you're referencing the  
11 claims incurred document in the GRA, so...

12                   MS. KATHLEEN MCCANDLESS: Yes.

13                   MR. LUKE JOHNSTON: In -- on the first  
14 day, we had a little bit of confusion around actuarial  
15 ultimates and then -- and net claims incurred. In  
16 that document, we used to only show the actuarial side  
17 and then we realized that most people were interested  
18 in the accounting side and not interested in the  
19 actuaries, which is nothing new. So we started  
20 showing both.

21                   So the -- the financial view, how  
22 everything flows through the financial statements,  
23 will always be a little bit different than the --  
24 like, the policy or type of view. But what you see  
25 here is the -- like, the view that you would see from

1 the accounting side of the financial statements.

2 MS. KATHLEEN MCCANDLESS: So then just  
3 to summarize, the difference in the estimates provided  
4 relative to the changes in forecast claims incurred  
5 shown in the claims incurred section, they're due to  
6 the accounting versus actuarial presentation?

7 MR. LUKE JOHNSTON: That's right. And  
8 the -- the reason that we have to have the actuarial  
9 one is because that's how the rates are set in terms  
10 of how impacts affect particular accident years. If  
11 the actuary makes incorrect forecasts and gets those  
12 wrong, of course, it will roll through accounting, but  
13 it's -- you know, the initial pricing, if it's wrong,  
14 we just have to eat -- eat that through the RSR.  
15 Yeah.

16 MS. KATHLEEN MCCANDLESS: Thank you.  
17 Now just to recap the overall change in  
18 forecasted claims in the test years, if we look to  
19 figure CI-72, which is also found at tab 18 of the  
20 book of documents, we saw that 2021/'22 had decreased  
21 by 53 million, at line 7?

22 MR. LUKE JOHNSTON: That's right.

23 MS. KATHLEEN MCCANDLESS: Of which  
24 roughly 15.1 million was due to CERP changes, so  
25 coverage changes?

1 MR. LUKE JOHNSTON: Correct.

2 MS. KATHLEEN MCCANDLESS: And 2022/'23  
3 had a decrease of \$77 million, of which 30 million was  
4 due to coverage changes, yes?

5 MR. LUKE JOHNSTON: Yes.

6 MS. KATHLEEN MCCANDLESS: I'm now  
7 going to have a look at the coverage level changes in  
8 forecasted claims.

9 If we could go to weekly indemnity  
10 ultimate losses, and that's figure CI-13.

11

12 (BRIEF PAUSE)

13

14 MS. KATHLEEN MCCANDLESS: And scroll  
15 down. Thank you.

16 On the far right-hand column, "Variance  
17 to Forecast," we see the bottom of the schedule that  
18 weekly indemnity ultimate losses have increased from  
19 the 2020 GRA estimates by about \$10 million per year  
20 for 2021/'22 and 2022/'23?

21 MR. LUKE JOHNSTON: That's correct.

22 MS. KATHLEEN MCCANDLESS: Would you  
23 agree that is being driven mainly by increases in  
24 average claim severity?

25 MR. LUKE JOHNSTON: Agreed. There's a

1 -- you can see that '18/'19, '19/'20 had a little bit  
2 higher claim counts than -- than some of the more  
3 recent years, but the severity is higher and that, in  
4 turn, is -- is driven by, I guess, both the injury  
5 types fo the claimants, but also the actuarial  
6 assumptions and the actuarial valuation. Yeah.

7 MS. KATHLEEN MCCANDLESS: There's --  
8 there are significant adverse developments on recent  
9 accident years contributing to the variance, as well?

10 MR. LUKE JOHNSTON: We have increased  
11 ultimates on the weekly indemnity side, as we -- we  
12 moved to centralized reserving and -- so the -- the  
13 first step, obviously, was to get a better approach  
14 around reserving consistently. As mentioned, that  
15 pushed a lot of reserves early on in the process.

16 Unlike accident benefits index other --  
17 which we'll talk about, I'm sure -- we haven't seen a  
18 favourable flow through to any major extent on weekly  
19 indemnity.

20 And what I mean by that is if,  
21 historically, reserving was more gradual and -- and  
22 spread out over long periods of time, and you change  
23 that and you reserve everything up front better, it  
24 would be reasonable to think that those numbers were  
25 probably right and you won't see that development in

1 the future years.

2                   So far, we haven't had any great  
3 evidence that that's happening, but as Mr. Wennberg  
4 discussed, we're confident we're going to see that,  
5 but it's really hard for me to make an assumption that  
6 it's going to happen before we have any evidence of it  
7 happening. So that's where we're at right now, if that  
8 makes sense.

9                   MS. KATHLEEN MCCANDLESS:   And your  
10 observations, are they, for this year, are they a  
11 continuation of similar observations you made in the  
12 prior GRA with respect to trends?

13                   MR. LUKE JOHNSTON:   We -- so the  
14 question is, is -- are my actuarial valuation  
15 observations consistent with previous years?   Yeah.  
16 The only piece I'd add is we -- we are watching the  
17 development assumptions really closely, as -- as we  
18 always do.   We're optimistic that we'll see some  
19 changes in how claims develop, but nothing I can  
20 really hang my hat on yet.

21                   So what I mean by that is pre some of  
22 the BI3 issues and policy coverage changes that were  
23 made in that period, we had about fifty (50) claims  
24 become lifetime, and in -- in post-2010, that number  
25 climbed to eighty (80), ninety (90), a hundred (100)

1 claims going -- going lifetime. With all those claims  
2 being life, they're worth about four (4) or five  
3 hundred thousand dollars (\$500,000) each. You can see  
4 then why ultimate costs would go up if that -- if that  
5 happened.

6                   If we turn that trend to any extent,  
7 we'll get essentially a one-to-one drop for any claim  
8 that doesn't go life. We just haven't -- given that I  
9 have to wait years to see that out -- outcome, we  
10 haven't had enough evidence to -- to book it  
11 essentially.

12                   MS. KATHLEEN MCCANDLESS: So far for  
13 2020, have you seen favourable or adverse development  
14 on prior years for this coverage, and to what  
15 magnitude?

16                   MR. LUKE JOHNSTON: I don't have  
17 anything to point directly, but I do have my -- my own  
18 numbers here. To date, weekly indemnity has, so for  
19 prior years, been pretty close to budget. We are  
20 about 1.7 million under budget as at September.  
21 That's about 3 percent.

22                   So when I mentioned earlier that we  
23 seem to be getting a much better handle on the  
24 development of weekly indemnity and -- and all the new  
25 reserving processes, that's what I meant. We -- our

1 budget is starting to perform better to actual.

2 In the current-year claims for weekly  
3 indemnity, we are about 19 percent under budget, but  
4 that is -- a lot of that's due to the lower collision.  
5 So -- so pri -- so in -- in a nutshell, prior years is  
6 very close to budget.

7 MS. KATHLEEN MCCANDLESS: Thank you.  
8 At figure CI-13, we have the indexed ultimate losses  
9 for accident benefits other?

10

11 (BRIEF PAUSE)

12

13 MS. KATHLEEN MCCANDLESS: And again,  
14 if we look at the variance to forecast on the right-  
15 hand side of the schedule, at the bottom, we see that  
16 accident benefits indexed ultimate losses have  
17 decreased from the 2020 GRA estimates by about --

18 MR. LUKE JOHNSTON: I think we just  
19 have to change the table. I don't know if they're --  
20 I -- I didn't hear the --

21 MS. KATHLEEN MCCANDLESS: Seventeen  
22 (17), Figure CI-17, yeah.

23

24 (BRIEF PAUSE)

25

1 MS. KATHLEEN MCCANDLESS: Thank you.

2 So same area on the schedule, right-  
3 hand column, variance to forecast, towards the very  
4 bottom, we see that the GR -- there's a decrease from  
5 the GRA estimates from last year by about \$6 million  
6 per year?

7 MR. LUKE JOHNSTON: That's right.

8 MS. KATHLEEN MCCANDLESS: Would you  
9 agree that this is driven by a combination of a lower  
10 assumed claims frequency as well as a reduced average  
11 claim severity?

12 MR. LUKE JOHNSTON: Yes.

13 MS. KATHLEEN MCCANDLESS: And is that  
14 with significant favourable reserve development on  
15 recent accident years contributing?

16 MR. LUKE JOHNSTON: Yes. This is what  
17 I spoke of briefly during the opening presentation.  
18 Centralized reserving is a newer process for this  
19 group of coverages, and unlike weekly indemnity, where  
20 we haven't really seen much favourable development  
21 subsequent centralized reserving, we are seeing it on  
22 this -- on this line. So most of this reduction can  
23 be credited to the -- the valuation recognizing that -  
24 - that favourable experience.

25 MS. KATHLEEN MCCANDLESS: Is this a

1 reversal of the adverse development observed last  
2 year?

3

4 (BRIEF PAUSE)

5

6 MR. LUKE JOHNSTON: I didn't -- like,  
7 I'm trying to remember what we had for development  
8 last year, but my recollection of the history would  
9 have been that centralized reserving, obviously, put a  
10 lot of pressure on reserves, and you can -- you can  
11 see from this -- this table, 2016, '17, '18 would have  
12 -- would be the higher ultimate relative to some of  
13 the previous years. And we discussed that quite a bit  
14 internally in -- in terms of, you know, is that -- is  
15 that real or, you know, just reflect what it should  
16 have been all along? Or, you know, is there a chance  
17 that we've overbaked some of the initial reserves?

18 As we learn, you know, what an  
19 appropriate centralized reserve is, we'll continue to  
20 tweak that, obviously. But as of this year, it looks  
21 like those initial reserves were maybe a little bit  
22 high, and we've drawn them down. So I -- subject to  
23 check, last year or the year before, we would have had  
24 adverse development on this.

25 MS. KATHLEEN MCCANDLESS: So far in

1 2020, have you seen favourable or adverse development  
2 on prior years for this coverage and to what  
3 magnitude?

4 MR. LUKE JOHNSTON: So I'll answer the  
5 question, and then I may ask Mr. Wennberg for -- for  
6 some assistance. The -- for ABO indexed incurred  
7 through September, I'm seeing roughly 7 million  
8 favourable relative to a budget of 7 million in 2019,  
9 so just give you -- so -- or the reason I mention Mr.  
10 Wennberg is there -- not just for current-year COVID  
11 impacts, current loss year, anyone that was getting  
12 rehabilitation treatments, like physio or other  
13 things, if those operations were shut down and they  
14 weren't able to go, MPI wouldn't have had to pay  
15 anything on -- you know, during that stretch where  
16 those -- those services were unavailable.

17 So unlike collision, where prior years  
18 shouldn't be affected by COVID, PIPP benefits will  
19 have some impact on prior years to the extent that  
20 people didn't go for their treatments or weren't able  
21 to. That's -- obviously lowers our numbers relative  
22 to budget, but it creates other concerning scenarios  
23 such as people not getting the treatment they need and  
24 getting back to work as quickly as -- as they -- they  
25 need to be. So that -- that we won't see till farther

1 down the road if there's negative impacts.

2                   So I'll let -- I'll let Mr. Wennberg  
3 jump in, but I'll -- I'll finish the -- prior years  
4 total, we're seeing about 5.8, 5.9 million under  
5 budget relative to a budget of 16 million, which --  
6 with most of that coming in the 2019 year. And the  
7 current year is close to 40 percent under budget, so a  
8 larger extent than weekly indemnity. Again, I think -  
9 - if you think about income replacement, there  
10 shouldn't be any reason why MPI wouldn't continue to  
11 pay that, but for other benefit types where you maybe  
12 didn't have access to that for a period of time,  
13 that's -- that's the other reason.

14                   MS. KATHLEEN MCCANDLESS: Collision  
15 ultimate losses are at Figure CI-37.

16                   MR. LUKE JOHNSTON: Yes.

17                   MS. KATHLEEN MCCANDLESS: Thank you,  
18 Kristen.

19                   And so again we're looking at the  
20 variance to the forecast from last year, and again the  
21 right-hand side of the schedule towards the bottom, we  
22 see that collision ultimate losses have decreased from  
23 last year's GRA estimates by, at line 15,  
24 approximately \$40 million?

25                   MR. LUKE JOHNSTON: Forty (40)

1 million? Sorry, I think it's the thirty (30) --

2 MS. KATHLEEN MCCANDLESS: Thirty-nine  
3 point six (39.6).

4 MR. LUKE JOHNSTON: Yeah, sorry.

5 MS. KATHLEEN MCCANDLESS: Yeah.

6 MR. LUKE JOHNSTON: Yeah, thirty (30)  
7 -- 39.6, yes, yeah.

8 MS. KATHLEEN MCCANDLESS: And at line  
9 16, for 2022/'23, there's a variance of \$54.2 million?

10 MR. LUKE JOHNSTON: That's right.

11 MS. KATHLEEN MCCANDLESS: And again we  
12 see the CERP impact at lines 15 and 16. Respectively,  
13 we have about \$7.8 million and \$15.6 million in  
14 variances attributed to the changes in coverage, yes?

15 MR. LUKE JOHNSTON: To -- yeah, to  
16 collision specifically, that -- yeah, that's right.

17

18 (BRIEF PAUSE)

19

20 MS. KATHLEEN MCCANDLESS: So, that  
21 leaves about then \$32 million and \$38 million  
22 respectively for '21 and '22 due to reduce projections  
23 of claims costs?

24 MR. LUKE JOHNSTON: Correct. And that  
25 -- I'll say correct, yeah.

1 MS. KATHLEEN MCCANDLESS: And, as  
2 you've discussed, that's driven pretty much entirely  
3 by reduced claims frequency?

4 MR. LUKE JOHNSTON: Yeah, there was a  
5 -- there's -- there was a small severity benefit  
6 relative to last year. But as we -- we went through  
7 on that slide, we're really trying to find a balance  
8 between some of the big drops in frequency we've seen  
9 and making a best estimate appropriate forecast, but  
10 it's -- frequency forecast is going down.

11 MS. KATHLEEN MCCANDLESS: Thank you.  
12 Could we go to the presentation from this morning,  
13 which is MPI Exhibit Number 42, page 11?

14

15 (BRIEF PAUSE)

16

17 MS. KATHLEEN MCCANDLESS: Thank you.

18

19 (BRIEF PAUSE)

20

21 MS. KATHLEEN MCCANDLESS: So, if we  
22 look at the accident year 2020/'21 and the third  
23 column in from the left, the COVID-19 adjustment,  
24 there's an adjustment of \$35.3 million there?

25

MR. LUKE JOHNSTON: Yes.

1 MS. KATHLEEN MCCANDLESS: If we go to  
2 figure CI-10.

3

4 (BRIEF PAUSE)

5

6 MS. KATHLEEN MCCANDLESS: And these  
7 are the forecasted impacts to ultimates related to  
8 COVID-19, yes?

9 MR. LUKE JOHNSTON: I see this, yes.

10 MS. KATHLEEN MCCANDLESS: If we look  
11 at collision, so the third column in from the right,  
12 for 2020/'21, MPI's showing \$26.5 for the same period  
13 for collision.

14 Can you explain the discrepancy there  
15 between slide 11 and figure CI-10?

16 MR. LUKE JOHNSTON: Can you flip back  
17 to the previous one?

18

19 (BRIEF PAUSE)

20

21 MR. LUKE JOHNSTON: Yeah, I'll have to  
22 take that one away, sorry, yeah.

23 MS. KATHLEEN MCCANDLESS: So, the  
24 undertaking would be to advise us to the variance in  
25 the COVID-19 adjustment for the 2020/'21 accident year

1 between MPI Exhibit Number 42, page 11, and figure CI-  
2 10.

3 MR. STEVE SCARFONE: We will provide  
4 that undertaking, Ms. McCandless.

5 MS. KATHLEEN MCCANDLESS: Thank you.

6  
7 --- UNDERTAKING NO. 26: MPI to advise as to the  
8 variance in the COVID-19  
9 adjustment for the  
10 2020/'21 accident year  
11 between MPI Exhibit number  
12 42, page 11, and figure  
13 CI-10

14  
15 CONTINUED BY MS. KATHLEEN MCCANDLESS:

16 MS. KATHLEEN MCCANDLESS: Now, could we  
17 please go to PUB MPI-1-10, and the preamble which is  
18 just taken from the application?

19 It's written here that MPI stated in  
20 the 2020/'21 GRA for collision repair frequency that  
21 relative to the long-term average, the last six (6)  
22 accident years have had below average collision  
23 frequency and that some of the reduction from the past  
24 six (6) years was related to mild winters.

25 However, there's also been a reduction

1 in -- in summer collision frequency over the past  
2 seven (7) years. And you --

3 MR. LUKE JOHNSTON: I see that, yes.

4 MS. KATHLEEN MCCANDLESS: -- would  
5 adopt that?

6 MR. LUKE JOHNSTON: That's true. Yes.  
7 Yeah.

8 MS. KATHLEEN MCCANDLESS: If we  
9 proceed to Figure 1, line 15, we have the collision  
10 repair frequency for accident years 2005 through to  
11 2019?

12 MR. LUKE JOHNSTON: Yes.

13 MS. KATHLEEN MCCANDLESS: Yes. And  
14 so, when we're looking at February on the second  
15 column from the right at line 15, for 2019, we're  
16 really talking about February 2020.

17 Is that right?

18 MR. LUKE JOHNSTON: Yes, sorry, it  
19 would be in our -- our insurance year, which is, well,  
20 at that time, March to February, yeah.

21 MS. KATHLEEN MCCANDLESS: I just  
22 wanted to make that clear. Can you explain why  
23 February 2020 might have had such a low collision  
24 repair frequency?

25 Likely, March was due to COVID impacts,

1 but...

2 MR. LUKE JOHNSTON: No special  
3 explanation. There could be some development delayed  
4 in there or -- or perhaps more than we're expecting.  
5 The -- I can't recall off the top of my head how --  
6 how good weather -- how good the weather was in that  
7 month.

8 If you look at the history, there is  
9 some evidence of -- well, there's actually a lot of  
10 evidence of extreme fluctuation in this num -- in this  
11 number, so some .10s in the past, but I can't offer  
12 much more than that.

13 I'm assuming it's volatility around a  
14 now lower trending average frequency. So, if it was  
15 in the neighbourhood of, you know, .15 or .16 before,  
16 if you look at some of the earlier averages, if  
17 overall frequency's gone down, this may just be a good  
18 winter month, yeah.

19 MS. KATHLEEN MCCANDLESS: Thank you.  
20 You were speaking about winter collisions and summer  
21 collisions in your presentation.

22 And so just somewhat further on that,  
23 has MPI considered comparing the average monthly  
24 temperature for, for example, Winnipeg to monthly  
25 claims frequency to see if temperature might be an

1 accurate predictor of the collision claims frequency?

2 MR. LUKE JOHNSTON: We've done some of  
3 that. Snowfall is probably more useful than -- than  
4 temperature. Even rain is -- you know, like -- like,  
5 the amount of rain in the summer is actually a decent  
6 predictor of motorcycle crashes and -- and such.

7 So, the -- we have done that type of  
8 analysis for -- try and explain certain differences  
9 on, you know, a one-off basis or situational basis.  
10 We don't do anything as part of our monthly reviews on  
11 that though, yeah.

12 MS. KATHLEEN MCCANDLESS: And so, I  
13 take it then -- does MPI use that information in  
14 assisting for its estimation of future collision  
15 frequency or is it just a retroactive look -- or  
16 retrospective look, pardon me?

17 MR. LUKE JOHNSTON: Nothing long-term.  
18 Mr. Wennberg could comment if there's anything, like,  
19 if -- you know, if the weather forecast for the next  
20 week looks bad, if we adjust our staffing levels.

21 But I -- outside of that, we don't --  
22 we don't do anything on a grand scale. But, like, for  
23 example, if -- you know, if we thought global warming  
24 was making the winters shorter, we would start seeing  
25 those impacts on the -- the side months, but we don't

1 do anything formally.

2 MR. CURTIS WENNBERG: I can confirm,  
3 as well, that these are longer term impacts and what  
4 we do see is clear roads.

5 So, if you have a temperature of 10  
6 degrees in May but the roads are clear, you're going  
7 to have the same accident frequency as if it's plus 30  
8 in July.

9 Where we do have some problems is on  
10 long weekends. And there's some pretty serious  
11 accidents that happen in those time frames in the  
12 summertime, and it's a known issue.

13 And in winter, with other winter  
14 jurisdictions, we notice the ice forming. So, it may  
15 not even be a large snow event because that keeps  
16 people actually at home and they drive a little more  
17 cautiously. But it's when you get that 2 inches and  
18 it turns into some icy pieces on bridges and, you  
19 know, that kind of stuff.

20 But, again, from -- from either a  
21 staffing perspective or budgeting perspective, these  
22 are longer term trend line things that we look at.

23 MS. KATHLEEN MCCANDLESS: Now, if we  
24 could have a look at comprehensive ultimate losses.  
25 And that's Figure CI-64.

1 (BRIEF PAUSE)

2

3 MS. KATHLEEN MCCANDLESS: Thank you,  
4 Kristen. Again, we're looking at the variance. So,  
5 on the right-hand side of the schedule, again towards  
6 the bottom, we see that comprehensive ultimate losses  
7 have decreased by 12.7 million and 22.3 million  
8 respectively for 2021/'22 and 2022/'23 at lines 15 and  
9 16?

10 MR. LUKE JOHNSTON: That's right, with  
11 most being from the CERP impact, or more than half, I  
12 guess.

13 MS. KATHLEEN MCCANDLESS: Right. And  
14 so, that's where we see the middle column at lines 15  
15 and 16, 7.9 or roughly \$8 million for '21/'22 and 16.3  
16 for '22/'23?

17 MR. LUKE JOHNSTON: That's right.

18 MS. KATHLEEN MCCANDLESS: And so, that  
19 leaves roughly 5 million and \$6 million due to reduced  
20 projections of claims costs when you take away the  
21 CERP impact?

22 MR. LUKE JOHNSTON: Yeah. And I  
23 think, if you scroll down a little farther, it will  
24 give some of the breakdown, but it's quite a mixed bag  
25 of items that we update, you know, based on the latest

1 information. But, as you can see, there's -- yeah,  
2 it's minor changes to the current forecast.

3 MS. KATHLEEN MCCANDLESS: And this  
4 variance then is driven mainly by a reduced claims  
5 frequency with a small offset due to a slightly high  
6 claim severity?

7 MR. LUKE JOHNSTON: In a nutshell,  
8 yeah.

9 MS. KATHLEEN MCCANDLESS: Okay. With  
10 respect to Comprehensive, if we go to Figure CI-37 of  
11 the 2020 GRA, so this was the Comprehensive claim  
12 count for last year's GRA?

13 MR. LUKE JOHNSTON: I'm not sure for -  
14 - this one is hail.

15 MS. KATHLEEN MCCANDLESS: Hail, yes.

16 MR. LUKE JOHNSTON: Do you want to  
17 look at hail or -- or Comp -- Comprehensive total? I  
18 can do either, obviously.

19 MS. KATHLEEN MCCANDLESS:  
20 Comprehensive hail first, yeah. So if we -- and --  
21 and the Corporation uses a ten (10) year average for  
22 its hail forecast, yes?

23 MR. LUKE JOHNSTON: That's right.  
24 It's pretty much always going to be wrong, this  
25 forecast, but consistently wrong, I guess. And -- and

1 then we buy a large amount of hail, catastrophe  
2 insurance.

3 MS. KATHLEEN MCCANDLESS: And so we  
4 see the ten (10) year average there from last year's  
5 GRA was seven thousand five hundred and ninety-eight  
6 (7,598)?

7 MR. LUKE JOHNSTON: Sorry, total claim  
8 count on the second-most right column, yes, seven five  
9 nine eight (7,598), yes.

10 MS. KATHLEEN MCCANDLESS: And then if  
11 we go to Figure CI-40 from this year, this is the  
12 Comprehensive hail claim count excluding zero dollar  
13 claims for this GRA?

14 MR. LUKE JOHNSTON: The -- sorry, what  
15 was the question? What's this year's number?

16 MS. KATHLEEN MCCANDLESS: Yes.

17 MR. LUKE JOHNSTON: Oh, six (6) -- so  
18 six seven one five (6,715). It's declined. I'm --  
19 I'm assuming the -- the year we added to the history  
20 was smaller than the year we dropped off, so you can  
21 see the -- the latest year is only twenty-six hundred  
22 (2,600) claims, which would have been one (1) of the  
23 better hail years ever, so no surprise that it went  
24 down.

25 MS. KATHLEEN MCCANDLESS: You're

1 anticipating my next question, so --

2 MR. LUKE JOHNSTON: Yeah.

3 MS. KATHLEEN MCCANDLESS: -- in the  
4 previous schedule we were looking at from last year's  
5 GRA, 2009/'10 had a total claim count on hail of ten  
6 thousand nine hundred and fifty-seven (10,957)?

7 MR. LUKE JOHNSTON: Yes.

8 MS. KATHLEEN MCCANDLESS: And so  
9 that's the year that's dropped off then?

10 MR. LUKE JOHNSTON: Yeah. It's -- it  
11 really is hit or miss. Even hailstorms themselves, if  
12 you look at a map of Manitoba, you know, 99 percent of  
13 hail storms will hit nothing but a field. But if they  
14 just happen to run over a -- a Dauphin or something,  
15 all of a sudden it's a \$50, \$60 million impact.

16 We are watching hail really closely.  
17 There was a pretty big hail in Alberta, and they were  
18 talking numbers like in the billion. You know, all  
19 our modelling and the modelling of other external  
20 providers has said, you know, our one (1) in a hundred  
21 (100) is kind of around 300 million or so.

22 But if it's cheap to buy a little bit  
23 more than that, I think it might -- we might start  
24 considering that. But we have -- we have re-insurance  
25 up to 300 million.

1 MS. KATHLEEN MCCANDLESS: So if we  
2 look at Figure CI-40 from this GRA which we just had  
3 on the screen -- thanks -- we see significant  
4 volatility in the year-to-year hail claims with a  
5 range of a low of two thousand four (2,004) at line 8  
6 for 2017/'18 --

7 MR. LUKE JOHNSTON: Yes.

8 MS. KATHLEEN MCCANDLESS: -- and a  
9 high of eleven thousand six hundred and six (11,606)  
10 at line 6 for 2015/'16.

11 MR. LUKE JOHNSTON: Yes, and even this  
12 is really a sample of -- of, you know, what  
13 potentially could happen. But that's -- those numbers  
14 are correct.

15 MS. KATHLEEN MCCANDLESS: And so given  
16 this volatility, how comfortable is MPI in its  
17 reduction of the expected hail claims count by 11.6  
18 percent?

19 MR. LUKE JOHNSTON: Yeah. And -- and  
20 when -- I -- I was obviously joking when I said this  
21 forecast was already wrong, but -- always wrong,  
22 pardon me.

23 But it -- what we do here is we try to  
24 have a stable forecasting approach for rate setting  
25 with a longer-term outlook, and then recognize that we

1 charge each customer a small amount for the  
2 catastrophe re-insurance that we buy.

3 So essentially, we're -- we're putting  
4 a consistent forecast, and then whatever the market is  
5 saying, you know, you need to pay for this extra  
6 protection. That's passed along to the customer, and  
7 from that standpoint, we believe we have a fair -- a  
8 fair charge to -- to all customers.

9 MS. KATHLEEN MCCANDLESS: Madam Chair,  
10 I probably have another forty-five (45) minutes of  
11 questions. We can break, or I can finish. I have  
12 maybe another five (5) to ten (10) on this particular  
13 area.

14 THE PANEL CHAIRPERSON: Sure. Why  
15 don't you finish the area that you're asking questions  
16 on now then we'll break for fifteen (15) minutes.

17

18 CONTINUED BY MS. KATHLEEN MCCANDLESS:

19 MS. KATHLEEN MCCANDLESS: Thank you.  
20 For Comprehensive theft frequency -- and that's Figure  
21 CI-42, and we'll be looking also at Figure CI-39 from  
22 the 2020 GRA.

23 Starting at 42, and for theft  
24 frequency, the Corporation uses a three (3) year  
25 average?

1 MR. LUKE JOHNSTON: That sounds  
2 correct, subject to check. I -- I can't remember, but  
3 I'm sure it's within a page or two (2) of this table,  
4 but I'll accept that.

5 MS. KATHLEEN MCCANDLESS: I think it's  
6 just on the previous page if we scroll up.

7 MR. LUKE JOHNSTON: Thank you. Yes.

8 MS. KATHLEEN MCCANDLESS: Okay.  
9 Thanks. So we see at line 12, for frequency at three  
10 (3) year, we have .42 percent?

11 MR. LUKE JOHNSTON: Yes.

12 MS. KATHLEEN MCCANDLESS: And then for  
13 the 2020 GRA for the same period, we had a three (3)  
14 year average of .37 percent at line 12?

15 MR. LUKE JOHNSTON: Correct.

16 MS. KATHLEEN MCCANDLESS: Does MPI  
17 have any understanding of why there was a significant  
18 increase in the theft frequency in 2019/'20 which  
19 resulted in that increase in the expected frequency  
20 from .37 to .42 percent?

21

22 (BRIEF PAUSE)

23

24 MR. LUKE JOHNSTON: So -- so we've  
25 seen a little bit of an uptick in, I guess I'd say,

1 crime-related perils -- theft, vandalism -- which is  
2 obviously a bit concerning.

3                   If you go to Figure CI-43, which should  
4 be somewhat nearby, that's what it looks like just  
5 from a graph -- graphical perspective. If you went  
6 farther back, you would see terrible theft frequency,  
7 right, like the -- the pre-Immobilizer years that were  
8 just off the charts.

9                   So we're hoping that this is just a  
10 little blip and not some kind of major uptick, but  
11 we've used a three (3) year average for that reason.  
12 I was just -- I wasn't sure if Mr. Wennberg had any  
13 other insights, but I don't know that he does, but  
14 that's all I have.

15                   MS. KATHLEEN MCCANDLESS: Thank you.  
16 And then for a Comprehensive rodent frequency -- this  
17 is Figure CI-49 from this GRA -- it shows a projected  
18 claims frequency of over .2 percent. Is that right?

19                   MR. LUKE JOHNSTON: That's right.

20                   MS. KATHLEEN MCCANDLESS: And if we  
21 look at Figure CI-46 from the 2020 GRA.

22

23   (BRIEF PAUSE)

24

25                   MS. KATHLEEN MCCANDLESS: This was the

1 Comprehensive rodent frequency from the 2020 GRA.

2 Last year, the projected frequency was about .15

3 percent?

4 MR. LUKE JOHNSTON: Yes.

5 MS. KATHLEEN MCCANDLESS: Does MPI

6 consider the rodent claims strategy to be less

7 effective than it previously estimated?

8 MR. LUKE JOHNSTON: Well, maybe I'll

9 let Mr. Wennberg answer that one. I think, as you can

10 see, the final landing place of this strategy is --

11 will get a little easier to estimate as -- as we get

12 more experience. But we're reflecting obviously the -

13 - the relevant experience, not the -- the one that's

14 off the page at the top. But I'll let Mr. Wennberg

15 talk about that.

16 MR. CURTIS WENNBERG: What you

17 probably saw in the -- in this chart, as we're looking

18 at it, is an artificial increase in the amount of

19 claims that were happening based on the methodology we

20 use to repair vehicles. And it was an anomaly across

21 North America in terms of what we were doing here.

22 We're -- in the last few years, we're

23 probably finding a new normal in -- in what you would

24 consider to be a more -- more appropriate level of the

25 rodent frequency. And so it -- there might be little

1 blips around where we are at -- at point zero zero one  
2 five (.0015) on a frequency level, but -- but we've --  
3 I don't think there's any anomaly since we put it in  
4 place that's -- that's shaking what we do from that  
5 perspective.

6 MS. KATHLEEN MCCANDLESS: Thank you.  
7 And with respect to property damage ultimate losses --  
8 and that's Figure CI-69.

9

10 (BRIEF PAUSE)

11

12 MS. KATHLEEN MCCANDLESS: And again,  
13 what we're focussing on is the variance to forecast on  
14 the right-hand side of the schedule beginning in the -  
15 - or looking at the bottom part of the schedule --  
16 property damage ultimate losses have decreased by  
17 roughly \$3 million per year?

18 MR. LUKE JOHNSTON: Yes.

19 MS. KATHLEEN MCCANDLESS: Would you  
20 agree that this is driven by reduced claims frequency  
21 similar to collision offset by higher -- slightly  
22 higher claims severity?

23 MR. LUKE JOHNSTON: That's right.  
24 This frequency follows collision very closely, yes,  
25 yeah.

1 MS. KATHLEEN MCCANDLESS: Thank you.  
2 I'm going to be moving into severity trending  
3 analysis, so this is probably an appropriate time to  
4 break.

5 THE PANEL CHAIRPERSON: Okay. Thank  
6 you. Can we back, please, at five (5) to 11:00?

7

8 --- Upon recessing at 10:41 a.m.

9 --- Upon resuming at 10:58 a.m.

10

11 THE PANEL CHAIRPERSON: Ms.  
12 McCandless...?

13 MS. KATHLEEN MCCANDLESS: Thank you,  
14 Madam Chair.

15

16 CONTINUED BY MS. KATHLEEN MCCANDLESS:

17 MS. KATHLEEN MCCANDLESS: Mr.  
18 Johnston, I do have one follow-up to our discussion  
19 about comprehensive hail, before I move into severity  
20 trending analysis.

21 When MPI is projecting its hail  
22 ultimate losses, does it take into consideration its  
23 expected recoveries from the catastrophe treaty (sic)?

24 MR. LUKE JOHNSTON: We don't directly,  
25 but that's what we do with the -- yeah, in the rate-

1 making calculation, by charging back the -- the cost  
2 of that coverage. It's a few dollars to each  
3 ratepayer. I can't remember the exact number.

4 But the -- our hail history itself  
5 doesn't have -- our forecasts would have to be above  
6 \$35 million in total losses to trigger our hail  
7 coverage, which is anything above 35 million for the  
8 year. So the -- our forecast doesn't get close to  
9 that number. Yeah.

10 MS. KATHLEEN MCCANDLESS: Do you have  
11 the claims recoveries expected as well, as part of the  
12 forecast?

13 MR. LUKE JOHNSTON: Can you repeat  
14 that? Sorry.

15 MS. KATHLEEN MCCANDLESS: The claims  
16 recoveries, are they taken into account?

17 MR. LUKE JOHNSTON: No, everything --  
18 we assume any expectation for that is through the --  
19 the re-insurance premium itself. So there's nothing --  
20 - nothing -- that's assumed to be zero (0) as well.  
21 Yeah.

22 MS. KATHLEEN MCCANDLESS: Thank you.  
23 Now on to severity trending analysis.

24 MR. STEVE SCARFONE: Ms. McCandless --

25 MS. KATHLEEN MCCANDLESS: Yes.

1 MR. STEVE SCARFONE: -- just before  
2 you begin that line of questioning, perhaps Mr.  
3 Johnston can respond to an undertaking given just  
4 before the break. He's able to do so. And that would  
5 avoid us having to circulate the response later.

6 It was the one there that you had him  
7 comparing slide 11 from his presentation with the  
8 figure in claims incurred ten (10).

9 MR. LUKE JOHNSTON: Yes. My -- I  
10 couldn't understand why those numbers were different.

11 The slide -- or sorry, the table in the  
12 claims incurred document only has the current fiscal  
13 year in those numbers. So there's two (2) weeks that  
14 fall into the previous year. So that's the difference  
15 between the 35 million and, I believe, the 27 million,  
16 approximately. Yeah.

17 MS. KATHLEEN MCCANDLESS: Thank you.

18

19 CONTINUED BY MS. KATHLEEN MCCANDLESS:

20 MS. KATHLEEN MCCANDLESS: Twenty-six-  
21 point-five (26.5), yes.

22 MR. LUKE JOHNSTON: Is that  
23 sufficient? We could -- we could definitely still  
24 break it down. But the -- as you know, middle of  
25 March, the impact hit. Two (2) of the weeks are in

1 the last fiscal year, so the -- the total impact is  
2 the 36 million. The current actuarial impact is --  
3 excludes those two (2) weeks.

4 MS. KATHLEEN MCCANDLESS: Thank you.  
5 So now moving to PUB-MPI-1-8, and it's actually  
6 Exhibit 11, because this was -- this IR was revised.

7 And if we scroll to the preamble, this  
8 IR was with respect to the use of severity groups for  
9 trending of weekly indemnity, accident benefits other  
10 indexed, accident benefits other non-indexed, and  
11 public liability bodily injury.

12 And that's where MPI splits claims into  
13 two (2) or three (3) severity groups and calculates  
14 trends for each group. And then, weights the  
15 indicated trend together, based on incurred claims in  
16 each severity group. Is that right?

17 MR. LUKE JOHNSTON: That's right.  
18 Just so -- just, basically, grouping claims into  
19 different sizes. Really smalls ones, medium size, and  
20 -- and the most severe claims. Yeah.

21 MS. KATHLEEN MCCANDLESS: Do you  
22 recall this subject being raised last year in the  
23 public hearings? And in particular, one (1) issue  
24 raised was the use of severity groups not considering  
25 any change in proportion of claims over time in each

1 group?

2 MR. LUKE JOHNSTON: I do recall that,  
3 yes.

4 MS. KATHLEEN MCCANDLESS: And that  
5 would be a -- a fair assessment of how MPI deals with  
6 this?

7 So the use of severity groups does not  
8 consider any change in proportion of claims over time,  
9 the way that MPI --

10 MR. LUKE JOHNSTON: That's right.

11 MS. KATHLEEN MCCANDLESS: Okay.

12 MR. LUKE JOHNSTON: That's correct,  
13 yeah.

14 MS. KATHLEEN MCCANDLESS: And then, at  
15 Exhibit 70 from the 2020 GRA, which was an answer to  
16 an undertaking. And I'm just going to paraphrase  
17 MPI's response here.

18 MPI had indicated it was not able to  
19 consider any change in proportion because it did not  
20 have claims development factors that were appropriate  
21 for each group. Would that be fair?

22 MR. LUKE JOHNSTON: Correct.

23 MS. KATHLEEN MCCANDLESS: Does MPI  
24 still not have claims development factors that might  
25 be appropriate for each severity group for each

1 coverage?

2 MR. LUKE JOHNSTON: That would still  
3 be true and the -- we haven't broken them down into  
4 small, medium, large. We have serious, non-serious  
5 buckets, but -- but we don't have the development  
6 factors at that detail for each coverage.

7 MS. KATHLEEN MCCANDLESS: Is it  
8 possible for MPI to provide the actual claims count  
9 within each severity grouping within each accident  
10 year for each coverage?

11 MR. LUKE JOHNSTON: Yes, it is. Yeah.

12 MS. KATHLEEN MCCANDLESS: And so, by  
13 way of undertaking, you would provide the -- MPI would  
14 provide the actual claims counts within each severity  
15 grouping within each accident year for each coverage?

16 MR. LUKE JOHNSTON: Just give me one  
17 (1) second to look at the claims incurred book. I'm  
18 sure you've already done it, but I'm kind of surprised  
19 we don't have the counts, but...

20

21 (BRIEF PAUSE)

22

23 MR. LUKE JOHNSTON: Okay. So I  
24 believe it was -- I lost my page -- CI-14 -- just to  
25 make sure I understand.

1                   So, essentially, you're asking for this  
2 table with claim counts instead of average severities.  
3 That would be what I think you're asking for. Yeah.

4                   MS. KATHLEEN MCCANDLESS: Yes. But if  
5 there's any revisions to that, I think we can discuss  
6 offline and -- and correct the undertaking.

7                   MR. LUKE JOHNSTON: Yes, we can do  
8 that. Yeah.

9                   So if I was to -- if I think I know  
10 what you're asking, I would say MPI to update figure  
11 CI-14 to include claim counts by accident year and  
12 severity bucket, similar to CI-14.

13                  MS. KATHLEEN MCCANDLESS: Yes. Thank  
14 you.

15

16 --- UNDERTAKING NO. 27: MPI to update figure CI-14  
17 to include claim counts by accident  
18 year and severity bucket, similar to  
19 CI-14

20

21 CONTINUED BY MS. KATHLEEN MCCANDLESS:

22                  MS. KATHLEEN MCCANDLESS: So jumping  
23 back to Exhibit Number 11, MPI was asked to provide  
24 claim severity trend indications without splitting by  
25 severity group. Yes?

1 MR. LUKE JOHNSTON: Yes.

2 MS. KATHLEEN MCCANDLESS: And then, at  
3 MPI -- PUB-MPI-2-6, MPI provided alternative claims  
4 severity trend indications weighting by claim count,  
5 instead of by incurred loss amount. Yes?

6 MR. LUKE JOHNSTON: Yes.

7 MS. KATHLEEN MCCANDLESS: Now, if we  
8 compare trend indications split by weighted -- split  
9 weighted by incurred loss amount, split weighted by  
10 claim count versus no split -- I'm going to take you  
11 to some of these figures and -- and we'll walk through  
12 some of the comparisons.

13 MR. LUKE JOHNSTON: Okay.

14 MS. KATHLEEN MCCANDLESS: So --

15 MR. LUKE JOHNSTON: Can't wait.

16 MS. KATHLEEN MCCANDLESS: I'm sure --

17 MR. LUKE JOHNSTON: I probably created  
18 them or somebody in my area did.

19 MS. KATHLEEN MCCANDLESS: --  
20 everyone's excited about this.

21 MR. LUKE JOHNSTON: Yeah. Okay.

22 MS. KATHLEEN MCCANDLESS: So first, if  
23 we go to CI-14.

24

25 (BRIEF PAUSE)

1 MS. KATHLEEN MCCANDLESS: And this is  
2 the weekly indemnity ultimate severity. At the very  
3 bottom, we see total severity growth is 1.5 percent.

4 MR. LUKE JOHNSTON: Yes.

5 MS. KATHLEEN MCCANDLESS: And then, if  
6 we go to PUB-MPI-2-6, figure 1.

7

8 (BRIEF PAUSE)

9

10 MS. KATHLEEN MCCANDLESS: And this is  
11 split by count. Yes?

12 MR. LUKE JOHNSTON: By claim count,  
13 yes.

14 MS. KATHLEEN MCCANDLESS: Yes.  
15 Weighted by claim count.

16 We see there that the total severity  
17 growth is 4.68 percent, at line 23?

18 MR. LUKE JOHNSTON: I do.

19 MS. KATHLEEN MCCANDLESS: And then,  
20 the non-split -- so that's Exhibit Number 11 -- we  
21 have the same figure.

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: Thank you.

1 Figure 1 shows, at line 23 as well, total severity  
2 growth of 5.99 percent?

3 MR. LUKE JOHNSTON: Yes.

4 MS. KATHLEEN MCCANDLESS: Then if we  
5 go to CI-18. And this is split accident benefits  
6 other indexed ultimate severity. And this is split  
7 weighted by loss. Yes?

8 MR. LUKE JOHNSTON: Agreed.

9 MS. KATHLEEN MCCANDLESS: Line 23  
10 shows a severity growth of 1.53 percent?

11 MR. LUKE JOHNSTON: Yes.

12 MS. KATHLEEN MCCANDLESS: And then, if  
13 we go back to PUB-MPI-2-6. Figure 2 now would be  
14 accident benefits other indexed ultimate severity  
15 split weighted by claims count. Yes?

16 MR. LUKE JOHNSTON: Correct.

17 MS. KATHLEEN MCCANDLESS: And there,  
18 we see the total severity growth, at line 23, of 4.77  
19 percent. Yes?

20 MR. LUKE JOHNSTON: Yes.

21 MS. KATHLEEN MCCANDLESS: And then,  
22 the non-split, at MPI Exhibit Number 11, figure 2.  
23 Line 23 shows a total severity growth of 1.91 percent.  
24 Yes?

25 MR. LUKE JOHNSTON: Yes.

1 MS. KATHLEEN MCCANDLESS: We're  
2 halfway through this exercise.

3 So if we could go to CI-22. And here,  
4 we're looking at accident benefits other non-indexed  
5 ultimate severity?

6 MR. LUKE JOHNSTON: Yes.

7 MS. KATHLEEN MCCANDLESS: Split  
8 weighted by loss. And line 23 shows a total severity  
9 growth of 1.22 percent?

10 MR. LUKE JOHNSTON: Correct.

11 MS. KATHLEEN MCCANDLESS: Then 2-6 --  
12 thank you, Kristen -- figure 3. The same category,  
13 but now it's split weighted by claims count. We see,  
14 at line 23, total severity growth of 1.55 percent?

15 MR. LUKE JOHNSTON: Yes.

16 MS. KATHLEEN MCCANDLESS: And non-  
17 split at Exhibit 11, figure 3, shows the total  
18 severity growth of 1.45 percent. Yes?

19 MR. LUKE JOHNSTON: One-point-four-  
20 five (1.45), yes.

21 MS. KATHLEEN MCCANDLESS: Finally, CI-  
22 29. This is public liability bodily injury. Line 23  
23 shows the total severity growth for a split weighted  
24 by loss at 1.77 percent?

25 MR. LUKE JOHNSTON: Yes.

1 MS. KATHLEEN MCCANDLESS: Split  
2 weighted by count at Figure 4 of PUB-MPI-2-6 shows a  
3 total severity growth of 3.79 percent?

4 MR. LUKE JOHNSTON: Yes.

5 MS. KATHLEEN MCCANDLESS: And the non-  
6 split at Figure 4 shows a total severity growth of  
7 3.59 percent.

8 MR. LUKE JOHNSTON: Correct.

9 MS. KATHLEEN MCCANDLESS: Thank you.  
10 Mr. Johnston, I believe last year your evidence was  
11 that you would have trouble supposing a four (4) plus  
12 trend for severity growth for weekly indemnity.

13 Would you agree?

14 MR. LUKE JOHNSTON: I believe I said  
15 that, yes.

16 MS. KATHLEEN MCCANDLESS: And if we go  
17 to page 2 of PUB-MPI-2-6, the response at (a), MPI was  
18 asked why MPI -- why it believes a negative trend was  
19 warranted, given the overall observed positive trend,  
20 and MPI replied that:

21 "Upon further review, MPI believes  
22 it is inappropriate to use the  
23 proportion of claims incurred  
24 between the three (3) different  
25 severity groups for weekly indemnity

1 as the weights when calculating the  
2 weighted average severity growth.  
3 Instead, MPI believes it is more  
4 appropriate to use claim counts, as  
5 weighting by claims incurred  
6 allocated a larger proportion of the  
7 severity growth in higher-severity  
8 claims to the total. Splitting  
9 claim severities into different  
10 groups minimizes the impact of the  
11 variability of high-severity claims  
12 on an overall severity growth.  
13 Large annual swings in the severity  
14 of high-severity claims can mask  
15 underlying severity growth."

16 Yes?

17 MR. LUKE JOHNSTON: Yes.

18 MS. KATHLEEN MCCANDLESS: Can you  
19 explain why MPI believes that a large number of small  
20 claims, which make a small contribution to the overall  
21 cost of a given coverage, should be given more weight  
22 when selecting trends than a smaller number of large  
23 claims, which make a large contributions to the  
24 overall loss for a given coverage?

25

1 (BRIEF PAUSE)

2

3 MR. LUKE JOHNSTON: Maybe repeat that  
4 one one (1) more time? I know you probably were  
5 challenged to spit that out word for word, but I'll  
6 try to listen to it better this time.

7 MS. KATHLEEN MCCANDLESS: Can MPI --  
8 or, Mr. Johnston, can you explain why MPI is of the  
9 view that a large number of small claims, which make a  
10 small contribution to the overall cost -- overall loss  
11 cost for a given coverage, should be given more weight  
12 when selecting trends than a smaller number of large  
13 claims, which make a large contribution to the overall  
14 loss cost for a given coverage?

15 MR. LUKE JOHNSTON: I'll take a --  
16 take a shot at that. So I think you're really getting  
17 to the -- the point of the buckets.

18 We have a mix of claims that are a  
19 whole bunch of minor stuff that don't add up to much  
20 in terms of the overall incurred. And then we have a  
21 really critical category where even just adding  
22 another ten (10) or so claims to that, you're talking  
23 about \$5 million of -- of incurred.

24 So the -- that is a reason for -- for  
25 splitting the buckets, and the idea behind the method

1 is to get at exactly what you're getting at. If we --  
2 if we look at the group in aggregate, we may not pick  
3 up the fact that there's just been a minor increase or  
4 increase in claim counts for small claims, and it  
5 could have a very immaterial impact to the overall  
6 estimate. But if we put them in buckets and forecast  
7 them separately, we'll hopefully pick up any -- any  
8 differences in the big claims and then -- versus small  
9 claims.

10 MS. KATHLEEN MCCANDLESS: Can you  
11 explain how either of the two (2) approaches -- so the  
12 approach for small claims versus larger claims -- is  
13 able to capture any change in proportion of claims in  
14 the different sever -- severity groupings?

15 MR. LUKE JOHNSTON: The claim-count  
16 approach is the most useful in terms of the proportion  
17 piece. I talked earlier about weekly indemnity, and  
18 the increases we've seen there really have nothing to  
19 do with the overall total claims. It has a -- has  
20 everything to with how many of those claims become  
21 lifetime and, essentially, go into that large bucket.  
22 So that -- that's the key driver.

23 MS. KATHLEEN MCCANDLESS: Has MPI  
24 performed any analysis that has determined there has  
25 not been any significant change in proportion of the

1 claims in the different severity groupings?

2 MR. LUKE JOHNSTON: We -- we track the  
3 claims and the incurred and the severity in each of  
4 the buckets, so you'll -- you'll see the counts in the  
5 undertaking.

6 I think the view that we're taking from  
7 a forecasting perspective is really that we don't  
8 expect much change in those over the next few years,  
9 but I have already referenced -- for weekly indemnity,  
10 there's a very -- you know, well-known change post-BI3  
11 where that did actually happen. So our forecast would  
12 reflect current state but not -- not rejecting the  
13 fact that those trends change over time and we should  
14 recognize them.

15 MS. KATHLEEN MCCANDLESS: Has MPI  
16 changed the severity trend assumptions from the GRA as  
17 filed to the values in PUB-MPI-2-6?

18 MR. LUKE JOHNSTON: We have not.

19 MS. KATHLEEN MCCANDLESS: And can you  
20 explain why that is the case, given MPI's response in  
21 2-6 that it believed that the approached -- the  
22 approach used in this GRA was not appropriate?

23 MR. LUKE JOHNSTON: We're -- we're  
24 recognizing that this question was raised and saying  
25 that we did analysis and that we agree that we can

1 improve this approach go -- going forward. But for  
2 this GRA, we maintained the existing approach to the -  
3 - for -- of the existing forecasting methodology.

4 MS. KATHLEEN MCCANDLESS: Does MPI  
5 have any intention to change its approach in the next  
6 GRA?

7 MR. LUKE JOHNSTON: Yes. Basically,  
8 we've admitted that the approach has merit and that  
9 that should become part of the methodology.

10 MS. KATHLEEN MCCANDLESS: With respect  
11 to the calculation of the interest rate impact on  
12 claims incurred in PUB-MPI-2-11, which we looked at a  
13 number of days ago now, and in the October update,  
14 which was MPI Number 27, what was the discount rate  
15 used for the calculation of the interest rate impact  
16 on claims incurred?

17 MR. LUKE JOHNSTON: Sorry, in the  
18 original and the updated filing?

19 MS. KATHLEEN MCCANDLESS: The -- the  
20 June 30th, so PUB-MPI-2-11, and then the October  
21 filing as well.

22 MR. LUKE JOHNSTON: I -- I'd have to  
23 look that up, unless you have a reference. Just too  
24 many interest rates jumping around. I can't remember,  
25 yeah.

1 MS. KATHLEEN MCCANDLESS: I can take  
2 you to the IR and the -- if that helps. PUB-MPI-2-11.

3 MR. LUKE JOHNSTON: That would be  
4 appreciated. Thank you.

5

6 (BRIEF PAUSE)

7

8 MR. LUKE JOHNSTON: So the --  
9 obviously, if the question is what was the new-money  
10 yield on June 30th, 1.93 percent.

11 MS. KATHLEEN MCCANDLESS: The discount  
12 rate used for the calculation of the interest rate  
13 impact on claims incurred.

14 MR. LUKE JOHNSTON: Yeah, I'd have to  
15 -- I'd have to look that up, yeah.

16 MS. KATHLEEN MCCANDLESS: And  
17 similarly with respect to the October update, you  
18 would need -- so perhaps we could just do it by way of  
19 undertaking, then?

20 MR. STEVE SCARFONE: Yes, that's fine,  
21 counsel. We'll provide those two (2) discount rates  
22 for the GRA filing and for the October update.

23 MS. KATHLEEN MCCANDLESS: So, and just  
24 to be clear for the record, it would be MPI to provide  
25 the discount rate used for the calculation of the

1 interest rate impact on claims incurred in PUB-MPI-2-  
2 11 and MPI Exhibit Number 27. And, if possible, as  
3 part of this, could MPI please include the  
4 calculations involved in the calculation of the  
5 discount rate as at June 30, 2020, and August 31,  
6 2020?

7 MR. LUKE JOHNSTON: So I -- I think I  
8 heard, What were the discount rates used and how are  
9 they calculated? I'm assuming you mean the backing  
10 portfolio composition of that calculation. So I'm  
11 just going to guess that that's -- okay, okay.

12

13 --- UNDERTAKING NO. 28: MPI to provide the discount  
14 rate used for the calculation of the  
15 interest rate impact on claims  
16 incurred in PUB-MPI-2-11 and MPI  
17 Exhibit Number 27; and, if possible,  
18 include the calculations involved in  
19 the calculation of the discount rate  
20 as at June 30, 2020, and August 31,  
21 2020

22

23 CONTINUED BY MS. KATHLEEN MCCANDLESS:

24 MS. KATHLEEN MCCANDLESS: Thank you.  
25 Those are my questions on claims incurred. Thank you,

1 Mr. Johnston.

2 Mr. Wennberg, for you, I am going to  
3 follow up on a presentation that was made before the  
4 Board last Monday by the Automotive Trades  
5 Association.

6 And if we could jump to slide 11.

7

8 (BRIEF PAUSE)

9

10 MS. KATHLEEN MCCANDLESS: So, this is  
11 part of a presentation PowerPoint that was made to the  
12 Board on October 19th by the Automotive Trades  
13 Association.

14 And first, looking at slide 11, what  
15 the Board was told was that Manitoba severity is 50  
16 percent below the national average. And so, we see  
17 they provided an average Canadian appraisal value, the  
18 ultimate severity for MPI, and the difference.

19 Do you see that?

20 MR. CURTIS WENNBERG: Yes.

21 MS. KATHLEEN MCCANDLESS: Has MPI had  
22 an opportunity to look at the severity analysis  
23 between Manitoba and other jurisdictions?

24 MR. CURTIS WENNBERG: Not this  
25 specific analysis. And -- but we have seen some of

1 the Mitchell reports over time.

2 MS. KATHLEEN MCCANDLESS: What was  
3 presented by the Automotive Trades Association  
4 indicates that severity -- MPI's severity is  
5 materially lower than national and western Canada  
6 averages.

7 Does MPI agree with this?

8 MR. CURTIS WENNBERG: There's always  
9 different perspectives when you look at severity. And  
10 so, in the Mitchell reports, for example, what they  
11 look at is just the average amount of cost to repair a  
12 vehicle, so the severity of -- of fixing it.

13 And we do know that Ontario, for  
14 example, there's a lot of Mitchell use being -- being  
15 done in Ontario, and their severity per repair car is  
16 a lot higher than -- than Manitoba's. And we also  
17 know that Saskatchewan's a little higher than ours, as  
18 well.

19 But what -- what we've tried to mention  
20 a few times to the auto trades here in Manitoba is  
21 that there's a lot of factors. And -- and I think --  
22 I'm not sure if they -- if they presented all the  
23 different factors that go into repair severity, but  
24 you could have a situation where in Manitoba, for  
25 example, there's less implications on someone for

1 making a claim on their vehicle.

2                   Let's say it's on an eight hundred  
3 dollar (\$800) claim or a twelve hundred dollar  
4 (\$1,200) claim. And let's say that they have -- most  
5 of our customers have a two hundred dollar (\$200)  
6 Extension deductible.

7                   And so there's -- there's a lot of  
8 incentive of them to go ahead and make the claim,  
9 whereas if you have other environments, if they have a  
10 twelve hundred dollar (\$1,200) claim, there's no way  
11 they'd be claiming that through their insurance, and  
12 they may just be handling those separately.

13                   So, what that does is it takes a lot of  
14 the lower dollar claims out of the pool that's in the  
15 Mitchell data. And, you know, even though it may cost  
16 the same amount to repair the vehicles, in the end,  
17 their -- their data is skewed upwards on severity.

18                   MS. KATHLEEN MCCANDLESS:   How do MPI's  
19 labour rates compare with other jurisdictions?

20                   MR. CURTIS WENNBERG:   We took a look  
21 at labour rates and, actually, even Mitchell used to  
22 publish this in -- in a lot of their updates. And in  
23 Ontario and Quebec, they seem to have some of the  
24 lower body labour rates in Canada, and they are in and  
25 around the fifty dollar (\$50) to sixty dollar (\$60)

1 range. And I've -- I've spoken with -- with other  
2 folks from those jurisdictions, and that seems to hold  
3 true.

4                   You will get for profit insurance  
5 carriers that in the end actually do designated repair  
6 network groups, and they negotiate how much they will  
7 be paying for those folks to do the work on their  
8 behalf.

9                   And -- and then we've also looked at  
10 across Canada, and in SGI, they pay higher than we do.  
11 And in BC, they -- they pay a little bit higher than  
12 we do. And -- and we had done a study in the past,  
13 too, to -- because it's more than just the labour  
14 rate.

15                   And the ATA and the MMDA groups are  
16 correct to say that what you end up paying for a  
17 vehicle is a combination of how much you pay on the  
18 labour rate, and then what your Estimatics determine,  
19 so how many hours for this dent or do you allow OEM  
20 parts or recycled parts or after-market parts for a  
21 specific thing.

22                   And all that in combination is what  
23 leads you to a severity for -- for repairing that car.

24                   MS. KATHLEEN MCCANDLESS: If we move  
25 to the -- the next slide, the Automotive Trades

1 Association presented that there's excessive attention  
2 by MPI on rates and shifts the focus from the real  
3 issue of severity despite reported labour and material  
4 rates being in the top quartile.

5                   How -- how is it possible that  
6 Manitoba's severity is consistently below national and  
7 western Canadian averages? Can you maybe just speak  
8 to this and explain? I mean, they're attributing some  
9 things here to how MPI does things.

10                   And perhaps you could just speak to --

11                   MR. CURTIS WENNBURG:     Yeah.

12                   MR. STEVE SCARFONE:     I just -- I don't  
13 mean to interrupt My Learned Friend's line of  
14 questioning. I just want to caution the Board to  
15 remember that the evidence that's being put to Mr.  
16 Wennberg is, in fact, not evidence.

17                   And so, MPIC hasn't had a real  
18 opportunity to examine and test the assertions being  
19 made by the Association in this presentation. But I  
20 know Mr. Wennberg's more than happy to address the  
21 questions, but it -- it needs to be remembered that  
22 the -- the information that's presented in this slide  
23 deck is not before this Board as evidence.

24                   THE PANEL CHAIRPERSON:   Thank you, Mr.  
25 Scarfone. Yes, we're certainly aware of that.

1 MR. CURTIS WENNBERG: Thank you. So,  
2 they're -- they're correct in this slide in that we  
3 have had a lot more attention by MPI on -- on making  
4 sure our rates are -- are low and stable.

5 And when -- when I first came in four  
6 (4) years ago, we did see increase in severity to the  
7 tune of the 8 -- 9 percent, and that was much higher  
8 than the industry standard. And we wanted to get a  
9 handle on that very quickly. That was a -- that was  
10 very much a blur -- a burning platform.

11 And we've also done some things that  
12 are more made in Manitoba, if you will, like paying 85  
13 -- or sorry, eighty-one dollars (\$81) for direct  
14 repair when we were looking at rolling that out. And  
15 that just didn't seem to have a similar payment  
16 anywhere else in -- in North America that we could  
17 find.

18 And so, we -- we started to try and  
19 look at trying to go industry standard in every -- all  
20 ways that we pay for repairing vehicles.

21 In our last agreement with the ATA  
22 MMDA, we elected to stay at our seventy-four dollar  
23 (\$74) body labour rate because it was high. We looked  
24 at it relative to other jurisdictions, and so we kept  
25 it that way.

1                   And we also really worked with the --  
2 the interest groups, the ATA and MMDA, around which  
3 Estimatics does MPI use that is outside of industry  
4 norm, and we reversed one (1), for example.

5                   Like, for blend, when you're blending  
6 one (1) paint panel into another, we used to just pay  
7 a half an hour on -- on all jobs whether it needed it  
8 or not, and it was just an unusual thing, probably an  
9 accident of history.

10                  And -- and now, since that last  
11 agreement, we've unwound that, so we go with,  
12 basically, industry standard. And we also unwound an  
13 -- an awful lot of other things, that we're trying to  
14 pay more of the what is normal out there in the -- in  
15 the marketplace.

16                  And we -- we actually have -- have done  
17 a number of those last agreement. Some of those  
18 actually in sum total are going to be less than a  
19 hundred thousand dollars.

20                  And so, we -- we've shared with the  
21 industry that, if there's others, like, what are your  
22 top three (3) or four (4) that you want to look at in  
23 next compensation review, and we're -- we're open to  
24 that.

25

1 CONTINUED BY MS. KATHLEEN MCCANDLESS:

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 In terms of the Mitchell software that's used for  
4 processing a claim, how does it establish labour,  
5 time, or materials for a typical collision repair.

6 MR. CURTIS WENNBERG: Mitchell will  
7 review their labour times. It's a bit of a black box  
8 to us how they do this. They're -- they're domiciled  
9 in San -- San Diego, California.

10 They serve all sorts of both carriers  
11 and repair networks in -- in the environment, so  
12 they're -- they're almost neutral in terms of their  
13 interest group.

14 So, I serve on their customer advisory  
15 panel for insurance carriers. But then they also have  
16 a separate customer advisory panel for repair shops,  
17 so they -- they hear both sides. And they want to  
18 make sure that there's some -- some fairness in how  
19 they set these -- these average repair rates.

20 MS. KATHLEEN MCCANDLESS: Does the  
21 software establish the labour times and material that  
22 would be required for completing a particular repair?

23 MR. CURTIS WENNBERG: Yes. Now, the -  
24 - the material will depend on the Estimatics. So, our  
25 estimator will look at your car and we -- we will

1 itemize some of the -- the procedures and the parts  
2 that might be needed. And then that goes to a repair  
3 group. And they will confirm that that estimate is  
4 correct, or they'll supplement it as need be. And  
5 then we'll agree with what requires on that car.

6 But they'll use the Mitchell software  
7 to, you know, determine the different parts, pieces  
8 for that actual repair. It makes it much easier than  
9 what we used to have where it was all paper based.

10 MS. KATHLEEN MCCANDLESS: And  
11 appreciating that this is not -- was not sworn  
12 testimony before the Board and not subject to cross-  
13 examination, but the ATA had indicated to the Board in  
14 its presentation that there's a loophole in the  
15 Mitchell alternate estimate platform that allows MPI  
16 to establish compliant rates.

17 Are you aware of that?

18 MR. CURTIS WENNBERG: I'm not sure 100  
19 percent what they mean by said loophole or -- or  
20 compliant rates.

21 MS. KATHLEEN MCCANDLESS: I guess, put  
22 another way, does MPI have the ability to adjust or  
23 reduce labour time or materials for a claim?

24 MR. CURTIS WENNBERG: Well, yes. Our  
25 -- our estimators can determine what is specifically

1 required by -- based on the size of the dent or other  
2 things like that.

3                   And then so does the shop. The shop  
4 will also have the ability to determine -- they may --  
5 they may look at a vehicle and say, no, this estimate  
6 isn't -- isn't accurate enough, and -- and so they  
7 supplement that estimate.

8                   MS. KATHLEEN MCCANDLESS:   And when you  
9 say, "this estimate," you mean the estimate that's  
10 produced by the software or --

11                   MR. CURTIS WENNBERG:   Well, it's --  
12 behind the software has got to be an estimator, either  
13 on the MPI side or in the shop side. So the software  
14 only does certain amounts. It can't -- it can't  
15 determine the size of the dent or that -- the art and  
16 science, if you will, around determining how much it  
17 costs to repair a car.

18                   MS. KATHLEEN MCCANDLESS:   Thank you.  
19 So does MPI -- MPI's estimators override Mitchell?

20                   MR. CURTIS WENNBERG:   Well, the  
21 estimator will determine how much is -- like there's  
22 no specific grid that we have yet that says, well,  
23 this is exactly 24 centimetres long of a dent or those  
24 -- those types of specificities don't exist in  
25 Mitchell.

1                   So what -- what I would do would be get  
2 our team together with the ATA, MMDA and determine  
3 which of the specifics -- what are the -- the  
4 loopholes they're referring to within Mitchell.

5                   I can commit to this Board and -- and  
6 all of our partners that we're not here to underpay  
7 for any repair; that's not our nature.

8                   And what we've told everybody, repair  
9 shops included, is that if it costs ten thousand  
10 (10,000) to repair a vehicle, that's what we want to  
11 pay is ten thousand (10,000). We don't want to pay  
12 fifteen thousand (15,000) and we don't want to pay  
13 eight thousand (8,000).

14                   So we're -- we're open and we're  
15 interested in -- in just being roughly average in  
16 terms of how much it costs Manitobans to get their  
17 cars fixed.

18                   MS. KATHLEEN MCCANDLESS:    The ATA, if  
19 we move forward in its presentation, at slide 13 was  
20 indicating there's an issue with profitability for  
21 collision repair shops in Manitoba.

22                   And at the next slide made mention of  
23 the Physical Damage Re-engineering Project which  
24 further eroded profitability and stated that excessive  
25 attention was paid by MPI on driving down its

1 operational costs without due attention to the needs  
2 for a healthy and sustainable industry.

3           There are fewer shops, more  
4 consolidation, jeopardizing MPI's distribution  
5 channels as shops in some smaller markets to the north  
6 and remote communities cannot support the needed  
7 investments on low profit margins.

8           So has the Corporation undertaken any  
9 analysis of the relative profitability of rural  
10 collision repair facilities versus urban facilities?

11           MR. CURTIS WENBERG:   Not recently.  
12 There was a number of years ago -- and I -- I can't  
13 remember the specific year; it may have been 2012 to  
14 2014, somewhere in that time period -- MPI did a study  
15 on the profitability of the repair trade and -- and  
16 used an external third party to do so.

17           In -- in reading through that, I found  
18 it to be a difficult study. Also, I -- I think -- I  
19 think the profit and loss statements for these types  
20 of businesses can be -- can be a little difficult to  
21 analyze.

22           Historically, within auto repair, too,  
23 there's been work that's done via cash and work that's  
24 done that's non-cash. And so it -- it can make it  
25 very difficult to determine profitability.

1                   If we -- if we look at our labour rates  
2 and we look at what we pay, it seems to be -- it seems  
3 to be strong in terms of how much we pay relative to  
4 other jurisdictions. And so that's one (1) data point  
5 that -- that tells us that we're probably paying about  
6 right.

7                   And we've been paying more if you look  
8 at some of the historicals of ten (10) years of the  
9 increased amounts of severity. Overall, we've been  
10 paying what you would see increasing amounts relative  
11 to the industry standard, you know, smoothing out some  
12 of the issues that I -- I described as we went through  
13 Mitchell.

14                   From an anecdotal standpoint, in my  
15 four (4) years here, we have not had any exodus of  
16 repair shops that have been doing work for us or -- or  
17 not wanting to do any more work for us. So that's  
18 been interesting.

19                   And as you've seen from my colleague in  
20 presenting a lower and lower frequency, that -- that  
21 frequency is not just a Manitoba phenomenon. And in  
22 the very long term, we're looking at lots of -- of  
23 less accidents in vehicles across the globe,  
24 basically, as we move to more -- different  
25 technologies.

1                   And so that is something that people  
2 are predicting in the long term. In the -- in the  
3 existing term, we have seen lower frequency.

4                   We also -- we did have an exodus of  
5 shops that worked for us a couple of years ago when we  
6 brought in direct repair. But the reason they -- they  
7 left us was more about the requirement for us to get  
8 them trained to what's called a gold -- gold level  
9 with ICAR. It's an independent firm that works across  
10 North America that determines the level of -- of  
11 training and -- and those sorts of things that are  
12 needed for shops.

13                   And it was getting that level passed  
14 that shops decided to -- if they were nearing  
15 retirement or, you know, they were moving out, they  
16 chose that as the opportunity to stop work.

17                   And that was roughly about twenty (20)  
18 shops, a few dozen shops, and in reality that was less  
19 than a couple of percent of our total repair capacity.  
20 So these were the smallest of the smalls.

21                   That event is the only event when we  
22 actually saw anyone stopping work for MPI from a  
23 trade. So -- so there's the -- the data point you  
24 have around how we pay and our labour rates being  
25 relatively high.

1                   You have our data point of our severity  
2 has gone up with the overall industry, and we pay a  
3 fair amount more now for repairs than we did five (5)  
4 years ago and -- and especially ten (10) years ago.  
5 And then you've got nobody leaving us in terms of  
6 doing the repairs.

7                   And the -- the last data point I would  
8 say on this is that, interesting -- this COVID year is  
9 going to be a very interesting experiment for us, a  
10 natural experiment where you're taking, what, maybe 20  
11 percent of the total repair frequency out of this  
12 year, and still to this date we don't see many repair  
13 shops that have told us that they're using this  
14 opportunity to close.

15                   So that's interesting, too, that if  
16 that significant amount of volume leaves, that --  
17 that, you know, there hasn't been a -- a corresponding  
18 impact on the -- on the competitive marketplace.

19                   MS. KATHLEEN MCCANDLESS:    The  
20 Automotive Trades Association made mention of the  
21 Physical Damage Re-engineering Project, and, Mr.  
22 Wennberg, I take it you're aware of the negative net  
23 present value of that project --

24                   MR. CURTIS WENNBERG:    Yes.

25                   MS. KATHLEEN MCCANDLESS:    -- which was

1 significant, I believe approximately \$55 million as of  
2 the last analysis that --

3 MR. CURTIS WENBERG: Yes.

4 MS. KATHLEEN MCCANDLESS: -- that the  
5 Board had seen.

6 And so because of the relatively  
7 unsuccessful launch of that program, is MPI focussed  
8 somehow on cutting costs related to reversing that --  
9 that negative Net Present Value?

10 MR. CURTIS WENBERG: Oh, I see. No.  
11 So if -- if the view here is that we lost money in  
12 that overall PDR Program and therefore we're going to  
13 extract it on either Estimatics or the repair shop  
14 network, that's -- that's absolutely not true and --  
15 and is not -- it's not even our approach.

16 What we are trying to do is utilize the  
17 assets of what the PDR Project has provided us, and --  
18 and what PDR brought was the Mitchell system. That --  
19 that is bringing from paper-based estimating to a more  
20 normal industry-standard way of doing these things,  
21 and it also allowed us to do other things like direct  
22 repair.

23 We are seeing a number of FTE that we  
24 no longer need any more, and this is from the MPI side  
25 in terms of reducing our costs. And -- and so we're

1 using all the tools that we have available to us to  
2 lower our costs at all times, but that's -- that's  
3 part of more the lean way that we look at all of the  
4 internal processes or external processes these days.

5           You know, similar to -- if you may  
6 think about the rodents and -- and what we did with  
7 them, that was just looking at industry standard  
8 practices and trying to just build the best case for  
9 what should we do here in Manitoba.

10           We've done a complete restructure of  
11 how we're doing the salvage, and we've gone on to  
12 total online instead of in the salvage auction site  
13 physically on Wednesdays, and we're finding great  
14 performance there, all kinds of other things that  
15 we're doing. And -- and some of that used the PDR pla  
16 -- platform and some didn't.

17           MS. KATHLEEN MCCANDLESS: In terms of  
18 profitability of shops in the north, there was mention  
19 on slide 15 of issues that have an impact on  
20 profitability, so lack of skilled labour, long waits  
21 for northerners due to short staffing, vehicles  
22 transported to -- to the south for repair on an annual  
23 basis.

24           Are there circumstances that warrant  
25 not processing vehicles in the north? For example,

1 are there capacity considerations?

2 MR. CURTIS WENNBERG: Yeah. Yes. If  
3 you look at the amount of repair facilities we have,  
4 let's say, north of -- of Swan River or -- or, you  
5 know, pick a -- pick a location north of The Pas,  
6 there's both not a large population of Manitobans and  
7 a small number of repair facilities.

8 And so, we do want representation up  
9 there to repair their -- their vehicles and -- and  
10 have that -- have that service available for those  
11 Manitobans, and so it's definitely something we want  
12 to see long-term.

13 And it's not just there, too; it's  
14 anywhere in rural environments. We want to make sure  
15 that there's good -- good local access to being able  
16 to fix vehicles.

17 MS. KATHLEEN MCCANDLESS: And so, is  
18 MPI doing something to address capacity issues in the  
19 north in terms of training or support?

20 MR. CURTIS WENNBERG: Well, one (1) of  
21 -- one (1) of the things that we did is we agreed with  
22 -- with some of the shops in the north. I personally  
23 went up there for a visit in the winter of 2019 to  
24 hear some of their specific issues, heating costs.

25 And particularly, it's around skilled

1 labour, how do you attract and retain skilled labour  
2 up there.

3                   And -- and, well, I think we generally  
4 across the entire auto repair trade in not just  
5 Manitoba, but elsewhere, we -- we need to partner up  
6 and -- and make sure that we have appropriate skilled  
7 trades that can work on these vehicles.

8                   And -- and we've told the ATA and MMDA  
9 that we're -- we're interested within what capacity we  
10 have as a carrier to -- to assist with that.

11                   One (1) of the best places to assist  
12 with that is making sure that what we pay is industry  
13 standard. We don't want to pay lower.

14                   And potentially, because we have some  
15 of these northern communities that are different, we -  
16 - we might want to benchmark what we pay in the  
17 northern or remote areas to what other companies,  
18 like, in northern Ontario or northern Quebec also have  
19 to pay so that they have sustainable businesses.

20                   And -- and that way, we let the  
21 competitive market do what the competitive market does  
22 best. And -- and we just want to pay around that  
23 average.

24

25

(BRIEF PAUSE)

1 THE CHAIRPERSON: Sorry, Ms.  
2 McCandless, can I just interrupt and ask a question  
3 just based on your last answer?

4 On -- on this issue of the -- the  
5 higher cost for shops in northern or remote areas,  
6 when you -- when you made your last comment about --  
7 I'm just under -- I'm just trying to understand.

8 Are you saying that -- that MPI pays  
9 more or are you saying that this is an issue we should  
10 be looking at in the future?

11 MR. CURTIS WENNBERG: We made an  
12 agreement. There was an amendment to our last LVA  
13 agreement, and that was about a year ago now, where we  
14 increased the amount of payments for northern shops.

15 And it's -- I -- I can't remember the  
16 specific dollar, but it's roughly around ninety  
17 dollars (\$90) an hour. So, by comparison, we're at  
18 seventy-four dollars (\$74) in the south and almost  
19 ninety (90) in the north, so it is differential.

20 Now, we always had a differential --

21 THE CHAIRPERSON: Yeah.

22 MR. CURTIS WENNBERG: -- but we  
23 widened that based on the evidence that we heard.

24 THE CHAIRPERSON: Okay. Thank you.

25 MS. KATHLEEN MCCANDLESS: Thank you.

1

2 CONTINUED BY MS. KATHLEEN MCCANDLESS:

3 MS. KATHLEEN MCCANDLESS: Jumping to  
4 slide 19, here the ATA made the point that MPI wages  
5 surpassed the national industrial wage average by 24  
6 percent but that journey persons and shops earn less  
7 than the MPI equivalent position and fall below the  
8 national industrial wage average.

9 Is that -- from MPI's perspective, do  
10 you agree with the information that was presented?

11 MR. CURTIS WENNBERG: What I would  
12 provide would be a context to this by saying that  
13 often we will hire in the estimating group individuals  
14 that -- that might be -- might be near the end of  
15 their career from working on the bench.

16 It's less physical work as being an  
17 estimator. And we do want some of that skills and  
18 experience to recognize what this repair might take  
19 versus this other repair.

20 It's not always that case, but -- but  
21 often, it's true. So, we could have folks that we  
22 hire that do have a bit more experience than the  
23 average person in the shops. And that could be part  
24 of -- of the implications here.

25 The other thing that it misses from a

1 context perspective is that we have gone down in the  
2 number of estimators we use.

3                   Some of this was because of the PDR  
4 project and the benefits of what we did get out of  
5 that and some of it is just additional lean methods of  
6 looking at how we estimate cars and how we work with  
7 shops to do that work.

8                   MS. KATHLEEN MCCANDLESS:   Now, with  
9 respect to the Light Vehicle Accreditation Agreement.  
10 And that's -- you can see a reference to it in the MPI  
11 draft Annual Business Plan, which is Exhibit 13 at  
12 page 12.

13                   2.3.1 provides that the Corporation  
14 will begin early industry consulta -- consultation on  
15 a new agreement with Manitoba's collision repair  
16 industry with the current agreement set to expire  
17 April 15, 2021?

18                   MR. CURTIS WENNBERG:   Yes.

19                   MS. KATHLEEN MCCANDLESS:   And that  
20 over three hundred -- at over \$380 million in repair  
21 claims per year, vehicle repair is a significant cost  
22 driver for MT -- MPI customers and is only set to be  
23 rising with increasing repair costs for vehicles?

24                   MR. CURTIS WENNBERG:   Yes.

25                   MS. KATHLEEN MCCANDLESS:   And that

1 through 2020/'21, MPI will be looking to other Crown  
2 best practices in how our rate cards get defined  
3 within all applicable laws for setting such rates?

4 MR. CURTIS WENNBERG: Yes.

5 MS. KATHLEEN MCCANDLESS: During 2020,  
6 MPI will be consulting with the industry regarding how  
7 parts are used in insurance repairs?

8 MR. CURTIS WENNBERG: M-hm. Yes.

9 MS. KATHLEEN MCCANDLESS: And this  
10 requires industry standard software and rules on new  
11 original equipment parts, after market or recycled,  
12 yes?

13 MR. CURTIS WENNBERG: That's right.

14 MS. KATHLEEN MCCANDLESS: It states  
15 here:

16 "The effort to become more industry  
17 standard on parts has been delayed  
18 but is planned for launch in 2020."

19 Yes?

20 MR. CURTIS WENNBERG: That's right.

21 MS. KATHLEEN MCCANDLESS: What is the  
22 status of the -- of a revised Light Vehicle  
23 Accreditation Agreement?

24 MR. CURTIS WENNBERG: Well, there's --  
25 there's two (2) items in this statement. One (1) is

1 around our parts strategy, and the other one's around  
2 the LVA agreement.

3 In terms of the LVA agreement, it is  
4 coming due in April 15th, as it's -- as it's stated  
5 here. And we have yet to receive the industry's first  
6 presentation on what they would like to see changed or  
7 any suggestions for our -- our compensation.

8 And so, it just so happens it's this  
9 week we'll be meeting with them to sit down to -- to  
10 receive what they would like to see as -- as possible  
11 changes, and then determine how significant that  
12 difference is over what we pay today.

13 MS. KATHLEEN MCCANDLESS: So, in terms  
14 of status with -- or of industry consultations, it's  
15 just starting?

16 MR. CURTIS WENNBERG: That's correct.

17 MS. KATHLEEN MCCANDLESS: And does MPI  
18 expect that the new Light Vehicle Accreditation  
19 Agreement will address concerns that have been raised  
20 by the industry on the viability of the industry, in  
21 particular, in rural areas, including the north?

22 MR. CURTIS WENNBERG: Well, we -- we  
23 do seek to listen. And -- and we want industry  
24 feedback. And we want industry feedback from a  
25 variety of sources, too, and -- and so we -- we hope

1 to receive that.

2 I think the challenges within the auto  
3 body world and -- and finding skilled technicians can  
4 survive regardless of what we negotiate in terms of  
5 the compensation agreement, so there's going to be  
6 some elements that'll be a challenge.

7 And I think with the redu -- reduced  
8 frequencies, both for -- specifically acute this year  
9 because of COVID, but then even the long-term trends  
10 that my colleague was sharing with the PUB, I think  
11 this will always be an industry that's going to have  
12 some challenges as we move through and have more  
13 autonomous vehicle or -- or real safety features like  
14 the Ford collision avoidance which seems to have a  
15 strong correlation to reduced repairs.

16 And as more and more of these cars have  
17 that technology in them, there's just going to be less  
18 frequency for some of these repair networks.

19 We are also seeing different elements  
20 where a car mark or a car brand is also really trying  
21 to encourage its customer base to stay within the  
22 brand or the dealership for repairs, and that -- that  
23 can alter who they want to go for in future.

24 And so, we have to -- we're just going  
25 to be live to -- there's going to be issues ongoing

1 within repairing vehicles and how that shifts over  
2 time.

3 MS. KATHLEEN MCCANDLESS: Is MPI  
4 intending to establish a rate card as part of the new  
5 agreement?

6 MR. CURTIS WENNBERG: Yes. And I  
7 think by what you intend is that there's a negotiated  
8 agreement between a lobby group or a group of lobbies  
9 -- lobbyists like ATA and the MMDA and MPI.

10 Or do we go with what other Crown -- or  
11 at least one (1) other Crown has -- has tried, and  
12 that's to develop a rate card and maybe get a third  
13 party involved in the process?

14 And you may have heard the repair trade  
15 also talk about wanting to get a third party involved  
16 in the process. And -- and we're -- we're open to  
17 talk to them about that. We see merits in that, as  
18 well, you know, even particularly if you take a look  
19 at the severity and what was presented.

20 There can be very different points of  
21 perspective on that severity. And -- and therefore,  
22 if we adopt a -- a third party to assist in this  
23 process, we might even expand the amount of people  
24 that can give feedback within any compensation change.  
25 And then, MPI may just come out with a rate card based

1 on recommendations, so that there's no, you know,  
2 agreement per se with an interest group of -- that's  
3 representing one (1) portion of the repair trade.

4 But we'll -- we'll be talking to them  
5 for sure over this year and next on how that can work  
6 for everybody's benefit.

7 MS. KATHLEEN MCCANDLESS: Thank you.  
8 Those are my questions for Mr. Wennberg and for the  
9 panel.

10 THE PANEL CHAIRPERSON: Thank you.  
11 Mr. Williams, do you want to start now or would you  
12 prefer to break and start this afternoon?

13 DR. BYRON WILLIAMS: What I -- I think  
14 what I might do is follow-up on just that last  
15 conversation, which might take us five (5) or six (6)  
16 minutes. And then -- then suggest that we break for  
17 lunch.

18 THE PANEL CHAIRPERSON: Sure. That's  
19 fine.

20

21 CROSS-EXAMINATION BY DR. BYRON WILLIAMS:

22 DR. BYRON WILLIAMS: But it's not on  
23 your -- Ms. Schubert, it's not on your list. But from  
24 last year's Information Request -- and I'm going from  
25 memory here -- but CAC-1-1(p). I think it's -- it's a

1 lengthy response. I think page 10 of 11.

2

3 (BRIEF PAUSE)

4

5 DR. BYRON WILLIAMS: I hope I'm not  
6 going to show my memory is really bad here. Well, let  
7 -- let's see how I do.

8

9 (BRIEF PAUSE)

10

11 DR. BYRON WILLIAMS: Page 10 of 11?

12 Yeah.

13 Mr. Wennberg, in -- in our conversation  
14 with My Learned Friend, you were -- you were -- you  
15 recall discussing a rate card, sir? Agreed?

16 MR. CURTIS WENNBERG: Yes.

17 DR. BYRON WILLIAMS: And -- and you  
18 were talking generally about the practice of, at  
19 least, one (1) other Crown insurer in that, it doesn't  
20 have a direct agreement with a trade association, but  
21 involves a third party and -- and undertakes certain  
22 activities. You'll recall that generally, sir?

23 MR. CURTIS WENNBERG: Yes.

24 DR. BYRON WILLIAMS: And was that  
25 Crown insurer ICBC that you're referring to?

1 MR. CURTIS WENNBERG: Yes.

2 DR. BYRON WILLIAMS: And generally,  
3 sir, is -- is the process from British Columbia known  
4 as the Messenger model?

5 MR. CURTIS WENNBERG: It adopts --  
6 they don't necessarily use that specific term  
7 themselves. We -- we might use it to categorize --  
8 essentially, what they do is hire a third-party  
9 consultant. That -- that consultant then goes and  
10 speaks to a broad category of -- of either individual  
11 businesses or their associations that may represent  
12 them for -- for the repair trade. So we can leave out  
13 others that we deal with.

14 But just for the repair trade, that  
15 might be the -- the focus that are -- are related to  
16 glass repair. We have a lot of work in glass repair.  
17 It could be the repair shops that are represented by  
18 the Auto Trades Association that are more independent  
19 shops or it could be the dealers or the branded shops.  
20 And it could even be those that do things like --  
21 specific stuff, like hail or those types of things.

22 Including the rural, the remote versus  
23 the urban types of representation.

24 DR. BYRON WILLIAMS: And that third  
25 party would gather information, both from different

1 associations as well as from Manitoba Public  
2 Insurance? And -- and then what, sir?

3 MR. CURTIS WENNBERG: So we don't  
4 adopt this today. But I -- I think the approach is  
5 generally to gain information from multiple sources,  
6 have some consultations even, on, you know, maybe some  
7 themes that -- that are -- are relevant. And then,  
8 produce a report at the end.

9 It would also include benchmarks, where  
10 there are other benchmarks from other jurisdictions.  
11 Because, of course, we're not setting policy in a  
12 vacuum of just Manitoba or just B.C. or just Ontario,  
13 whatever it might be.

14 DR. BYRON WILLIAMS: And the ultimate  
15 result, sir -- and -- and if I've mis-stated it,  
16 you'll -- you'll correct me -- but the ultimate  
17 results would not be a formal agreement between MPI  
18 and some representatives of a trade association which  
19 may or may not include all -- all members of the  
20 trade.

21 MR. CURTIS WENNBERG: Right.

22 DR. BYRON WILLIAMS: Like, the end  
23 result is not a negotiated agreement. So what is the  
24 end result? A -- if you can elaborate on that.

25 MR. CURTIS WENNBERG: Yeah. And --

1 and, again, it would be more predicting the -- a  
2 potential future for it.

3                   But the end result would be a rate card  
4 that has the ability for multiple different groups to  
5 opine on it. And they still may disagree with the out  
6 -- the results at the end, but -- but it's a rate card  
7 that is then published by MPI and can be defended in,  
8 say, this forum or publically.

9                   The other piece that we have, from a  
10 governance or documentation of our relationship with  
11 our repairers, is that we have a specific agreement  
12 for repair shop 'A' to sign -- which outlines what we  
13 expect from them and what they expect from us. And  
14 the rate card that we provide could be a schedule  
15 that's -- that's, you know, alluded to within that  
16 agreement.

17                   But we don't have any -- there wouldn't  
18 be any -- any agreement per se between us and any  
19 association. It would be for those underlying shops.

20                   And we do have that today. Like, we  
21 have the LVAA, the Light Vehicle Accreditation  
22 Agreement is signed by those two-hundred-and-thirty  
23 (230) individual repair shops, if you will.

24                   DR. BYRON WILLIAMS: And so, in  
25 essence, MPI would be making an offer into the

1 marketplace and individual shops could choose to  
2 accept it or -- or not accept it.

3 MR. CURTIS WENNBERG: That's correct.

4 DR. BYRON WILLIAMS: And just --  
5 you'll note here in the response from last year's  
6 General Rate Application to CAC-1-1(P), it's suggested  
7 here that one (1) of the reasons ICBC adopted this  
8 approach was just to be careful of potential  
9 violations of the Competition Act, which can occur if  
10 a service provider association negotiates on behalf of  
11 its members. Agreed?

12 MR. CURTIS WENNBERG: Yes.

13 DR. BYRON WILLIAMS: And that's  
14 something going forward that Manitoba Public Insurance  
15 will have to be mindful of?

16 MR. CURTIS WENNBERG: We -- we need to  
17 be mindful of that.

18 DR. BYRON WILLIAMS: Okay. Madam  
19 Chair, members of the panel, that's -- I'll suggest we  
20 break for lunch.

21 THE PANEL CHAIRPERSON: Thank you, Mr.  
22 Williams. Can we return at 1:00, please?

23 MR. STEVE SCARFONE: Madam Chair, just  
24 before we break.

25 THE PANEL CHAIRPERSON: Yes.

1 MR. STEVE SCARFONE: Just looking  
2 ahead to this afternoon. So we have available -- so  
3 you may recall last week, Madam Chair, that as it  
4 concerned the -- the broker commissions and as those  
5 relate to the undertaking that was filed earlier this  
6 morning, you asked Mr. Giesbrecht if he would be  
7 available today to, perhaps, testify on those areas in  
8 camera.

9 So what -- and I don't know what time  
10 we'll get to it -- but what we propose to do, if it's  
11 agreeable to my friends, is there are a number of  
12 people that were putting together the response to that  
13 undertaking on Friday. And Mr. Dessler, you'll  
14 recall, was here on the -- on the Nova panel. He was  
15 instrumental in -- in providing that additional  
16 information. In addition to that, Mr. Dunstone --  
17 Dean Dunstone was involved.

18 So what we thought we could do was have  
19 some or all of those people available as a back row  
20 support, if necessary. Even bring Mr. Dessler back.

21 Because there was no workbook provided  
22 with the undertaking. So how we arrived at those  
23 numbers isn't filed, just the response to the  
24 undertaking. So there may be some questions that  
25 arise that only those gentlemen can answer.

1                   So I'm wondering if that is agreeable  
2 rather than having Mr. Giesbrecht return to answer  
3 those questions.

4                   THE PANEL CHAIRPERSON:    I look to Mr.  
5 Williams.

6                   DR. BYRON WILLIAMS:    Madam Chair,  
7 certainly, from our clients' perspective, that's fine.

8                   And I could just indicate, in  
9 conversations with My Learned Friend representing  
10 CMMG, that -- I'm going to guess that my cross of the  
11 current panel will take about an hour. And then, I  
12 understand that My Learned Friend has no more than ten  
13 (10) minutes and probably less than that.

14                   So just for -- for the convenience of  
15 Manitoba Public Insurance, you know, if we were re-  
16 assembling that -- or assembling that group for 2:15  
17 or -- or so -- that's up to the panel, obviously.  
18 But just from this side of the room, that's where  
19 we're coming from.

20                   THE PANEL CHAIRPERSON:    Thank you, Mr.  
21 Williams. That's helpful.

22                   And certainly, Mr. Scarfone, if that's  
23 what will help in terms of the availability of those  
24 people, then we'll assume the CSI portion of the --  
25 today's hearing will occur at around 2:15.

1 MR. STEVE SCARFONE: And that's what  
2 we'll conclude with, as I understand it, is the -- is  
3 the in camera session today?

4 MS. KATHLEEN MCCANDLESS: Yes.

5 THE PANEL CHAIRPERSON: That's  
6 correct.

7 MS. KATHLEEN MCCANDLESS: Just to  
8 follow up on Mr. Scarfone's comment, would it be  
9 possible for MPI to provide the workbook? That may  
10 make things more efficient.

11 MR. STEVE SCARFONE: So I can inquire  
12 about that. I don't -- I don't know that that -- so  
13 my comment earlier this morning about that, just to be  
14 clear, the concern that MPI has isn't about the late  
15 minute -- or last minute request. It's really just --  
16 we want to make sure that the information provided --  
17 the evidence is the best evidence.

18 And my concern for my client was that  
19 maybe some of the numbers that were advanced were  
20 inaccurate or a mistake was made under the  
21 circumstances.

22 So I want to make sure that the  
23 workbook -- we're confident that the workbook is -- is  
24 in a format that is helpful for everyone here.

25 But I'll -- I'll look into that.

1 Absolutely.

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 THE PANEL CHAIRPERSON: Yes, thank  
4 you. That would be very helpful.

5 So we'll adjourn until 1:00.

6

7 --- Upon Recessing at 12:01 p.m.

8 --- Upon resuming at 1:00 p.m.

9

10 THE PANEL CHAIRPERSON: Good  
11 afternoon, everyone.

12 Mr. Williams...?

13 DR. BYRON WILLIAMS: Yes, good  
14 afternoon, members of the panel.

15

16 CONTINUED BY DR. BYRON WILLIAMS:

17 DR. BYRON WILLIAMS: Mr. Johnston, I'm  
18 -- I'm going to speak about claims frequency for the -  
19 - the first little bit and try not to trespass too  
20 much where My Learned Friend has gone before.

21 But you'll recall a conversation this  
22 morning in terms of the '21/'22 ultimate collision  
23 losses, that in terms of the significant improvement  
24 as compared to last year's forecast, a major driver of  
25 that is the lower forecast claims count from lower

1 historical trends. Agreed?

2 MR. LUKE JOHNSTON: Agreed.

3 DR. BYRON WILLIAMS: And subject to  
4 check, that number's about \$26.5 million lower than  
5 forecast last --

6 MR. LUKE JOHNSTON: Yes.

7 DR. BYRON WILLIAMS: -- year?

8 MR. LUKE JOHNSTON: Yes, yeah.

9 DR. BYRON WILLIAMS: And I wonder if  
10 we can go to the first page of CAC-MPI-1-26, and Mr.  
11 Johnston, there you'll see an extract from -- from the  
12 application, if we go down -- yeah, keep -- right  
13 there, Ms. Schubert, if you can show that.

14 You recognize that document from your  
15 Application, sir?

16 MR. LUKE JOHNSTON: I do.

17 DR. BYRON WILLIAMS: And I'll just let  
18 you know, we'll come to your favourite table or slide  
19 from your PowerPoint this morning, slide 12, in a  
20 couple minutes, but --

21 MR. LUKE JOHNSTON: Okay.

22 DR. BYRON WILLIAMS: Mr. Johnston,  
23 what this generally shows us is the trends in ultimate  
24 Basic collision frequency per earned vehicle unit,  
25 excluding zero (0) claims, from the time period

1 between 2010 and 20 -- going out to the projections in  
2 2024, agreed?

3 MR. LUKE JOHNSTON: Agreed.

4 DR. BYRON WILLIAMS: And I don't know  
5 if that's orange or brown, but at the bottom of that,  
6 there's a fairly stable line running from the 2010 to  
7 the 24 -- 2024 projection, and that's total loss, sir?

8 MR. LUKE JOHNSTON: That's right.

9 DR. BYRON WILLIAMS: And then the blue  
10 line, Mr. Johnston, I'll suggest to you, is the repair  
11 line, and it tracks the frequency in repairs from 2010  
12 out to the projected year of 2024 as well, agreed?

13 MR. LUKE JOHNSTON: Agreed.

14 DR. BYRON WILLIAMS: And above that is  
15 the -- the total, and that's the green line, agreed?

16 MR. LUKE JOHNSTON: Agreed.

17 DR. BYRON WILLIAMS: And we don't have  
18 to get into the precise element of how -- how that's  
19 calculated, being the total, but it is a combination,  
20 generally, of the experience with the total loss and  
21 the experience with repair -- the historical  
22 experience -- and then you're doing -- based on the  
23 historical experience, you're taking certain trends  
24 and projecting those into the future. Agreed?

25 MR. LUKE JOHNSTON: That's right.

1 It's claims on a per-vehicle basis, so when we project  
2 vehicles in the future, we would assume the per-  
3 vehicle claims would follow the -- this pattern.

4 DR. BYRON WILLIAMS: And if we just  
5 look -- we're going to ignore the total loss, with  
6 your permission. And if we look, sir, at the blue  
7 line, being the repair, we see it at about one point  
8 one three (1.13) in the 2010 year, tracking out to  
9 about zero point nine four (0.94) in the 2018 year.  
10 Agreed?

11 MR. LUKE JOHNSTON: Agreed.

12 DR. BYRON WILLIAMS: And then we have  
13 that fairly sharp drop between 2018 and 2019, out to  
14 zero point zero eight five (0.085), agreed?

15 MR. LUKE JOHNSTON: Agreed.

16 DR. BYRON WILLIAMS: And then just  
17 above, we see a fairly similar pathway for total,  
18 starting at zero point one four one (0.141) in 2010  
19 and out to zero one two one (0.121) in 2018, cor --  
20 agreed?

21 MR. LUKE JOHNSTON: Agreed.

22 DR. BYRON WILLIAMS: And then there's  
23 that dip again in the 2019 year, sir?

24 MR. LUKE JOHNSTON: There is, yes.

25 DR. BYRON WILLIAMS: And if we ignore

1 that dip just for a second, Mr. Johnston, if we looked  
2 at repairs, for example, zero point zero nine four  
3 (0.094) in 2018 and over to your projection for 2020  
4 and '21 -- ignore that dip -- that would be a fairly  
5 straight downward incline.

6 MR. LUKE JOHNSTON: Yeah, it -- it  
7 looks -- if you drew a trend line from 2016 out into  
8 the forecast period, it'd probably lay pretty close on  
9 top of that forecasted line, yeah.

10 DR. BYRON WILLIAMS: Okay, and if we  
11 can just go to your slide 12 from -- from Exhibit --  
12 MPI Exhibit 42, the benchmarking and claims  
13 forecasting, Mr. Johnston, in a way, that's what  
14 you're -- you're trying to express here.

15 The -- if we take the 2018 year and  
16 that brown line extending from it, that -- that's last  
17 year's forecast, sir?

18 MR. LUKE JOHNSTON: Correct, yeah.

19 DR. BYRON WILLIAMS: And if we take  
20 the -- I can't even tell the colour, but I'm going to  
21 guess it's purple or grey -- below that, starting in  
22 2020 and extending outward, that's the '21 GRA?

23 MR. LUKE JOHNSTON: That's right.

24 DR. BYRON WILLIAMS: And the challenge  
25 MPI, obviously, has is, with the '19 and '20 years,

1 what to make of -- of those -- that experience, sir?

2 MR. LUKE JOHNSTON: Yeah. The point I  
3 was making earlier is if -- you know, if we were faced  
4 with the -- the data, I guess, at the start of that --  
5 that orange line in 2018 -- and I don't -- I -- I  
6 don't think anybody would suggest we made a outlandish  
7 forecast at that time; no one would, I don't think,  
8 have predicted such a big drop -- but yes, now we're -  
9 - we do have that information, and how much weight to  
10 give it is a big question.

11 DR. BYRON WILLIAMS: And your  
12 conclusion that this is not too optimistic of a  
13 frequency claim is reflective, really, of the  
14 experience the Corporation has had, at least since  
15 2016. Agreed, sir?

16 MR. LUKE JOHNSTON: Yeah. We're --  
17 we've talked about some of the reasons earlier, so I  
18 won't repeat them. There could be others, but we are  
19 trying to, of course, make a best estimate, and as we  
20 add more and more years to this, I guess, 2014 and  
21 after trend, it becomes less -- or, more credible, I  
22 guess, in making the forecast.

23 DR. BYRON WILLIAMS: And, sir, we will  
24 dig into a couple of those reasons in -- in the next  
25 few minutes.

1                   But generally, as we observe the  
2 decreased collision frequency, two (2) of the major  
3 factors Manitoba Public Insurance has identified, one  
4 (1) relates to the Driver Safety Rating programming  
5 changes in 2010, agreed?

6                   MR. LUKE JOHNSTON:    Agree, and just --  
7 just recognizing that that -- you know, we may have  
8 seen those early on, and now we're just sustaining  
9 that, yeah.

10                  DR. BYRON WILLIAMS:    Yeah, and we're  
11 going to come to that in just a second, sir.

12                  And certainly in more recent years, a  
13 significant driver in the improved frequency  
14 experience is with new vehicle technology, including  
15 safety features like lane change assist, rearview  
16 cameras, and emergency braking.  Agreed?

17                  MR. LUKE JOHNSTON:    Agreed. And then  
18 I'd probably add some winter tire -- winter tires to  
19 that list.

20                  DR. BYRON WILLIAMS:    And if we could  
21 turn to the response to CAC-MPI-2-10(c).

22

23   (BRIEF PAUSE)

24

25                  DR. BYRON WILLIAMS:    And we can

1 actually go to the page 5 of 5.

2

3 (BRIEF PAUSE)

4

5 DR. BYRON WILLIAMS: Mr. Johnston, in  
6 terms of observing a positive influence of Driver  
7 Safety Rating in some -- some of the earlier years  
8 between 2010 and 2016, it is information like this  
9 table that you would have relied on, agreed?

10 MR. LUKE JOHNSTON: This is -- this is  
11 one (1) of them. The other big piece of information  
12 for me was the claim frequencies of the demerit  
13 drivers. And so, those have -- have declined since  
14 implementing DSR as well.

15 And -- and even though there's a small  
16 number there, the fact that they maybe crash, you  
17 know, two (2) or three (3) times more than a good  
18 driver, it magnifies that.

19 DR. BYRON WILLIAMS: Okay. And thank  
20 you for that. And what -- what this table tells us in  
21 the middle column -- sorry, in the middle row is that  
22 sets out when MPI was bringing Driver Safety Rating  
23 online, what it was expecting in terms of the average  
24 Driver Safety Rating level and forecasts it out moving  
25 forward.

1 Is that correct, sir?

2 MR. LUKE JOHNSTON: Yeah. Our -- our  
3 DSR -- initial DSR projections just created, like, a  
4 pretend mock DSR model using the historical experience  
5 and -- and use that as a basis for the early  
6 projections.

7 DR. BYRON WILLIAMS: And what you see  
8 in the -- the row just above that being average DSR  
9 level actual is what the actual outcomes were in those  
10 time periods, sir?

11 MR. LUKE JOHNSTON: That's right.  
12 With a lower than expected claims frequency, that's  
13 not surprising, yeah.

14 DR. BYRON WILLIAMS: And, Mr.  
15 Johnston, in -- in some of those early years you see  
16 in -- in the 2012 year, for example, the difference  
17 between the average and the forecast was 0.11, agreed?

18 MR. LUKE JOHNSTON: I see that, yes.

19 DR. BYRON WILLIAMS: And there's other  
20 quite positive years, 0.09 in 2014 and 0.14 in 2016,  
21 agreed?

22 MR. LUKE JOHNSTON: Agreed.

23 DR. BYRON WILLIAMS: And -- and  
24 perhaps I'm putting too much into this, sir, but  
25 that's indi -- was indicating to you the -- up to that

1 period of time, at least, the ongoing impact of driver  
2 safety rating in terms of driver behaviour. That's --

3 MR. LUKE JOHNSTON: This is one (1) of  
4 the measures. And just, I guess, to remind everyone  
5 what's in the -- our forecast, we've assumed that the  
6 most recent year of movement of drivers is the best  
7 predictor of the future.

8 So, at least this table's indicating,  
9 and -- and over this period, there is a little bit of  
10 lag between the recognition of the latest movement and  
11 our forecast, but, yeah.

12 DR. BYRON WILLIAMS: Now, Mr.  
13 Johnston, in terms of the utility of Driver Safety  
14 Rating in driving improved behaviour, one (1) of the  
15 challenges that Manitoba Public Insurance now  
16 experiences is that with the majority of drivers at  
17 DSR plus 15, their Driver Safety Rating cannot  
18 improve, agreed?

19 MR. LUKE JOHNSTON: Agreed.

20 DR. BYRON WILLIAMS: And it's the  
21 opinion of the Corporation that changes in driver  
22 behaviour resulting from the implementation of the DSR  
23 system have stabilized, agreed?

24 MR. LUKE JOHNSTON: Close to -- or --  
25 or much more stable than the beginning for sure, yeah.

1

2

(BRIEF PAUSE)

3

4

DR. BYRON WILLIAMS: Staying with this  
5 IR response and just moving back a page to 4 of 5,  
6 towards the top, Mr. Johnston, this is an estimate by  
7 Manitoba Public Insurance of -- of the potential  
8 adoption of vehicle safety features, such as lane  
9 departure warnings and forward collision warnings,  
10 agreed?

11

MR. LUKE JOHNSTON: Agreed.

12

DR. BYRON WILLIAMS: And what this  
13 estimate tells us at a high level if we look to the  
14 pie to the -- to the left is that MPI's estimating  
15 that somewhere between 37 and 38 percent of the  
16 vehicle population may have some of these advanced  
17 vehicle safety features, agreed?

18

MR. LUKE JOHNSTON: Agreed.

19

DR. BYRON WILLIAMS: So, over 60  
20 percent do not at this point in time?

21

MR. LUKE JOHNSTON: That's right.

22

DR. BYRON WILLIAMS: Okay. And if we  
23 can go to CAC-2-9, and specifically page 3 of 4.

24

25

(BRIEF PAUSE)

1 DR. BYRON WILLIAMS: Mr. Johnston, MPI  
2 has undertaken secondary research on the impact that  
3 crash avoidance technologies can have on collision  
4 frequency, agreed?

5 MR. LUKE JOHNSTON: Agreed.

6 DR. BYRON WILLIAMS: And generally,  
7 the sources you have reviewed suggest that collision  
8 avoidance technologies can significantly lower crash  
9 rates, correct?

10 MR. LUKE JOHNSTON: Correct.

11 DR. BYRON WILLIAMS: And what the  
12 response to CAC-MPI-2-9, the figure in the middle of  
13 the page, shows the prediction of the Insurance  
14 Institute of Highway Safety in terms of the projected  
15 adoption of certain vehicle safety systems, agreed?

16 MR. LUKE JOHNSTON: Agreed.

17 DR. BYRON WILLIAMS: And it's  
18 basically projecting what may be adopted between 2018  
19 and 2023, taking 2018 as a starting base and where  
20 it's projecting things may be by 2023, correct?

21 MR. LUKE JOHNSTON: Agreed.

22 DR. BYRON WILLIAMS: And just for a  
23 couple of those, go on the left side. You'll see that  
24 rear cameras are projected to rise from in the range  
25 of 35 percent up to 60 percent?

1 MR. LUKE JOHNSTON: I see that, yeah.

2 DR. BYRON WILLIAMS: And similar, as -  
3 - as we go along, in terms of front automatic  
4 emergency braking, you can see it rising -- projected  
5 to rise from fairly modest numbers in 2018 to over 20  
6 percent in 2023, correct?

7 MR. LUKE JOHNSTON: Yes.

8 DR. BYRON WILLIAMS: Now, to date,  
9 Manitoba Public Insurance has not analyzed the  
10 tradeoffs or -- or to what extent vehicle safety  
11 technology offers a cost savings even after factoring --  
12 factoring in the increased costs of replacement parts.  
13 You haven't done that analysis  
14 yourself?

15 MR. LUKE JOHNSTON: We have not done a  
16 specific, I guess, assessment of the cost benefit of  
17 this technology in terms of frequency reduction versus  
18 severity increase; that -- that's correct.

19 The -- the point I mentioned earlier  
20 with the Insurance Bureau of Canada providing us rate  
21 groups, we would anticipate the net effect of -- of  
22 those benefits to be in the rate groups, but MPI  
23 specifically hasn't done that, yeah.

24 DR. BYRON WILLIAMS: And thank you for  
25 that because -- and -- and that -- having that net

1 effect as the -- of the status quo, what I -- what --  
2 I'll suggest to you what you're indicating is that  
3 when it comes to the -- the clear rating system and --  
4 and the relativities, the relationship between those  
5 groups, that would be reflected in those numbers?

6 MR. LUKE JOHNSTON: That is the  
7 intent, yeah, of the rate groups, yes. Yeah.

8 DR. BYRON WILLIAMS: But in terms of  
9 the impact looking forward of -- of savings in terms  
10 of Manitoba Public Insurance ultimates, that -- that  
11 is not taken into account to date, sir?

12 MR. LUKE JOHNSTON: Yeah, the way I'd  
13 describe it, and if you -- maybe if -- if you -- you  
14 don't -- I don't think you have to go back to the  
15 frequency charts. But MPI is recognizing there's a  
16 downward trend, so I don't -- I don't think there's  
17 any dispute on -- on that.

18 And even the big drop we had in 2019,  
19 obviously, that drop wasn't because we just had a huge  
20 number of these cars just show up all of the sudden  
21 out of nowhere. You would expect a more gradual  
22 decline.

23 But that is -- that is our current  
24 method to -- to account for this, to recognize, you  
25 know, a trend, where it exists, and -- and impact --

1 or project that forward.

2 DR. BYRON WILLIAMS: What I hear you  
3 saying, sir, is, to the extent that there are historic  
4 impacts on collision frequency of safe driving  
5 technology, those would be reflected in the claims  
6 incurred historical results as a starting point,  
7 agreed?

8 MR. LUKE JOHNSTON: Agreed, yeah.

9 DR. BYRON WILLIAMS: And to extent  
10 that greater weight is given to recent years, that  
11 will also affect forecasts for future years?

12 MR. LUKE JOHNSTON: Greater weight or  
13 just the -- as you identified earlier, a downward  
14 trend that we should be recognizing.

15 DR. BYRON WILLIAMS: But as we look at  
16 kind of the claims incurred forecasts that before --  
17 that's before us, MPI has not made any collision  
18 projections based on forecasts of higher adoption  
19 rates of driver safety technology or an expressed  
20 forecast of the impacts of this technology on  
21 collision rates?

22 MR. LUKE JOHNSTON: That's correct.  
23 We've only utilized existing trends. We haven't made,  
24 for example, forecasts of vehicles with or without  
25 this technology and how those two (2) groups will grow

1 and -- and the frequency will be impacted. Yeah.

2 DR. BYRON WILLIAMS: Okay. Mr.  
3 Johnston, I'm going to ask kind of a parallel question  
4 with regard to high -- high school driver education.  
5 I don't think we need to -- to go there, but if you  
6 feel the need, I have a reference for you if you  
7 require it.

8 MR. LUKE JOHNSTON: Okay.

9 DR. BYRON WILLIAMS: But you'll  
10 recall, sir, as one (1) of the objectives of the high  
11 school driver education redesign was -- I'm going to  
12 call it a hope for right now -- that there would be a  
13 downward trending of at fault serious injury and  
14 fatality questions (sic) by fifteen (15) to twenty-  
15 four (24) year old drivers over ten (10) years.  
16 Agreed?

17 MR. CURTIS WENBERG: Agreed. I'll  
18 take that question.

19 DR. BYRON WILLIAMS: Okay. Thank you.  
20 And that's helpful and moves things along.

21 And just to go back to Mr. Johnston,  
22 with no offence to you, sir, that reduction -- that  
23 potential reduction of risk would not be built into  
24 the claims incurred forecasts because it's too  
25 speculative at this point in time. Agreed?

1 MR. LUKE JOHNSTON: That's -- that's  
2 generally our approach. Similar with initiatives like  
3 DSR, we would say we're optimistic. But, you know,  
4 what would we use -- that, you know, as a -- as a  
5 benefit. We generally like to see some evidence of  
6 that benefit before putting it in rates.

7 DR. BYRON WILLIAMS: The distinction  
8 between, for example, high school education and its  
9 anticipated benefits versus the driver safety  
10 technology, Mr. Johnston, is -- there's more evidence  
11 in the field from the adoption of technology. Agreed?  
12 And more research in that area?

13 MR. LUKE JOHNSTON: For these -- like,  
14 the technologies we have on the screen, I would expect  
15 that there's evidence that frequency is lower relative  
16 to vehicles that don't have these -- no reason to  
17 question that.

18 DR. BYRON WILLIAMS: And that may be -  
19 - without any suggestion that you should be  
20 forecasting adoption rates -- that may be a hidden  
21 strength in the claims incurred forecast, Mr.  
22 Johnston, the expected affect over time of the  
23 adoption of advanced driver assistant technology.

24 MR. LUKE JOHNSTON: So I'll split into  
25 two (2).

1                   For the rating period that we're going  
2 into next year, we do have incorporated this downward  
3 trend and -- and frequency. So it's being recognized.  
4 So I -- I wouldn't expect there to be a huge gap  
5 between what we have today and what could change in  
6 the next year or two (2).

7                   In the long term, it would be my  
8 expectation -- as Mr. Wennberg mentioned as well --  
9 that as these become more prevalent, you'd expect  
10 frequency to decline. To what level, I don't know,  
11 but a downward trend.

12                   DR. BYRON WILLIAMS:    Okay. Thank you.  
13 And just when we look at collision frequency, MPI  
14 would have looked at the adopted for forecasting  
15 purposes, the -- the five (5) year average, subject to  
16 check? Sorry, of repair collision frequency.

17                   MR. LUKE JOHNSTON:    We do -- we do  
18 split them up. The point when -- we didn't really  
19 talk about that total loss line, but it -- the total  
20 loss frequency looks stable. But really, what's  
21 happening is frequency overall is going down, just a  
22 higher percentage of vehicles are being total loss.  
23 And you get the illusion of a perfectly flat line.  
24 But it is actually a rising percentage of the total --  
25 that are total loss.

1 DR. BYRON WILLIAMS: Okay. Thank you.

2 Mr. Wennberg, I -- I think these questions go to you.

3 And I -- I was -- wanted to direct your

4 attention to the Corporation's response to PUB-MPI-1-

5 50. And we'll start with the first page, Ms.

6 Schubert, just with the preamble.

7

8 (BRIEF PAUSE)

9

10 DR. BYRON WILLIAMS: PUB-1-50.

11

12 (BRIEF PAUSE)

13

14 DR. BYRON WILLIAMS: And Mr. Wennberg,

15 just by way of background, as part of the direct

16 repair program, physical damage repair shops at

17 different tier levels are authorized to take certain

18 levels of repairs without requiring in prior approval

19 of Manitoba Public Insurance. Is that correct, sir?

20 MR. CURTIS WENNBERG: Yes.

21 DR. BYRON WILLIAMS: Okay. And those

22 -- that authorization, to undertake a certain level of

23 repairs without requiring prior approval, might be

24 known as an earned approval limit or EAL.

25 Is that correct, sir?

1 MR. CURTIS WENNBERG: That's correct.

2 Yeah.

3 DR. BYRON WILLIAMS: Okay. And you  
4 see, in the preamble here, Manitoba Public Insurance  
5 is indicating that it has removed forecast increases  
6 in the earned approval limits to avoid the potential  
7 for leakage of higher EAL levels.

8 Do you see that reference, sir?

9 MR. CURTIS WENNBERG: Yes.

10 DR. BYRON WILLIAMS: Okay. And if we  
11 just go down to question 'C' and 'D' for a second.

12 You see that we're inquiring -- or the  
13 PUB is inquiring why that might potentially lead to  
14 leakage, increase in the earned approval limits, and,  
15 secondly, looking at what, if any, calculations were  
16 done in terms of adduced -- reduced labour savings as  
17 a result of the changes in the EAL limits.

18 You see those questions, sir?

19 MR. CURTIS WENNBERG: Yes. Yeah.

20 DR. BYRON WILLIAMS: And I'm going to  
21 take you to 'D' first, just to get -- and that's on  
22 page 6 of 6.

23 And what this response to PUB-1-50  
24 suggests, sir, is that if Manitoba Public Insurance  
25 had gone to the higher earned approval level, it would

1 save somewhere in the range of fifteen (15) equivalent  
2 to full-time positions. Agreed?

3 MR. CURTIS WENNBERG: Yes.

4 DR. BYRON WILLIAMS: Okay. Now,  
5 we'll go back to the answer before and the previous  
6 page, starting at the response to PUB 1-50(c).

7 Mr. Wennberg, in -- in terms of the  
8 decision by Manitoba Public Insurance not to raise the  
9 earned approval limits, one (1) of the reasons was  
10 there was a -- there was a concern that raising the  
11 limits would result in the approval of more severe and  
12 complex claims and potentially more errors in the  
13 estimate. Agreed?

14 MR. CURTIS WENNBERG: Agreed. That's  
15 right.

16 DR. BYRON WILLIAMS: And in terms of  
17 the auto approved or -- I was going to -- called them  
18 prior approved, but we're -- the auto approved  
19 transaction. Currently, MPI audits at least 25  
20 percent of all auto approved transactions to ensure  
21 compliance. Is that correct, sir?

22 MR. CURTIS WENNBERG: Yes.

23 DR. BYRON WILLIAMS: And before I go  
24 on with this response, is it expected that that will  
25 continue in terms of the existing earned approval

1 levels that MPI will continue to be auditing about 25  
2 percent of all transactions, sir?

3 MR. CURTIS WENNBERG: At this point,  
4 yes.

5 DR. BYRON WILLIAMS: And if we go  
6 under the figure 8 in this response, one (1) of the  
7 concerns of Manitoba Public Insurance was that you're  
8 increasing the EAL limits -- levels or the earned  
9 approval levels would increase the volumes of claims  
10 for auditing and the demand for auditing resources.  
11 Agreed?

12 MR. CURTIS WENNBERG: Yes.

13 DR. BYRON WILLIAMS: And so, even  
14 though increasing the limits would generate an  
15 estimated fifteen (15) -- and estimated savings of  
16 fifteen (15) full-time equivalents, you're -- MPI is  
17 expressing the concern here that it would not be able  
18 to capitalize them as it requires a minimum number of  
19 staff to provide adequate customer service.

20 And, Mr. Wennberg, just to assist my  
21 clients in this one, we're trying to get an idea of  
22 the -- the trade-offs. Is MPI saying here that they  
23 would have to -- the new staff that they would have to  
24 hire in terms of auditing would out -- outweigh the --  
25 the fifteen (15) EFT savings? Or help us to

1 understand MPI's decision making.

2 MR. CURTIS WENNBERG: Okay. So  
3 there's a little more context, I think, behind this  
4 answer.

5 The repair trade, I believe when they  
6 were here, may have mentioned that they also have  
7 concerns around the earned approval limits. And it's  
8 not like this is the simplest thing that's happening  
9 out in our marketplace.

10 So -- so I'll give you a bit more  
11 context. This is something that is basically more of  
12 an approach to lean -- lean process or lean  
13 manufacturing processes. So we are taking the lowest  
14 value claims and really giving some of our repair  
15 shops the benefit of the doubt in terms of writing the  
16 estimate themselves and we don't even look at it.

17 And our way of doing that is by saying  
18 those shops that have performed the best over the last  
19 few years, we rank them in our highest category  
20 according to key performance indicators, and we give  
21 them the highest earned approval limit which is at  
22 this point three thousand seven hundred and fifty  
23 dollars (\$3,750), meaning that anything below thirty-  
24 seven fifty (3,750) they can write and then we will  
25 audit them. And it's that process behind -- behind

1 the actual estimate running through that, you know,  
2 allows us to maintain control.

3 For some shops that don't perform on  
4 other KPIs, they actually have a zero earned authority  
5 level. So there are shops that are at that zero  
6 level, and -- and we approve everything.

7 So it's a risk base, if you want to  
8 call it that, setup that does have some straight-  
9 through processing, and we wanted to get speed so that  
10 the shops could just write an estimate and move on.  
11 And then we also take out, you know, some FTE capacity  
12 on our side. We don't need too many estimators.

13 The problem comes in the auditing  
14 process when we do find some errors and discrepancies.  
15 The shops are particularly not pleased with the idea  
16 of having to make us whole. Let's say we find five  
17 hundred dollars (\$500) or a thousand dollars (\$1,000)  
18 that was overcharged, for example in error or  
19 otherwise, on an estimate. It comes out of the shop's  
20 pocket, so they -- there -- there's no -- there's no  
21 back and forth in that process.

22 So from shops' perspective, we're  
23 hearing a few more voices lately that that EAL level  
24 has -- it's -- it -- it's got -- it's run its course  
25 or, you know, it's at the -- the furthest we can push

1 it at this time, or, you know, they're even asking if  
2 some shops can make it an optional for them to opt in  
3 and opt out. That would require even more FTE on our  
4 side and more time involved in the process of a claim,  
5 which I don't think we're -- we're wanting at this  
6 point in time.

7                   So there's a balance here. If you  
8 think of a continuum where we approve everything,  
9 which is where we were a couple of years ago, three  
10 (3) years ago, versus letting the shops do everything  
11 without any oversight, we just have to find that magic  
12 line in there. And -- and so we'll continue to  
13 experiment and determine what makes the most sense  
14 with the EAL.

15                   DR. BYRON WILLIAMS: Okay. Thank you  
16 for that. And just in terms of the shops opting in or  
17 opting out --

18                   MR. CURTIS WENNBURG: Yeah.

19                   DR. BYRON WILLIAMS: -- from the  
20 Corporation's perspective, one (1) of the concerns  
21 with that would be that you might end up having to  
22 hire back more estimators. Is -- is that what you're  
23 saying?

24                   MR. CURTIS WENNBURG: Yeah. It's not  
25 the most elegant process. We would probably have to

1 hire back, and then it becomes a question of: Why  
2 would you allow one shop to opt in versus those that  
3 opt out?

4                   So at this point, we liked -- we like  
5 the -- we like the discipline that's involved in a  
6 process for a shop to write an estimate, knowing that  
7 it can be audited behind the scenes and there is some  
8 -- there's a carrot and a stick naturally inherent in  
9 the fact that some of these can get audited and you  
10 might lose a little bit of money if -- if you don't  
11 comply with all of our estimating standards and those  
12 sorts of things. So it -- there are some natural  
13 advantages in the system as it is.

14                   DR. BYRON WILLIAMS: And if you don't  
15 know this offhand there will be no undertaking, but in  
16 terms of the limit you mentioned, the -- the upper  
17 limit --

18                   MR. CURTIS WENNBERG: Yeah.

19                   DR. BYRON WILLIAMS: -- what  
20 percentage of the value of -- of claims might that --  
21 that cover, sir? And if you don't, don't...

22                   MR. CURTIS WENNBERG: The upper limit  
23 of thirty-seven fifty (3,750), you're going to have  
24 more than 50 percent of our jobs that are in that --  
25 in that level, but we have the three (3) levels.

1                   So we have -- seventeen fifty (1,750)  
2 is the -- is the first Earned Approval Level. That's  
3 for our tier 2 shops. Tier 3 shops get twenty-seven  
4 fifty (2,750), and then the highest tier, tier 4  
5 shops, get the thirty-seven fifty (3,750).

6                   And there's really only -- I believe  
7 it's eighteen (18) shops that have that full tier 4  
8 capability, so it's -- it's a smaller number of jobs.  
9 Like it's not fully 50 percent of our jobs that go  
10 through EAL.

11                   DR. BYRON WILLIAMS:    Okay. Thank you.

12                   MR. CURTIS WENNBERG:    Yeah.

13                   DR. BYRON WILLIAMS:    If we can go to  
14 the response of the Corporation to CAC/MPI 2-11, and  
15 to page 4 of 6. Thank you.

16                   And, Mr. Wennberg, you did talk a  
17 little bit about this in your direct this morning.  
18 What this graph represents is the -- a comparison  
19 between -- well, it presents both average severity per  
20 repair in various fiscal years running from 2013/'14  
21 to 2019/'20, as well as annual severity growth year  
22 over year in that time period, agreed?

23                   MR. CURTIS WENNBERG:    Agreed.

24                   DR. BYRON WILLIAMS:    And the blue bars  
25 represent the ultimate collision repair, and their

1 legend is on the left-hand side of this graph, agreed,  
2 sir?

3 MR. CURTIS WENNBERG: Agreed.

4 DR. BYRON WILLIAMS: And the year-  
5 over-year growth is the -- I'm going to call it brown  
6 but it may be orange line starting in 2013/'14 and  
7 running all the way out to 2019/'20, agreed?

8 MR. CURTIS WENNBERG: Agreed.

9 DR. BYRON WILLIAMS: And the legend  
10 for that part of the graph is on the right hand of the  
11 -- the document from zero percent at the bottom in  
12 terms of year-over-year growth up to 9 percent at the  
13 top of the legend, agreed?

14 MR. CURTIS WENNBERG: Agreed.

15 DR. BYRON WILLIAMS: And, Mr.  
16 Wennberg, this morning you spoke about the 2015/'16  
17 year and the jump there, and there we see, following  
18 the brown line out from 2014/'15 through to 2015/'16,  
19 an average severity growth of 8.21 percent, correct?

20 MR. CURTIS WENNBERG: Correct.

21 DR. BYRON WILLIAMS: And then, in  
22 terms of the growth, it -- it continues to grow, but  
23 at a more moderate pace, out to 2018/'19, and in that  
24 year it's 3.55 percent, correct?

25 MR. CURTIS WENNBERG: Correct.

1 DR. BYRON WILLIAMS: And then again in  
2 2019/'20, we see a 6.90 percent increase year over  
3 year in annual severity, correct?

4 MR. CURTIS WENNBERG: Correct.

5 DR. BYRON WILLIAMS: Now, if we go to  
6 (c) at the top of page 3 of 6, Mr. Wennberg, this  
7 morning you referenced Mitchell, and there was some,  
8 I'll call them growing pains, you may not agree with  
9 that characterization, in the first couple of years  
10 with that sharp increase in -- in severity, correct?

11 MR. CURTIS WENNBERG: Correct.

12 DR. BYRON WILLIAMS: And what the  
13 Corporation is doing in this -- this response, being  
14 CAC 2-11(c), is estimating that perhaps 4 percent of  
15 the increase in severity in the two (2) year period,  
16 roughly ten (10) to 15 million annually, relates to  
17 the software itself, agreed?

18 MR. CURTIS WENNBERG: Yes.

19 DR. BYRON WILLIAMS: Just to back up  
20 for a second, in -- when we think of Mitchell, we  
21 would think of it as a tool to improve billing  
22 accuracy as repair facilities transition from using  
23 pen and paper and memory to electronic data entry,  
24 additional repair information, resources, and  
25 compliance software, agreed?

1 MR. CURTIS WENNBERG: Yes.

2 DR. BYRON WILLIAMS: But what we're  
3 seeing, at least in the '15/'16 year and -- and  
4 perhaps beyond that, is some adverse impacts in  
5 severity that the Corporation attributes to -- to  
6 Mitchell, correct?

7 MR. CURTIS WENNBERG: Yes.

8 DR. BYRON WILLIAMS: If we go further  
9 down in the sentence -- in that paragraph, the first  
10 sent -- that's fine right there -- you'll see a  
11 sentence saying:

12 "However, without the software and  
13 any associated increase in  
14 remuneration, MPI expects that  
15 repair shops would have demanded  
16 higher labour rates or other items  
17 in subsequent years to make up for  
18 that difference."

19 Do you see that reference, sir?

20 MR. CURTIS WENNBERG: Yes.

21 DR. BYRON WILLIAMS: Perhaps you can  
22 help our client with this. MPI's not suggesting that  
23 they would have just given in to the demands of the  
24 repair shops regardless of whether they were merited?

25 MR. CURTIS WENNBERG: No. I think, if

1 I understand your questions and -- and what -- what  
2 you're trying to understand here, as I -- as I --  
3 again, Mitchell came in after I joined MPI, but the  
4 stories I heard from estimators and repair shops was  
5 that, when you dealt with a facts-based process to get  
6 estimates approved, the -- both on our side and the  
7 shop's side, you would -- you would get close enough -  
8 - I -- I don't want to mean that it was a -- an  
9 unscientific process, but Mitchell allows you to  
10 really add many more details within an estimate  
11 repair, and then it -- it confirms -- confirms back to  
12 our estimator and back to the shop all that specific  
13 detail with -- with real speed and ability for people  
14 to workflow something, you know, in a -- in a software  
15 system.

16                   So the reasons why we think that this  
17 probably increased our severity when we first brought  
18 it in was because there may have been practices or  
19 things that the software was capturing that just,  
20 within the facts processes of MPI, we -- we had  
21 overlooked and potentially even used things that were  
22 blunt, like a higher labour rate, to overcome what was  
23 happening within the facts environment.

24                   The anecdotal evidence of that is that  
25 we -- we found -- when we started taking a look at

1 whether Mitchell had a severity impact, we found that  
2 it seemed that those shops that had a high severity in  
3 the first year after Mitchell moderated down  
4 afterwards. And then those shops that had a low  
5 severity in the first year of Mitchell, in the second  
6 year had a much higher severity.

7                   And so the -- the myth of it, if you --  
8 if you will, because it's very difficult to describe  
9 actually what -- what caused what, but the view is  
10 that some shops learned how to use Mitchell really  
11 early on and used it to their benefit, within the  
12 rules, within the rules. And then other shops took  
13 the second year to do so.

14                   But then once you hit year two (2) and  
15 with all the training and other stuff we did with  
16 Estimatics training, that we hit a steady state.

17                   DR. BYRON WILLIAMS:    Okay. Thank you  
18 for that.

19                   Mr. Johnston, I'm going to turn to a  
20 couple of questions regarding PIPP. And just to let  
21 you know, we're going to talk a little bit about  
22 weekly indemnity and other indexed. And then we're  
23 going to go to both you and, I suspect, Mr. Wennberg  
24 in -- in terms of accident benefits others and  
25 permanent impairment payments.

1                   And, Mr. Johnston, I probably ask you  
2 to do this every year, but you'll forgive me if I just  
3 help my client and I to make sure we're on the -- on  
4 the same page with some common definitions.

5                   MR. LUKE JOHNSTON:     Sure.

6                   DR. BYRON WILLIAMS:    In terms of paid  
7 losses, can we agree that it can be described as a  
8 statement of the loss amount for a given time period  
9 that includes only the amount actually paid on the  
10 claims?

11                  MR. LUKE JOHNSTON:    Correct.

12                  DR. BYRON WILLIAMS:    And in terms of  
13 case reserves, can we agree that an amount of money --  
14 or can -- will you agree, more importantly -- an  
15 amount of money budgeted for future payments on claims  
16 that have already occurred, you'll agree with that?

17                  MR. LUKE JOHNSTON:    Agreed. With the  
18 -- I guess, the important distinction there being the  
19 case manager puts up those reserves. They are not the  
20 actuaries. Extra reserves, that's the case manager's  
21 estimate. Yeah.

22                  DR. BYRON WILLIAMS:    We'll come to the  
23 actuaries extra reserves in a minute, sir.

24                                   And will you -- would you agree that  
25 incurred losses could be described as a statement of

1 the loss amount for a given time period that includes  
2 both paid losses and unpaid case reserves?

3 MR. LUKE JOHNSTON: Yes.

4 DR. BYRON WILLIAMS: Okay. And  
5 perhaps where you were going before, sir, in terms of  
6 incurred but not reported losses, would you agree that  
7 this value includes losses that occurred during a  
8 policy period but were not reported until after the  
9 end of the period or -- but it may also include  
10 expected development on known claims?

11 MR. LUKE JOHNSTON: Yeah. And just  
12 for the Board's benefit, a really common time to have  
13 incurred but not reported reserves would be early on  
14 in the -- in the claim life cycle. And we don't  
15 really know how many long-term serious claims there  
16 are going to be, for example, but we know, you know,  
17 weekly indemnity is, you know, often eighty (80), \$90  
18 million a year. It wouldn't -- you know, just because  
19 we only have \$30 million of case reserves doesn't mean  
20 we'd expect there would only be \$30 million in the  
21 year. I'd probably post, you know, \$50 million on top  
22 of that as IBNR.

23 DR. BYRON WILLIAMS: And just in terms  
24 of that development on known claims that the -- the  
25 actuary estimates, that can go both ways in that

1 future loss payments might be expected to exceed case  
2 reserves, but there may be circumstances where what's  
3 set aside in the IBNR may actually be -- be -- be  
4 bigger than the case reserves.

5 MR. LUKE JOHNSTON: Yes, it can.  
6 Especially in the early parts of centralized  
7 reserving, the -- we're putting up averages and some  
8 will turn out better and some will turn out worse.

9 If there's a certain bias in a certain  
10 direction, for example if we're putting up too much  
11 money initially, that would create a negative -- or  
12 favourable development later on in the process.

13 What we'd probably do internally, if  
14 that was a trend, is try to get the initial reserve  
15 right, but sometimes you don't know that until years  
16 down the road.

17 DR. BYRON WILLIAMS: And -- and we'll  
18 -- we'll come back to that point, but in -- in  
19 essence, when you were theorizing this morning whether  
20 or not accident benefits other indexed was  
21 "overbaked", to the extent that it was overbaked,  
22 without attributing any improper motive, that might  
23 have been that the initial reserves, under centralized  
24 reserving, were over conservative.

25 MR. LUKE JOHNSTON: What we see

1 today, we are seeing favourable development so we have  
2 a couple options there as to my -- to my previous  
3 point.

4                   We can say, you know what, just keep  
5 reserving as you are and I'll recognize the  
6 development on the actuarial side and it will just  
7 always be negative. Or we can go back to -- to the  
8 case reserving stage and say, okay, clearly we put too  
9 much in it the first place. Looks like it needs to be  
10 10 percent lower. Let's just start putting them in  
11 that way. So those are two (2) options. Yeah.

12                   DR. BYRON WILLIAMS: And with -- maybe  
13 we'll jump ahead for a second.

14                   In -- in terms of accident benefit  
15 other indexed to date, is it fair to say that the  
16 reserving practice will continue, but that there may  
17 be some releases ongoing, depending on the development  
18 from -- from the actuarial side?

19                   MR. LUKE JOHNSTON: Given -- given we  
20 just moved to centralized reserving, my default right  
21 now is just keep doing what you're doing. Do it  
22 consistently, being the case managers, allow the  
23 actuarial side to say that pattern and then we can  
24 make better estimates by -- if we see consistent  
25 results come in.

1 DR. BYRON WILLIAMS: Okay. Mr.  
2 Wennberg, just at a high level -- and you did talk  
3 about it this morning, but I just want to re-frame the  
4 discussion -- there was a significant review of the  
5 personal injury protection plan on or about the 2017  
6 year. Agreed?

7 MR. CURTIS WENNBERG: Agreed.

8 DR. BYRON WILLIAMS: And flowing from  
9 that review were both changes in -- one (1) element of  
10 that was changes in reserving practices, including the  
11 approach to centralized reserving. Agreed?

12 MR. CURTIS WENNBERG: Yes.

13 DR. BYRON WILLIAMS: And another facet  
14 of outcome of the -- that major review was a changes -  
15 - a change in -- in claims management, including, for  
16 example, adding employees to improve return to work  
17 activities. Correct?

18 MR. CURTIS WENNBERG: Yes.

19 DR. BYRON WILLIAMS: And another  
20 element on the claims management side involved the  
21 more intensive training of -- of case managers,  
22 correct?

23 MR. CURTIS WENNBERG: Yes. Setting of  
24 expectations training. Yeah.

25 DR. BYRON WILLIAMS: And when you

1 speak of setting up expectations, that might have --  
2 that did involve the implementation of metrics on case  
3 management capacity and productivity. Correct?

4 MR. CURTIS WENNBERG: That's right.

5 DR. BYRON WILLIAMS: And another  
6 element, you know, on the claims management side,  
7 would have involved improved occupational therapy  
8 support on mental health claims, correct?

9 MR. CURTIS WENNBERG: Yes. Actually,  
10 even just flagging up what could be a mental health  
11 claim.

12 So on triage, for example, we'll ask a  
13 claimant different risk factors that they might have.  
14 And we'll internally handle that, just to make sure  
15 that there's psychiatric assistance for them, and do  
16 that sooner, than wait six (6) months into their  
17 injury, for example, and -- and then try and deal with  
18 it down the road.

19 DR. BYRON WILLIAMS: Okay.

20 MR. CURTIS WENNBERG: Yeah.

21 DR. BYRON WILLIAMS: Thank you.

22 Mr. Johnston, if we turn to the  
23 preamble to CAC 1-11, and I -- you'll see a  
24 discussion, generally, of the increase in the ultimate  
25 loss estimates for the 2014/'15 through '18/'19

1 accident year being increased by \$30.6 million over  
2 estimates from the previous year, sir?

3 MR. LUKE JOHNSTON: That's -- that's  
4 right.

5 DR. BYRON WILLIAMS: And -- and that's  
6 factually correct?

7 MR. LUKE JOHNSTON: It should be, yes.  
8 Yeah.

9 DR. BYRON WILLIAMS: And that increase  
10 was driven primarily by the introduction of  
11 centralized reserving, resulting in the earlier  
12 reporting of case reserves and a corresponding  
13 increase in loss development factors in the first to  
14 sixty (60) months of claims development. Agreed?

15 MR. LUKE JOHNSTON: Agreed. It's  
16 really saying that, based on the policies developed on  
17 how these claims should be reserved, that that was the  
18 impact of -- of following that policy and making sure  
19 that every claim with ongoing activity in the income -  
20 - income replacement realm is reserved appropriately.

21 DR. BYRON WILLIAMS: And now we're  
22 going to kind of focus in on weekly indemnity for a  
23 moment or two, sir. As you spoke earlier today, with  
24 a new claims reserving approach there will obviously  
25 be changes in the loss development patterns flowing

1 from this change in reserving, agreed?

2 MR. LUKE JOHNSTON: Agreed. And we  
3 did make changes on weekly indemnity on the  
4 implementation of centralized reserving, but we  
5 expected those would be volatile, so we continued to  
6 tweak them.

7 DR. BYRON WILLIAMS: And speaking at  
8 the theoretical level, sir, earlier reporting of case  
9 reser -- reserves should result in higher loss  
10 development factors early in the development cycle and  
11 lower loss development factors later in the loss  
12 development cycle, agreed?

13 MR. LUKE JOHNSTON: Agreed.

14 DR. BYRON WILLIAMS: And the challenge  
15 you were speaking of earlier this morning is -- is  
16 that, while the impacts of the earlier case reserving  
17 can be seen immediately in the observe loss  
18 development for the most recent loss years, it will  
19 take much longer for the full impact of potentially  
20 future favourable development on those loss -- loss  
21 years in the later stages of development, agreed?

22 MR. LUKE JOHNSTON: Agreed. Loss  
23 development and also just the -- the rate of claims  
24 persisting, as I mentioned earlier, so all the  
25 actuarial development assumptions are, for the most

1 part, based on consistent behaviour in terms of how we  
2 close claims and such.

3                   So if, for example, the additional  
4 staff and other measures we put in place were to get  
5 more people back to work, the development assumptions  
6 would have to be revised because of that, as well.

7                   DR. BYRON WILLIAMS:   And thank you for  
8 anticipating my question.   So in terms of weekly  
9 indemnity claims, they're reserved for life once they  
10 reach sixty (60) months of development, correct?

11                   MR. LUKE JOHNSTON:   Correct.

12                   DR. BYRON WILLIAMS:   And so what you  
13 were just telling us is that it -- it may take up to  
14 sixty (60) months to determine -- six zero -- to  
15 determine if the claims management initiatives have  
16 actually impacted the percentage of claims that remain  
17 open at that stage of development?

18                   MR. LUKE JOHNSTON:   To get to that  
19 ultimate point where they're booked for life, yes.   Do  
20 we track the progress along the way every month?   Yes.  
21 But -- but you're right, you know, what we know at  
22 sixty (60) months is going to be a lot more firm than  
23 what we're trending at eighteen (18) months in, for  
24 example.

25                   DR. BYRON WILLIAMS:   And if -- if the

1 good work that Mr. Wennberg and his team are trying to  
2 do does help people to get back to work earlier, that  
3 should be reflected in favourable developments in  
4 weekly indemnity over time?

5 MR. LUKE JOHNSTON: Yes.

6 DR. BYRON WILLIAMS: And the  
7 particular challenge for you on the weekly indemnity  
8 side, sir, in contrast to the accident benefit other  
9 indexed where you can already see some favourable  
10 development is that to date that favourable  
11 development on the weekly indemnity side is  
12 theoretically there, but it's not tangibly there yet?

13 MR. LUKE JOHNSTON: That's correct.  
14 To the extent that, if we had seen favourable  
15 development, particularly what I call the tail beyond  
16 five (5) to ten (10) years, we ongoing -- we make  
17 ongoing updates to that, we haven't seen anything  
18 substantive that would cause a big change in the  
19 estimates.

20 DR. BYRON WILLIAMS: Shifting to  
21 accident benefit other indexed again, I think the  
22 quote I had from you this morning, have we overbaked  
23 the initial reserves for -- for accident benefit other  
24 index.

25 Do you recall a statement to that

1 effect, sir?

2 MR. LUKE JOHNSTON: Probably would  
3 have rephrased that if I could do it again, but it  
4 doesn't sound as good when you say it, but, anyways,  
5 I'll -- subject to check in that reference, were there  
6 initial reserves potentially too high? Possibly.

7

8 (BRIEF PAUSE)

9

10 DR. BYRON WILLIAMS: And are they  
11 still overbaked, sir?

12 MR. LUKE JOHNSTON: So as discussed  
13 earlier, we have released some of the reserves in the  
14 policy evaluation from ABO index. We'll continue to  
15 track and update it.

16 I can't say with any accuracy whether I  
17 think, you know, we have extra 5 percent in there as  
18 such, but we'll continue to reflect the experience  
19 that comes in.

20

21 (BRIEF PAUSE)

22

23 DR. BYRON WILLIAMS: I wonder if we  
24 can turn to the Corporation's response to CAC 1-22.  
25 And, Mr. Wennberg, I think you can feel free to chime

1 in. Mr. Johnston will jump in as -- as he sees fit.

2 In terms of what is des -- let me back  
3 up. In terms of acci -- accident benefit other non-  
4 indexed, one (1) element of that would be permanent  
5 impairment payment, sir.

6 Is that correct?

7 MR. CURTIS WENBERG: Yes.

8

9 (BRIEF PAUSE)

10

11 DR. BYRON WILLIAMS: And with regard  
12 to the accident benefit non-indexed category, in 2018,  
13 Manitoba Public Insurance, I'll suggest to you,  
14 discovered a backlog in processing payments and  
15 establishing reserves for personal impairments in the  
16 insurance years 2015 to 2017, correct?

17 MR. CURTIS WENBERG: Yes.

18 DR. BYRON WILLIAMS: And what happened  
19 is, quite naturally, staff was focussed on clearing  
20 the backlog for accident years 2015 to 2017 in terms  
21 of permanent impairments and, as a consequence,  
22 payments for the accident years 2018 and 2019 in terms  
23 of personal impairment slowed.

24 Is that fair, sir?

25 MR. CURTIS WENBERG: Yes.

1 DR. BYRON WILLIAMS: And when MPI  
2 reviewed claims in the -- those insurance years, being  
3 2015 to 2017, it -- it found the need, as well, to  
4 increase the case reserves for the 2015 to 2017  
5 insurance years, correct?

6 MR. CURTIS WENNBERG: Yes.

7 DR. BYRON WILLIAMS: Okay. And in  
8 terms of the backlog in -- relating to personal  
9 impairment payments for the accident years 2018 and  
10 2019, has it been addressed now, sir, or is it still  
11 ongoing?

12 MR. CURTIS WENNBERG: My understanding  
13 is that we've pretty much hit a steady state again on  
14 this.

15 DR. BYRON WILLIAMS: Now if we could  
16 turn to the Corporation's response to PUB -- sorry,  
17 CAC 2-8.

18

19 (BRIEF PAUSE)

20

21 DR. BYRON WILLIAMS: And we'll go to  
22 the bottom of page 2 of 4, that very last sentence  
23 there, and then we'll go on to the next page.

24 Prior to 2010, sir -- and go on to the  
25 next page, if you would, Ms. Schubert -- there was a

1 specialized unit of -- of staff who had expertise in  
2 permanent impairment identification rating and  
3 calculations, and they were managing the personal  
4 impairment portfolio, both the payments and the  
5 reserves, agreed?

6 MR. CURTIS WENNBERG: Agreed.

7 DR. BYRON WILLIAMS: And by all  
8 accounts, were relatively successful in ensuring the  
9 timely and accurate payment of personal impairment,  
10 agreed?

11 MR. CURTIS WENNBERG: Agreed. It's a  
12 unit, and the makeup of which we were talking about a  
13 little bit between my director and I on where we go  
14 here.

15 DR. BYRON WILLIAMS: Okay. And in  
16 2010, this unit was disbanded in an effort to reduce  
17 the number of full-time equivalent positions, agreed?

18 MR. CURTIS WENNBERG: Yeah. The  
19 timing's probably around the BI3.

20 DR. BYRON WILLIAMS: And one (1) of  
21 the challenges for the case managers and  
22 administrators after that unit was disbanded and that  
23 expertise was spread to the -- well, was -- was spread  
24 -- was they didn't have the experience in -- in these  
25 complex files, and so they delayed making decisions

1 respecting entitlements because they were busy, and it  
2 was complex, time consuming, and conflicting with  
3 other priorities, agreed?

4 MR. CURTIS WENNBERG: Agreed. And --  
5 and, you know, in their defence, from what I  
6 understand on this, is that the -- the permanent  
7 impairment payment will be paid.

8 It's -- it's a matter of sometimes  
9 these permanent impairments aren't even known until  
10 years after the injury, and so it's something that --  
11 it's not like our case managers are willfully, you  
12 know, pushing away what's a potential liability to be  
13 paid to a customer. That -- I hope that's not at all  
14 any of the assumptions people are making who are  
15 listening in.

16 It's just purely that they were  
17 inundated on a lot of case management work with other  
18 issues, and so this was something that could be put to  
19 the side and wait for the customer to mention it, and  
20 then maybe jump on it, and in -- in that way, you  
21 could see some of these things being deferred.

22 DR. BYRON WILLIAMS: And going back to  
23 prior to 2010 for a moment, prior to 2010 MPI was  
24 tending to finalize and pay the vast majority of  
25 impairment payments sooner than twenty-four (24)

1 months, agreed?

2 MR. CURTIS WENNBURG: Yeah.

3 DR. BYRON WILLIAMS: Now, Mr.

4 Johnston, this may be where you come in. At the top  
5 of this first full paragraph on -- on page 3 of 4 of  
6 CAC-2-8, you'll see a suggestion that:

7 "MPI magnified the problem with the  
8 introduction of centralized PIPP  
9 case reserving, as the process  
10 resulted in the placement on files  
11 twenty-four (24) months old of  
12 reserves at a standardized and  
13 steady rate."

14 Agreed?

15 MR. LUKE JOHNSTON: I see that, yes.

16 Agreed.

17

18 (BRIEF PAUSE)

19

20 DR. BYRON WILLIAMS: The suggestion in  
21 this paragraph, at least for a point in time, is that  
22 centralized reserving artificially increased the loss  
23 development factor, making it appear as though PIPP  
24 liabilities had grown when -- when, in essence, they  
25 were just simply delayed.

1 MR. LUKE JOHNSTON: Yeah. The -- if  
2 you have a backlog that normally would have been  
3 handled in the first couple years and then, you know,  
4 you find the backlog -- obviously, from an actuarial  
5 perspective, that's not good to find a -- a group of  
6 claims that aren't properly reserved -- reserving them  
7 can create a hopefully one (1) time development factor  
8 that -- that just shows up in -- you know, the -- in  
9 the time period when you put all the reserves in and  
10 make it look like it's abnormal development, but it --  
11 it won't persist.

12 DR. BYRON WILLIAMS: And that impact,  
13 in terms of loss development factors, is it still  
14 there with regard to this -- to this line, sir, being  
15 ABO other non-indexed?

16 MR. LUKE JOHNSTON: From a historical  
17 perspective, it will never go away in the sense of,  
18 you know, hopefully we never have a backlog that needs  
19 to be reserved. But -- and the history is still  
20 there. Going forward we would hope to not see that  
21 again and just reflect steady-state, consistent  
22 processes.

23

24

(BRIEF PAUSE)

25

1 DR. BYRON WILLIAMS: And just so I  
2 understand, in your view, sir, is any kind of  
3 artificial infla -- inflation in future years  
4 eliminated, or is it -- or is there still a residual  
5 effect?

6 MR. LUKE JOHNSTON: Just as -- as we  
7 were talking on this subject, I can tell you that our  
8 -- our prior years 2016 and prior 2017 experience  
9 relative to budget has been favourable for non-indexed  
10 in the current year, while the -- the 2020 year is  
11 over budget. So it appears, at least through halfway  
12 through this year, that we are running off some of  
13 this -- these previous reserves that were -- that were  
14 put for this backlog. But the current-year budget  
15 doesn't seem to have any kind of inflated issue at  
16 this time, yeah.

17 DR. BYRON WILLIAMS: Which I think  
18 leads nicely to my next question, sir. You'll recall  
19 last week in our discussion of the accounting world  
20 view of COVID-19 versus the actual -- actuarial world  
21 view of COVID-19; you recall that, sir?

22 MR. LUKE JOHNSTON: Yes.

23 DR. BYRON WILLIAMS: And one (1) of  
24 the points you were attempting to make in that  
25 conversation a whole week ago, if mem -- or perhaps

1 about a week ago, anyways, is that in terms of some of  
2 the PIPP favourable impact in the 2020/'21 year, some  
3 of that was the experience from prior years. You --  
4 you recall that, sir?

5 MR. LUKE JOHNSTON: Yes, I do.

6

7 (BRIEF PAUSE)

8

9 DR. BYRON WILLIAMS: So in terms of  
10 that prior experience from past years, I'm going to  
11 suggest to you it could be a couple of things, and  
12 you'll correct me if I'm wrong. One (1) is what you  
13 spoke of this morning, which would be -- because of  
14 COVID-19, there was less therapy, massage therapy,  
15 chiropractic therapy, and so some payments related to  
16 prior accident years would not have been made in the  
17 '20/'21 year because of COVID-19. Agreed?

18 MR. LUKE JOHNSTON: Agreed.

19 DR. BYRON WILLIAMS: And then some of  
20 the other favourable results for the Personal Injury  
21 Protection Plan as compared to budget in the '20/'21  
22 year would involve things like the favourable runoff  
23 of the 2016 and 2017 accident benefit other non-  
24 indexed?

25 MR. LUKE JOHNSTON: That's right. So

1 the -- the paid losses are usually pretty consistent  
2 from year to year, so we have seen pretty -- not  
3 pretty -- very favourable pay development in ABO  
4 indexed, which makes you believe that something's  
5 happening there on the COVID front, right? We don't -  
6 - don't have to believe it; we -- we know that it's  
7 happening to some extent. Incurred is paid, but also  
8 the reserves. We have seen favourable development on  
9 ABO non-indexed in the backlog years you mentioned  
10 and, to some extent, in some of the twent -- mostly  
11 the 2019 year, actually, for ABO indexed.

12 DR. BYRON WILLIAMS: That was for ABO  
13 indexed in the 2019 year?

14 MR. LUKE JOHNSTON: The -- the 2019,  
15 just using my own kind of monthly num -- numbers that  
16 I get, for 2019 year, we've seen paid 37 percent under  
17 budget, so that's about 7.4 million versus 11.7  
18 million budget. Incurred, the actual is close to zero  
19 (0) relative to a budget of 7 million, so not only  
20 have we had less paid, but we've also been --  
21 apparently been removing reserves and such.

22 But we're watching this one closely.  
23 It's a tricky one with a mixture of, you know, COVID  
24 impacts and prior years development, so it's going to  
25 be tough to sort out, yeah.

1 DR. BYRON WILLIAMS: Mist -- Mr.  
2 Wennberg, just at a general level, and I don't intend  
3 to probe in great detail, but you referenced earlier  
4 this morning talking about the efforts the Corporation  
5 has made to improve the timelines related to the  
6 Autoba -- Autopac ins -- the AICAC, yes, the appeals  
7 process. And I wonder, at a high level, if you can  
8 indicate just where that process is and -- and whether  
9 you're satisfied with the time frame post-improvement.

10 MR. CURTIS WENNBERG: Okay, yeah,  
11 thank you. I -- I was made aware there were some  
12 questions around the AICAC process from a -- a couple  
13 of days ago, and so I asked our director to -- to give  
14 me a couple of stats to share with the -- the PUB  
15 here.

16 We have about fifty thousand (50,000)  
17 decisions in any given year that go through the bodily  
18 injury group. Of those fifty thousand (50,000)  
19 decisions, we get about eight hundred (800) that go  
20 through our internal review officers. So this is like  
21 the first step in this pipeline before it gets into  
22 AICAC. So -- so we handle about eight -- eight  
23 hundred (800) of them.

24 Six hundred and forty (640) of those  
25 are managed through the IRO process, or the Internal

1 Review Officer process, so the -- it -- it's handled.  
2 And actually, what we find is that in many cases our  
3 decision originally held -- from the case manager was  
4 upheld through the IRO. So it's -- often people like  
5 to have a second view on these things, and so -- so  
6 that's provided.

7                   Of the remaining cases, you -- you get  
8 them to go to AICAC, but the first step to AICAC is to  
9 mediation. And mediation takes care of about 60  
10 percent of those cases, and -- and so 92 percent of  
11 those get done within ten (10) months, and it's done  
12 through mediation.

13                   And then the final group is seventy  
14 claims (70). They enter the full AICAC, and they go  
15 right to the end. And it was thirty-two (32) months,  
16 and now it's down to twenty-six (26) months.

17                   What -- what I'd like to just share  
18 with this group is that in many cases, there's  
19 additional information that's being sought to come  
20 onto the -- to the table for recognition. There's  
21 very complex types of factors that are involved in  
22 these cases that go right to that end, AICAC full  
23 process. And so while twenty-six (2) months does seem  
24 like a long time, there's a -- there's a lot of that  
25 time that is spent on the customer's side getting this

1 information or, you know, taking its time to respond  
2 to the various things.

3           And so you're really dealing with 0.1  
4 percent, if you will, of the overall decisioning  
5 processes, and there are a number of steps where a  
6 customer can detour out of that appeal at different  
7 levels to get a fair outcome or, you know, justice is  
8 served in their case.

9           So that's maybe a little bit more  
10 around that time line. And -- and we took six (6)  
11 months out of the process, but are we satisfied?

12           I -- I think we're always going to be  
13 taking a look to see how -- how can we, you know, do  
14 what we can to make sure that customers get a good and  
15 fair access to an appeal process through this because  
16 we -- we recognize where we stand in PIPP.

17           We'd never want to -- we never want to  
18 have a public backlash against the injury program,  
19 which is probably the heart of why we can have low and  
20 stable rates. And so this is not an area that we want  
21 to play around with by -- by taking benefits away from  
22 customers, if you will.

23           DR. BYRON WILLIAMS:   And thank you  
24 very much. That progression is very -- will be very  
25 helpful to our clients.

1                   In terms of the processes that -- going  
2 all the way through to the appeal hearing, does MPI  
3 confer with its colleagues that -- for example, the  
4 Workers Compensation Appeal Commission in terms of  
5 their time frames, or is there any kind of dialogue  
6 that goes on between those corporations --

7                   MR. CURTIS WENNBERG:     M-hm.

8                   DR. BYRON WILLIAMS:     -- those appeal  
9 processes?

10                  MR. CURTIS WENNBERG:    With -- with  
11 specificity to the appeal process, we -- what we try  
12 to do with most of our -- our improvements is take a  
13 look across jurisdictionally. And we do have good  
14 relationships with other Crown insurers on different  
15 things we want to do.

16                  This is very particularly true with  
17 anything around licensing-based stuff. And -- and so  
18 we generally do try and -- and touch base with others  
19 that have similar or relevant types of appeal  
20 channels.

21                  In the Workers Comp. side, they have  
22 more of a primary nature of being able to direct what  
23 sort of medical experience their customer goes  
24 through, where we're much more open for the customer  
25 to make the choices that are relevant for them.

1                   And that does involve some difference  
2 be -- between the two (2) processes. However, that  
3 said, I do think my director does actually closely  
4 touch base with WCB.

5                   DR. BYRON WILLIAMS: Thank you very  
6 much for -- to the MPI Panel, and I was pretty close  
7 to my time estimate, Madam Chair.

8                   THE PANEL CHAIRPERSON: Yes. Thank  
9 you, Mr. Williams.

10                   Ms. Meek...?

11

12 CROSS-EXAMINATION BY MS. CHARLOTTE MEEK:

13                   MS. CHARLOTTE MEEK: Thank you, Madam  
14 Chair. I just have a couple of questions for the  
15 Panel.

16                   I guess I'll start -- probably this  
17 will be for Mr. Johnston. During your presentation  
18 and through some previous questioning, you confirmed  
19 that, overall, we've seen reductions in collision  
20 frequency, but that's been slightly offset by a small  
21 increase in severity. Is that correct?

22                   MR. LUKE JOHNSTON: Probably not  
23 offset. Like the -- the -- relative to what our  
24 previous forecasts were, we are lowering the forecast  
25 pretty substantially for frequency with -- we have

1 seen severity increase relative to like the long-term,  
2 for example, yeah.

3 MS. CHARLOTTE MEEK: Okay. Thank you.  
4 And would you say that pattern is true for the  
5 motorcycle class, as well as other major classes?

6 MR. LUKE JOHNSTON: I don't know the  
7 answer to that. The motorcycles, as you may or may  
8 not know, declare their motorcycle in a declared value  
9 band, and they have a pretty low number of annual  
10 accidents, in the -- around the three hundred (300)  
11 accidents per year range.

12 But, you know, inflationary costs of  
13 motorcycles and stuff, I would expect there'd be some  
14 upward trend over time. And obviously, motorcycles  
15 would experience injury claims inflation as well.

16 MS. CHARLOTTE MEEK: Okay. And if we  
17 could go to CMMG/MPI 1-1, please. So if we go to page  
18 2 first, Kristen, so this gives us a chart of the loss  
19 comparison for collision. And then the next page  
20 gives us a loss comparison for PIPP as well between --  
21 so it's a loss comparison between the motorcycle  
22 class, as well as the private passenger class.

23 Is that correct?

24 MR. LUKE JOHNSTON: Yes.

25 MS. CHARLOTTE MEEK: And the response

1 from MPI indicates that the figures provided are  
2 undeveloped and pre-PIPP cost allocation.

3 Is that correct? I can scroll up to  
4 show you that if it helps.

5 MR. LUKE JOHNSTON: Yes. Whether --  
6 I'm not sure if anybody understands what that means,  
7 but undeveloped, just that obviously losses that are  
8 very new, like 2019, that could grow a lot if they're  
9 serious losses.

10 The PIPP costs allocation just means  
11 that they haven't been converted into the -- the  
12 manner that I've -- like essentially, after loss  
13 transfer for rate-making purposes. So they're just  
14 the raw claims. The motorcyclist's had an accident.  
15 That's the total that we've incurred to date.

16 MS. CHARLOTTE MEEK: Sure. So kind of  
17 what you're saying is the last kind of two (2) years  
18 would be less reliable data than the -- than the years  
19 before 'cause they're not developed yet?

20 MR. LUKE JOHNSTON: Yeah. The last  
21 two (2) years for sure. And just -- just kind of show  
22 how much we believe that, when we do trending for  
23 PIPP, we generally don't even include the two (2) most  
24 recent years just knowing that it's not developed yet.

25 MS. CHARLOTTE MEEK: Right. Would MPI

1 would be able to provide Figure 2 with the loss  
2 transfer for PIPP?

3

4 (BRIEF PAUSE)

5

6 MR. LUKE JOHNSTON: So my  
7 understanding of the request is update this figure on  
8 PIPP loss experience after PIPP cost allocation  
9 methodology that we use for rate-setting purposes.

10 MS. CHARLOTTE MEEK: Yes, please.

11 MR. LUKE JOHNSTON: Yeah, we can do  
12 that.

13 MS. CHARLOTTE MEEK: Thank you.

14

15 --- UNDERTAKING NO. 29: MPI to update figure on  
16 PIPP loss experience after  
17 PIPP cost allocation  
18 methodology that MPI uses

19

20 CONTINUED BY MS. CHARLOTTE MEEK:

21 MS. CHARLOTTE MEEK: And then this  
22 morning in your presentation and then through some of  
23 the questions with my other colleagues here, you  
24 discussed that centralized reserving is a new process  
25 that MPI has kind of begun recently, and that, as of

1 this year, it's showing that initial reserves are a  
2 little high. Is that correct?

3 MR. LUKE JOHNSTON: Centralized  
4 reserving as an overall corporate I guess approach to  
5 injury reserving is -- is new. Weekly indemnity is  
6 more established, and -- and reserves in the budget --  
7 or, sorry, the estimates in the budget seem pretty  
8 consistent.

9 For other non -- sorry, accident  
10 benefits, other indexed and non-indexed, we have seen  
11 a favourable development in -- in this year relative  
12 to those estimates. So that -- that was my discussion  
13 with Mr. Williams.

14 There could be some favourable  
15 developments from COVID, and -- but it could also be  
16 true that the initial reserves were too high for the  
17 impairment benefits. It does appear that we are  
18 seeing some favourable results relative to those  
19 reserves.

20 MS. CHARLOTTE MEEK: Okay. And so  
21 you'd mentioned COVID, and I think we also talked  
22 about some other factors -- please correct me if I'm  
23 wrong -- that would be impacting the reserves such as  
24 what Mr. Wennberg was referring to, which was MPI  
25 doing work to reduce some fraudulent claims.

1                   Was that correct?

2                   MR. LUKE JOHNSTON:    Yes, and if you --  
3 if Mr. Wennberg wants to jump in, I talked about a  
4 couple of high-level actuarial-type impacts, but  
5 there's others, yes.

6                   MR. CURTIS WENNBERG:    There's --  
7 there's also the -- with PIPP, what we're watching is  
8 the ability for our customers to go back to work. And  
9 so one (1) of the conflating factors that we haven't  
10 discussed is that, with the weekly indemnity, we are  
11 paying all of those, as discussed, but we are also  
12 watching how our customers are going back to their  
13 place of employment.

14                   Through this year and as COVID  
15 continues, it's -- it's something we're going to have  
16 to watch in how -- how that trend impacts both next  
17 year's GRA as well. So that could be a -- a more  
18 difficult one.

19                   And then the other piece affecting ABO  
20 is -- is that they aren't accessing some of that other  
21 care like -- like physio or chiropractor or something  
22 else like that.

23                   And what's curious right now is it  
24 looks like our back-to-work factors aren't changing  
25 very much, which is really interesting. We're --

1 we're finding that quite interesting, but we'll have  
2 to see what sort of medium- and longer-term impacts  
3 it'll have.

4 MS. CHARLOTTE MEEK: Sorry, you said  
5 the back-to-work factors aren't changing very much or  
6 are -- are changing?

7 MR. CURTIS WENNBERG: They -- they  
8 aren't. So we're -- we're seeing a similar curve of  
9 people going back to work that we had seen from pre-  
10 COVID.

11 MS. CHARLOTTE MEEK: I see. Okay.

12 MR. CURTIS WENNBERG: Yeah, which is  
13 encouraging.

14 MS. CHARLOTTE MEEK: Right. And so --  
15 so all of these factors that you've discussed, these  
16 would most likely impact PIPP claims, right, personal  
17 injury claims?

18 MR. CURTIS WENNBERG: Yes.

19 MS. CHARLOTTE MEEK: Right. And I  
20 think, Mr. Johnston, you said something along the  
21 lines of it'll take some time before any reliable  
22 pattern can be observed from this data.

23 And when you were talking to Mr.  
24 Williams, you said that, on the actuarial side, you  
25 can make better estimates once you see the pattern is

1 developing. Is that correct?

2 MR. LUKE JOHNSTON: Yeah. To the  
3 extent that there's clear evidence that it's  
4 happening, sure. We'll -- we will update that  
5 quickly.

6 To the extent that, for example,  
7 there's a longer-term impact that, you know, extends  
8 beyond, you know, ten (10) years of -- after the claim  
9 happened and such, we -- we'd recognize those, but it  
10 could take a little longer to fully materialize.

11 MS. CHARLOTTE MEEK: So what you're  
12 saying is, as a result, MPI has not actually changed  
13 its forecasting methodology as of yet, but you may do  
14 so in the future?

15 MR. LUKE JOHNSTON: For accident bene  
16 -- benefits other index, we did have a pretty  
17 significant reduction in our actuarial evaluation this  
18 year, and -- and we lowered the forecast as a result  
19 of that; it was about 6 million a year reduction.

20 On the opposite end of that though,  
21 weekly indemnity, as I mentioned earlier, we have --  
22 we put up the reserves and haven't seen any kind of  
23 favourable movement on that and, as a result, that  
24 forecast is higher.

25 MS. CHARLOTTE MEEK: Okay. So, you're

1 kind of separating out the accident benefit other  
2 index versus the weekly indemnity. So, in order to --  
3 I guess my question would be: How -- how many years of  
4 data or how much time would you require before a  
5 discernible pattern could be observed in the weekly  
6 indemnity or is there a time frame that you have in  
7 mind before you would be able to see a pattern or is  
8 it just once that pattern arises?

9 MR. LUKE JOHNSTON: Well, so I guess I  
10 can split it a couple ways. If changes in development  
11 would be recognized as they occur, there could also be  
12 noticeable trends that we'd recognize, something like  
13 getting a claimant back to work.

14 So, the -- the big issue around the --  
15 like, the BI3 period was that it just seemed like all  
16 of the sudden there's a lot more claimants not getting  
17 back to work by the time that sixty (60) months came  
18 around.

19 So, that ended up being a pretty big  
20 miss from the actuarial standpoint, that there was  
21 never any expectation that, you know, the number of  
22 claims going a lifetime would -- would double, for  
23 example.

24 The reserve is also true to the extent  
25 that, you know, maybe we have ninety (90) to a hundred

1 claims a year going lifetime. If we work those claims  
2 better or investigate them, whatever is necessary, and  
3 it drops to a lower number, great, but I don't have  
4 anything to support that that's going to happen yet,  
5 as optimistic as -- as we want to be about that, yeah.

6 MS. CHARLOTTE MEEK: Right. So,  
7 you're not able to give us a time frame.

8 It would just be the patterns may  
9 develop, and you'll see them as they occur, and then,  
10 in the future, may change methodology?

11 MR. LUKE JOHNSTON: Yes. If the -- if  
12 the reserving process is conservative or -- or biased  
13 or upward or downward, it should show itself and be  
14 tweaked toward an unbiased estimate.

15 MR. CURTIS WENNBERG: If I may.  
16 Underlying your question might be is there -- if we  
17 saw that in previous history we had fifty (50) claims  
18 go through to life after five (5) years, recent  
19 history was that we had a hundred.

20 So, couldn't you just go back and  
21 identify which fifty (50) are on your books that  
22 shouldn't be on your books, and if you move them out,  
23 then he can immediately change his forecast?

24 The answer is no. So, a couple of  
25 years ago when we saw what we saw, we did take a look

1 at some of the longer term claimants on our books.

2 And after five (5) years, where that claimant is, they  
3 did deserve to be on the books.

4 And so, one (1) of the things in return  
5 to work when you have injured people is the best thing  
6 is to start working with them fairly quickly to get  
7 their life back on track with whatever the new normal  
8 is, and the sooner you do that, the better for  
9 everybody involved.

10 And so, in -- in this environment,  
11 although we do try and look at our serious and long-  
12 term book and try and get folks back to work where you  
13 can, there's no windfall really to -- to be had there.

14 Once those folks are -- are moving  
15 towards life, they've moved towards life, subject to  
16 some of the other fraud investigation pieces that we  
17 found fairly satisfactory over the last little while.

18 So -- so, then it comes to this, that a  
19 second one would be development factors. So, if we  
20 have now put more operational reserves up through our  
21 centralized reserve process on those claimants between  
22 two (2) and five (5) years, there -- there should be  
23 less of the historical development between two (2) and  
24 five (5) years than there was before, and so we'll be  
25 able to see that probably first.

1                   And then the final piece is, if you had  
2 8 percent of your customers still on your book in  
3 twenty-four (24) months and now we've got 7 percent,  
4 well that -- that basically reduces the curve for  
5 everybody. And that would be the final thing that  
6 Luke would probably see that would make an impact on  
7 the reserve rates for PIPP.

8                   MS. CHARLOTTE MEEK: Thank you. Those  
9 are my -- oh, unless --

10                  MR. LUKE JOHNSTON: I'm just --

11                  MS. CHARLOTTE MEEK: -- you want to  
12 make another comment.

13                  MR. LUKE JOHNSTON: No, I'm just going  
14 to -- adding things is... We do watch this curve  
15 every month. So, just -- I don't want you to think  
16 that I'm waiting -- you know, when we say it's down  
17 the road, I don't want you to think that it's a  
18 delayed reaction by us.

19                         To the extent we see changes, we -- we  
20 will recognize them.

21                  MS. CHARLOTTE MEEK: Thank you. Those  
22 are my questions.

23                  THE PANEL CHAIRPERSON: Thank you, Ms.  
24 Meek. Mr. Gabor...?

25                  THE CHAIRPERSON: Thank you. Mr.

1 Wennberg, I've got a few questions for you in terms of  
2 decision making.

3 Now, I guess as my opening, did you  
4 listen to the testimony on Friday?

5 MR. CURTIS WENNBERG: I was able to  
6 catch some parts of the PUB testimony.

7 THE CHAIRPERSON: Okay. I'm going to  
8 -- I'm going to put something to you, quite frankly,  
9 that I intended to put to the last panel, but between  
10 the confusion of what was CSI and what wasn't CSI and  
11 what we were doing, I forgot to do so.

12 So, I'm going to ask Mr. Scarfone to --  
13 to listen because what I'm going to do is sort of,  
14 before I ask the question, put some statements that  
15 other people on the panel made. And I just want to  
16 make sure that I'm accurate in the statements.

17 So, the first statement was from Mr.  
18 Remillard, which was that MPI was not projecting a  
19 negative NPV for Project Nova, okay? You don't have  
20 to 'yes' or 'no'.

21 But the second statement was from Mr.  
22 Mitra, which was that not doing Project Nova, would it  
23 -- would itself be a risk.

24 The third statement from Mr. Dessler  
25 was, aside from NPV, sometimes there are things that

1 need to be done for the technilog -- for technological  
2 reasons. So --

3 THE PANEL CHAIRPERSON: Excuse me, Mr.  
4 Gabor. Our counsel has a question.

5 MS. KATHLEEN MCCANDLESS: I'm just  
6 wondering -- we will have a CSI session after this.

7 THE CHAIRPERSON: Well, let me just  
8 put this to him in open session. There's a simple  
9 question though following, and -- and here's the  
10 simple question.

11 Is there anything that would restrict  
12 the MPI Board from deciding to proceed with Project  
13 Nova even if there was a negative NPV?

14 MR. CURTIS WENNBERG: The Board may --  
15 may have different reasons to choose to proceed or not  
16 proceed based on a magnitude perhaps impact on -- on  
17 NPV, but -- but that would be like any other business  
18 decision, especially when you're play -- you're --  
19 you're dealing with the underlying IT architecture of  
20 your firm.

21 THE CHAIRPERSON: Right. So, if there  
22 was a negative NPV, the Board would have the authority  
23 to, as Mr. Dessler took, make a decision based on the  
24 technological needs of MPI?

25 MR. CURTIS WENNBERG: Yeah, like, a

1 compliance investment would be a similar sort of  
2 nature.

3 THE CHAIRPERSON: Or that it's so  
4 important to the future of MPI, we're prepared to  
5 proceed whatever the NPV is?

6 MR. CURTIS WENNBERG: Agreed.

7 THE CHAIRPERSON: Okay. The second  
8 question I have for you is -- sorry, I'm working off  
9 two (2) pads. You made the comment about Fineos  
10 hiring thirteen (13) additional people and providing  
11 additional responsibilities.

12 What year was that?

13 MR. CURTIS WENNBERG: We had a big  
14 write-down of \$80 million in our PIPP reserves when we  
15 discovered some of the reserving issues. And we did  
16 the deep dive in 2017.

17 And then we got final approval to make  
18 some of the org changes and add the thirteen (13)  
19 people slightly after our -- our previous CEO, Ben  
20 Graham, was in, so I'm gonna say halfway through 2018.

21 And then we had them hired and trained  
22 by October of 2018.

23 THE CHAIRPERSON: Who -- who actually  
24 made the decision?

25 MR. CURTIS WENNBERG: Well, it depends

1 on how you think about it. So, I championed the deep  
2 dive within MPI and took it to the Board, who then  
3 asked Ben to get comfortable with it as the new CEO to  
4 -- to agreed with.

5 THE CHAIRPERSON: But ultimately, was  
6 it a Board decision to hire the people or was it a CEO  
7 decision to hire the additional people?

8 MR. CURTIS WENNBERG: I guess really  
9 the way we try to do things in MPI is create ownership  
10 within the different groups. So, I would assume I'm  
11 hireable or fireable on the basis of that decision.

12 So, I call it my decision that the CEO  
13 agreed with and I -- I believe the Board agreed with  
14 as well, but it's really CEO level. The Board doesn't  
15 need to agree with that.

16 THE CHAIRPERSON: Okay. And if you  
17 were in the same position today, where you thought you  
18 -- you had to hire a number of people, thirteen (13) -  
19 - let's use the same number, thirteen (13) people --

20 MR. CURTIS WENNBERG: Yeah.

21 THE CHAIRPERSON: -- to bring  
22 efficiencies to the Corporation, would it be your  
23 decision or would you need the Board to decide it?

24 MR. CURTIS WENNBERG: I don't believe  
25 we'd need the Board to decide those types of

1 operational decisions. But, absolutely -- and, in  
2 fact, I actually push this sort of decision down to my  
3 directors who run the different units. I have  
4 directors in place that run groups of five hundred  
5 (500) people, for example.

6                   And so, in -- in part of the change in  
7 culture at MPI, what we're trying to do is use our  
8 position as -- as COO or -- or chief actuary to coach  
9 our directors to make the right business acumen  
10 decisions and run MPI like a business first.

11                   And then, we go through whatever  
12 filters we have as a -- you know, the monopoly  
13 provider and the DVA provider and some of the other  
14 aspects of our certain stakeholder community, which we  
15 do.

16                   But we -- we need to run this place  
17 like a business first. And if it's an org change or  
18 if it's even some of the banter that we had around  
19 thinking about the old permanent impairment unit, we  
20 had some positive discussions about those sorts of  
21 things.

22                   I really want my directors to be able  
23 to put a strategy in place and have them own what they  
24 think makes the most sense for the Company going  
25 forward.

1                   There may be some times where I give  
2 them hints around what I think is an opportunity, but,  
3 really, it comes from them.

4                   And then, what we would expect from our  
5 governance channel is that they listen to the pros and  
6 cons from a business logic perspective and agree or  
7 tell us why they disagree.

8                   THE CHAIRPERSON:    Sorry, can you take  
9 -- sorry, when you said from the -- from the  
10 governance --

11                   MR. CURTIS WENNBERG:    Yeah.   So me --  
12 I might have certain authorities to say 'yes' or 'no'.  
13 Then -- up to CEO level.   Potentially through the  
14 executive committee.   There's things the executive  
15 committee does.   And then, if it has to go to the  
16 Board, it goes to the Board after that.

17                   THE CHAIRPERSON:    Is there anything  
18 that has to go outside the Board to government for  
19 approval?

20                   MR. CURTIS WENNBERG:    Most of the  
21 things, I think, I'm aware of, go to our Board to get  
22 resolved.

23                   What we like to get government approval  
24 on is the annual business plan and I think we've filed  
25 a verison of that here.

1 THE CHAIRPERSON: Okay. Finally,  
2 there was the discussion about the automotive --  
3 automotive group. And, as I understand, there's a --  
4 a contract for a specific period of time and you meet  
5 to discuss the terms of the contract or any changes to  
6 the contract.

7 Are there regular meetings throughout  
8 the contract period as well, to -- to discuss problems  
9 that may arise? Or are the meetings mostly focused on  
10 the renewal of the contract?

11 MR. CURTIS WENNBERG: There are  
12 regular meetings. There's two (2) different groups  
13 that -- that we had set up a number of years ago. I  
14 want to say three (3) -- three (3), three and a half  
15 (3 1/2) years ago.

16 I'm -- I chair and sit on the executive  
17 committee where we have two (2) members of the ATA,  
18 and two (2) members of the Manitoba Motor Dealer  
19 Association, and three (3) members of MPI.

20 We'll meet quarterly to talk about  
21 anything in terms of advancing -- any of the other  
22 issues.

23 These aren't generally about the LVAA  
24 negotiations; that's -- that's really held separately.  
25 And we try and kick that off eight (8) months before,

1 you know, the -- the next agreement comes due or is --  
2 is end of term.

3                   There's also another committee that we  
4 call the technical committee. And if there's  
5 challenges with Estimatics or, you know, something  
6 that's happening between our estimators and the shops  
7 or, you know, something, we will kick it down to the  
8 technical committee. And that's made of a few MPI  
9 folks and a few of the ATA, MMDA teams. And they get  
10 together and they talk about things.

11                   I'll give you an example. So between  
12 last negotiation and this next one, we had developed a  
13 new part strategy. And we're using a third-party  
14 software system called Car-Parts Pro. It's a very  
15 common industry standard type of software.

16                   And what we used to do is we used to  
17 have MPI parts people get in the way of a certain  
18 repair, and we would force a certain recycled part on  
19 an estimate. And the shops didn't have a lot of say  
20 to it. I'm really simplifying it, but -- but, in  
21 essence, that's what it was.

22                   Now, we've got this new system. We're  
23 asking them to use it. They find whatever parts they  
24 need on a vehicle. If they find they have to use all  
25 original equipment parts on a certain repair, then we

1 don't really get in the way. We let them do that. As  
2 long as their average of the parts used is about the  
3 historical percentage of recycled and after-market and  
4 OEM. And then, we get our savings as well that we're  
5 used to.

6                   So we're actually giving more autonomy  
7 to the repair shops and how they use parts.

8                   That -- a lot of that detail was sorted  
9 out in that technical committee and that subject also  
10 came up through the executive committee and -- and we  
11 -- we worked -- we worked fairly closely with them to  
12 actually tweak and develop this part strategy.

13                   THE CHAIRPERSON:    So if they had  
14 complaints about the parts strategy, would it go to  
15 you or would it go back through this committee  
16 process?

17                   MR. CURTIS WENNBERG:    It could be  
18 both. I -- what we like to do is use the committee  
19 process for it.

20                   Or I have a director of physical  
21 damage, and he and his team really have close  
22 relationships with the shops. The shop reps,  
23 actually, have a number of shops they deal with. And  
24 -- and that stuff should be going through him.

25                   But I'm always a -- I'm always an

1 escalation channel, if need be. And -- and,  
2 certainly, it was this group that was on board with  
3 the -- the strategy of that parts strategy, then the  
4 pilot rollout, all that kind of stuff. We dealt with  
5 the -- the technical and exec committee on that.

6 THE CHAIRPERSON: Just going back to  
7 this business plan that you submit to the government.

8 What time of year do you submit it?

9 MR. CURTIS WENNBERG: It's usually in  
10 the January, February, March time period.

11 THE CHAIRPERSON: Okay. And it's --  
12 and it's every year. And it would include your  
13 budget, as well as your proposed business plan for the  
14 year?

15 MR. CURTIS WENNBERG: Yeah. The high  
16 level, yeah.

17 And -- and what we do is -- is we often  
18 get a mandate letter from the Crown Services  
19 Department, and we try and satisfy what's required in  
20 the mandate letter.

21 THE CHAIRPERSON: And they respond to  
22 you -- what time? By the end of March? Before the  
23 new years starts or...

24 MR. CURTIS WENNBERG: Or slightly  
25 thereafter.

1 THE CHAIRPERSON: Okay.

2 MR. CURTIS WENNBERG: It's been --  
3 it's been in process for the last couple of years.

4 THE CHAIRPERSON: Okay. Thank you,  
5 sir.

6 MR. CURTIS WENNBERG: You're welcome.

7 THE CHAIRPERSON: Those are my  
8 questions.

9 THE PANEL CHAIRPERSON: Thank you.  
10 Ms. Hainsworth, do you have any questions?

11

12 (BRIEF PAUSE)

13

14 MS. CAROL HAINSWORTH: No, I do not.

15 THE PANEL CHAIRPERSON: Thank you.

16 Mr. Scarfone, any re-direct?

17

18 RE-DIRECT EXAMINATION BY MR. STEVE SCARFONE:

19 MR. STEVE SCARFONE: Thanks, Madam  
20 Chair. I know that we are -- we've got a full agenda  
21 this afternoon, so I'm going to limit my questions to  
22 just a couple. Maybe even just one (1).

23 For Mr. Johnston -- Ms. Schubert, could  
24 you pull up Mr. Johnston's presentation from this  
25 morning. Thank you. You're very quick. And number

1 11, please.

2                   So Mr. Johnston, there -- again, you  
3 were questioned by My Learned Friends about the trend  
4 in collision frequency, analyzing those trends, and,  
5 of course, the reasons that the Corporation suspects  
6 these trends are occurring.

7                   One (1) of which you cited as improved  
8 driving behaviour. You see that there?

9                   MR. LUKE JOHNSTON: I do.

10                  MR. STEVE SCARFONE: You would have, I  
11 think, attributed that to the Driver Safety Rating  
12 model?

13                  MR. LUKE JOHNSTON: One (1) of the  
14 factors. But there's -- hopefully, all the other  
15 initiatives we have on road safety would influence  
16 driving behaviour as well.

17                  MR. STEVE SCARFONE: Okay. So that  
18 partly answers my question.

19                  So the Corporation hasn't identified  
20 its reasons in order of priority or what -- what  
21 represents the most important reasons, in its view,  
22 for the frequency reduction?

23                  MR. LUKE JOHNSTON: The only comment I  
24 -- I had made on that earlier is -- is Driver's Safety  
25 Rating has matured a lot since 2010. So I would

1 expect most of the benefits would have happened  
2 earlier in that -- after implementation and we'd  
3 continue to enjoy them.

4           The vehicle technology, winter tire  
5 program, items such as those have become more  
6 prevalent in recent years. So I'd probably give more  
7 weight to those items.

8           MR. STEVE SCARFONE: Okay. Thank you.

9           And so, I'll put you on the spot here  
10 because it may be a better person -- or it may be a  
11 better question for the person who's speaking to DSR  
12 tomorrow, which I think is you anyways.

13           But how, sir -- if you're -- if you can  
14 -- would any change to the model from the registered  
15 owner model to, perhaps, a primary driver model impact  
16 upon the trends we're seeing in collision frequency?

17           MR. LUKE JOHNSTON: So the question  
18 is: What changes to the current model that we have  
19 today -- how could we expect to see any further  
20 changes to driving behaviour to the benefit of, I  
21 guess, our results?

22           MR. STEVE SCARFONE: Sorry, not any  
23 further changes. But to the extent that MPIC has  
24 attributed some of the reduction in collision  
25 frequency to the DSR, would that impact upon that

1 trend if the DSR is changed?

2 MR. LUKE JOHNSTON: Well, in my  
3 history here, whenever we had rating, I guess,  
4 deficiencies or inadequacies -- whatever you want to  
5 call them -- and we've fixed them, in -- in terms of -  
6 - what I mean by that is charging ratepayers more in  
7 terms of their risk.

8 So I'll give an example. We used to  
9 not have motorcycle body styles, and I would meet with  
10 CMMG and say, You know, these sport bikes have a lot  
11 more accidents than, you know, these touring bikes,  
12 for example. And eventually, you know, we added body  
13 styles, and though it wasn't very popular initially to  
14 charge sport bikes a lot more money, the frequency of  
15 everybody dropped because the incentives had changed  
16 to, you know, either pay for the risk or -- or make a  
17 different choice.

18 So on -- on DSR, you could -- could be  
19 similar incentives to the extent that we're  
20 undercharging or overcharging certain customers and  
21 not creating the right incentives. How to measure  
22 that, I -- I couldn't tell you, but from everything  
23 I've seen in the past, pricing them more accurately  
24 based on risk generally improves the trends.

25 MR. STEVE SCARFONE: Okay, thank you

1 for that. Just quickly to Mr. Wennberg.

2 Mr. Wennberg, to the extent that any  
3 benefits paid to customers under PIPP are deferred or  
4 delayed, whether it be a -- a permanent-impairment  
5 award or the weekly indemnity, do you know, sir, if  
6 the Corporation provides compensation to the customer  
7 in the form of interest when that payment is  
8 ultimately made?

9 MR. CURTIS WENNBERG: Yes.

10 MR. STEVE SCARFONE: And then I might  
11 just -- in response to Mr. Gabor's question about the  
12 -- the involvement, Mr. Gabor, with the board of  
13 directors, I'm -- I'm being told to say that in some  
14 of the confidential Information Requests, there's two  
15 (2) that you might pay particular attention to.

16 One (1) would be CAC-1-8, and then  
17 another one (1) that I found interesting was PUB-2-9,  
18 also on the confidential module, which specifically  
19 speaks to the board of directors and their role in  
20 approving and looking at Nova as it advances through  
21 each of the phases.

22 So there's a question there about when  
23 they get to the discovery phase, it could be that the  
24 board of directors looks at it and -- and decides, you  
25 know, one (1) way or the other whether it should

1 proceed. And so that, I don't know if it specifically  
2 addresses the NPV aspect of that question, but it  
3 certainly helps in that regard, and if you'd take a  
4 look at those two (2).

5 And so those are all my questions for  
6 the witnesses on re-direct.

7 THE PANEL CHAIRPERSON: Thank you, Mr.  
8 Scarfone. As you pointed out, we have a full agenda  
9 this afternoon, so could we come back, please at ten  
10 (10) to 3:00?

11 Is that enough time for you to switch  
12 over? Okay, yeah. Thank you. Ten (10) to 3:00.

13

14 (PANEL STANDS DOWN)

15

16 --- Upon adjourning at 2:42 p.m.

17

18 (RECORD NOW ENTERS CSI PROCEEDINGS)

19

20 Certified Correct,

21

22

23 \_\_\_\_\_

24 Donna Whitehouse, Ms.

25