



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)  
2022/2023 GENERAL RATE APPLICATION  
HEARING

Before Board Panel:

Irene Hamilton - Board Chairperson  
Robert Gabor, Q.C. - Board Chair  
Michael Watson - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
October 18, 2021  
Pages 865 to 1122

1 APPEARANCES

2

3 Kathleen McCandless ) Board Counsel

4 Robert Watchman (by Teams) ) Board Counsel

5 Kara Moore (by Teams) ) Board Counsel

6 Darren Christle )

7 Kristen Schubert )

8 Roger Cathcart (by Teams) ) PUB advisor

9 Kevin Yang (by Teams) ) PUB advisor

10 Blair Manktelow (by Teams) )

11

12 Anthony Guerra ) Manitoba Public

13 Steve Scarfone (np) ) Insurance

14

15 Katrine Dilay ) CAC (Manitoba)

16 Chris Klassen (by Teams) )

17

18 Antoine Hacault (by Teams) ) Taxi Coalition

19

20 Charlotte Meek ) CMMG

21 Doug Houghton (np) )

22

23

24

25

1	TABLE OF CONTENTS	
2		Page No.
3	List of Exhibits	868
4	List of Undertakings	871
5		
6	RATEMAKNG/CLAIMS INCURRED/PIPP PANEL:	
7	JING LANG, Affirmed	
8	TAI PHOA, Sworn	
9	DEAN DUNSTONE, Previously Affirmed	
10		
11	Examination-in-Chief by Mr. Anthony Guerra	879
12	Cross-examination by Ms. Kathleen McCandless	924
13	Cross-examination by Ms. Katrine Dilay	1007
14	Cross-examination by Ms. Charlotte Meek	1081
15		
16		
17		
18		
19	Certificate of Transcript	1122
20		
21		
22		
23		
24		
25		

1	LIST OF EXHIBITS	
2	NO.	PAGE NO.
3	MPI-49	Redacted version of Nova
4		Presentation 874
5	MPI-50	Rate Update, Appendix 1, Investments
6		5 and 22 875
7	MPI-51	Financial Condition Test Chapter with
8		Appendices 1 to 6 876
9	MPI-52	MPI's Response to CMMG-MPI Pre-ask
10		Number 1 876
11	MPI-53	MPI's Response to PUB-MPI Pre-ask
12		Number 3 876
13	MPI-54	MPI's Response to TC-MPI Pre-ask
14		Number 6 876
15	MPI-55	MPI's Response to Undertaking Number 1
16		with Appendices 1 and 2 876
17	MPI-56	MPI's Response to Undertaking
18		Number 9 876
19	MPI-57	MPI's Response to Undertaking
20		Number 2 877
21	MPI-58	MPI's Response to Undertaking
22		Number 3 877
23	MPI-59	MPI's Response to Undertaking
24		Number 4 877
25		

1	LIST OF EXHIBITS		
2	NO.	DESCRIPTION	PAGE NO.
3	MPI-60	MPI's Response to Undertaking	
4		Number 5	878
5	MPI-61	MPI's Response to Undertaking	
6		Number 10	878
7	MPI-62	Claims Incurred Forecast	
8		Presentation	878
9	MPI-63	Rate-Making Presentation	878
10	PUB 23	Figure CI-10 from the 2021 GRA	1004
11	PUB 24	MPI Exhibit No. 27 from the 2021	
12		GRA	1004
13	MPI-64	MPI's response to Undertaking	
14		Number 6.	1005
15	MPI-65	MPI's response to Undertaking	
16		Number 8.	1005
17	MPI-66	MPI'S response to Undertaking Number	
18		13.	1006
19	MPI-67	MPI's response to Undertaking Number	
20		14.	1006
21	MPI-68	MPI's response to Undertaking Number	
22		15.	1006
23	MPI-69	Copy of the Annual Statement and	
24		Renewal Notice Template.	1006
25			

1	LIST OF EXHIBITS		
2	NO.	DESCRIPTION	PAGE NO.
3	CAC-7	A revised response to IR	
4		PUP-CAC-1-3	1007
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1		LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION	PAGE NO.
3	21	MPI to advise as to the basis of the	
4		new money yield rate of 2.17 percent	
5		provided in MPI-43	931
6	22	MPI to confirm the calculations and the	
7		reasons for the change in future	
8		severity trend from 4.25 percent to	
9		2.26 percent	947
10	23	MPI to provide an explanation for the	
11		change in the projected claim count for	
12		2022 through to 2025, as reflected in	
13		Figure 1 of MPI Exhibit Number 58	949
14	24	MPI to provide updated claims incurred	
15		exhibits for comprehensive and	
16		collision Figures CI-39, CI-40, CI-66,	
17		and CI-67.	952
18	25	MPI to provide detail as to the	
19		methodology change that has resulted	
20		in the \$1 million unfavourable	
21		variance to PIPP.	955
22	26	MPI to provide a sample template that	
23		was made available from	
24		communications.	968
25			

1		LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION	PAGE NO.
3	27	MPI to confirm the claims	
4		incurred figures at undertaking number	
5		2 which is MPI Exhibit number 57.	
6		Confirm the numbers as provided and	
7		provide any changes, if necessary.	993
8	28	MPI to calculate a revised	
9		rate indication, substituting pure	
10		premium trends proposed by Oliver Wyman	
11		for the combined frequency and severity	
12		trends used by MPI to determine the	
13		overall rate indication.	
14		And use the same pure premium trends	
15		for all claim categories for each	
16		coverage and distribute the pure	
17		premium trend to severity and frequency	
18		as you best see fit.	1078
19	29	MPI to provide a breakdown of the 14.3	
20		million data processing expenses and	
21		how much applies to the new standards	
22		that prevent capitalization	1117
23			
24			
25			

1	LIST OF UNDERTAKINGS	
2	NO.	PAGE NO.
3	30	MPI to provide data over the last four
4		(4) years where a motorcycle was
5		involved in a collision where the
6		driver was not the registered owner of
7		the vehicle 1119
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:02 a.m.

2

3 THE PANEL CHAIRPERSON: Good morning,  
4 everyone. Ms. McCandless, are there any preliminary  
5 matters?

6 MS. KATHLEEN MCCANDLESS: Not that I'm  
7 aware of, unless Mr. Guerra has anything he needs to  
8 speak to this morning.

9 THE PANEL CHAIRPERSON: Okay. Thank  
10 you. Mr. Guerra...?

11 MR. ANTHONY GUERRA: Thank you, Madam  
12 Chair. I do have a few exhibits to enter onto the  
13 record, if I may. There are unfortunately a few that  
14 were supposed to be done on Friday that were -- were  
15 not able to be done, so I'm just going to read those  
16 off first.

17 Exhibit Number 49 for MPI is the Nova  
18 Presentation, the redacted version.

19

20 --- EXHIBIT NO. MPI-49: Redacted version of Nova  
21 Presentation

22

23 MR. ANTHONY GUERRA: MPI Exhibit  
24 Number 50 is the Rate Update, Appendix 1, as well as  
25 Investments 5, Investments 22, and Appendix 1.

1 --- EXHIBIT NO. MPI-50: Rate Update, Appendix 1,  
2 Investments 5 and 22

3

4 MR. ANTHONY GUERRA: MPI Exhibit  
5 Number 51 is the Financial Condition Test Chapter with  
6 Appendices 1 to 6.

7

8 --- EXHIBIT NO. MPI-51: Financial Condition Test  
9 Chapter with Appendices 1  
10 to 6

11

12 MR. ANTHONY GUERRA: And then for --  
13 I'd say forward is MPI Exhibit Number 52, which is  
14 MPI's response to CMMG-MPI Pre-ask Number 1.

15

16 --- EXHIBIT NO. MPI-52: MPI's Response to CMMG-MPI  
17 Pre-ask Number 1

18

19 MR. ANTHONY GUERRA: MPI Exhibit  
20 Number 53, which is MPI's response to PUB-MPI Pre-ask  
21 Number 3.

22

23 --- EXHIBIT NO. MPI-53: MPI's Response to PUB-MPI  
24 Pre-ask Number 3

25

1 MR. ANTHONY GUERRA: Exhibit Number  
2 54, which is MPI's response to Taxi Coalition-MPI Pre-  
3 ask Number 6.

4

5 --- EXHIBIT NO. MPI-54: MPI's Response to TC-MPI  
6 Pre-ask Number 6

7

8 MR. ANTHONY GUERRA: MPI Exhibit  
9 Number 55, which is MPI's response to Undertaking  
10 Number 1 with Appendices 1 and 2.

11

12 --- EXHIBIT NO. MPI-55: MPI's Response to  
13 Undertaking Number 1 with  
14 Appendices 1 and 2

15

16 MR. ANTHONY GUERRA: MPI Exhibit  
17 Number 56, which is its response to Undertaking Number  
18 9.

19

20 --- EXHIBIT NO. MPI-56: MPI's Response to  
21 Undertaking Number 9

22

23 MR. ANTHONY GUERRA: MPI Exhibit  
24 Number 57, which is MPI's response to Undertaking  
25 Number 2.

1 --- EXHIBIT NO. MPI-57: MPI's Response to  
2 Undertaking Number 2  
3  
4 MR. ANTHONY GUERRA: MPI Exhibit  
5 Number 58, which is MPI's response to Undertaking  
6 Number 3.

7  
8 --- EXHIBIT NO. MPI-58: MPI's Response to  
9 Undertaking Number 3  
10  
11 MR. ANTHONY GUERRA: MPI Exhibit  
12 Number 59, which is MPI's response to Undertaking  
13 Number 4.

14  
15 --- EXHIBIT NO. MPI-59: MPI's Response to  
16 Undertaking Number 4  
17  
18 MR. ANTHONY GUERRA: MPI Exhibit  
19 Number 60, which is MPI's response to Undertaking  
20 Number 5.

21  
22 --- EXHIBIT NO. MPI-60: MPI's Response to  
23 Undertaking Number 5  
24  
25 MR. ANTHONY GUERRA: MPI Exhibit

1 Number 61, which is MPI's response to Undertaking  
2 Number 10.

3

4 --- EXHIBIT NO. MPI-61: MPI's Response to  
5 Undertaking Number 10

6

7 MR. ANTHONY GUERRA: MPI Exhibit  
8 Number 62, which is the Claims Incurred Forecast  
9 Presentation.

10

11 --- EXHIBIT NO. MPI-62: Claims Incurred Forecast  
12 Presentation

13

14 MR. ANTHONY GUERRA: And Exhibit  
15 Number -- MPI Exhibit Number 50 -- sorry, 63, which is  
16 the Rate-Making Presentation.

17

18 --- EXHIBIT NO. MPI-63: Rate-Making Presentation

19

20 MR. ANTHONY GUERRA: Thank you.

21 THE PANEL CHAIRPERSON: Thank you, Mr.  
22 Guerra. Would you proceed now with your next panel?

23 MR. ANTHONY GUERRA: Yes. Thank you.

24 So I can advise that the next panel for our  
25 presentations this morning is the Rate-Making, Claims

1 Incurred, PIPP, and Weekly Indemnity Panel which is  
2 comprised of Mr. Tai Phoa, Mr. Dean Dunstone, Ms. Jing  
3 Yang -- Jing Lang, rather -- Mr. Tyler Clearwater, Ms.  
4 Cara Low as -- sorry, back-row support being Mr. Tyler  
5 Clearwater, Ms. Cara Low, Mr. Nok Li (phonetic), and  
6 Ms. Christie Wey (phonetic).

7                   And so what I'm going to do is I'm  
8 going to ask that -- we do have a new presenter this  
9 morning: Ms. Lang. So I'm going to ask Ms. Lang if  
10 she can, after the witnesses are sworn in, to  
11 introduce herself and to provide some background  
12 information.

13                   So at this time, Mr. Secretary, if I  
14 can ask that the witnesses be sworn or affirmed.

15

16 RATEMAKING/CLAIMS INCURRED/PIPP AND WEEKLY INDEMNITY  
17 PANEL:

18                   JING LANG, Affirmed

19                   TAI PHOA, Sworn

20                   DEAN DUNSTONE, Previously Affirmed

21

22 EXAMINATION-IN-CHIEF BY MR. ANTHONY GUERRA:

23                   MR. ANTHONY GUERRA: Okay. Thank you  
24 very much. And, Ms. Lang, if -- you may just provide  
25 some background information about yourself and how you

1 got to MPI, please.

2 MS. JING LANG: All right. Hello. My  
3 name is Jing Lang. I'm the new director of Pricing  
4 and Portfolio Management at MPI. Prior to joining  
5 MPI, I have fourteen (14) years of insurance, re-  
6 insurance, and consulting experience.

7 In terms of qualifications, I am a  
8 Fellow of Canadian Institute of Actuaries, a Fellow of  
9 Society of Actuaries, as well as a member of American  
10 Academy of Actuaries.

11 MR. ANTHONY GUERRA: Thank you, Ms.  
12 Lang. And I see before us this morning is the Claims  
13 Incurred Forecast, which is being presented by Mr.  
14 Dunstone. Is that correct?

15 MR. DEAN DUNSTONE: That's correct.

16 MR. ANTHONY GUERRA: And just to  
17 confirm, Mr. Dunstone, that this presentation will be  
18 admitted as part of your evidence this morning?

19 MR. DEAN DUNSTONE: That's correct.

20 MR. ANTHONY GUERRA: And also there  
21 will be a separate Rate-Making Presentation. Is that  
22 correct?

23 MR. DEAN DUNSTONE: Correct.

24 MR. ANTHONY GUERRA: And that was the  
25 exhibit that we had filed previously this morning,

1 Exhibit Number 63, I believe, correct?

2 MR. DEAN DUNSTONE: That's correct.

3 MR. ANTHONY GUERRA: And just to  
4 confirm that that will be presented immediately  
5 following the Claims Incurred Forecast Presentation?

6 MR. DEAN DUNSTONE: Yes, that's  
7 correct.

8 MR. ANTHONY GUERRA: And again that  
9 will be adopted as part of your evidence this morning,  
10 correct?

11 MR. DEAN DUNSTONE: That's correct.

12 MR. ANTHONY GUERRA: Okay. Thank you.  
13 When -- whenever you're ready, please.

14 MR. DEAN DUNSTONE: Good morning,  
15 everybody. Just to jump right into it, I'll be  
16 presenting today the Claims Incurred Forecast.  
17 Obviously, one (1) of the biggest items on our  
18 Statement of Operations.

19 But as you can see, the agenda in front  
20 of you, I'll just -- just highlight kind of the  
21 composition of claims incurred, kind of just claims  
22 incurred at a glance, what makes up claims incurred,  
23 and then I'll talk about the comparatives from our  
24 initial filing in June, the 2022 GRA filing, versus  
25 last year's rate filing in the 2021 GRA, and then

1 really just touch on the key points in claims and the  
2 key changes that I think we'll be most interested  
3 about, which is our -- our updated COVID assumptions  
4 that -- that are affecting our '21/'22 rebate, and  
5 also the updated impacts that -- that we had put in  
6 for this rate update related to the Repair Trade  
7 Agreement.

8                   Lastly -- lastly, I'll just -- I'll --  
9 I'll talk about the comparative between the -- the  
10 rate update that we have filed with you earlier this  
11 month versus what we initially filed in -- in June in  
12 our initial filing.

13                   So as we did with revenues, really this  
14 is just similar with claims. So this is just really  
15 outlining the composition of our claims incurred.  
16 Overall, MPI has approximately \$1.2 billion in costs  
17 from a Basic perspective every year, and claims  
18 incurred really is responsible for about 75 percent of  
19 those.

20                   So just to further break down claims  
21 incurred here, we see obviously collision costs are  
22 the -- are the primary contributor to -- to overall  
23 claims incurred costs, about 58 percent. And that's,  
24 you know, generally either -- either, you know, costs  
25 related to a repair or costs related to a total loss

1 type situation.

2                   So -- and then we have our Personal  
3 Injury Protection Plan, so -- so, you know, coverages  
4 such as income replacement, rehab expenses, medical  
5 expenses, permanent impairment payouts for any -- any  
6 personal injury. That comprises approximately 25  
7 percent there, so maybe, you know, around 200 -- 240  
8 million a year.

9                   And then we have our Comprehensive  
10 coverage. So Comprehensive is -- is really, you know,  
11 any -- any claims costs that aren't collision costs  
12 are -- are really considered Comprehensive, and that  
13 can come in the form of theft, vandalism, glass  
14 claims. Hail is a large component of -- of  
15 Comprehensive claims and Other.

16                   Lastly, Other, which is really just,  
17 you know, are -- are some of our financial provisions  
18 that go into claims incurred forecasting, as well as  
19 our property damage component there.

20                   So, if we take a look at what we  
21 initially filed, our provisional filing in -- in June  
22 for the 2022 GRA, compared to what we had filed last  
23 year, this is what we're seeing here.

24                   So, as you can see, the -- the numbers  
25 that jump out are certainly 2020/'21. And that can,

1 you know, be easily explained with the favourable  
2 collision experience we had in 2021.

3 Of course, we all know that the -- the  
4 pandemic started in March, so -- so throughout the  
5 whole year of 2020/'21 we had favourable impacts  
6 related to COVID.

7 And then in 2021/'22, you can see the  
8 52 million there. And, again, that -- that can be  
9 attributed to COVID impacts, too. So, when we filed  
10 our forecast in -- in the '22 GRA, you may -- you may  
11 remember we -- we -- our COVID assumptions at that  
12 time were a 20 percent reduction in -- in collision  
13 frequency for the first quarter in 2021/'22 and a 10  
14 percent reduction in the second quarter of '21/'22 and  
15 then a return to normal in -- in October 1st, '21/'22.

16 In the rating year here, in 2022/'23,  
17 as you can see, we're about \$11.2 million better. And  
18 if you can go to the next slide. There you can see  
19 the \$11.2 million better favourable forecast as  
20 compared to last year. And that's, you know,  
21 primarily due to collision and Comprehensive.

22 As -- as I mentioned last week in -- in  
23 our rate update, you know, one (1) of the themes  
24 you're going to hear is our severity forecast. So,  
25 that -- that's contributing favourably.

1                   We -- we had a salvage management  
2 system update in September of last year which really  
3 has been favourable for us in terms of salvage values  
4 that we've been getting on our vehicles. So, that's  
5 an offset to claim, so that has favourably impacted  
6 it.

7                   There is some collision frequency in  
8 there. Even historically, you know, I know Mr.  
9 Johnston talked last year about collision frequency  
10 and probably does every year.

11                   But, basically, since about 2014, we've  
12 been seeing, you know, favourable collision frequency  
13 come down, and it just continues to -- to come down  
14 below what we -- what we expected, and -- and that's  
15 not including COVID impacts; this is just in general.

16                   Oh, my mic went off there. So, yeah.  
17 And, I mean, that's just, we -- we believe, due to  
18 obviously, you know, weather conditions, favourable  
19 winters, better summers, better driving behaviour,  
20 and, of course, technology within the vehicle, so the  
21 collision avoidance technology and, you know, backup  
22 cameras and all the -- the lane -- lane detection  
23 assistance and all the -- the safety features within a  
24 vehicle now.

25                   The -- the other component there that's

1 driving that is hail. So, again, we -- we've talked  
2 about this already, but that the hail forecast is --  
3 is favourable. So, that -- that's contributing to  
4 that 12.9 million.

5                   There is -- it is being offset by the  
6 repair trade agreement. So, we did, in our initial  
7 filing, include a \$7 million placeholder, unfavourable  
8 impact from the repair trade agreement that we  
9 expected.

10                   So, when you put all those together, it  
11 ends up being about a \$12.9 million favourable impact,  
12 so.

13                   Unallocated loss adjustment expenses,  
14 so really just, you know, claims expenses that -- that  
15 really can't be applied to any -- any particular  
16 claim. That could be, you know, like, towing costs  
17 and -- and medical consultants that we hire and  
18 various claims or -- or costs associated with that.

19                   The 3.4 million that you see there,  
20 that's really -- that's due to our Manitoba MHSC, or  
21 Manitoba Health Services Commission, costs. So --  
22 because -- and we had favourable experience in -- in  
23 2021, and we basically contractually do a five (5)  
24 year average.

25                   So, that -- that had the impact of, you

1 know, being a favourable impact of 3.4 million. And  
2 then you can see the other offsetting costs there, the  
3 PIPP. You know, there's been slight movements in --  
4 in PIPP and, basically, all other, which is -- you  
5 know, could be our internal loss adjustment expenses  
6 or -- and interest rate movements.

7                   So, overall, compared to the '21 GRA,  
8 we're looking at about, you know, in our initial  
9 filing, 11.2 million better.

10                   This graph in front of you, this is  
11 really overall Basic claims incurred losses. So, it's  
12 just -- it's really a twenty (20) year view of -- of  
13 Basic losses. And I thought this was an interesting  
14 graph.

15                   You know, really it's -- it's really  
16 been close to a straight line if you look at it from  
17 2005 to 2025. And this just shows you the increases  
18 in our -- in our overall claims -- claims costs from -  
19 - from that period of time.

20                   So, if -- if you took an annual average  
21 growth on that, you're -- you're looking at about a  
22 3.3 percent growth from, you know, starting about \$450  
23 million in costs in 2005. And now we're looking at --  
24 you know, in 2025, we're forecasting, you know, almost  
25 to a billion dollars in claims costs there.

1                   And here we are with the COVID  
2 assumptions. Again, this is one (1) of the -- the key  
3 discussion points, I believe, at this year's GRA, so  
4 just wanted to kind of further discuss this.

5                   We had a little discussion last week,  
6 but here's the updated COVID assumption. So, this is  
7 our rate update that we filed with the Board in -- in  
8 October, earlier this month, and, you know, a large  
9 driving force behind the -- the updated rebate, as  
10 well, from 202 million to 335 million.

11                   So, as you can see here, you know, we -  
12 - we've assumed a 20 percent below normal claims  
13 frequency, or collision counts, that we expect from  
14 August through October. And then -- and then we're  
15 going to, you know, gradually return back to normal.

16                   So, we know that we're currently in a  
17 fourth wave. We know waves last anywhere from two (2)  
18 to four (4) months; hence, why we've, you know, ran  
19 that 20 percent, 15 percent to the end of December.

20                   And then we start getting to our  
21 return-to-work plans going. So, we know MPI has a  
22 flexible work plan rollout that's -- that's happening  
23 in -- in January, so we're -- we're kind of going on  
24 the assumption that a lot of other businesses will be  
25 similar. I'm sure a lot are under -- are -- are

1 already underway.

2                   So, that's where you see the -- the  
3 gradual return back to normal. So, then we'll assume  
4 10 percent in -- in January through February. And  
5 then, effectively, we're -- in our forecast -- in our  
6 rate update forecast, we're assuming that there will  
7 be no pandemic impacts from 2022, '23, and onward.

8                   How did we derive these assumptions?  
9 There -- there's just a listing here. You know, some  
10 of the key areas is -- is, you know, we did discuss  
11 this with ICBC and -- and SGI, our -- our fellow like  
12 insurers. And, you know, they're -- they are assuming  
13 COVID doesn't -- doesn't impact 2022 and '23 outwards,  
14 similar to us.

15                   We've obviously looked at the current  
16 experience. And we've had eighteen (18) months  
17 experience now of COVID, so we've taken -- you know,  
18 we take a real good look at that experience before we  
19 make any decisions here, and other areas, too.

20                   We -- you know, we've even gone as far  
21 as looking at traffic congestion data, you know, to  
22 see -- to really understand. There's Google mobility  
23 data which -- which shows traffic congestions.

24                   And then there's an app called TomTom  
25 which is like a GPS location services for vehicles

1 which provides data in Winnipeg and -- and just shows,  
2 you know, that, in that area, you know, there's --  
3 there's more people driving in residential areas,  
4 there's more people driving, you know, around in parks  
5 areas, there's less people driving to work.

6                   So, we know that that's just all part  
7 of the support we have for these COVID assumptions.

8                   So, if you look at just 2021/'22, and  
9 that's just going to kind of -- that -- that'll show  
10 you our experience, okay. So -- so the top line  
11 there, so that's our 2015 to 2019 average.

12                   So, if we remove the COVID impacts, if  
13 -- if COVID did not occur, this is where we would  
14 expect to be in terms of claims frequency or number of  
15 claim counts, okay.

16                   So, basically, on the left side there,  
17 you see that .100, that's basically, you know, ten  
18 (10) vehicles out of every one hundred (100) would be  
19 in some sort of accident, whether it be a total loss  
20 or a repairable accident.

21                   So, the top line's where we'd expect to  
22 be without COVID. You can see the pink line there,  
23 that is the 2020/'21 experience. And, as you can see,  
24 we were significantly below what we would normally  
25 expect.

1                   You know, we had collision counts  
2 lower, you know, when you were up to 40 percent or in  
3 excess of 40 percent in -- in 2021 there, so  
4 significant; hence -- hence, why all the rebates that  
5 we've had.

6                   The -- the solid blue line is -- is our  
7 current experience this year, in 2021/'22, up to  
8 August there. And, yes, I mean, we are running very  
9 similar to -- to where we were last year at this time,  
10 which is kind of surprising. You think we'd kind of  
11 jump out of it a little bit, but it's very similar.

12                   And -- and -- but we do expect that to  
13 -- to go -- you know, to be more positive and get  
14 closer to -- to normal, as you can see. If you see  
15 the dotted line, that's -- that's our remaining  
16 forecast. And you can see how it gets -- you know,  
17 that's the 20 percent, 15 percent, and the gradual  
18 return to normal, where effective, you know, April  
19 1st, 2022, we're going to remove all the COVID impacts  
20 from the forecast.

21

22   (BRIEF PAUSE)

23

24                   MR. DEAN DUNSTONE:    So, what are the  
25 financial updates or the -- the dollar updates that

1 this -- that these COVID changes have done. Just --  
2 just by doing the rate update, by those COVID updates,  
3 basically overall have a \$72 million favourable  
4 impact. So that's all, you know, part of the  
5 increased rebate. That will all form part of that.

6                   So -- and then, it just shows you the -  
7 - the amounts. So basically, you know, with lower  
8 collision counts, obviously, they're the primary -- is  
9 the 47 million in collision. We assume a linear  
10 relationship, basically, saying, you know, if  
11 collision counts are down, well, PIPP counts will be  
12 down as well for that. So overall, we would expect  
13 the Personal Injury Protection Plan costs to be down  
14 20 million as well.

15                   Lastly, this is just talking about the  
16 repair trade negotiations that occurred earlier this  
17 year. As mentioned, initially, we estimated we had a  
18 \$7 million placeholder in the 2022 GRA filing. And  
19 once these -- the repair trade negotiations were  
20 confirmed, you can see in the table these were the --  
21 the actual results or actual increases that we can  
22 expect from the repair trade negotiation costs.

23                   So if you look at the rating year,  
24 about 18 million. So, you know, we -- we forecasted  
25 seven (7), it came in at eighteen (18), so it had,

1 like, a, you know, 1.2 percent unfavourable impact on  
2 the rate requirement for that.

3                   So majority of the increases, you can  
4 see, are -- are -- obviously, you know -- 70 percent  
5 of the increases are due to labour rates and  
6 materials. And then, there's various other items, but  
7 I did look at, you know, masking vehicles contributed  
8 to about a \$2 million increase there.

9                   So with these updates added that  
10 changed our forecast. So this slide is just really  
11 showing our -- our rate update for claims incurred  
12 compared to what we filed in the 2022 GRA. Obviously,  
13 the big -- big change is the 66.8 million. So by  
14 updating those COVID assumptions that we previously  
15 discussed, that had overall about a \$66 million  
16 favourable impact from -- from our initial column.

17                   And then, in the rating year, if you  
18 look, we had a \$6.2 million unfavourable impact as  
19 compared to what we had filed in 2022 GRA.

20                   And this just explains the \$6.2 million  
21 unfavourable impact. So as mentioned, the LV -- the  
22 repair trade negotiation was unfavourable by  
23 approximately 12 million. And then, we did update our  
24 -- our total loss severity calculation which, again,  
25 was due to the favourable experience that we continue

1 to see from our -- our salvage sales.

2                   The comprehensive hail forecast again  
3 for that -- that -- is offsetting \$4.2 million. And,  
4 again, that's just we've had a -- you know, a  
5 favourable hail year again. So we do a ten (10) year  
6 average. So, basically, we dropped off, you know,  
7 year 10 and added another year. And that had a  
8 favourable impact of about 4 million on our forecast.

9                   And then there's the other changes  
10 there that you see that are smaller, that have smaller  
11 impacts. So overall, about a unfavourable \$6.2  
12 million impact compared to the initial filing this  
13 year.

14                   So, in summary, really just the key --  
15 key stories this year for claims incurred are,  
16 obviously, the COVID-19 impacts, the repair trade  
17 negotiated impacts, and the salvage that we talked  
18 about, and the comprehensive hail. So, kind of, a  
19 theme throughout. Those are the four (4), kind of,  
20 key contributors to claims incurred. Thank you.

21                   THE PANEL CHAIRPERSON: Thank you.  
22 Mr. Guerra...?

23                   MR. ANTHONY GUERRA: I don't have any  
24 further questions for the panel on this aspect. So  
25 perhaps what I can do is we can pull up the next

1 presentation, which is the ratemaking.

2 MR. TAI PHOA: Good morning,  
3 everybody. Today I'll be focusing on the ratemaking  
4 presentation and the -- let's get to the next slide.

5 So my agenda today is very simple.  
6 First let's talk -- first, I want to talk about the  
7 Basic rates and breakeven changes. Then I want to  
8 focus on the public major class and the motorcycle  
9 major class a little bit. Also talking about  
10 passenger Vehicle for Hire rates. Then there are some  
11 other related items related to the alternate rate  
12 scenario, selected trends, and serious loss loading.

13 So speaking about Basic rates, the  
14 Basic rate-making methodology is proven and stable  
15 over time. By that, we mean that -- by 'proven', we  
16 mean that we bring it to the Board year over year.

17 Our rate-making methodology is tested  
18 and also questions are asked, and -- and 'stable', it  
19 means that, you know, we have -- we -- we do minimal  
20 changes over time. So we generally present changes  
21 with small improvements year over year.

22 The required rates are determined on a  
23 break-even basis; that is, we have no profit provision  
24 and are based on accepted actuarial practice.

25 One (1) point that was noted is -- this

1 year is that our current ratemaking methodology uses  
2 the minimum bias procedure to determine relativities  
3 or rate relationships between different rating groups.  
4 MPI just wants to note that we are committed to  
5 investigating generalized linear models going --  
6 moving forward. Next slide.

7                   So -- so the application that we are  
8 bringing forward this year is a 2022/'23 break-even  
9 rate indication of minus 1.2 percent. That is a  
10 slight change -- no, that is a change from what was  
11 initially filed in June of minus 2.8 percent.

12                   And a lot of -- and the main drivers of  
13 the increase of 1.6 percent is because there's a  
14 significant increase in expenses -- I believe my  
15 colleague, Mr. Dunstone, has spoken about that last  
16 week and also a lower new money yield which is the  
17 investment return that we used to discount the rating  
18 of cash flows.

19                   So the new money yield in the initial  
20 filing was 2.46 percent, and the new money yield  
21 using the revised filing is 2.34 percent, so that's a  
22 change of about twelve (12) basis points.

23                   So how are we going to get to the 1.2  
24 percent? MPI is proposing some changes to vehicle  
25 premium discounts. We are increasing the discount

1 percentages for the high -- the drivers on the higher  
2 end of the DSR scale from plus ten (10) to plus  
3 fifteen (15) -- sorry, for DSR levels plus ten (10) to  
4 plus fifteen (15).

5                   And we're increasing those discounts  
6 anywhere between 1 to 4 percent. And what's that --  
7 what that does is that reduces our revenues by 2.6  
8 percent, so -- so -- and to -- also then to get to the  
9 minus 1.2 percent, we are going to increase the rates  
10 by 1.5 percent.

11                   I know that minus 2.6 percent plus 1.5  
12 percent is not exactly minus one point two (1.2), but  
13 that's just rounding. Next slide, please.

14                   So this table here, it shows where that  
15 minus 1.2 percent is coming from. As you can see,  
16 when you com -- when we compare the components of the  
17 rates from last year's filing to this year's filing,  
18 there is a 2 percent increase on an undiscounted  
19 basis.

20                   On a discounted basis, which is the  
21 required rate, is a 0.8 percent increase, and that's  
22 because the interest rates between last year's filing  
23 and this year's filing actually went up from 1.94  
24 percent to 2.34 percent. So that's about a forty (40)  
25 basis point increase, so that's favourable for us --

1 or actually it's for customers, sorry.

2                   And then, of course, if -- if the  
3 population of vehicle never changes, we won't get this  
4 nice offset which we call the upgrade. So the natural  
5 upgrade gives us an offset of minus 2 percent, and so  
6 -- so that the final rate is minus 1.2 percent.

7                   So I want to talk a little bit about  
8 the changes to the required rate of 0.8 percent. Very  
9 little of it is driven by claims costs. As you can  
10 see, claims costs went -- including claims expenses,  
11 went up by only 0.1 percent.

12                   I discussed a while ago the change in  
13 the new money yield from 1.94 percent to 2.34 percent,  
14 that gives us a negative 1.2 percent. And then  
15 there's some increases in operating expenses discussed  
16 last week. That gives us 0.8 percent.

17                   There's some increases in commission  
18 with the new agreement that we have with the brokers.  
19 There's a higher commission rate for Basic, so that  
20 gives us 0.4 percent.

21                   And then there's also a decrease in the  
22 driver premium. That's because, with the COVID-19  
23 situation, we are anticipating higher movements up the  
24 DSR scale. What means is that less people will be  
25 paying some of the higher surcharges that we see at

1 the bottom end of the scale, so that gives us 0.5  
2 percent. And all other expenses gives us 0.2 percent.

3           So drilling down a little bit, what  
4 this means for the major classes are, you know, as  
5 shown in this table, private passenger will be very  
6 close to the indicated -- the overall indicated and  
7 minus 1.2 percent. Commercial comes in at 0.9, public  
8 at 4.8, motorcycles at 0.5, trailers at minus 8.9  
9 percent, and off-road vehicles are relatively no  
10 change there.

11           So, historically, we -- historically,  
12 this table would have cut off at the overall line, the  
13 row that shows overall. And the overall would be the  
14 same as the minus 1.2 percent. However, there's a  
15 slight difference this year, which I will explain in  
16 the next slide.

17           So, when we -- when we model the -- the  
18 rate change, what we do is we use what we call a  
19 snapshot population of vehicles. And -- and the  
20 snapshot is taken as of November 1st, 2020. It's --  
21 it's a very -- it's a static population, but -- and  
22 so, if -- if there were any change -- so, this year  
23 what happened, like I said a while ago, is that the  
24 COVID-19 pandemic resulted in lower collision  
25 frequency.

1                   So, because of that what we're  
2 anticipating is that there will be some significant  
3 movements on the DSR scale, that -- that are not  
4 reflected in the snapshot picture, but will -- be --  
5 because they only take place in 2021/'22, but will  
6 carry forward into 2022/'23.

7                   So because of that we are anticipating  
8 that there will be a further 0.3 percent overall rate  
9 reduction. And the rate reduction is because as more  
10 people move up the scale, more people will be getting  
11 the higher discounts. And so that creates an  
12 anticipated 0.3 percent overall rate reduction. So,  
13 when we take the 0.9 and 0.3 percent reductions, then  
14 we get the minus 1.2 percent that MPI's applying for.

15                   So, I'd like to talk with -- address a  
16 little bit the Public Major Class rate increase of 4.8  
17 percent. That is a significantly high rate increase  
18 in the time when we are actually applying for a rate  
19 decrease.

20                   So, there are three (3) factors that  
21 contribute to the 4.8 percent. First of all, we see a  
22 4.4 percent increase in average costs, driven by the  
23 following three (3): 2.9 percent higher claims costs;  
24 1.1 percent higher expenses, primarily operating  
25 expenses and commissions; and then there's a 0.4

1 percent lower premiums from the -- lower driver  
2 premiums.

3                   So -- so the -- what -- whatever  
4 happens to the overall is partly reflected on the  
5 Public Major Class except the claims costs. So, the  
6 forecasted claims cost is 2.9 percent higher, which is  
7 significantly different than the overall of 0.1.

8                   We talk about a low upgrade factor. So  
9 for the Public Major Class we are forecasting only a  
10 0.4 percent upgrade, compared to 2.55 percent for the  
11 Private Passenger Major Class.

12                   And then the last piece is that, in  
13 terms of the prior rate application, the 2021 required  
14 rate change was 2.8 percent. We only applied a 0.8  
15 percent to the Public Major Class. So, we -- we're  
16 catching up a little bit. Just for reference, the  
17 Public Major Class includes the taxicab vehicle for  
18 hire, and it also includes other vehicles like U-Drive  
19 school buses; anything that generally transports  
20 members of the public.

21                   So, I'd also like to talk about the  
22 Motorcycle Major Class. This is a -- this one  
23 continues to be -- I just want to continue to  
24 highlight the -- you know, this one continues to be  
25 affected by the new money yield that we use. 90

1 percent of -- like the -- the table shows 92 percent  
2 of motorcycle lost cause is PIPP. And PIPP is long-  
3 tail lines that -- that can stretch for a significant  
4 period of time, and it's very significantly affected  
5 by the change in the new money yield.

6                   So, in -- in this year, actually,  
7 there's a favourable impact for -- for motorcycles,  
8 because the new money yield went up from 1.94 percent  
9 to 2.34 percent. So, as you can see from the table,  
10 as a result of the change, they are -- they are --  
11 required rates actually run from -- if -- if the new  
12 money yield is still -- still at 1.94, we would have  
13 requested a 2.7, but the new money yield change --  
14 changed to 2.34 percent, so we're only requesting 0.2  
15 percent. So, you can see that the impact of the  
16 change is actually 2.5 percent compared to private  
17 passengers of only 1 percent.

18                   So, why -- why is Motorcycle Major  
19 Class still increasing when they have this favourable  
20 impact? The main driver of it is because motorcycles  
21 have a very low upgrade. Essentially, what that means  
22 is the average rate of -- as a class does not change  
23 year-over-year. There's no significant movements in  
24 terms of producing more expensive motorcycles in this  
25 case or -- or motorcycles that are rated higher. So,

1 because of that, that's why we are seeing a very small  
2 rate increase for the motorcycle major class.

3 So, moving on to passenger VFH rates.  
4 In Order 1/'21, Directive 10.3, the Public Utilities  
5 Board ordered that there should be consecutive rate  
6 increases of 20 percent for the Passenger VFH Major  
7 Class in the 2022/'23 and 2023/'24 GRAs, unless MPI  
8 can demonstrate that the Passenger VFH Major Class is  
9 no longer being subsidized.

10 So, what we've done in this 2022/'23  
11 GRA is we look at the credibility -- sorry, we look at  
12 the relativities for the Passenger VFH Major Class.  
13 And what we decided is that we would just apply the  
14 full 100 percent credibility to the raw relatively,  
15 which means we are applying the full 100 percent  
16 credibility to the actual experience of the major  
17 class.

18 So, it -- and -- and then in doing so -  
19 - apart from that -- sorry, let me take that back --  
20 let me take a short break.

21

22 (BRIEF PAUSE)

23

24 MR. TAI PHOA: Sorry. So then  
25 thereafter, we just treat the -- the Passenger VFH

1 passenger vehicle use as a -- similar to all uses. And  
2 what we did is we let it run through the -- the steps,  
3 the experience adjustment rules, as -- as applicable  
4 to all other insurance users. And so what that  
5 resulted in is experience adjustments of 13 percent to  
6 15 percent, depending on the territory. And then  
7 there -- there are some other factors that -- that  
8 come into play, in terms of the rates, including rate-  
9 line adjustments, rate-line offsets, rate-group  
10 offsets.

11                   And so what we are actually seeing is a  
12 -- a rate change for the buy -- depending on the rate  
13 group and territory, between 14 and 20 percent for the  
14 Passenger VFH passenger vehicle group.

15                   The PUB also ordered us to look at an  
16 alternate rate indication in Order 1/'21, Directive  
17 10.6, the PUB requested that MPI provide a rate  
18 indication by major use class, including the use of  
19 interest rates at points on the yield curve,  
20 corresponding to the duration of liabilities. And I -  
21 - I just would like to talk about the current  
22 methodology first.

23                   So, the current methodology in terms of  
24 determining investment return for ratemaking, what we  
25 use is a single point investment return of 2.34

1 percent to discount all the cashflows. So, the 2.34  
2 percent corresponds to the point on the yield curve  
3 for the duration of unpaid claim liabilities as of  
4 October 1st, 2022. So -- which is the mid-point of  
5 rating year 2022/'23.

6           The duration on -- of unpaid claim  
7 liabilities is approximate -- is around ten-point-  
8 four-three (10.43). So, the invest -- now, the  
9 investment return used does not correspond to the  
10 duration of the cash flows for the rating year, so  
11 there's a little bit different there. When we talk  
12 about cashflows for rating year 2022/'23, we are  
13 talking about collision and comprehensive claims that  
14 have not been paid. So -- so those are included in  
15 the cashflows.

16           Whereas, when we're talking about  
17 unpaid claim liabilities, there is a significant  
18 proportion of that for the long-tail PIPP claims that  
19 have not been paid. So -- so, that's kind of where  
20 the difference is.

21           Why did we use this in the past? We've  
22 -- the rationale that we've brought forward to the PUB  
23 has always been that the -- all revenue that we  
24 receive, whether it be from the rating year or from  
25 prior years, they all get invested in the same Basic

1 investment portfolio. So, the Basic investment  
2 portfolio -- so -- so that's kind of why we are using  
3 the 2.34 percent.

4 So moving along. So we -- the way we  
5 interpreted the -- so this -- this like it -- sort of  
6 discusses the way we interpreted the PUB order. So  
7 what we've done is we looked at the duration by  
8 coverage and -- and we look at the duration for the  
9 various cost components and -- and for -- for claims  
10 to be looked at it by coverages.

11 As you can see, the duration for income  
12 replacement is significantly long -- significantly  
13 longer than bodily injury or property damage, for  
14 example. And so what we've -- and so we've -- and so  
15 we've looked at the yield curve as well and match the  
16 investment return to the duration that we calculated.

17 So -- so that's kind of the investment  
18 return that we used in the alternate -- alternate risk  
19 indication scenario.

20 So -- what that -- once -- once we used  
21 those new rates, we see that rate -- the overall  
22 impact is approximately 2.1 percent increase in the  
23 rate indication from minus 0.2 percent to 2.1 percent.

24 This -- this is -- this is based on the  
25 initial filing. I don't expect the magnitude to be --

1 or the change to be significantly different with the  
2 updated filing, but the initial filing is -- went from  
3 minus 0.2 percent to 2.1 percent.

4           And, again, like I said, that's driven  
5 by the sheltered duration of cash flows. If we just  
6 look at rating year cash flows as compared to the  
7 (INDISCERNIBLE) liabilities. So that's -- when --  
8 when your duration is shorter, that generally means a  
9 low investment return.

10           Moving along, we -- there -- there was  
11 some evidence provided by the CAC on selected trends,  
12 and we appreciate the evidence provided by the C --  
13 CAC, of course.

14           Just to be clear, the selected trends  
15 has no impact on the overall indication. So the  
16 overall indication that we are applying for -- of --  
17 the overall indication that we are applying for of -  
18 1.2 percent is still the same.

19           The -- the -- the overall indication is  
20 -- the claims cost -- sorry, the claims cost that  
21 drive the overall indication, is based on the robust  
22 claims forecasting process that -- that MPI uses to  
23 forecast claims at the coverage level.

24           We look at severity, we look at  
25 frequency, we look at overall costs, by coverage, so

1 that's a very robust process that -- that we follow in  
2 terms of the domain -- the overall claims cost.

3                   Notwithstanding, the -- the selection  
4 of different trends definitely affect the major class  
5 rate indications, so you can see there that the  
6 indications mostly remain unchanged for the private  
7 passenger, which is -- which is usually tied to the  
8 overall.

9                   And then, the one that benefits from  
10 this -- the most is, the commercial major class and  
11 the one that -- there's no benefit from this is the  
12 public and motorcycle major class.

13                   Just a -- the next file I want to talk  
14 about is, sort of the serious loss loading. So,  
15 serious loss are -- is -- is -- is a very interesting  
16 piece for us as well.

17                   It -- it -- it's a very a small number  
18 of them every year. So, we -- we see like 100  
19 incidents a year representing less than 1 percent of  
20 total PIPP incidents.

21                   So a serious -- just for -- if every --  
22 just for everyone's benefit, serious loss is when the  
23 total accident benefits for an incident is greater  
24 than \$500,000.

25                   So we could have, so some examples

1 would be, if you had a huge truck hit a passenger  
2 vehicle and there were four (4) people in there and  
3 they all died, that's a serious loss because there  
4 were four -- all -- all those four would --  
5 potentially receive death benefits.

6 Or, you could have just a vehicle  
7 crushing into a -- a light pole and, you know, the  
8 single occupant of the vehicle is seriously injured  
9 and that could be a 500,000 loss.

10 But the -- the point I want to  
11 highlight, is that we -- we got 100 incidents a year  
12 where the claims cost are greater than \$500,000 and  
13 that's less than 1 percent of total PIPP claims.

14 So, the significant year-over-year  
15 variability, in terms of both the frequency and  
16 severity as well, so you -- you got years where you  
17 got seventy (70) serious losses and then you got years  
18 where you got ninety-three (93), a hundred (100) so on  
19 and so forth.

20 Now, sorry, can we just go back to the  
21 last slide, sorry.

22 So the -- so that's on the -- on -- at  
23 the high level overall basis, at the insurance use  
24 level. There are many insurance uses that don't have  
25 serious loss.

1                   And we're not looking at just a single  
2 year. We are looking at the last ten (10) years.  
3 There are many insurance uses that don't have single  
4 loss -- serious losses and -- and that includes some  
5 of the Vehicle for Hire insurance uses, including  
6 accessible V -- VFH and limousine VFH.

7                   Passenger VFH have had no serious  
8 losses since 2018. I recognize that it's a fairly new  
9 insurance use, but 2018 is somewhat of a -- we would  
10 consider that a mature year. But we still haven't --  
11 we -- we haven't seen a serious loss for 2018 yet.  
12 Next slide.

13                   So, there's -- the suggestion is that  
14 we for -- for these groups that don't have a serious  
15 loss, we need to determine sort of a serious loss  
16 loading for this insurance uses. Such an -- such a  
17 determination would be, of course, very subjective.  
18 You know, for -- for the passenger VFH example, that  
19 we cited a while ago, there has been suggested  
20 options.

21                   We -- it could range from, you know,  
22 428, which -- which is shown in this table, to 157.  
23 It could be lower, it could be higher.

24                   The 428 reflects the average for taxi  
25 cab VFH. The assumption, there being that, passenger

1 VFH is similar to taxi cab VFH. And then there's the  
2 -- the other option that we could use the \$258, which  
3 is the average for all VFH insurance uses.

4           Again, so this assumption here is that,  
5 all VFH insurance uses are the same. I -- this --  
6 this -- this one is -- this -- this particular one, I  
7 believe will be highly contentious because accessible  
8 and limousine VFH have had no serious losses in the  
9 last ten (10) years.

10           And the 258 is really taking the 428  
11 average for taxi cab and dividing it by a larger group  
12 of people. So that includes accessible limousine and  
13 passenger VFH.

14           So, so that's the 258 and then of  
15 course, that's the option of using 157 as well. 157  
16 is the average for the public major class. Like I  
17 said a while ago, that includes rental vehicles,  
18 school buses, most of the VFH except passenger VFH.

19           So, that suggests that the similar  
20 operations to the public major class, so, again, like  
21 I said, that's many options. There are other options,  
22 of course, these are just the three (3) that we want  
23 to highlight.

24           So, MPI's position when it comes to the  
25 serious loss loading, is that we don't think that

1 passenger VFH requires a serious loss loading.

2                   The -- the main argument being that, it  
3 would be very subjective. So we would assume similar  
4 operations to another group and it's not reflective of  
5 the -- that is not reflective -- that might or might  
6 not be reflective of the actual passenger VFH  
7 experience.

8                   The other thing is that, in the 2023  
9 GRA, we are already assigning to the passenger VFH the  
10 full 100 percent credibility. We are already  
11 assigning to the passenger VFH a list for the  
12 passenger vehicle group insurance use experience  
13 adjustments between 13 percent to the maximum 15  
14 percent.

15                   And MPI has the option of, when we look  
16 at the 2023/'24 GRA to -- to see if we need to include  
17 for the -- for the 13 to 15 percent as directed by the  
18 PUB.

19                   So, and -- and so that's the second  
20 reason. And, the -- the -- the third one is really --  
21 the -- the -- the -- it's -- it's very random.  
22 Serious losses, like I say, is very random. And we  
23 are comfortable in the -- in the ratemaking, so we use  
24 longer term averages, so, you know, if -- and then we  
25 also use credibility so that rates do not fluctuate

1 from the occurrence or non-occurrence, especially for  
2 smaller groups like passenger VFH.

3                   Next slide. So, in summary, I just  
4 want to highlight, again, the rate indication that we  
5 are applying for which is minus 1.2 percent, which is  
6 coming from the changes to the vehicle premium  
7 discount of two point -- minus 2.6 percent. And  
8 changes to rates of 1.5 percent increase.

9                   So, and then, of course, the MPI  
10 commits to reviewing the use of generalizing new  
11 models, in the very near future, like, we are talking  
12 about like, GENIUS (phonetic) already, figuring out  
13 how we are going to put that as part of our 2023/'24  
14 GRA. Thank you.

15                   THE PANEL CHAIRPERSON: Thank you.  
16 Mr. Guerra...?

17                   MR. ANTHONY GUERRA: Thank you, Madam  
18 Chair. I just have a couple of questions on re-direct  
19 -- or, I'm sorry, I'm -- I'm continuing my direct.

20                   If we can pull up slide number 5 from  
21 the Rate-Making Presentation, please.

22

23                   (BRIEF PAUSE)

24

25                   MR. ANTHONY GUERRA: And, Mr. Phoa, we

1 heard you go through the calculations to determine at  
2 the bottom the AAP break-even required rate change of  
3 negative 1.2 percent.

4 Do you recall that?

5 MR. TAI PHOA: Yes, I do.

6 MR. ANTHONY GUERRA: And we've heard  
7 previously -- and I'm not sure if you've been involved  
8 in those discussions, at least monitoring them as  
9 they've happened last week, but we heard some  
10 discussion about -- about this in effect being a --  
11 not a negative 1.2 percent decrease for customers, but  
12 a 3.8 percent increase for customers because the  
13 amount of their bill will actually be higher than it  
14 was the previous year.

15 Do you recall those discussions?

16 MR. TAI PHOA: Yes, I do.

17 MR. ANTHONY GUERRA: And this is a  
18 question for yourself and for the -- the panel as  
19 well; please, feel free to step in.

20 Would it be correct from an actu --  
21 actuarial perspective to characterize the rate  
22 increase -- or, sorry, the rate indication this year  
23 as a 3.8 percent rate increase to customers?

24 MR. TAI PHOA: So I think we  
25 highlighted that a little bit last week as well, and

1 we highlighted that in some of our responses to the  
2 GRA.

3                   So when we -- when we look at last  
4 year's indication -- so -- so first of all, I want to  
5 acknowledge that, you know, if -- if you -- if you had  
6 a bill last year and nothing else changed for you, you  
7 probably will see a little bit of a higher bill this  
8 year. So that part is -- let me acknowledge that  
9 that's -- that's true.

10                   From a -- from the application last  
11 year, what happened is that there's two (2) components  
12 to things. So, first of all, there's rates. And so  
13 what we did was, in that application, we applied that  
14 rates be decreased on an overall basis by minus 3.8  
15 percent. So everybody's rates started at Point A; it  
16 went to Point B, based on the minus 3.8 percent.

17                   So then what happened then is we said,  
18 okay, now, on all these rates, we are just going to  
19 apply a uniform 5.2 percent discount to all the rates.  
20 So let's say I started at a thousand dollars and then  
21 3.8 percent would bring me down to ninety-six (96),  
22 approximately -- sorry, nine hundred sixty (960),  
23 approximately. And then -- and then I give another  
24 5.2 percent, so that brings you down to about nine  
25 hundred and ten (910).

1                   But the rate effect is just the nine  
2 sixty (960). So the -- the additional 5 percent  
3 discount, the way we've -- it's -- it's -- we -- the  
4 way it's presented -- sorry, not the way it's  
5 presented -- the understanding -- and we -- we've  
6 already explained that to the customers as well -- is  
7 that the discount that we're applying for 2021/'22 is  
8 a one (1) time discount. We made it clear to  
9 customers, and I think we sort of tried to present  
10 that at the Public Utilities Board hearing as well.

11                   So when we look at the rates this year,  
12 when we ask what is the starting point, the starting  
13 point is actually the nine sixty (960) because rates  
14 were decreased by 3.8 percent. The remaining -- the -  
15 - the effect of the discount is -- is not part of the  
16 -- the rate consideration. The -- the discount that  
17 we applied was separate from the rate considerations.  
18 So the rate for this year actually went down 1.2  
19 percent.

20                   Now, like I said, I understand that the  
21 effect on the customer would be that they would  
22 actually see that they're -- that they're paying a --  
23 more to MPI, but that's separate from the rate  
24 indication. The rate indication went down 1.2  
25 percent.

1 MR. ANTHONY GUERRA: Thank you. Can  
2 we also pull up slide number 11, please, from the  
3 Rate-Making Presentation?  
4

5 (BRIEF PAUSE)  
6

7 MR. ANTHONY GUERRA: Now, I just want  
8 to dive deeper into -- to this discussion here. So  
9 just to confirm, for the 2022/2023 year, is MPI  
10 applying for a rate increase of 20 percent for the  
11 Passenger Vehicle For Hire Major Class?  
12

13 (BRIEF PAUSE)  
14

15 MR. TAI PHOA: Sorry. I just wanted  
16 to -- sorry, so the answer to that would be no. We've  
17 -- the way we've applied it this year is that we say  
18 we will fully recognize the hundred percent  
19 credibility for -- to the raw relativity, which is the  
20 actual experience for the passenger VFH.

21 And then we -- we do not feel it's --  
22 it's fair thereafter to then say apply different  
23 experience adjustment rules for them. So we said we  
24 fully recognize your -- your -- the raw relativity for  
25 the passenger VFH; thereafter, we will just apply the

1 same experience adjustment rules.

2 Like I said in this slide, the  
3 experience adjustment rules led to anywhere between a  
4 13 to 15 percent experience adjustment for the group.  
5 And then on a rate perspective, the rates actually  
6 went anywhere between 14 to 20 percent increase from  
7 the 2021/'22 rates.

8 MR. ANTHONY GUERRA: So when we look  
9 at the -- the top of this slide, and in particular the  
10 -- the statement from Directive 10.3, where it says  
11 that:

12 "There shall be increases of 20  
13 percent for the Passenger Vehicle  
14 for Hire Major Class in the  
15 2022/2023 and 2023/2024 GRAs, unless  
16 MPI can demonstrate that the  
17 Passenger Vehicle for Hire Major  
18 Class is no longer being  
19 subsidized."

20 Is it your evidence, sir, today that  
21 the rates that MPI is requesting for the Passenger  
22 Vehicle for Hire -- fire -- excuse me, Vehicle for  
23 Hire Major Class are such that they would constitute  
24 or would not constitute a subsidization of the other  
25 classes?

1 MR. TAI PHOA: So first of all, let me  
2 just correct counsel a little bit. The -- the  
3 passenger -- here we're talk -- here we're talking  
4 about the passenger VFH insurance use. The passenger  
5 VFH itself is not a major class. I appreciate it's a  
6 little bit confusing, and sometimes I mix the major  
7 class with insurance uses as well.

8 In terms of cross-subsidization, it is  
9 -- it is my opinion that we've applied the same adjust  
10 -- experience adjustment rules fairly to the passenger  
11 VFH as we have done to all other insurance uses.  
12 These rules are -- are present -- are brought forward  
13 to -- to ensures that, you know, we don't have sig --  
14 significant rate dislocations as a result of one  
15 year's experience or -- or significant changes from  
16 one year to another.

17 The issue of cross-subsidization, we  
18 would -- there will always be a certain level of  
19 cross-subsidization. However, we do feel that the way  
20 we've applied the -- the adjustment this year for the  
21 passenger VFH, that -- that the rate is sufficient for  
22 the -- the insurance use.

23 MR. ANTHONY GUERRA: And for the  
24 '23/'24 GRA, is MPI's evidence that a further  
25 adjustment or a further increase of 20 percent is no -

1 - is not required for that year, or that we simply  
2 don't have enough information at this point in time to  
3 make that determination?

4 MR. TAI PHOA: I believe we don't have  
5 enough evid -- evidence at this point to make that  
6 assumption, and a lot of it is also dependent on the -  
7 - the passenger -- so -- so there are a couple of  
8 things.

9 1. The passenger VFH group is -- is  
10 fairly new and it is still growing or at least that --  
11 that seems to be what we've observed in the past three  
12 (3) years of experience. There is a decrease in the  
13 growth, but we feel that, you know, those who want to  
14 drive VFH are probably already registered VFH.

15 But again, we're not going to -- we're  
16 not -- it's really difficult to assume that because  
17 entry into driving for passenger VFH is fairly simple;  
18 you download an app and -- and then you can -- you  
19 choose drive on any day, and then you download an app  
20 and you -- and that's -- and -- and away you go. So -  
21 - so the entry to drive for passenger VFH is very  
22 simple.

23 So historical growth, while it's  
24 slowing down, it's still fairly high.

25 The other thing that of course makes it

1 more difficult to project here is the whole COVID-19  
2 environment that we continue to see for this year. I  
3 know we talked about debt going down, and hopefully by  
4 the end of the year we are out of this whole COVID-19  
5 situation. But, again, how that affects people  
6 choosing to do passenger VFH in terms of the number of  
7 rides that they can get -- and the same -- the same  
8 effect is seen for taxis and rental vehicles.

9                   So -- so it's really hard to, sort of,  
10 make any, you know, argument that there would be a 20  
11 percent increase or not. I would say that this is --  
12 this -- the way we structured this year's rates is  
13 we've given -- we fully recognize the actual loss  
14 costs up to this point. And then -- and then, we will  
15 see what happens between now and the end of next year  
16 for us when we come forward with the 2023/'24.

17                   But the option is open, so.

18                   MR. ANTHONY GUERRA:    So it's not off  
19 the table is what you're saying.

20                   MR. TAI PHOA:    That is correct. The  
21 option is not off the table. We will definitely look  
22 at it the way the PUB has ordered us to look at it.  
23 And if the evidence presents itself, then we would  
24 adjust accordingly.

25                   MR. ANTHONY GUERRA:    You also

1 testified about the serious loss loading and the fact  
2 that MPI has not assumed any serious losses for the  
3 passenger Vehicle for Hire insurance use, correct?

4 MR. TAI PHOA: That is correct.

5 MR. ANTHONY GUERRA: And that's based  
6 upon a history of not having any serious losses for  
7 that insurance use, correct?

8 MR. TAI PHOA: This is based on the  
9 short history -- three (3) years -- of not having any  
10 serious losses for the insurance use. That is  
11 correct.

12 MR. ANTHONY GUERRA: If the -- if the  
13 PUB were to suggest that MPI -- or direct MPI to  
14 include serious losses in the assumptions for the  
15 passenger Vehicle for Hire class, are there any other  
16 classes or uses that might also -- for purposes of --  
17 of treating everyone equally -- also need to have that  
18 type of consideration paid to it?

19 MR. TAI PHOA: Yeah. So absolutely.

20 Like I say, there are a lot of  
21 insurance uses that don't have a serious loss in the  
22 last ten (10) years history and that includes two (2)  
23 of the four (4) -- sorry, three (3) of the four (4)  
24 VFH uses, including accessible VFH and limousine VFH.

25 And then, apart from that, there are

1 other uses which typically don't exhibit serious  
2 losses. Things like collector, for example. I  
3 believe the -- the guys who own those vehicles are a  
4 little bit more careful about how they drive, where  
5 they drive, when they drive.

6 And then, of course, some of the  
7 smaller classes don't have VFH so what do we -- sorry,  
8 some of the smaller classes don't have serious losses.  
9 You know, so we have to make judgment calls on what do  
10 we do with them.

11 So a lot of -- a lot of judgment on --  
12 in terms of just applying the serious loss loading to  
13 the -- I believe, it's, like, twenty (20) or so  
14 insurance uses that don't have the serious losses at  
15 this point in time.

16 MR. ANTHONY GUERRA: And so, to ask  
17 this question conversely then: Are there any uses or  
18 classes right now where MPI is assuming a serious loss  
19 where a serious loss has not occurred in a historical  
20 period of time?

21 MR. TAI PHOA: No.

22 MR. ANTHONY GUERRA: Thank you.  
23 Those are my questions.

24 THE PANEL CHAIRPERSON: Thank you, Mr.  
25 Guerra. Ms. McCandless...?

1 CROSS-EXAMINATION BY MS. MCCANDLESS:

2 MS. KATHLEEN MCCANDLESS: Thank you,  
3 Madam Chair. Good morning to members of the -- of the  
4 panel. Welcome back, Mr. Dunstone.

5 I am Kathleen McCandless. I am Board  
6 counsel and I'm going to have some questions for you  
7 this morning.

8 In terms of particular questions, I may  
9 or may not direct them to an individual panel member.  
10 If I don't direct them to a particular panel member,  
11 then whoever is most appropriate to answer the  
12 question can certainly proceed. Thank you.

13 So first, just want to go back to the  
14 change in the AAP rate indication. Can we go to MPI  
15 Exhibit 41, slide 8?

16

17 (BRIEF PAUSE)

18

19 MS. KATHLEEN MCCANDLESS: And this is  
20 from last week's rate update panel.

21

22 (BRIEF PAUSE)

23

24 MS. KATHLEEN MCCANDLESS: And you see  
25 here that the change in the AAP rate indication is due

1 to the change in the discount rate of .3 percent --

2 MR. DEAN DUNSTONE: Correct.

3 MS. KATHLEEN MCCANDLESS: -- increase?

4 MR. DEAN DUNSTONE: Correct.

5 MS. KATHLEEN MCCANDLESS: A change in  
6 expenses of 1.2 percent increase?

7 MR. DEAN DUNSTONE: Yes.

8 MS. KATHLEEN MCCANDLESS: Change in  
9 claims incurred of a .1 percent increase?

10 MR. DEAN DUNSTONE: Correct.

11 MS. KATHLEEN MCCANDLESS: Now, the  
12 original naive new money yield, as filed in the GRA --  
13 and that's found at figure INV-3 from the filing.

14

15 (BRIEF PAUSE)

16

17 MS. KATHLEEN MCCANDLESS: Thank you.

18 So the original naive new money yield, as seen on  
19 figure INV-3, that would be under the market bond  
20 yield 2022 GRA column, at line -- line 8.

21 We see the new money yield of 2.46  
22 percent?

23 MR. DEAN DUNSTONE: Correct.

24 MS. KATHLEEN MCCANDLESS: And then, in  
25 the October update, MPI Exhibit 50, Appendix 1.

1 (BRIEF PAUSE)

2

3 MS. KATHLEEN MCCANDLESS: Thank you,  
4 Kristen.

5 At page 3, we see here that at the  
6 October rate update, line 3 on -- under New Money  
7 Yield shows a 2.33 percent for naive, yes?

8 MR. DEAN DUNSTONE: Yes.

9 MS. KATHLEEN MCCANDLESS: And,  
10 Kristen, I apologize. There are lots of numbers for  
11 the actuarial cross. So if we could go to INV-3 of  
12 PUB-MPI Pre-ask 2.

13

14 (BRIEF PAUSE)

15

16 MS. KATHLEEN MCCANDLESS: Thank you.  
17 Appendix 2, at line 8, we see a rate of 2.17 percent  
18 under the 2022 budget for market bond yield, yes?

19 MR. DEAN DUNSTONE: Yes.

20 MS. KATHLEEN MCCANDLESS: And jumping  
21 back to MPI Exhibit 41, page 8.

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: At the very

1 bottom of this slide, we see a new money yield of 2.32  
2 percent, yes?

3 MR. DEAN DUNSTONE: Yes.

4 MS. KATHLEEN MCCANDLESS: And then,  
5 this morning, at Exhibit 63, page 10, there's a  
6 reference to a new money yield of 2.34 percent at page  
7 10. The second bullet on the left-hand side of the  
8 screen.

9 MR. DEAN DUNSTONE: Yes.

10 MS. KATHLEEN MCCANDLESS: So can the  
11 Corporation indicate what the new money yield is in  
12 the October update?

13 MR. TAI PHOA: So, I just -- that's a  
14 lot of numbers, and -- and it looks very confusing.  
15 I'll speak to the ones that I know. There is one (1)  
16 in particular that I have not seen and that we  
17 released to pre-ask -- to the pre-ask question. I  
18 would -- if -- if counsel would like me to do an  
19 undertaking for that one, I will. We can talk about  
20 it once I've -- at the end of this.

21 So, the actual new money yield is 2.34  
22 percent, so that one is -- I've just confirmed with  
23 the -- the back row. The 2.33 percent that was  
24 presented earlier was -- I was -- I was advised that  
25 that is the quarter before. So, the quarter before

1 was 2.33 percent -- sorry, let me just take that back  
2 a little bit.

3                   The 2.34 percent is the new money yield  
4 as of October 31st, 2022, and that corresponds to the  
5 midpoint of the rating year 2022/'23. The -- so -- so  
6 the -- the new money yield at a point, based on the  
7 updated refiling, is 2.34 percent.

8                   The quarter before was 2.33 percent.  
9 So, the -- so, the new money yield indication that was  
10 shown in the -- the -- that -- I can't remember. I  
11 wish I remembered the exhibit number, but the one that  
12 shows the various scenarios, the 2.33 percent is  
13 actually from the quarter before, so that was of June  
14 30th, 2022. So, our apologies on the mis -- the  
15 misprint, the -- the typo on that one.

16                   The -- and then going back to, I  
17 believe it was Exhibit 40 -- MPI Exhibit 41 -- going  
18 back to the 2.32 percent, you can see that the 2.32  
19 percent is actually -- I think you need to update a  
20 bit some of the -- the dates there.

21                   You can see that the 2.32 percent is  
22 actually August 31st, 2021 which is not a -- not a  
23 relevant number, I guess, because we used the one as  
24 of October 31st, 2022. Certainly we -- you know what,  
25 maybe -- maybe -- so, hopefully that provides a good

1 enough explanation as to -- to the differences that  
2 you're seeing.

3 MS. KATHLEEN MCCANDLESS: So, just to  
4 summarize my understanding then. The new money yield  
5 rate used in the October rate update that feeds into  
6 the rate indication, the final rate indication was  
7 2.34 percent?

8 MR. TAI PHOA: That is correct.

9 MS. KATHLEEN MCCANDLESS: Given an  
10 inverse sensitivity to interest rates of about 2.4 to  
11 2.6 percent that was demonstrated in last years GRA,  
12 would you accept that that's an accurate statement?

13 MR. TAI PHOA: Yeah. So basically  
14 every -- the -- the rule of thumb, sort of, is every  
15 basis point change in a -- in -- in the -- the yield  
16 is about 0. -- sorry, .025 percent change in the rate  
17 indication, yeah.

18 MS. KATHLEEN MCCANDLESS: And so if  
19 I'm to understand then, the -- the new money yield  
20 rate that was used, that would mean there's been a  
21 movement of negative twelve (12) basis points from the  
22 initial filing, yes?

23 MR. TAI PHOA: That is correct.

24 MS. KATHLEEN MCCANDLESS: So, would a  
25 movement of about -- this is my lawyer math so,

1 please, correct me -- but about -- about .3 percent in  
2 the interest rate indication appear warranted as a  
3 result?

4

5 (BRIEF PAUSE)

6

7 MR. TAI PHOA: So, if I assume a  
8 twelve (12) basis point change at 2.5 and 0.02 --  
9 sorry, a 0.025 percent change in the rate indication,  
10 that's about 0.3 percent, yeah.

11 MS. KATHLEEN MCCANDLESS: Thank you.  
12 And just one (1) last question about the movement and  
13 the -- the rates. If we could go back to INV-3 from  
14 the Pre-ask 2, so Exhibit number 43. Thank you.

15 The 2.17 percent that we see here, is -  
16 - can you explain why that number is there?

17

18 (BRIEF PAUSE)

19

20 MR. TAI PHOA: My apologies, counsel,  
21 but I have not seen this pre-ask. This -- this is  
22 something that came from investments. Certainly, we  
23 could -- we could look into the -- into why that's  
24 2.17 percent. It might just have to do with the  
25 timing. It might just have to do with the context of

1 the question being asked. So, we can looking into  
2 that if you -- if you want us to?

3 MS. KATHLEEN MCCANDLESS: Yes, please.  
4 Thank you. So, if we could have an undertaking to  
5 advise as to the basis of the -- the new money yield  
6 rate of 2.17 percent provided in MPI Exhibit number  
7 43?

8 MR. ANTHONY GUERRA: Yes, counsel.  
9

10 --- UNDERTAKING NO. 21: MPI to advise as to the  
11 basis of the new money  
12 yield rate of 2.17 percent  
13 provided in MPI-43.

14

15 CONTINUED BY MS. KATHLEEN MCCANDLESS:

16 MS. KATHLEEN MCCANDLESS: Thank you.  
17 Now, if we could go back to MPI Exhibit 41, and I'm  
18 looking at slide 9, regarding changes and expenses  
19 from the filing, we see that there is a variance in  
20 the operating expenses from the initial filing to the  
21 rate update. And, overall, corporate expenses were  
22 down -- oh, pardon me, I'm looking at the bottom part  
23 of the screen.

24 The operating expenses higher than the  
25 2022 GRA submission are due to first the budget cycle

1 completion timing change?

2 MR. DEAN DUNSTONE: That's correct.

3 MS. KATHLEEN MCCANDLESS: The use of  
4 lean portfolio management initiatives?

5 MR. DEAN DUNSTONE: That's the primary  
6 driver, yes.

7 MS. KATHLEEN MCCANDLESS: Increased  
8 data processing costs due to ongoing initiative costs?

9 MR. DEAN DUNSTONE: Yes.

10 MS. KATHLEEN MCCANDLESS: Those are  
11 mainly licensing and subscription costs, yes?

12 MR. DEAN DUNSTONE: Yes.

13 MS. KATHLEEN MCCANDLESS: And then the  
14 very last bullet, the Corporation mentions that as  
15 Cloud adoption continues, higher expense costs  
16 expected earlier as IT services procure and the Cloud  
17 cannot be capitalized?

18 MR. DEAN DUNSTONE: Yes.

19 MS. KATHLEEN MCCANDLESS: Then if we  
20 could go to MPI Exhibit 52, and that's a response to a  
21 CMMG pre-ask. And the response, please, was about the  
22 increase in the data processing costs. Here the  
23 Corporation replied that:

24 "The increase of \$14.3 million is  
25 mainly due to expensing, licensing,

1 and subscription costs earlier,  
2 which can no longer be capitalized  
3 in future years."

4 MR. DEAN DUNSTONE: Yes.

5 MS. KATHLEEN MCCANDLESS: And then,  
6 Kristen, could we pull up the Canadian Institute of  
7 Actuaries Standards of Practice, please. Thank you.

8 This is Standard 2,600. And I'm  
9 interested in page 4 of this PDF, I believe, which is  
10 Standard 2,620.11. Thank you.

11 Now, I'm not -- I'm not sure who among  
12 you is best to answer this question, so I'll put it to  
13 the panel.

14 I take it that you're familiar with the  
15 standards of practice, and in particular, 2,620.11?

16 MR. TAI PHOA: We try our best to keep  
17 up to date on it, yes.

18 MS. KATHLEEN MCCANDLESS: Thank you.  
19 And 11 reads here that:

20 "In selecting a provision for  
21 expense costs, the actuary would  
22 consider the various categories of  
23 expense costs that are incurred,  
24 including, as may be applicable,  
25 residual market assessments,

1 statutory assessments, policy-holder  
2 dividends, and reinsurance costs,  
3 that expense costs may not be  
4 directly proportional to premium,  
5 and that one-time expense costs may  
6 need to amortized."

7 Yes?

8 MR. TAI PHOA: That's correct.

9 MS. KATHLEEN MCCANDLESS: And did you  
10 consider whether the ongoing initiative costs that may  
11 not be permitted to be capitalized, part of the AIS-38  
12 (phonetic) that was referred to in MPI Exhibit Number  
13 41, should be amortized for rate-making purposes?

14 MR. DEAN DUNSTONE: I -- I wasn't  
15 involved in -- in that part of it. Michael Gandhi, of  
16 course, who -- who is testifying for expenses would --  
17 would have that information. But certainly, yeah, we  
18 were following the guidance of AIS-38, that -- that  
19 basically directed us to expense rather than  
20 capitalize, so.

21 MS. KATHLEEN MCCANDLESS: This is  
22 particularly with respect to rate-making purposes  
23 though. And so I'm wondering if one (1) of the  
24 witnesses here today can expand on that?

25

1 (BRIEF PAUSE)

2

3 MR. DEAN DUNSTONE: Yeah, so, in --  
4 in the ratemaking exercise we would have considered  
5 the amortization of the expenses, for sure.

6 And -- and, acknowledge the change of I  
7 -- IAS-38 to -- to direct us to expense rather than  
8 capitalize, so that would have been included in -- in  
9 the ratemaking.

10 MR. TAI PHOA: And just -- and just to  
11 add to what my -- Mr. Dunstone said, when -- when we  
12 look at rating -- the rating year, we need to consider  
13 all the costs associated with the rating year.

14 And, if for some reason, and -- and --  
15 and if, for some reason or another, the way we've  
16 accounted for that particular expense, is to be fully  
17 recognized in 2022/'23 rating year, then that's just,  
18 then -- then we also would include that cost as part  
19 of the ratemaking exercise. I -- I -- yeah, so that's  
20 kind of...

21 MS. KATHLEEN MCCANDLESS: Now, with  
22 respect to the changes and claims incurred, and Mr.  
23 Dunstone you did speak about this last week.

24 In the evidence to date, I understand  
25 that the increase is due to the Vehicle Repair

1 Agreement, were about \$11 million greater than  
2 anticipated.

3 MR. DEAN DUNSTONE: That's right.

4 MS. KATHLEEN MCCANDLESS: And you  
5 mentioned, in your evidence last week, that \$7 million  
6 had been included has a placeholder.

7 MR. DEAN DUNSTONE: Correct.

8 MS. KATHLEEN MCCANDLESS: And it --  
9 but it ended up costing \$18 million per year. Yes?

10 MR. DEAN DUNSTONE: That's correct.

11 MS. KATHLEEN MCCANDLESS: Why were the  
12 costs so much higher than the original expectation?

13 MR. DEAN DUNSTONE: I wasn't part of  
14 the negotiations, so I don't know the details on that.  
15 I -- I can tell you, though, that it was attributable  
16 to primarily labor and parts, where, you know,  
17 approximately 70 percent of the increase that we had  
18 of the 18 million.

19 And then there was various other items,  
20 but I -- I did put in there, like vehicle masking,  
21 which is just kind of preparation for painting and  
22 repairs of vehicles, so that went up about \$2 million,  
23 so I can speak to the increases but, yeah, I was not a  
24 part of the negotiations, so I can't give you the kind  
25 of detail maybe you're looking for.

1 MS. KATHLEEN MCCANDLESS: If we go to  
2 MPI Exhibit 60, and that's the response to Undertaking  
3 5.

4 Thank you. Here the Corporation was  
5 asked to provide the detail for the increase in the  
6 forecast for collision claims.

7 And the response was that the increase  
8 was mainly due to the revised 2021 Light Vehicle  
9 Accreditation Agreement Estimate. Yes?

10 MR. DEAN DUNSTONE: Yes.

11 MS. KATHLEEN MCCANDLESS: And the  
12 impact on the '21/'22 rating year is \$13.3 million.

13 MR. DEAN DUNSTONE: Yes.

14 MS. KATHLEEN MCCANDLESS: That would  
15 be because not all shops are on the agreement for the  
16 entire year, is that right?

17 MR. DEAN DUNSTONE: I don't -- I don't  
18 know that information. No. I would have to get that  
19 for you. I'm just not sure what -- yeah -- what was  
20 finalized.

21 MS. KATHLEEN MCCANDLESS: And I'm not  
22 sure if your back row is looking into that now or if  
23 --

24 MR. DEAN DUNSTONE: If you give me a  
25 second, I'll see if I can, but I -- yeah, I'm -- I --

1 they won't have that information, so I -- I'm not sure  
2 what the finalized results were and if -- if that was  
3 the case, I -- I'm unaware.

4 MS. KATHLEEN MCCANDLESS: You also  
5 mentioned, Mr. Dunstone decreases due to hail and  
6 collision forecast assumption changes.

7 MR. DEAN DUNSTONE: Yes.

8 MS. KATHLEEN MCCANDLESS: And the  
9 updated forecast for hail had a \$4 to \$5 million  
10 favorable impact?

11 MR. DEAN DUNSTONE: That's correct.

12 MS. KATHLEEN MCCANDLESS: Based on MPI  
13 Exhibit 58, and that's Undertaking 3, at Figure 2,  
14 please Kristen. Thank you.

15 The impact on claims, incurred claims,  
16 for 2022 to 2025, and we would be looking at lines 16  
17 to 19 on the far right-hand side of this figure. That  
18 impact appears to be 3.3 to \$3.6 million. Yes?

19 MR. DEAN DUNSTONE: Yes. That's  
20 correct.

21 MS. KATHLEEN MCCANDLESS: And this is  
22 obviously a more precise response than the 4 to \$5  
23 million you provided last week.

24 MR. DEAN DUNSTONE: Yes, this is,  
25 again, I say the word 'ultimate', which comes up a lot

1 in our claims forecasting, so this is really the, you  
2 know, the actuarial, kind of view again. I think this  
3 was discussed last year in detail, so, what I'm  
4 providing is more kind of the expected financial  
5 impacts or the accounting view of that, but they're  
6 very close and, yeah, this is more just the ultimate -  
7 - the actuarial view.

8 MS. KATHLEEN MCCANDLESS: And then if  
9 we review the narrative of this undertaking response  
10 and I think that's at the bottom of the first page.

11 Thank you. MPI has rolled forward the  
12 ten (10) year average for the claim count forecast by  
13 one (1) year to include 2021.

14 MR. DEAN DUNSTONE: Yes.

15 MS. KATHLEEN MCCANDLESS: This is the  
16 first time in October rate update that MPI has rolled  
17 forward a trending period a year?

18 MR. DEAN DUNSTONE: For hail, yes. I  
19 -- I don't know that for sure, actually. I -- I can  
20 confirm that for you though.

21 MS. KATHLEEN MCCANDLESS: Subject to  
22 check --

23 MR. DEAN DUNSTONE: Subject to check,  
24 yes.

25 MS. KATHLEEN MCCANDLESS: And does MPI

1 intend to make this adjustment in future years?

2 MR. DEAN DUNSTONE: Over the past  
3 couple of years we've really expanded our -- our  
4 forecasting capabilities within the organization. We  
5 basically do a monthly forecast now and we have for  
6 the -- for the last couple of years, so we're getting  
7 better all the time at forecasting and we'll continue  
8 evolving that forecasting process every month, so we  
9 just take a month of actuals updated and if there's  
10 any, you know, we'll try detect and react to any --  
11 any kind of changes that are there.

12 So, I -- I would expect that in the  
13 future DRA's, we will probably have more comprehensive  
14 changes within the forecast to get a, you know, a  
15 better -- best estimate, so to speak.

16 MS. KATHLEEN MCCANDLESS: Have you  
17 done this for anything else, apart from hail and  
18 collision forecasts, assumption changes?

19 MR. DEAN DUNSTONE: No, hail and  
20 collision, yes. That's -- then -- those were the only  
21 two (2) that were affected, yes.

22 MS. KATHLEEN MCCANDLESS: Given the  
23 observed volatility and -- of hail claims, would a  
24 longer time period to average the annual claim counts  
25 result in a less volatile claim frequency estimate?

1 MR. DEAN DUNSTONE: I think so. I  
2 think probably the longer you go, currently we use ten  
3 (10) years, but certainly if you expanded that would -  
4 - that would manage volatility possibly a little  
5 better, yes.

6 MS. KATHLEEN MCCANDLESS: With climate  
7 change does -- MPI anticipate more or fewer hail  
8 claims in the future?

9 MR. DEAN DUNSTONE: Very difficult to  
10 tell. We do know climate change is increasing and --  
11 and becoming more prevalent within -- within, you  
12 know, globally, so to predict whether -- what that  
13 will do to our forecast is -- is very uncertain.

14 But certainly we want to be prepared if  
15 -- if that does happen.

16 MS. KATHLEEN MCCANDLESS: How does the  
17 CERP increase of the deductible from \$500 to \$750  
18 affect the severity in 2021?

19

20 (BRIEF PAUSE)

21

22 MR. DEAN DUNSTONE: Yeah, so just the  
23 2021/'22 fiscal year, we would expect at approximately  
24 a \$15 million favorable impact from the CERP changes.

25 MS. KATHLEEN MCCANDLESS: Has that

1 been taken consideration?

2 MR. DEAN DUNSTONE: That would be  
3 captured in, I would have to confirm, but yes, that  
4 would -- that would be captured definitely in the four  
5 months actuals that we considered for -- for CERP.  
6 So, yeah, it would be -- it would be factored in.

7 MS. KATHLEEN MCCANDLESS: The average  
8 severity is now lower in the update than in the 2022  
9 initial filing, was the severity trend also rolled  
10 forward a year?

11 MR. DEAN DUNSTONE: The severity was  
12 modified, that was due to the salvage management  
13 system, the total loss severity component, so we -- we  
14 continue to see favorable results from our salvage  
15 sale, so we -- yes, we updated it.

16 So, now that we have a year experience  
17 on that we've -- we'll continue to update that.

18 MS. KATHLEEN MCCANDLESS: And I do  
19 have a number of questions about salvage management  
20 but before I start that section, it might be a good  
21 time to take a break, Madam Chair.

22 MS. PANEL CHAIRPERSON: Thank you, Ms.  
23 McCandless. Yes, we'll take the morning break now  
24 and come back at quarter to 11:00, please.

25

1 --- Upon recessing at 10:30 a.m.

2 --- Upon resuming at 10:48 a.m.

3

4 CONTINUED BY MS. KATHLEEN MCCANDLESS:

5 MS. KATHLEEN MCCANDLESS: All right.

6 Now, on to salvage management. Mr. Dunstone, I

7 believe this is an area of questioning for you.

8 You had mentioned that that was one (1)

9 of the other variances from the initial filing.

10 MR. DEAN DUNSTONE: Correct.

11 MS. KATHLEEN MCCANDLESS: And the

12 impact seemed to be about \$7 million of savings?

13 MR. DEAN DUNSTONE: I think it was

14 around six (6), yes. Close.

15 MS. KATHLEEN MCCANDLESS: Right. So

16 that's the \$11 million starting point, and then the \$3

17 to \$4 million impact of comprehensive claims?

18 MR. DEAN DUNSTONE: Correct, yes.

19 MS. KATHLEEN MCCANDLESS: Now, if we

20 could go to the response to Undertaking Number 3.

21

22 (BRIEF PAUSE)

23

24 MS. KATHLEEN MCCANDLESS: That's PUB

25 Exhibit -- or MPI Exhibit Number 58, Kristen.

1 (BRIEF PAUSE)

2

3 MS. KATHLEEN MCCANDLESS: There was no  
4 mention of the Salvage Management System in this  
5 undertaking response, correct?

6 MR. DEAN DUNSTONE: If you don't mind,  
7 I'll just take a moment to read it. I haven't seen  
8 this one yet.

9

10 (BRIEF PAUSE)

11

12 MR. DEAN DUNSTONE: Yeah. So it -- it  
13 is -- it is factored in there. Severity for 2020  
14 developed favourably over the following months, so  
15 that's -- that is alluding to the salvage management  
16 option sales and the -- and the favourable salvage  
17 sales. So just -- and then it just shows you how it  
18 lowered the trend rate, and it's showing the rate  
19 update and the '22 GRA.

20 MS. KATHLEEN MCCANDLESS: So you're  
21 paraphrasing what we see at the top of the page here  
22 in the narrative?

23 MR. DEAN DUNSTONE: Yeah. I think --  
24 I think your question was: Was -- did we include  
25 these salvage management or severity impacts in the --

1 in the forecast? And yes we did.

2 MS. KATHLEEN MCCANDLESS: Thank you.

3 Could we scroll down just slightly? I think we're  
4 looking, yes, at Figure 1, line 17, we see the  
5 incurred difference in 2023 on the far right column of  
6 -- of a decrease of 7.37 million?

7 MR. DEAN DUNSTONE: Yes.

8 MS. KATHLEEN MCCANDLESS: And so  
9 that's consistent with what you just mentioned about  
10 the savings?

11 MR. DEAN DUNSTONE: That's right.  
12 That would be the -- the salvage impacts, yes.

13 MS. KATHLEEN MCCANDLESS: And then  
14 just back to the narrative again. The -- the trend  
15 using 2016 to '20 was updated for the updated estimate  
16 of the 2020 severity, and that's what lowered the  
17 trend rate from 4.25 percent to 2.26 percent in 2023?

18 MR. DEAN DUNSTONE: Correct.

19 MS. KATHLEEN MCCANDLESS: And if we  
20 look at the 2022 GRA -- just scroll down so we can see  
21 all of Figure 1, please -- row 14, 2022 GRA, about the  
22 middle of the page, we see the average severity is six  
23 (6) -- let's see, six point seven (6.7)?

24 MR. DEAN DUNSTONE: Yes, I see that.

25 MS. KATHLEEN MCCANDLESS: And in the

1 rate update, the corresponding average severity is six  
2 point seven (6.7)?

3 MR. DEAN DUNSTONE: Correct.

4 MS. KATHLEEN MCCANDLESS: That's a  
5 decrease of forty-two (42)?

6 MR. DEAN DUNSTONE: Yes.

7 MS. KATHLEEN MCCANDLESS: And the  
8 prior accident years did not change by a material  
9 amount, correct?

10 MR. DEAN DUNSTONE: That's right.

11 MS. KATHLEEN MCCANDLESS: A decrease  
12 of forty-two dollars (\$42), so less than a 1 percent  
13 change for one (1) accident year has changed the  
14 future trend from 4.25 percent to 2.26 percent?

15 MR. DEAN DUNSTONE: Yeah. And then --  
16 I mean, yeah, 2021 is obviously factored into is that,  
17 you know, we've had another four (4) months'  
18 experience in 2021 as well. So I think we were pretty  
19 cautious probably in 2020. It was a new program. It  
20 was rolled out in September of 2020, from  
21 recollection.

22 So, I think just -- yeah, we were --  
23 you know, started cautiously, and then -- and then, as  
24 -- as we get more experience, which we have a year  
25 now, that has grown now.

1 MS. KATHLEEN MCCANDLESS: This seems  
2 like a significant change in trend for a change in  
3 severity of under 1 percent for one (1) accident year,  
4 no?

5 MR. DEAN DUNSTONE: I could -- I could  
6 get further clarification. The results do look fairly  
7 reasonable to me just because we did start in 2020.  
8 So I would expect a small movement in 2020 and a much  
9 larger movement in 2021, and then growing outward. So  
10 it does look reasonable, but I can get more  
11 information if you'd like.

12 MS. KATHLEEN MCCANDLESS: Yes, please.  
13 If we could have an undertaking to confirm the  
14 calculations and the reasons for the change in future  
15 trend -- future severity trend from 4.25 percent to  
16 2.26 percent.

17 MR. ANTHONY GUERRA: Yes, counsel.

18

19 --- UNDERTAKING NO. 22: MPI to confirm the  
20 calculations and the  
21 reasons for the change in  
22 future severity trend from  
23 4.25 percent to 2.26  
24 percent

25

1 CONTINUED BY MS. KATHLEEN MCCANDLESS:

2 MS. KATHLEEN MCCANDLESS: Then if we  
3 look at again Figure 1, lines 16 to 19, on the left-  
4 hand side, there under claim count.

5 MR. DEAN DUNSTONE: Yes.

6 MS. KATHLEEN MCCANDLESS: There's a  
7 claim count of between a hundred and seventeen (117)  
8 and a hundred and twenty (120) claims for 2022 through  
9 to 2025, yes?

10 MR. DEAN DUNSTONE: Yes.

11 MS. KATHLEEN MCCANDLESS: What is the  
12 source of the increase in the expected claim count?

13 MR. DEAN DUNSTONE: From -- sorry, the  
14 seventeen (17) to the twenty-four (24), is that...

15 MS. KATHLEEN MCCANDLESS: The one  
16 seventeen (117) to one twenty (120).

17 MR. DEAN DUNSTONE: Sorry, I'm just  
18 not seeing it right now. What -- what line?

19 MS. KATHLEEN MCCANDLESS: Line 16 to  
20 19.

21 MR. DEAN DUNSTONE: Sixteen (16) --

22 MS. KATHLEEN MCCANDLESS: There's a  
23 difference of one seventeen (117) --

24 MR. DEAN DUNSTONE: Oh, I see it. I'm  
25 sorry. I apologize.

1                   Yeah. So the rate update. So we have,  
2 oh, slight movements of -- of claim counts there.  
3 Yeah, very -- very small. I don't -- couldn't tell  
4 you what that would be at this point. I could  
5 certainly get more information on that as well, if you  
6 -- if you'd like?

7                   MS. KATHLEEN MCCANDLESS: Yes. If we  
8 could have an explanation for the change in the  
9 projected claim count for 2022 through to 2025, as  
10 reflected in Figure 1 of MPI Exhibit Number 58,  
11 please.

12                   MR. ANTHONY GUERRA: Yes, counsel.

13                   MS. KATHLEEN MCCANDLESS: Thank you.

14

15 --- UNDERTAKING NO. 23: MPI to provide an  
16 explanation for the change  
17 in the projected claim  
18 count for 2022 through to  
19 2025, as reflected in  
20 Figure 1 of MPI Exhibit  
21 Number 58

22

23 CONTINUED BY MS. KATHLEEN MCCANDLESS:

24                   MS. KATHLEEN MCCANDLESS: Similar to  
25 comprehensive hail, MPI appears to have updated the

1 trending exercise in the October update, yes?

2 MR. DEAN DUNSTONE: Yes.

3 MS. KATHLEEN MCCANDLESS: And that has  
4 not been done before?

5 MR. DEAN DUNSTONE: To my knowledge,  
6 no.

7 MS. KATHLEEN MCCANDLESS: Does MPI  
8 intend to continue this practice into the next GRA?

9 MR. DEAN DUNSTONE: Yes, I can see  
10 this progressing; and even further to other categories  
11 of claims, depending on what, you know, experience we  
12 -- we see in the first four (4) months of -- prior to  
13 the rate update, yes.

14 MS. KATHLEEN MCCANDLESS: Changes in  
15 trending in the October update do not provide much  
16 time for testing, yes?

17 MR. DEAN DUNSTONE: Agreed.

18 MS. KATHLEEN MCCANDLESS: How could  
19 additional time for reviewer verification be included  
20 in this process?

21 MR. DEAN DUNSTONE: We are under tight  
22 time constraints. I don't know off-the-top-of-my-head  
23 how we could make that happen. I guess if we, you  
24 know, maybe pushed -- pushed the filing up a week, if  
25 possible.

1                   We did use July 31st actuals this year  
2 as part of our, you know, experience to build our  
3 forecast. So we possibly could move that up and maybe  
4 a week earlier we could file possibly.

5                   MS. KATHLEEN MCCANDLESS: Is it  
6 possible for MPI to provide updated claims incurred  
7 exhibits for both comprehensive and collision that  
8 reflect the changes in the trend -- trending  
9 selections?

10                  MR. DEAN DUNSTONE: Yes.

11                  MS. KATHLEEN MCCANDLESS: And,  
12 specifically, that would be an undertaking to provide  
13 updated claims incurred exhibits for comprehensive and  
14 collision Figures CI-39, CI-40, CI-66, and CI-67.

15                               Is that possible?

16                  MR. DEAN DUNSTONE: I'm just confirming  
17 with my back row just to make sure that is possible.  
18 I believe it is, but I'm confirm shortly here.

19

20                               (BRIEF PAUSE)

21

22                  MR. DEAN DUNSTONE: Sorry, can you  
23 just give me those documents you wanted again?

24                  MS. KATHLEEN MCCANDLESS: Yes, please.

25 So that would be Figure CI-39, CI-40, CI-66, and CI-

1 67.

2 MR. DEAN DUNSTONE: And my back row is  
3 listening right now, so I should have a response  
4 shortly here.

5

6 (BRIEF PAUSE)

7

8 MR. DEAN DUNSTONE: Yes, that's fine.

9 MS. KATHLEEN MCCANDLESS: Thank you.

10

11 --- UNDERTAKING NO. 24: MPI to provide updated  
12 claims incurred exhibits  
13 for comprehensive and  
14 collision Figures CI-39,  
15 CI-40, CI-66, and CI-67.

16

17 CONTINUED BY MS. KATHLEEN MCCANDLESS:

18 MS. KATHLEEN MCCANDLESS: Now, with  
19 respect to the presentation on claims incurred that  
20 was just reviewed this morning. And that's MPI  
21 Exhibit 62. First, with respect to page 11...

22

23 (BRIEF PAUSE)

24

25 MS. KATHLEEN MCCANDLESS: Thank you,

1 Kristen.

2 Can you explain why the light vehicle  
3 accredit -- accreditation agreement has a much more  
4 adverse impact by 2024/'25?

5 MR. DEAN DUNSTONE: There's probably  
6 maybe twenty (20), twenty-five (25) items on there.  
7 Labour and rate are, obviously, the -- the largest  
8 component of -- of these. But just -- just really  
9 incremental growth, I can check into. I'm -- just  
10 from looking at it, probably labour increases,  
11 probably, you know, moderate CPI increases of growth  
12 probably are applied in there.

13 I can -- I can confirm, but I would  
14 imagine that would be the primary driver of that.

15 MS. KATHLEEN MCCANDLESS: Perhaps, we  
16 could have a response by way of undertaking then, just  
17 to provide detail as to the reason for the adverse  
18 impact of the light vehicle accreditation agreement in  
19 2024/'25?

20 MR. DEAN DUNSTONE: I did get  
21 confirmation from my back row that it is, indeed, due  
22 to the labour rate primarily.

23 MS. KATHLEEN MCCANDLESS: All right.  
24 Then I think I can withdraw that. We've got the  
25 response. Thank you.

1                   On page 13 of your presentation, can  
2 you explain why there's -- PIPP is worse by a million  
3 dollars?

4                   MR. DEAN DUNSTONE:    Yeah, that's --  
5 now here's where I -- I can't give you too much  
6 detail.  I -- I know there as a methodology change  
7 that before this Board, I can't remember -- maybe two  
8 (2) or three (3) years ago -- maybe it was last year.  
9 And there was a methodology change to the PIPP  
10 forecasting.  And that is, from my understanding, the  
11 rationale -- or reason for this small movement --  
12 unfavourable movement.

13

14                                   (BRIEF PAUSE)

15

16                   MR. DEAN DUNSTONE:    But, again, I can  
17 get more details on that if you wish to determine what  
18 it is.  But I know it is due to this change in  
19 methodology that was done.

20                   MS. KATHLEEN MCCANDLESS:   Okay.  And  
21 are you aware of what the change was?

22                   MR. DEAN DUNSTONE:    It had to do with  
23 severity growth, I know that.  I have very small  
24 details on that.  But if you require more, I can -- I  
25 can get it.

1 MS. KATHLEEN MCCANDLESS: That might  
2 be helpful then, please. If we could just have --  
3 provide detail as to the methodology change that has  
4 resulted in the \$1 million unfavourable variance to  
5 PIPP.

6 MR. ANTHONY GUERRA: Yes, counsel.  
7 We'll give the undertaking.

8 MS. KATHLEEN MCCANDLESS: Thank you.

9  
10 --- UNDERTAKING NO. 25: MPI to provide detail as  
11 to the methodology change  
12 that has resulted in the  
13 \$1 million unfavourable  
14 variance to PIPP.

15

16 CONTINUED BY MS. KATHLEEN MCCANDLESS:

17 MS. KATHLEEN MCCANDLESS: Property  
18 damage, internal loss adjustment expense, and other  
19 has an unfavourable impact or variance of \$2.8  
20 million?

21 MR. DEAN DUNSTONE: Yes.

22 MS. KATHLEEN MCCANDLESS: Can you  
23 explain why that's the case?

24 MR. DEAN DUNSTONE: That is primarily  
25 driven. The other would be the interest rate impacts.

1                   So when we have movements on our claims  
2 discount rate, that is the large component. I believe  
3 it was about \$4 million difference from the initial  
4 filing. So we had some small movement, some decreases  
5 in the rates, which had an unfavourable impact on the  
6 interest rate component of claims. So that -- that is  
7 the primary driver of that.

8                   MS. KATHLEEN MCCANDLESS: Thank you.  
9 Now, I'd like to ask some questions about the impact  
10 on distribution of rate changes. So if we could go to  
11 Figure RM-20 of MPI Exhibit Number 37.

12                   This schedule shows the percent  
13 distribution of all classification and rate  
14 adjustments. And the very first column on the left is  
15 for all vehicles combined?

16                   MR. TAI PHOA: That is correct,  
17 counsel.

18                   MS. KATHLEEN MCCANDLESS: And then,  
19 the remainder of the columns -- and they run into the  
20 second page of this schedule -- is broken down by  
21 class?

22                   MR. TAI PHOA: That is correct.

23                   MS. KATHLEEN MCCANDLESS: If we start  
24 with all vehicles combined and ignore the removal of  
25 the capital management provision on the rate impact

1 felt by customers for the time being, we can see, in  
2 the first column, under "all vehicles," right about  
3 the middle of the page, 58.36 percent have a rate  
4 decrease indicated, yes?

5 MR. TAI PHOA: Counsel, if you would  
6 permit -- if you may permit me, I just want to know if  
7 this is based on the rate update, because I'm -- it's  
8 just --

9 MS. KATHLEEN MCCANDLESS: Yes.

10 MR. TAI PHOA: -- not clear to me  
11 where this is from.

12 MS. KATHLEEN MCCANDLESS: Yes. This  
13 is from MPI Exhibit Number 37. So this is the rate  
14 update.

15 MR. TAI PHOA: Okay. Thank you very  
16 much for that. Yeah, so I will confirm the 58.36  
17 percent, yes.

18 MS. KATHLEEN MCCANDLESS: Okay. 10.25  
19 percent see no change?

20 MR. TAI PHOA: Yes.

21 MS. KATHLEEN MCCANDLESS: And that  
22 would be mainly off-road vehicle and trailers?

23 MR. TAI PHOA: A lot of that is driven  
24 by off-road vehicles. I would have to -- can we skip  
25 to the next page?

1 MS. KATHLEEN MCCANDLESS: We'll go  
2 through the record of them in a moment.

3 MR. TAI PHOA: Sure. Then I'll accept  
4 -- I'll accept that, subject to check.

5 MS. KATHLEEN MCCANDLESS: Okay. Thank  
6 you.

7 And then at the bottom of the first  
8 column, we see a 31.39 percent of a rate increase  
9 indicated, yes?

10 MR. TAI PHOA: That is correct.

11 MS. KATHLEEN MCCANDLESS: Does this  
12 reflect expected movement in the DSR scale?

13 MR. TAI PHOA: No, this does not  
14 reflect expected movement in the DSR scale. Like I  
15 said, at -- at the granular level -- which is what  
16 this is showing right now -- we cannot -- it's very  
17 hard for us to, sort of, forecast who's going to move  
18 up and who's going to move down. So -- so this does  
19 not reflect the movement on the DSR scale.

20 MS. KATHLEEN MCCANDLESS: Then the  
21 second column is for private passenger vehicle?

22 MR. TAI PHOA: Yes, it is.

23 MS. KATHLEEN MCCANDLESS: And there  
24 we see that 60.53 percent will see a decrease?

25 MR. TAI PHOA: Yeah. Fairly close to

1 the overall, yeah.

2 MS. KATHLEEN MCCANDLESS: Point fine  
3 nine percent see no change?

4 MR. TAI PHOA: Yeah.

5 MS. KATHLEEN MCCANDLESS: And, at the  
6 bottom, 38.88 percent see an increase, yes?

7 MR. TAI PHOA: That is correct.

8 MS. KATHLEEN MCCANDLESS: Moving over  
9 one column to commercial vehicles. Agin, about the  
10 middle of the column, we see 28.03 percent will have a  
11 rate decrease.

12 MR. TAI PHOA: That's correct.

13 MS. KATHLEEN MCCANDLESS: One (1) line  
14 below that, .04 percent see no change.

15 MR. TAI PHOA: That is correct.

16 MS. KATHLEEN MCCANDLESS: And then, at  
17 the bottom, second-last line, 71.93 percent will see a  
18 rate increase, yes?

19 MR. TAI PHOA: Agreed.

20 MS. KATHLEEN MCCANDLESS: Okay. Then  
21 moving again one (1) column to the right for public  
22 vehicle, about the middle of the column, 11.17 percent  
23 would see a rate decrease.

24 MR. TAI PHOA: That's correct.

25 MS. KATHLEEN MCCANDLESS: Point zero

1 three percent see no change.

2 MR. TAI PHOA: That's correct.

3 MS. KATHLEEN MCCANDLESS: And second  
4 to last line at the bottom, 88.8 percent will see a  
5 rate increase, yes?

6 MR. TAI PHOA: That is correct.

7 MS. KATHLEEN MCCANDLESS: And then if  
8 we go on to page 2 of RM-20, the first column on the  
9 left is for the motorcycle class.

10 MR. TAI PHOA: Yes.

11 MS. KATHLEEN MCCANDLESS: And 46.89  
12 percent of the class will see a rate decrease.

13 MR. TAI PHOA: That's correct.

14 MS. KATHLEEN MCCANDLESS: Point four  
15 four percent, no change.

16 MR. TAI PHOA: Yes.

17 MS. KATHLEEN MCCANDLESS: And 52.67  
18 percent will see a rate increase.

19 MR. TAI PHOA: Yes.

20 MS. KATHLEEN MCCANDLESS: Trailers, in  
21 the middle of the page, we see 80.66 percent will have  
22 a decrease.

23 MR. TAI PHOA: Yes.

24 MS. KATHLEEN MCCANDLESS: Nineteen  
25 point two six percent, no change.

1 MR. TAI PHOA: Yes.

2 MS. KATHLEEN MCCANDLESS: And .08  
3 percent will see an increase?

4 MR. TAI PHOA: That is correct.

5 MS. KATHLEEN MCCANDLESS: Off-road  
6 vehicles, on the very far right, see hundred percent  
7 no change.

8 MR. TAI PHOA: That is correct. And  
9 just to give a bit of context to that, currently for  
10 Basic, off-road vehicles pay seven dollars (\$7). So  
11 in order -- in order to actually affect a change, you  
12 have to see rate change of 10 percent or over -- 10  
13 percent or greater, so that it will round down to the  
14 next nearest dollar, I guess.

15 MS. KATHLEEN MCCANDLESS: Now, if we  
16 were to take into consideration the \$69 million  
17 capital release provisions that was included in the  
18 2021/'22 rates, based on the errors in the -- in the  
19 implementation of the capital release provision --  
20 yes, are you following me?

21 MR. TAI PHOA: Yes, I am. And I --  
22 just -- just to clarify. I assume counsel is talking  
23 about the discussion last week on how we actually  
24 calculated the CMP versus -- sorry, the capital  
25 release versus what was proposed to the Public

1 Utilities Board last year.

2 MS. KATHLEEN MCCANDLESS: Correct,  
3 yes.

4 And is \$69 million the correct amount?

5 MR. TAI PHOA: Based on our current  
6 estimate, \$69 million is the correct amount, yes.

7 MS. KATHLEEN MCCANDLESS: And so,  
8 relative to the 1.022 billion of motor vehicle written  
9 premium, in 2021/'22 -- and I can take you to that  
10 reference, Mr. Phoa, if you need it, or...

11 MR. TAI PHOA: Subject -- yeah, so --  
12 so yeah, you know what, I'll take the reference --

13 MS. KATHLEEN MCCANDLESS: Okay.  
14 That's Exhibit 37, PF-1. So we see for Basic motor  
15 vehicles 2022 'P' (phonetic), \$1.022 billion of motor  
16 vehicle written premium, yes?

17 MR. TAI PHOA: For '21/'22, one point-  
18 o-two two (1.022), yes.

19 MS. KATHLEEN MCCANDLESS: Okay. And  
20 so the \$69 million then relative to the amount of  
21 motor vehicle premium written, translates to about  
22 6.75 percent, correct?

23 MR. TAI PHOA: Yeah. I'll take --  
24 I'll take that number: six point seven-five (6.75).

25 MS. KATHLEEN MCCANDLESS: So removal

1 of the capital release provision would add 6.75  
2 percent of premium back to the motor vehicle written  
3 premium, yes?

4 MR. TAI PHOA: I want to be very  
5 careful here. Again, noting this morning that the  
6 6.75 percent -- sorry, the 5.2 percent of the  
7 corrected 6.75 percent is well -- well-communicated to  
8 -- to the customers as a one-time capital release.

9 But -- but you're right. I see where  
10 you're coming from, in that a lot of customers, as a  
11 result of the 6.5 (sic) percent not being applied this  
12 year, will see all things equal at 6.5 percent premium  
13 increase, yes.

14 MS. KATHLEEN MCCANDLESS: Six point  
15 seven five percent.

16 MR. TAI PHOA: Six point seven five  
17 percent.

18 MS. KATHLEEN MCCANDLESS: Okay. So  
19 combining the 1.16 percent AAP rate decrease with a  
20 6.75 percent impact of removing the capital release  
21 provision as actually implemented by MPI, that would  
22 translate to an overall rate change of a 5.59 percent  
23 rate increase?

24 MR. TAI PHOA: Again, I would be -- I  
25 want to be careful here with how we are communicating

1 this. As I -- as I said this morning, you know, and I  
2 -- and I think it's been presented here a few times,  
3 the capital release that we issued last year is a one-  
4 time thing.

5 Rates -- the -- the rates that we have  
6 are separate. Rates decreased 3.8 percent last year,  
7 and increased this -- and is subject to another  
8 decrease of 1.2 percent. In -- in terms of how much  
9 premium revenue MPI will collect, yes, MPI will  
10 collect the six-point-seven-five (6.75) minus one-  
11 point-one-two (1.12) as -- as described by counsel,  
12 yes.

13 MS. KATHLEEN MCCANDLESS: Thank you.  
14 And so, just because you have mentioned it a few times  
15 now, the CMP being a one (1) time adjustment, was --  
16 in last year's forecast, did you include the CMP  
17 provision for only one (1) year?

18 Is that how it was worked into  
19 forecasting?

20 MR. TAI PHOA: Yeah. So, for -- for  
21 illustrative purposes last year we included the 5  
22 percent throughout the forecast period. In actual  
23 practice what would happen is that we -- the -- the CM  
24 -- the capital release would be calculated year over  
25 year.

1                   So, what we would do is -- if we  
2 followed the CMP rules appropriately, we would look at  
3 the MCT at the beginning of the year and then the  
4 projected MCT at the end of the rating year every --  
5 some in the capital release for -- in terms of what  
6 was presented last year, the 5 percent year over year  
7 seemed to -- seemed to be in line with how we expect  
8 the CMP to work.

9                   This year, I -- I believe MPI has  
10 provided evidence as to why it's not calculating a --  
11 a capital release this year. Further details or can I  
12 -- that I -- if I recall correctly, there's a CMP  
13 panel tomorrow that I'm partly involved with as well.

14                   So, we can talk about why the capital  
15 release is not being applied for in the 2022/'23 year.  
16 But -- but counsel is right, last year we -- in terms  
17 of illustration we showed 5 percent throughout the  
18 forecast period.

19                   MR. DEAN DUNSTONE:    And maybe I can  
20 just add to that. Like -- yeah, like in the forecast  
21 last year, and we do this every year, but we want to  
22 show the complete picture of the CMP, which shows, you  
23 know, releases out for three (3) years.

24                   So, last year when we did present that,  
25 we wanted to show that, you know, if we used the

1 capital release over a three (3) year period, the MCT  
2 would obtain a range -- appropriate range.

3 So, then this year when we come back,  
4 we basically -- now we're starting with '22/'23 and we  
5 have to reset that whole process essentially, right.  
6 So, we have to -- that was last year's presentation  
7 for illustrative purposes, how it would work if -- if  
8 we maintained that three (3) years going out.

9 But we know that every year we're going  
10 to come back and -- and reset the AAP (phonetic) and  
11 reset the rates, and -- and determine, you know, our  
12 capital releases again after that, or rebates.

13 MS. KATHLEEN MCCANDLESS: Okay. So,  
14 I'm -- just so I understand, and to summarize what  
15 I've heard, I -- I take it then that the -- the CMP  
16 provision in last year's forecast was not just for one  
17 (1) year?

18

19 (BRIEF PAUSE)

20

21 MR. DEAN DUNSTONE: It was -- yeah, it  
22 was illustrated for three (3) years. So, according --  
23 you know, in accordance with our CMP, it is a three  
24 (3) year forecast. But really -- you know, we're just  
25 really focussing on '21/'22 last year, so that was

1 kind of the main purpose.

2 MS. KATHLEEN MCCANDLESS: Okay. And  
3 do you know what the exact wording was in the invoices  
4 sent to ratepayers last year with respect to the CMP,  
5 the rate calculation?

6 MR. DEAN DUNSTONE: I have not had a  
7 chance to look at that. No, I do -- I do not.

8 MR. TAI PHOA: In all fairness, I'm  
9 sure I have it in one (1) of my emails here, but I can  
10 -- I -- I can get a -- we can try to get a sample. I  
11 -- but I believe, at least in terms of the  
12 presentation, we have a line that says, "2021 base  
13 rates" and then there's a line that sort of compares  
14 the 2021 base rates to what the customer paid in 2020.

15 And then there's a third separate line  
16 that clearly indicates that -- the -- the effect of  
17 the discount that was provided as a result of the  
18 capital release.

19 MS. KATHLEEN MCCANDLESS: I think it  
20 would be helpful if we could actually see a sample of  
21 what was sent out. If you could provide that by way  
22 of undertaking?

23

24 (BRIEF PAUSE)

25

1 MR. ANTHONY GUERRA: So, counsel, what  
2 we can provide is the -- the template that would have  
3 been provided. So, we -- we don't want to provide  
4 specific customer information, but we can provide a --  
5 a sample template that was made available from  
6 communications and that will be the undertaking, if  
7 that's okay?

8 MS. KATHLEEN MCCANDLESS: Yes. Thank  
9 you.

10

11 --- UNDERTAKING NO. 26: MPI to provide a sample  
12 template that was made available  
13 from communications.

14

15 CONTINUED BY MS. KATHLEEN MCCANDLESS:

16 MS. KATHLEEN MCCANDLESS: So, if we go  
17 back to figure RM-20 of MPI Exhibit 37, so that's from  
18 the rate update. Thank you, Kristen. And just to  
19 refresh your memory, because we did go on a bit of a -  
20 - I went on a big of a tangent there.

21 We were talking about the -- the  
22 ultimate effect of the -- the \$69 million capital  
23 release translating into an overall rate change of  
24 five-point-nine (5.9) -- 5.59 percent. If we look at  
25 -- and we should go to the first page, please, I

1 think, because we're looking at overall.

2 We see how many vehicles have rate  
3 decreases of 7 percent or more. That would likely be  
4 comparable to the number of vehicles that will see a  
5 premium decrease on renewal once the capital release  
6 provision has been removed.

7 Is that correct?

8 MR. TAI PHOA: Yeah, so let me see if  
9 -- just to clarify counsel's question, counsel is  
10 suggesting that all the -- that the particular group  
11 is seeing a -- a decrease between 0 and 7 percent will  
12 just be a premium in -- we will actually see a premium  
13 increase.

14 Is that the suggestion?

15 MS. KATHLEEN MCCANDLESS: Rate  
16 decreases of 7 percent or more.

17 MR. TAI PHOA: Yeah, I can agree to  
18 that, yeah.

19 MS. KATHLEEN MCCANDLESS: And so,  
20 some, I guess rough math, if you're looking at this,  
21 for all vehicles twenty-seven (27) -- 26.7 percent  
22 would show a premium decrease of 7 percent or greater  
23 in RM-20?

24 MR. TAI PHOA: Subject to check, I can  
25 agree with that.

1 MS. KATHLEEN MCCANDLESS: Okay. And  
2 that would -- that would correspond to seeing a  
3 premium decrease on renewal, yes?

4 MR. TAI PHOA: That is correct.

5 MS. KATHLEEN MCCANDLESS: So, that  
6 would mean about 73.3 percent would see a premium  
7 increase on renewal, yes?

8 MR. TAI PHOA: Again, subject to  
9 check, yeah. I can agree with that.

10 MS. KATHLEEN MCCANDLESS: And then  
11 with private passenger, if we're looking at the same  
12 exercise then, 18.77 percent would see a premium  
13 decrease?

14 MR. TAI PHOA: Sure. Yeah.

15 MS. KATHLEEN MCCANDLESS: And 81.23  
16 percent would see an increase?

17 MR. TAI PHOA: Subject to check, I  
18 agree to that.

19 MS. KATHLEEN MCCANDLESS: For  
20 commercial, then 4.12 percent would see a premium  
21 decrease?

22 MR. TAI PHOA: Sure.

23 MS. KATHLEEN MCCANDLESS: And 95.88  
24 percent would see an increase?

25 MR. TAI PHOA: Yes.

1 MS. KATHLEEN MCCANDLESS: For public,  
2 .42 percent would see a premium decrease?

3 MR. TAI PHOA: That's right.

4 MS. KATHLEEN MCCANDLESS: And 99.58  
5 percent would see an increase?

6 MR. TAI PHOA: That is correct.

7 MS. KATHLEEN MCCANDLESS: And then on  
8 the next page, for your reference, if we look at  
9 motorcycles, 6.05 percent would then see a premium  
10 decrease?

11 MR. TAI PHOA: That is correct.

12 MS. KATHLEEN MCCANDLESS: And 93.95  
13 percent would see a premium increase?

14 MR. TAI PHOA: Yeah. Sorry, yes.

15

16 (BRIEF PAUSE)

17

18 MS. KATHLEEN MCCANDLESS: Thank you.

19 Now, with respect to the interest impact on claims  
20 incurred, if we could go to INV-3. Thank you.

21 At line 4 we see for Q4 for 2021/'22,  
22 the interest rate forecast shows a claims discount  
23 rate of 2.83 percent, yes?

24 MR. DEAN DUNSTONE: Yes, I see that.

25 MS. KATHLEEN MCCANDLESS: Then if we

1 could go to MPI Exhibit 43, and that's PUB-MPI preask  
2 2, and appendix 2. For the same time period, it shows  
3 2.72 percent, yes? That's line 4.

4 MR. DEAN DUNSTONE: Yes, that's  
5 correct.

6 MS. KATHLEEN MCCANDLESS: That would  
7 be a decrease of eleven (11) basis points.

8 MR. DEAN DUNSTONE: Agreed.

9 MS. KATHLEEN MCCANDLESS: And then if  
10 we could please jump to INV-19. And this is from the  
11 filing. It shows the expected claims duration to be  
12 ten point two (10.2) at March 2022, at line 2.

13 MR. DEAN DUNSTONE: Yes.

14 MS. KATHLEEN MCCANDLESS: And, at PF-2  
15 in the filing...

16

17 (BRIEF PAUSE)

18

19 MS. KATHLEEN MCCANDLESS: Thank you  
20 Kristen.

21 The provision for unpaid claims for  
22 2021/'22 -- I think we have to scroll down. Thank  
23 you. Yes.

24 Provision for unpaid claims is 2.13  
25 million.

1 MR. DEAN DUNSTONE: Billion.

2 MS. KATHLEEN MCCANDLESS: Oh, yes,  
3 billion, pardon me.

4 So expected movement due to an eleven  
5 (11) basis point change would be about \$24 million?

6

7 (BRIEF PAUSE)

8

9 MR. THAI PHOA: Yeah, subject to  
10 check, that's so -- around the range, yeah: 24, \$25  
11 million.

12 MS. KATHLEEN MCCANDLESS: And this  
13 ties in fairly well to the pro forma comparative on  
14 page 19 of MPI Exhibit 47? Thirty-seven, pardon me.  
15 Did I say 47?

16

17 (BRIEF PAUSE)

18

19 MS. KATHLEEN MCCANDLESS: Page 19,  
20 please, Kristen. Thank you.

21 So at line 16 here, on the far right  
22 side, we see at \$24.6 million impact on claims due to  
23 the interest rate impact, yes?

24 MR. DEAN DUNSTONE: Yes.

25 MS. KATHLEEN MCCANDLESS: Given the

1 bond portfolio has a duration of about ten (10) years,  
2 why is the interest rate impact on the investment  
3 income \$57 million? Fifty-seven point eight million.

4 MR. DEAN DUNSTONE: I'm just trying to  
5 find a reference here. But yeah, we're -- during the  
6 year, this year, we have increased our duration to  
7 bonds, so we've been selling off bonds, more or less,  
8 in the middle of the yield -- the yield curve and then  
9 purchasing longer-term bonds.

10 So that has had a favourable impact on  
11 our investment income for this year. And that's just  
12 -- I believe the investments panel is on Wednesday  
13 this week so they'll be able to get into more detail  
14 with that. But that is to transition to a tighter ALM  
15 strategy that we have.

16 So -- but at this point, that's the  
17 information I can give you.

18 MS. KATHLEEN MCCANDLESS: Thank you.  
19 So now onto some methodology and assumption changes in  
20 rate-making. PUB-MPI-1-78 and MPI-2-38...

21

22 (BRIEF PAUSE)

23

24 MS. KATHLEEN MCCANDLESS: Maybe we  
25 don't need 1-78. We can probably go right to 2-38, I

1 think.

2 Here MPI was asked to confirm that the  
3 use of severity groups weighted by incurred amounts  
4 would reduce the rate indication by about a negative  
5 1.4 percent.

6 And then, in other words, MPI was asked  
7 to confirm that changing from weighting severity group  
8 indicated trends by incurred amounts to weighting by  
9 claim counts, has increased the rate indication by  
10 about 1.4 percent overall.

11 And, if we go to the response at 'B',  
12 MPI indicated that was confirmed, yes?

13 MR. THAI PHOA: Yeah, based on the  
14 response that is confirmed.

15 MS. KATHLEEN MCCANDLESS: Would MPI  
16 consider this a methodology and assumption change?

17 MR. THAI PHOA: Yes, there would be a  
18 methodology and assumption change within the claims  
19 forecasting methodology. It's -- it's definitely not  
20 within the written methodology.

21 MS. KATHLEEN MCCANDLESS: And that was  
22 going to be my -- be my question. Should it have been  
23 included in RM Appendix 8, Methodology and Assumption  
24 Changes?

25

1 (BRIEF PAUSE)

2

3 MR. THAI PHOA: So, counsel, if we --  
4 if you don't mind, I'll just ask you to repeat the  
5 question.

6 MS. KATHLEEN MCCANDLESS: My question  
7 was: With respect to the -- the impact of changing  
8 the weighing resulted in an overall increase in requir  
9 -- required rate level of 1.4 percent, whether that  
10 should have been -- that change in methodology and  
11 assumption should have been included in RM Appendix 8,  
12 Methodology and Assumption Changes.

13 MR. THAI PHOA: Yeah, I see where  
14 you're going with that one. It -- it's not really a  
15 ratemaking methodology change; it's a change to how we  
16 are forecasting claims. The methodology, or the --  
17 the methodology or the assumptions within the  
18 ratemaking model did not change.

19 What we do is -- like I said this  
20 morning, we have robust claim's forecasting process  
21 and -- that sort of figures out the overall claims  
22 incurred, that then fits into the ratemaking model.

23 So -- so from a ratemaking perspective,  
24 it is not a change we -- it -- it is not ratemaking  
25 change.

1 MS. KATHLEEN MCCANDLESS: If we could  
2 go to RM-4.2.4 from the filing, please.

3 The claims cost component, we see at  
4 line 10 of six hundred and ninety seven dollars and  
5 eighty six cents (\$697.86). That's based on the  
6 frequency and severity trends -- trend assumptions  
7 from the claims incurred section of the filing, yes?

8 MR. THAI PHOA: Yes. That is the --  
9 whatever that -- whatever the final result of the  
10 claims forecast -- whatever -- whatever is the final  
11 result of the claims forecasting process, yes.

12 MS. KATHLEEN MCCANDLESS: And the pure  
13 premium trends -- they're discussed in RM4.3. I'm not  
14 sure we need to go there. But those pure premium  
15 trends are used to calculate the indicated major class  
16 claim's costs?

17 MR. THAI PHOA: Yes. So those pure  
18 premium trends are solely applicable to the major  
19 classification indications, yes.

20 MS. KATHLEEN MCCANDLESS: Then the  
21 major class claims costs are re-balanced to the  
22 overall claims cost component of six hundred and  
23 ninety-seven dollars and eighty-six cents (\$697.86)?

24 MR. THAI PHOA: Yes, that is correct.

25 MS. KATHLEEN MCCANDLESS: As such, the

1 pure premium trends could be considered to determine  
2 the allocation of the overall claim's costs to the  
3 major class level?

4 MR. TAI PHOA: Yes, that is correct.

5 MS. KATHLEEN MCCANDLESS: Why does MPI  
6 calculate pure premium trends when it already has  
7 frequency and severity trends?

8 MR. TAI PHOA: What we have frequency  
9 and severity trends for the -- on an overall basis.  
10 So what we need to do is we need to figure out how --  
11 we -- we need to figure out, as -- as counsel alluded  
12 to a while ago, how to take the overall claims and --  
13 and distribute it to the major classes.

14 So from our perspective, what we do is  
15 we say we look at the pure premiums, or in this case  
16 the trend of pure premiums, and when we -- when we  
17 balance the claim's costs, we sort of keep the  
18 relationship between the pure premiums the same. So -  
19 - so that's -- that's kind of what we -- that's kind  
20 of why we need to trend the -- we -- we sort of apply  
21 trending to the major class as pure premiums.

22 MS. KATHLEEN MCCANDLESS: Does MPI  
23 compare the pure premium trends for each coverage to  
24 the selected frequency and severity trends?

25 MR. TAI PHOA: At this point, no.

1 MS. KATHLEEN MCCANDLESS: Now, if we  
2 go to Figure CI-14, if we look at certain of the PIPP  
3 coverages, we can compare to where there appears to be  
4 a bit of a difference between the frequency-severity  
5 and the pure premium trends.

6 So if we look at ultimates in CI-14, in  
7 2022/'23 through 2025/'26 at the bottom there, in the  
8 fourth column, we see that they're going up about \$4  
9 million per year, yes? So that's from -- from ninety-  
10 nine point nine (99.9) to one-four (104), and then  
11 one-o-four (104) to one-o-eight (108), and then one-o-  
12 eight (108) to one twelve (112)?

13 MR. TAI PHOA: Yes, I see that.

14 MS. KATHLEEN MCCANDLESS: If we look  
15 at Table 6, in Part 6, RM Appendix 9 -- and I think  
16 we're going to the second page of the table.

17

18 (BRIEF PAUSE)

19

20 MS. KATHLEEN MCCANDLESS: Thank you.  
21 We see -- if we scroll down a little bit, pure premium  
22 trend of .25 percent?

23 MR. TAI PHOA: The indicator is 0.21  
24 percent, but, yeah, it's likely 0.25 percent.

25 MS. KATHLEEN MCCANDLESS: How do you

1 reconcile between your projected increase in ultimates  
2 of about \$4 million per year with a base of -- of  
3 about 100 million to a pure premium trend of only .25  
4 percent?

5

6 (BRIEF PAUSE)

7

8 MR. TAI PHOA: If we can go back to  
9 the prior exhibit, just for a little while.

10

11 (BRIEF PAUSE)

12

13 MR. TAI PHOA: Okay. So the 0.21  
14 percent is actually reflective of the historical loss  
15 trend, and is not reflective of the future loss trend  
16 of -- sorry, the future pure premium trend.

17 I recognize that the ultimate losses  
18 are growing in the future at 4.03 percent, but what --  
19 what we've done is the 0.21 percent is the -- is the --  
20 - sort of the trend for the historical numbers, I -- I  
21 think the last fifteen (15) years, as -- as shown in  
22 the other exhibit.

23 MS. KATHLEEN MCCANDLESS: And if we  
24 look at Figure CI-18, Accident Benefits, Other,  
25 Indexed Ultimate Losses...

1                   Thank you, Kristen. And under the  
2 'Ultimate' column, just scrolling a little bit farther  
3 down to lines 20 to 23, we can see that they are going  
4 up about \$2.4 million per year, yes, starting in  
5 2022/'23 through to 2025/'26?

6                   MR. TAI PHOA: That is correct.

7                   MS. KATHLEEN MCCANDLESS: And then if  
8 we go back to Table 6, we see a selected pure premium  
9 trend of 0 percent.

10                  MR. TAI PHOA: That is correct. And  
11 an indicated trend based on the '06/'07 to 2021 pure  
12 premiums of minus 1.2 percent.

13                  MS. KATHLEEN MCCANDLESS: Okay. So  
14 just to clarify, how do you reconcile between the  
15 projected increase in ultimates of about 2.4 million  
16 per year to the pure premium trend of 0 percent?

17                  MR. TAI PHOA: Again, I say this --  
18 this zero percent here is basically for us to trend  
19 historical numbers to current. So -- so what we're  
20 doing here is we are applying the zero percent at the  
21 major class level to trend the historical pure -- pure  
22 premiums to the current levels.

23                  So it -- it will not -- if we went back  
24 to the prior exhibit, you will note that,  
25 historically, the -- the ultimates have fluctuated up

1 and down. So -- so if you -- if you go -- so what  
2 this one here does is it just says, you know -- and  
3 you can see the -- the goodness of the -- the fit  
4 lines are not great at zero point one four-o-seven  
5 (0.1407).

6 So, again, this is just -- this is just  
7 historical numbers, as opposed -- it's bringing --  
8 sorry, this is just the historical trend, as opposed  
9 to the future trend.

10 MS. KATHLEEN MCCANDLESS: Why does MPI  
11 include the COVID year for the pure premium trending?

12 MR. TAI PHOA: Actually, we don't, I  
13 believe, for this one. If we went down a little bit  
14 lower -- yes, let's see.

15 So as -- as you can see in Note C, we -  
16 - for IRI and ABO index, we've excluded those two (2)  
17 years because they sort of look significantly out of  
18 place compared to the -- the rest of history.

19 For accident benefits, other, non-  
20 index, it appears that the COVID-19 had no impact on  
21 the pure premiums. It looks sort of on level with  
22 everything else.

23 MS. KATHLEEN MCCANDLESS: I stand  
24 corrected. Thank you.

25 Lastly, I just wanted to ask about the

1 use of generalized linear models on ratemaking.

2 In your presentation, there was a  
3 commitment to reviewing the use of generalized linear  
4 models. What is the time frame for that review?

5 MS. JING LANG: This is Jing speaking.  
6 So we are committed to start looking at it as soon as  
7 possible.

8 MS. KATHLEEN MCCANDLESS: Does MPI  
9 have resources identified to look at this work?

10 MS. JING LANG: I'm really glad you  
11 brought that question up. So, historically, MPI has  
12 always had very lean resource when it comes to the  
13 insurance and risk management area, so we are looking  
14 at ways and -- secure resource in order to make this  
15 happen.

16 MS. KATHLEEN MCCANDLESS: Does MPI  
17 have an initial scope for this review?

18 MS. JING LANG: Not yet. Not yet  
19 defined.

20 MS. KATHLEEN MCCANDLESS: And as soon  
21 as possible can be a bit subjective, so are there  
22 actual calendar time-lines right now for this review?

23 MS. JING LANG: We would like to look  
24 at it as soon as possible because that's all I -- the  
25 specific I can provide at this point. To our CEO's

1 remark on the 12th, we do want to -- looking forward,  
2 we do want to be a fast-follower of industry best  
3 practices, and this absolutely is aligned with that  
4 desire.

5                   So I can't give you a time right now,  
6 counsel, because we currently don't have a concrete  
7 scope. I also want to manage expectations because I  
8 don't want to over-promise and under-deliver. But I  
9 can say, from an MPI perspective, we will be looking  
10 to review this, and we would like to implement it as  
11 soon as feasible.

12                   MS. KATHLEEN MCCANDLESS: Thank you.  
13 I now have some questions on serious losses. And if  
14 we go to RM Appendix 9, we can see the serious losses  
15 for each vehicle use and territory. And that's Table  
16 9.

17

18                   (BRIEF PAUSE)

19

20                   MS. KATHLEEN MCCANDLESS: Page 89 of  
21 this. Thank you.

22                   So Table 9 shows serious losses for  
23 each vehicle use and territory in Table 9 -- in -- in  
24 this schedule, yes?

25                   MR. TAI PHOA: That's correct,

1 counsel.

2 MS. KATHLEEN MCCANDLESS: And Table 10  
3 shows reported losses and allocated loss adjustment  
4 expenses without hail and with ten (10) year average  
5 expected serious losses.

6 And that's -- and Table 10 starts at  
7 page 103. I don't know that we need to jump there  
8 quite yet.

9 But you would accept that's what Table  
10 10 shows us?

11 MR. TAI PHOA: That is correct. And  
12 just to clarify how we adjust things.

13 So I'll take the 2020 accident year as  
14 an example. So what we would do is, the way we adjust  
15 for serious loss is we would figure out how much  
16 serious losses in 2020 for the use and territory  
17 combination, and we would -- we would remove that  
18 serious loss from the reported losses. And then what  
19 we would do is we would add back the ten (10) year  
20 average. So just to be -- clarify the adjustment that  
21 we do.

22 MS. KATHLEEN MCCANDLESS: Is there any  
23 vehicle use and territory combinations that have over  
24 \$5 million of losses in Table 10 but have no serious  
25 losses?

1 MR. TAI PHOA: I do not have that  
2 information available right now.

3 MS. KATHLEEN MCCANDLESS: Subject to  
4 check, I don't believe there are any. Would you  
5 accept that or --

6 MR. TAI PHOA: Subject to check, yes,  
7 because again, we are looking at five (5) years -- a  
8 five (5) year period here. You could have a million  
9 dollar losses in any -- in -- in all those five (5)  
10 years, but never have a serious loss. But, subject --  
11 since counsel has confirmed that, I will take your  
12 word for it.

13 MS. KATHLEEN MCCANDLESS: If we could  
14 go to Table 10 then, please. And I'm looking at the  
15 second page, that's page 104, I believe, scrolling  
16 down to "Passenger Vehicle for Hire." Yes, thank you.

17 And Pass -- Passengel -- Passenger  
18 Vehicle for Hire in Territory 1 currently has \$3.6  
19 million of reported loss and ALAE (phonetic) without  
20 hail?

21 MR. TAI PHOA: That is correct.

22 MS. KATHLEEN MCCANDLESS: And it will  
23 likely exceed \$5 million within another year or two  
24 (2) of experience, yes?

25 MR. TAI PHOA: Yes, it will. I just

1 want to clarify that this is not just PIPP losses.  
2 This one includes collision, comprehensive losses.  
3 The way we define serious losses is that we're only  
4 looking at the reported losses for PIPP. So obviously  
5 this one here does not have a breakdown. This is just  
6 the total loss costs for passenger vehicle for  
7 Territory 1.

8 MS. KATHLEEN MCCANDLESS: Thank you.  
9 Many serious losses show up in the third year of  
10 development for an accident year, yes?

11 MR. TAI PHOA: Based on our current  
12 reserving practices, yes.

13 MS. KATHLEEN MCCANDLESS: Would you  
14 agree there is a good probability that by the next  
15 year there will be serious losses -- losses in the  
16 passenger VFH in Territory 1?

17 MR. TAI PHOA: I sort of speak --  
18 spoke a little bit about that this morning. The 2018  
19 year, if there was a loss where we should be fully  
20 reserving for, so if there was an actual claimant out  
21 there who is poten -- an actual claimant or claimants  
22 who are potentially seriously injured at this point,  
23 we would know about it.

24 Obviously, the 2018 year right now does  
25 not have any serious losses in there for Passenger

1 Vehicle for Hire passenger vehicle.

2 MS. KATHLEEN MCCANDLESS: Would you  
3 also agree that most use and territories with under \$1  
4 million of reported loss and ALAE without hail over  
5 five (5) years have a low probability of having any  
6 serious losses?

7 MR. TAI PHOA: Sorry, counsel. Could  
8 you repeat that question?

9 MS. KATHLEEN MCCANDLESS: Most use and  
10 territories with under \$1 million of reported loss and  
11 ALAE without hail over five (5) years have a low  
12 probability of having any serious losses?

13 MR. TAI PHOA: I -- I want to be very  
14 careful about making that assumption. And the reason  
15 is because, like I say in my presentation this  
16 morning, serious losses are very random, and -- and  
17 it's not dependent on, sort of, the amount of the  
18 other losses. It's more about whether you were at the  
19 right place -- sorry, at the wrong place at the wrong  
20 time.

21 If -- if you just happen to be driving  
22 down the road and, you know, sudden lapse of judgment  
23 and you smack into -- and you were driving this big  
24 vehicle and you suddenly smack into somebody, that --  
25 that could potentially result in a lot of -- a

1 significant loss for you or a serious loss for you.

2                   So -- so I would say that just -- and  
3 all it takes is one (1) incident, which is, kind of,  
4 why the other loss cost -- there's really no -- no  
5 relationship. I don't believe there's a relationship  
6 between the incurred loss cost that you see year over  
7 year and that one (1) incident that, sort of, throws  
8 your loss cost out of whack, I guess.

9                   MS. KATHLEEN MCCANDLESS: Is it your  
10 view that having a serious loss loading, based on only  
11 ten (10) years of experience, for only the given use  
12 in territory, creates some potential volatility to the  
13 rating for smaller categories?

14                   MR. TAI PHOA: If I understand counsel  
15 correctly, should we use ten (10) year -- is the  
16 question, should we use ten (10) years or should we  
17 use fifteen (15) years, should we use the longer term  
18 average?

19                   We -- we -- that's something that we  
20 can definitely review as an improvement to the  
21 methodology. Right now -- and as in previous years --  
22 we've always used ten (10) years to figure out the  
23 average.

24                   Nothing is -- nothing is to say that  
25 ten (10) years is the ideal. We could certainly

1 review the methodology to see whether we should use  
2 fifteen (15) years to, sort of, reduce the  
3 variability. Even twenty (20) years. We could,  
4 obviously. We have the data.

5 MS. KATHLEEN MCCANDLESS: Do you have  
6 any thoughts on how the potential rate volatility due  
7 to the presence or absence of serious losses could be  
8 reduced for the smaller categories?

9 MR. TAI PHOA: I think we already have  
10 that in place in terms of what -- the current  
11 ratemaking methodology. One (1) of the things that  
12 we have in place, which is crucial, is how we  
13 determine the credibility of the actual loss  
14 experience.

15 So we have -- for smaller groups right  
16 now, we have a minimum 10 percent credibility. So to  
17 a certain extent, we almost -- we are -- we are slow  
18 to react to any significant changes in the actual  
19 experience in terms of the rates for the -- the group.

20 There are other things in place as  
21 well, of course. The experience adjustments are  
22 limited to 15 percent and then there's also rate  
23 capping rules of 20 percent.

24 So I -- I think the current methodology  
25 -- so if I took an insurance use and it, all of a

1 sudden, has a -- a very small insurance use and it,  
2 all of a sudden, has a large loss, given what we have  
3 in place in our current methodology, chances are the  
4 rates will not just suddenly see a significant jump  
5 that is permissible within the -- the rules that we  
6 have in place.

7                   So, you know -- so a 20 percent is the  
8 maximum -- is the maximum cap on the rates that the  
9 PUB has ordered MPI to -- to put in place, I guess.

10                   MS. KATHLEEN MCCANDLESS: Thank you.  
11 I'm going to move into my last area of questioning,  
12 which is COVID-19 impacts.

13                   And if we could go to MPI Exhibit 57.  
14 That's the response to undertaking 2. MPI was asked  
15 to provide the impact of a decrease in claims  
16 frequency on Extension claims.

17                   And the amount quoted is a decrease of  
18 3.03 million. Yes?

19                   MR. DEAN DUNSTONE: Yes, I see that.

20                   MS. KATHLEEN MCCANDLESS: And That's  
21 moving from 30.3 to 27.3. Yes?

22                   MR. DEAN DUNSTONE: Correct.

23                   MS. KATHLEEN MCCANDLESS: What's the  
24 source for the 30.3 and 27.2 million? Just for your  
25 reference, neither reconciles to the 2021/'22 claim

1 incurred in the October update BPF-1.

2 And, Kristen, if you wouldn't mind  
3 pulling that up. So That's MPI Exhibit 37, BPF-1.

4

5 (BRIEF PAUSE)

6

7 MS. KATHLEEN MCCANDLESS: Thank you.  
8 So we see, at line 12, net claims incurred of 78.3  
9 million. Yes?

10 MR. DEAN DUNSTONE: Yes, I see that.

11 MS. KATHLEEN MCCANDLESS: So with  
12 neither of those reconciling to -- neither of the  
13 previous numbers reconciling to BPF-1 here, can you  
14 explain what the 30.3 million or the 27.3 million are?

15 MR. DEAN DUNSTONE: Can we just go  
16 back to that pre-ask, Kristen, please?

17

18 (BRIEF PAUSE)

19

20 MR. DEAN DUNSTONE: Yeah. This is  
21 the first time I've seen this undertaking response.  
22 I'm going to have to probably take that back to get  
23 you a response.

24 I think, overall, what it is saying is  
25 it's just -- the COVID impacts have impacted Extension

1 favourably by about \$3 million, when we include those  
2 updated COVID impacts.

3 But it's the 30.3 million that's  
4 throwing me off at this point, which I understand. So  
5 I think I'll have to take this back just to get a  
6 better understanding for you and I can get a response  
7 for you.

8 MS. KATHLEEN MCCANDLESS: Okay. So is  
9 that something you just need to look at over the break  
10 or -- and report back? Or...

11 MR. DEAN DUNSTONE: Yes. Yes.

12 MR. ANTHONY GUERRA: Sorry, counsel, I  
13 think we should probably do this by way of an  
14 undertaking as well.

15 MS. KATHLEEN MCCANDLESS: Just to be  
16 sure. Yes. Okay.

17 So just then, if MPI could, please  
18 confirm the claims incurred figures at undertaking  
19 number 2 which is MPI Exhibit number 57. Confirm the  
20 numbers as provided and provide any changes, if  
21 necessary.

22 MR. DEAN DUNSTONE: We'll give the  
23 undertaking. Thank you.

24

25 --- UNDERTAKING NO. 27: MPI to confirm the claims

1 incurred figures at undertaking  
2 number 2 which is MPI Exhibit number  
3 57. Confirm the numbers as provided  
4 and provide any changes, if  
5 necessary.

6

7 CONTINUED BY MS. KATHLEEN MCCANDLESS:

8 MS. KATHLEEN MCCANDLESS: Now, in the  
9 2021 General Rate Application, as originally filed,  
10 figure CI-10.

11

12 (BRIEF PAUSE)

13

14 MS. KATHLEEN MCCANDLESS: The  
15 estimated impacts to ultimates related to COVID-19  
16 were \$14.5 million in 2019/'20, at line 2.

17 MR. DEAN DUNSTONE: That's correct.

18 MS. KATHLEEN MCCANDLESS: And 43.6  
19 million in 2020/'21, at line 3.

20 MR. DEAN DUNSTONE: That's correct.

21 MS. KATHLEEN MCCANDLESS: The  
22 assumption was that the savings observed during March  
23 16, 2020 to April 15, 2020 would also be realized  
24 during the period from April 16, 2020 to May 15, 2020.  
25 Yes?

1 MR. DEAN DUNSTONE: That's right.

2 MS. KATHLEEN MCCANDLESS: And then,  
3 there were no additional savings forecast after that  
4 point.

5 MR. DEAN DUNSTONE: Correct.

6 MS. KATHLEEN MCCANDLESS: And then, in  
7 last year's GRA, in the October update -- so that was  
8 MPI Exhibit 27 from the 2021 GRA. And I think it's  
9 page 28.

10

11 (BRIEF PAUSE)

12

13 MS. KATHLEEN MCCANDLESS: Thank you.  
14 Yes. We see, under Net Claims Incurred, there was a  
15 scenario here, showing a \$27.8 million lower forecast  
16 for physical damage claims.

17 MR. DEAN DUNSTONE: Yes, I see that.

18

19 (BRIEF PAUSE)

20

21 MS. KATHLEEN MCCANDLESS: And then,  
22 the second scenario, assuming that COVID continued to  
23 Q3, on line -- on page 34.

24

25 (BRIEF PAUSE)

1 MS. KATHLEEN MCCANDLESS: And line 14.  
2 Showed an additional -- if we -- can we just scroll to  
3 the bottom of this page, please?

4

5 (BRIEF PAUSE)

6

7 MS. KATHLEEN MCCANDLESS: Pardon me,  
8 page 39.

9

10 (BRIEF PAUSE)

11

12 MS. KATHLEEN MCCANDLESS: So, at page  
13 39, line 14, we see, assuming COVID continuing to Q4,  
14 an additional \$32 million lower forecast than the  
15 first scenario?

16

17 (BRIEF PAUSE)

18

19 MS. KATHLEEN MCCANDLESS: It may help  
20 if we jump back to page 34, as well.

21

22 (BRIEF PAUSE)

23

24 MR. DEAN DUNSTONE: Can you repeat the  
25 question, counsel?

1 MS. KATHLEEN MCCANDLESS: I -- I  
2 appreciate I'm making you jumping around a fair bit.  
3 So, why don't we start at page 29, and line 14. So,  
4 page 29, line 14...

5

6 (BRIEF PAUSE)

7

8 MS. KATHLEEN MCCANDLESS: The -- okay,  
9 so we have the \$27.8 million lower forecast for  
10 physical damage claims from -- in MPI Exhibit 27. And  
11 then we -- we show the Q3 COVID scenarios at another  
12 \$16.7 million lower than forecast, if we subtract the  
13 claims incurred for '20/'21-P (phonetic) at line 14  
14 from the claims incurred from page 34.

15 I apologize. This is a lot of math on  
16 the fly.

17

18 (BRIEF PAUSE)

19

20 MR. TAI PHOA: I'm at least tracking  
21 so far with you, counsel. A \$60 million decrease in  
22 the claims incurred for fiscal year 2020/'21. Sorry --

23 MS. KATHLEEN MCCANDLESS: Yes, the --  
24 based on the COVID scenario impacts, right. So, Q3  
25 versus Q4.

1 (BRIEF PAUSE)

2

3 MS. KATHLEEN MCCANDLESS: That is  
4 correct, Mr. Phoa, yeah.

5 MR. TAI PHOA: I can confirm your  
6 numbers, yeah.

7 MS. KATHLEEN MCCANDLESS: And then  
8 assuming that COVID continued to Q4, so if we go to  
9 page -- and that would be showing an additional \$32  
10 million lower forecast than the first scenario, and  
11 that's based on subtracting claims incurred for 2021  
12 on line 14 of page 39 from line 14 of page 29?

13 MR. DEAN DUNSTONE: Yeah, I think --  
14 yeah, last year we ran some scenarios when we provided  
15 the rate update for you in the -- in the '21 GRA. So,  
16 yeah, because of the uncertainty of COVID, we -- yeah,  
17 ran a couple scenarios to -- to assume COVID impacts  
18 ending at the end of Q3.

19 And then we've ran scenarios where  
20 COVID impacts would end at the end of, you know, Q4,  
21 the end of the '21/'22 year, at that point. So, yeah,  
22 certainly -- I don't know exactly the dollar changes,  
23 but it would -- it would definitely be, you know,  
24 around \$30 million per quarter, kind of thing, makes -  
25 - that's a -- a reasonable amount to me that would

1 change, yeah.

2 MS. KATHLEEN MCCANDLESS: Thank you.  
3 And then in the second special rebate application that  
4 was filed last year, if we go to Figure 5 of LA-2.2  
5 (phonetic), MPI further decreased the claims forecast  
6 from the first scenario in the October update by an  
7 additional \$68.8 million as shown at line 5, yes?

8 MR. DEAN DUNSTONE: Yes.

9 MS. KATHLEEN MCCANDLESS: And that was  
10 with a forecast of seven hundred and twenty-six one-  
11 thirty-one (726,131)?

12 MR. DEAN DUNSTONE: That's correct.

13 MS. KATHLEEN MCCANDLESS: And then in  
14 this filing, so in the 2022 GRA, the claims incurred  
15 on PF-1 from the filing...

16

17 (BRIEF PAUSE)

18

19 MS. KATHLEEN MCCANDLESS: Thank you.

20 We see at line 14 for 2021, actual 620.1 million?

21 MR. DEAN DUNSTONE: That's correct.

22 MS. KATHLEEN MCCANDLESS: So, about  
23 106 million lower than forecast in the 2021 second  
24 special rebate application, correct?

25 MR. DEAN DUNSTONE: Subject to check,

1 yes, correct.

2 MS. KATHLEEN MCCANDLESS: And then as  
3 recently seen, the expected impact of COVID-19 for  
4 2021/'22, which was previously assumed to be zero, was  
5 a \$42.6 million reduction in claims incurred, as shown  
6 in Figure CI-10?

7 MR. DEAN DUNSTONE: Yes, correct.

8 MS. KATHLEEN MCCANDLESS: And then in  
9 the MPI Exhibit 37, rate update, page 20...

10 Thank you. We see at line 6, an  
11 additional reduction of \$71.5 million in forecast  
12 claims incurred, with the assumption that there will  
13 be some impact reducing over time until the end of the  
14 year, yes?

15 MR. DEAN DUNSTONE: Yes, that's  
16 correct.

17 MS. KATHLEEN MCCANDLESS: And then no  
18 impact thereafter, yes?

19 MR. DEAN DUNSTONE: Correct.

20 MS. KATHLEEN MCCANDLESS: So, the  
21 Corporation if of the view that its best estimate is  
22 that there will be no impact of COVID-19 on the  
23 2022/'23 fiscal year?

24 MR. DEAN DUNSTONE: That is correct.  
25 At this time that is our best estimate.

1 MS. KATHLEEN MCCANDLESS: If you were  
2 able to attach a probability to each of the following,  
3 what would the probability be that COVID-19 will have  
4 a favourable impact on claims in 2022/'23?

5 MR. DEAN DUNSTONE: We -- we discussed  
6 that for sure. Discussed that with ICBC, SGI,  
7 internally. We've discussed that, certainly.  
8 Everything is uncertain. If -- if I had to make, you  
9 know, a probability guess, that's quite difficult.

10 I -- I think there will be permanent  
11 changes in -- in behaviours, and driving behaviours,  
12 and -- and traffic congestions in 2022 and '23  
13 forward. I don't -- I don't know what they look like.  
14 There's still a lot of uncertainty.

15 Yeah, I think I mentioned before, like,  
16 you know, there's definitely lower traffic congestion.  
17 That's likely going to continue, but there's also  
18 transit ridership. Are they going to start driving or  
19 not, or when are we going to see the impact?

20 So, it's very -- it's too soon to  
21 really tell exactly what the overall impacts are, but  
22 there will -- you know, I'm -- I'm -- I think there  
23 will be some permanent impacts of this. We just don't  
24 know it as of yet and -- and kind of wanted to take a  
25 cautious approach at this time not to include it in

1 2022/'23 rate-setting just due to the uncertainty.

2                   So, I'm -- I'm assuming we'll have  
3 something in the '23 GRA for that.

4                   MS. KATHLEEN MCCANDLESS:    And  
5 appreciating that it's not built into the forecasting,  
6 does MPI still have sort of a best guess as to what  
7 that impact might be in dollar terms?

8                   MR. DEAN DUNSTONE:    I don't at this  
9 time.  I mean, it -- it's very difficult to tell.  
10 Maybe 5 percent, maybe -- maybe not, kind of thing.  
11 But it would be marginal at this point, I would think.

12                   MS. KATHLEEN MCCANDLESS:    And so I  
13 take it then your view is that there's a low  
14 probability that COVID-19 will have no impact on  
15 claims in 2022/'23?

16                   MR. DEAN DUNSTONE:    That's one (1) way  
17 of putting it, certainly.  Yeah.  And I -- and I just  
18 don't know the magnitude and the direction at this  
19 point.

20                   MS. KATHLEEN MCCANDLESS:    And what's  
21 the likelihood that COVID-19 would have an  
22 unfavourable impact on claims in 2022/'23?

23                   MR. DEAN DUNSTONE:    Probably highly  
24 unlikely.  There -- there will be some, probably.  
25 Unlikely.

1 MS. KATHLEEN MCCANDLESS: Thank you.  
2 Thanks for your time. Those are all my questions for  
3 you.

4

5 (BRIEF PAUSE)

6

7 THE PANEL CHAIRPERSON: Thank you very  
8 much, Ms. McCandless. We'll break for lunch right  
9 now. Could we come back, please, at a quarter after  
10 1:00. Thank you.

11

12 --- Upon recessing at 12:04 p.m.

13 --- Upon resuming at 1:17 p.m.

14

15 THE PANEL CHAIRPERSON: Good  
16 afternoon, Ms. McCandless.

17 MS. KATHLEEN MCCANDLESS: Thank you  
18 Madam Chair. Before we resume with cross-examination,  
19 I just wanted to note that there were two (2)  
20 documents that I put to the panel during cross-  
21 examination, that I would ask be added as exhibits.  
22 So Exhibit PUB Number 23 would be Figure CI-10 from  
23 the 2021 GRA and Exhibit PUB Number 24 would be MPI  
24 Exhibit Number 27 from the 2021 GRA.

25

1 --- EXHIBIT NO. PUB 23: Figure CI-10 from the 2021  
2 GRA

3

4 --- EXHIBIT NO. PUB 24: MPI Exhibit No. 27 from the  
5 2021 GRA

6

7 MR. ANTHONY GUERRA: Madam Chair, if I  
8 may just have a second, as well --

9 THE PANEL CHAIRPERSON: Certainly.

10 MR. ANTHONY GUERRA: -- couple of  
11 housekeeping questions. So first of all, I'd like  
12 just to apologize to one of our back row supports, Ms.  
13 Lee, who I unfortunately referred to her as Mr. Lee.  
14 So it is in fact Ms. Lee and I apologize for -- for  
15 mispronouncing her title.

16 And also, there was a correction that  
17 was made to MPI Exhibit Number 27, just to correct the  
18 correction for the wrong appendix number. So, the  
19 content of the document is -- is the same, but there  
20 was a fresh version that was filed to -- to address  
21 that appendix number error.

22 And then finally, there are a few  
23 additional MPI exhibits to file this afternoon,  
24 starting with MPI Exhibit Number 64, which is MPI's  
25 response to Undertaking Number 6.

1 MPI Exhibit Number 65, which is its  
2 response to Undertaking Number 8.

3 MPI Exhibit Number 66, which is its  
4 response to Undertaking Number 13.

5 MPI Exhibit Number 67, which is MPI's  
6 response to Undertaking Number 14.

7 MPI Exhibit Number 68, which is MPI's  
8 response to Undertaking Number 15.

9 And the Board will note that in the  
10 exchange that just followed up, there was an  
11 undertaking given to provide a copy of the Annual  
12 Statement and Renewal Notice Template that went out to  
13 customers last year, and that's going to be filed as  
14 MPI Exhibit Number 69.

15 We don't have a copy of the Undertaking  
16 number yet, so what will happen is tomorrow, when we  
17 do have a copy of the undertaking, we'll simply file  
18 it with reference to MPI Exhibit Number 69, as being  
19 the answer to the undertaking.

20

21 --- EXHIBIT NO. MPI-64: MPI's response to  
22 Undertaking Number 6.

23

24 --- EXHIBIT NO. MPI-65: MPI's response to  
25 Undertaking Number 8.

- 1 --- EXHIBIT NO. MPI-66: MPI'S response to  
2 Undertaking Number 13.  
3
- 4 --- EXHIBIT NO. MPI-67: MPI's response to  
5 Undertaking Number 14.  
6
- 7 --- EXHIBIT NO. MPI-68: MPI's response to  
8 Undertaking Number 15.  
9
- 10 --- EXHIBIT NO. MPI-69: Copy of the Annual  
11 Statement and Renewal  
12 Notice Template.  
13

14 THE PANEL CHAIRPERSON: Thank you, Mr.  
15 Guerra. Ms. Dilay...?

16 MS. KATRINE DILAY: Thank you, Madam  
17 Chair. Before starting my cross-examination of this  
18 panel, I do also have an exhibit to file on the  
19 record.

20 Late last week, I believe, on Thursday,  
21 we circulated a copy of Exhibit CAC-7, which is a  
22 revised response to the IR PUB-CAC-1-3 and we've also  
23 provided some paper copies, to those present in the  
24 hearing room today.

25

1 --- EXHIBIT NO. CAC-7: A revised response to IR  
2 PUP-CAC-1-3

3

4 CROSS-EXAMINATION BY MS. KATRINE DILAY:

5 Good afternoon MPI Panel. My name is  
6 Katrine Dilay. I am the legal counsel for the  
7 Manitoba Branch of the Consumers Association of  
8 Canada. It's very nice to be with you this afternoon.

9 I have five (5) general topics of  
10 questions. I -- I think what I'll do is pose the  
11 question generally and then the witness who would be  
12 best suited to answer could respond, and then we can  
13 continue as with the follow-up questions with that  
14 witness.

15 So my first topic will have to do with  
16 actuarially assumptions. We can go to a reference if  
17 you'd like, but would it be correct to say, that  
18 consistent with Section 1620.21 to 1620.23 of the  
19 Standards of Practice of the Canadian Institute of  
20 Actuaries, the application of trend rates is a two (2)  
21 step process for MPI?

22 MR. TAI PHOA: If you -- if you don't  
23 mind, can we just pull up the reference, if possible?

24 MS. KATRINE DILAY: Sure. And maybe -  
25 - maybe what I'll do is actually -- so we could pull

1 up the reference, Kristen, if that would work.

2                   So it's the Section 1620.21 and maybe  
3 what we can do is instead of -- instead of the  
4 question I just posed, maybe I'll get you to agree  
5 that in terms of the application of trends for MPI,  
6 would the first step be that past trends reflects  
7 observed changes in cost conditions that have taken  
8 place?

9                   MR. TAI PHOA: Yes, this is correct.

10                   MS. KATRINE DILAY: And would a second  
11 step be that future trends reflect changes in cost  
12 conditions expected to occur between the end of the  
13 experience period and the period the new premiums will  
14 be in effect?

15                   MR. TAI PHOA: Yes, this the whole two  
16 -- two (2) step trending process that you mentioned  
17 about a few seconds ago. Yeah.

18                   MS. KATRINE DILAY: Thank you. So in  
19 other words, past trend rates reflect the cost level  
20 changes that occurred during the experience period,  
21 and future trend rates reflect those changes, as well  
22 as the likelihood that those patterns may change?

23                   MR. TAI PHOA: Yes, I would agree with  
24 you. Yeah.

25                   MS. KATRINE DILAY: And you'll agree

1 that actuaries apply trend factors to address  
2 estimates based on the experience claim, claims  
3 incurred, to cost levels anticipated during the policy  
4 period covered under the proposed rate program?

5 MR. TAI PHOA: Sorry, can you repeat  
6 that again?

7 MS. KATRINE DILAY: For sure. You'll  
8 agree that actuaries apply trend factors to adjust  
9 estimates based on the experience, claims incurred, to  
10 cost levels anticipated during the policy period  
11 covered under the proposed rate program?

12 MR. TAI PHOA: Yes, I would agree.  
13 Basically if I may reword that a little bit, based on  
14 my understanding, what you're saying is we look at the  
15 historical experience and then we trend it forward,  
16 based on our expectation of what the future -- what  
17 the future trend looks like. Sounds about right?

18 MS. KATRINE DILAY: Yes. Exactly.  
19 And so the future, I think you just referred to the  
20 future period, so that would be the policy period that  
21 is covered under the proposed rate program.

22 MR. TAI PHOA: Agree.

23 MS. KATRINE DILAY: So all else being  
24 equal, the higher the selected trend rates, the higher  
25 the rate level indication. Would that be pair --

1 fair?

2 MR. TAI PHOA: That is fair. Yeah.

3 MS. KATRINE DILAY: And, generally  
4 speaking, would you agree that trend rates are a  
5 material assumption in the development of a rate  
6 proposal?

7 MR. TAI PHOA: I would agree. It's --  
8 is -- that selecting trends are -- are important and  
9 how we select the trend is very important as well.  
10 And we, in terms of claims, on an overall basis, we --  
11 we -- we do have a robust claims incurred -- sorry,  
12 claims forecasting process.

13 And -- and then -- in -- in those  
14 processes we -- we definitely look at historical  
15 trends, we try and figure out what the new trend is  
16 going to look like. We try and adjust for other  
17 changes, for example, as my -- as Mr. Dunstone alluded  
18 to this morning, things like the changes to the LBAA  
19 Agreement.

20 Things like changes to -- as a result  
21 of COVID. So, so yeah, we have a very robust process  
22 in terms of trend selection that we do for -- that we  
23 do for claims and I do believe, we also do the same  
24 for expenses and for revenue.

25 MS. KATRINE DILAY: Thank you. You'll

1 agree that pure premium trends, also known as lost --  
2 lost cost trends, are a critical assumption in the  
3 determination of rate level indications?

4 MR. TAI PHOA: Yes, I do agree. We --  
5 we use the pure premium trends at the major  
6 classification level.

7 MS. KATRINE DILAY: And just referring  
8 back to my question, can you describe the difference  
9 between loss cost trends and pure premium trends?

10 MR. TAI PHOA: So the way I understand  
11 it is that loss cost trends, basically you're looking  
12 at various factors. You're looking at frequency and  
13 how that's changing, and the frequency is just the  
14 number of claims per unit and how that's changing.  
15 You are also looking at what we call 'severity' which  
16 is how much each -- each claim will cost, and you're  
17 looking at historically how that's growing and trying  
18 to forecast how they will grow in the future.

19 You could also be looking at just  
20 overall costs, and not necessarily looking at  
21 frequency and -- and severity, but just looking at  
22 overall costs and -- and getting a sense of how that's  
23 growing.

24 And from an actuarial perspective, what  
25 you would do once you have looked at all these

1 different trends is then you'd kind of say: Does that  
2 make sense? Do -- do the numbers reconcile?

3                   So what I mean by that is that,  
4 whatever you select in terms of frequency and severity  
5 trends, if you select them separately, the -- the  
6 number should reconcile to what you would have done --  
7 done if you just said, How do I look at loss cost --  
8 overall loss cost growing year over year?

9                   Pure premium trends is -- is -- pure  
10 premiums is just the total losses over units. So --  
11 so it's really the product of frequency and severity.  
12 So if you took frequency and multiplied by severity,  
13 you should technically get the pure premium.

14                   So again that's -- that's just what the  
15 pure premium trend looks like.

16                   So, yeah, instead of looking at  
17 frequency and severity separately, you're looking at  
18 how the pure premiums changed from one (1) year to  
19 another, and then you're trending for the pure  
20 premium.

21                   MS. KATRINE DILAY: Thank you for that  
22 answer. So I think what you just referred to pure  
23 premium trends -- and you'll correct me if I'm wrong -  
24 - pure premium trends being frequency multiplied by  
25 severity?

1 MR. TAI PHOA: Yeah. So pure premiums  
2 is just the losses -- really just the losses over the  
3 units. So -- so that's -- so basically it's an  
4 average loss, I guess, to put it differently, yeah.  
5 But it's -- but you -- you get -- you should get the  
6 same thing by taking the product of the frequency and  
7 severity, yes.

8 MS. KATRINE DILAY: And so would you  
9 agree that there -- there would be no difference  
10 between the loss cost trends and the pure premium  
11 trends when the exposure base is not cost or inflation  
12 sensitive?

13 MR. TAI PHOA: There -- there would  
14 potentially be differences, and that's because, you  
15 know, when -- when you -- when you're trending a set -  
16 - so when you're trending different sets, generally,  
17 you know, you -- you hope that at the end of the day,  
18 you know, your trend -- your -- your trends will --  
19 will sort of reconcile and add up to each other. But  
20 of course, when you're -- when you're looking at the  
21 trend, you know, there -- there's -- often what you  
22 hope for is minor differences.

23 Like -- so -- so if I took -- if I took  
24 a ten (10) year trend for pure premiums, and I took a  
25 ten (10) year trend for frequency and severity, I'm

1 hoping that, you know, at the end of the day, when I  
2 multiply the two (2) of them, they would give me the -  
3 - the pure premium trend. That might not always be  
4 the case. I -- so -- so I'm -- I'm just going to be  
5 very -- I want to be careful about saying that they  
6 will always be the same. Yeah.

7 MS. KATRINE DILAY: I think what  
8 you're saying, and you'll agree with me, is that there  
9 should be rare occasions where they're not the same,  
10 and in -- on those occasions, you would hope that the  
11 differences would be small? Would that be -- would  
12 that be fair?

13 MS. JING LANG: Sorry, we need a  
14 second.

15  
16 (BRIEF PAUSE)

17  
18 MS. KATRINE DILAY: Okay. We're back.

19 MR. TAI PHOA: Sorry, Ms. Dilay. I  
20 just want to step back a little bit.

21 My understanding of loss costs, or at  
22 least one (1) conferring with, you know, my -- sorry,  
23 Ms. Lang and my back row, is that at least -- at  
24 least, you know, my understanding of loss cost is that  
25 it's just synonymous with -- with pure premiums.

1 I -- I would appreciate if poten --  
2 poten -- if -- if you could -- if -- if you have a  
3 different understanding of what loss cost is, a  
4 different understanding of loss cost, because loss  
5 cost is just basically like the frequency multiplied  
6 by the severity, which is -- which is the same as the  
7 pure premium. So -- so in that sense, they're not the  
8 same -- they are the same thing, so.

9 MS. KATRINE DILAY: Thank you. And  
10 that -- that was what I was hoping to confirm, so  
11 that's -- thank you for that response.

12 MR. TAI PHOA: Yeah. And I apologize  
13 for the nervousness.

14 MS. KATRINE DILAY: No problem at all.  
15 And I -- and I appreciate the detail that you are  
16 providing us.

17 So we're going to move on a little bit,  
18 which I think will be beneficial for -- for me  
19 definitely. You'll agree that, in terms of MPI's  
20 estimation of trends, MPI fits regression models?

21 MR. TAI PHOA: Yes, we do.

22 MS. KATRINE DILAY: And you'll agree  
23 that regression model is a statistical technique for  
24 fitting a curve to a set of data points?

25 MR. TAI PHOA: I would agree with you.

1 MS. KATRINE DILAY: And you'll agree  
2 that the value of the coefficient represents the trend  
3 indication?

4 MR. TAI PHOA: Yes, I would agree with  
5 you.

6 MS. KATRINE DILAY: And you'll agree  
7 that a standard regression model output includes a  
8 metric known as a P-Value (phonetic) for each model  
9 coefficient?

10 MR. TAI PHOA: Yes, I would agree with  
11 you.

12 MS. KATRINE DILAY: And it would --  
13 would be -- would it be fair to say that the review of  
14 P-Values is a standard process in assessing a  
15 regression model?

16 MR. TAI PHOA: Yes. And obvious --  
17 obviously, you've highlighted a value that we did not  
18 calculate, yes.

19 MS. KATRINE DILAY: Sorry. Can you  
20 repeat that? I just missed it?

21 MR. TAI PHOA: I would agree with you  
22 that a P-Value is something that we could calc -- we  
23 should probably calculate, and MPI did not do so in  
24 its regression analysis.

25 MS. KATRINE DILAY: And -- and I'll

1 take you there in a minute. But the P-Value -- you'll  
2 agree that the P-Value indicates the probability that  
3 the coefficient would have occurred by chance, if the  
4 true value of the coefficient were zero?

5 MR. TAI PHOA: Can you repeat that one  
6 (1) more time?

7 MS. KATRINE DILAY: The P-Value  
8 indicates the probability that the coefficient would  
9 have occurred by chance if the true value of the  
10 coefficient were zero?

11

12 (BRIEF PAUSE)

13

14 MR. TAI PHOA: Give me one (1) second.

15

16 (BRIEF PAUSE)

17

18 MR. TAI PHOA: I would agree. Yeah.

19 MS. KATRINE DILAY: Thank you. And  
20 this is going to go back to a response that -- or a  
21 discussion we just had about the P-Value being a  
22 standard process. But I'd like to take you to Figure  
23 CI-35, as an example. So that -- that would be page  
24 45 of the Claims Incurred chapter of the filing.

25 So if we just look generally at this

1 table, does MPI report P values with the exponential  
2 trend indication?

3

4 (BRIEF PAUSE)

5

6 MR. TAI PHOA: No, we do not.

7 MS. KATRINE DILAY: And I think you  
8 alluded to this, but would reporting P values help the  
9 Public Utilities Board in evaluating the basis of  
10 MPI's assumptions as it relates to trends?

11 MR. TAI PHOA: Potentially. It  
12 provides additional information, yes.

13 MS. KATRINE DILAY: Is it fair to say  
14 that the typical threshold for accepting a coefficient  
15 is a P value less than or equal to 0.05?

16 MR. TAI PHOA: Yes, that's typically  
17 the value that we use. Yes.

18 MS. KATRINE DILAY: So that is --  
19 coefficients are statistically significant if there is  
20 less than 5 percent chance that we would observe the  
21 value by chance?

22 MR. TAI PHOA: That sounds like the  
23 correct interpretation, yes.

24 MS. KATRINE DILAY: And so, you'll  
25 agree that when the P value exceeds 0.05, that means

1 the model could not discern a statistically  
2 significant trend?

3

4 (BRIEF PAUSE)

5

6 MR. TAI PHOA: Give me a second.

7

8 (BRIEF PAUSE)

9

10 MR. TAI PHOA: Could you repeat that  
11 again?

12 MS. KATRINE DILAY: Certainly. You'll  
13 agree that when the P value exceeds 0.05, the model  
14 could not discern a statistically significant trend?

15

16 (BRIEF PAUSE)

17

18 MR. TAI PHOA: I would say when the P  
19 value exceeds 0.05, all it means is that -- let me try  
20 and find my words here properly.

21

22 (BRIEF PAUSE)

23

24 MS. JING LANG: This is Jing. The  
25 answer is yes.

1 MS. KATRINE DILAY: Thank you. And I  
2 believe you confirmed this with Ms. McCandless  
3 earlier, but you'll agree that MPI uses pure premium  
4 trends in allocating the overall rate level change to  
5 major classifications?

6

7

(BRIEF PAUSE)

8

9

MR. TAI PHOA: Yes.

10

MS. KATRINE DILAY: And this analysis  
11 is located in the ratemaking chapter of the General  
12 Rate Application, correct?

13

MR. TAI PHOA: That is true.

14

MS. KATRINE DILAY: And you'll agree  
15 that MPI uses frequency and severity trends to develop  
16 the overall rate level in the claims incurred section  
17 of the General Rate Application?

18

MR. TAI PHOA: Yes, I would agree with  
19 that.

20

MS. KATRINE DILAY: And you'll agree  
21 that these trends, in the claims incurred section, are  
22 based on the same aggregated data as the data used to  
23 develop pure premium trends in the ratemaking chapter?

24

MR. TAI PHOA: Yes, I would agree with  
25 that.

1 MS. KATRINE DILAY: Without going into  
2 detail, you'll confirm that you're familiar with the  
3 evidence filed by CAC-Manitoba, evidence prepared by  
4 Oliver Wyman, which is filed as Exhibit CAC-4?

5 MR. TAI PHOA: I have read through the  
6 evidence.

7 MS. KATRINE DILAY: And could we  
8 please turn to page 12 of that exhibit, which is PDF  
9 page 15. Thank you, Kristen.

10 And if we go down to the table on this  
11 page. Without going into detail, you're aware that  
12 this is where Oliver Wyman has proposed alternative  
13 future trends to the ones MPI used in its filing?

14 MR. TAI PHOA: Yes, I'm -- I'm aware  
15 of that. And -- yeah. I'll leave it there for now.

16 MS. KATRINE DILAY: And are you also  
17 familiar with Exhibit CAC-7 that was circulated last  
18 week and filed as an exhibit this morning, which is a  
19 revision to PUB-CAC-1-3?

20 MR. TAI PHOA: I have read the  
21 document, yes.

22 MS. KATRINE DILAY: And, Kristen, if  
23 we could turn to that document, page 5, which is the  
24 last page. And we don't need to -- to review the  
25 whole document, but if we look to the last two

1 bullets, do you see -- or would -- is it your  
2 understanding that Oliver Wyman there confirms that  
3 the same issues they flagged in their evidence with  
4 respect to pure premium trends also exist for the  
5 trends in the claims incurred section? Do you see  
6 those references?

7

8 (BRIEF PAUSE)

9

10 MR. TAI PHOA: Yes, I do. Yeah, I see  
11 the references. Would you mind repeating the question  
12 now that I've had a second chance to look at the  
13 evidence provided?

14 MS. KATRINE DILAY: My question was  
15 just whether you -- you confirm your understanding  
16 that Oliver Wyman has confirmed that the same issues  
17 they flag in their evidence with respect to pure  
18 premium trends also exist for the trends in the claims  
19 incurred section.

20 So I'm not asking you to comment, but  
21 just that that is your understanding of this document.

22 MR. TAI PHOA: Yes, that's my  
23 understanding.

24 MS. KATRINE DILAY: And if we turn to  
25 -- Ms. Schubert -- to CMMG-CAC-1-1.

1

2

(BRIEF PAUSE)

3

4

MS. KATRINE DILAY: Thank you, Ms.

5

Schubert. And if we could just look at the question

6

number 1 first and then we'll turn to the answer

7

after.

8

So you see there, in question 1, that

9

Oliver Wyman was asking to provide a breakdown of the

10

rate indication if their proposed trends were applied?

11

MR. TAI PHOA: Yes, I do.

12

MS. KATRINE DILAY: And if we look to

13

the response and the second paragraph of the response

14

to question 1, you see there that Oliver Wyman

15

provided an approximate response, but indicated they

16

cannot fully replicate the MPI model. Correct?

17

MR. TAI PHOA: Yes, I do.

18

MS. KATRINE DILAY: And would MPI be

19

able to calculate a revised rate indication,

20

substituting the pure premium trends proposed by

21

Oliver Wyman, for the combined frequency and severity

22

trends used by MPI in the claims incurred chapter?

23

MR. TAI PHOA: So I'm just going to

24

take a step back, if you don't mind.

25

So we have -- so Oliver -- obviously,

1 Oliver Wyman's evidence discusses the pure premium  
2 trends that we calculate in ratemaking. I -- at least  
3 at this point, based on the evidence that I've seen so  
4 far, I do not know what Oliver Wyman is proposing in  
5 terms of the changes that they expect us to make in  
6 the claims incurred section of the GRA.

7 I've stated that MPI has a very robust  
8 claims incurred -- claims forecasting process. The  
9 details of which are provided in the GRA. If that's -  
10 - if Oliver Wyman would like to comment on how they  
11 believe we should improve the model, we can -- we are  
12 definitely open to looking at it.

13 But, at least at this point, based on  
14 what's presented to me, there's no -- nothing here  
15 that seems to refer to a suggestion from Oliver Wyman  
16 in terms of how we would apply the trends that they  
17 calculated for the pure premium to the frequency and  
18 severity trends for -- the frequency and severity  
19 trends.

20 MS. KATRINE DILAY: Thank you for  
21 that response.

22 And if -- and if -- if MPI were -- or  
23 if I were to ask MPI to distribute the pure premium  
24 trend to frequency and severity, and you best see fit,  
25 would that help in terms of -- of a request to

1 calculate a revised rate indication?

2 MR. TAI PHOA: Again, we -- the -- we  
3 provided, in the claims incurred section, our best  
4 estimate of the future severity and frequency trends  
5 based on what we have noticed historically.

6 So, again, those are our best estimates  
7 to date. And if -- if you are asking that we revise  
8 those estimates to achieve the pure premium trends as  
9 suggested Oliver Wyman, I don't believe that will  
10 reflect what our best estimate would be of the future  
11 trend. But I could be wrong about what you're asking.

12 MS. KATRINE DILAY: No, I think -- I  
13 think that is what I'm asking. It would be to -- to  
14 revise the frequency and severity trends to reflect  
15 the pure premium trends being recommended by Oliver  
16 Wyman as a -- for information for the Public Utilities  
17 Board.

18 MR. TAI PHOA: Again, like I said, I -  
19 - I -- the trends that we provide in the claims  
20 incurred section is best estimates. And MPI would  
21 gladly run a scenario if Oliver Wyman would like to  
22 suggest a different trend for any of the coverages.  
23 And we would gladly rerun the -- some of the claims  
24 incurred numbers to see whether we come up with  
25 something different, based on the suggestion by Oliver

1 Wyman.

2                   Apart from that, you know, what we  
3 provided to the -- in terms of the 2000 -- the -- the  
4 claims cost for 2022 is our best estimate based on  
5 looking at the historical data and adjusting for  
6 potential future changes in terms of the claims  
7 payout.

8                   MS. KATRINE DILAY:   And just to  
9 confirm a response you gave earlier, the pure premium  
10 trends equals the frequency multiplied by the  
11 severity?

12

13                                   (BRIEF PAUSE)

14

15                   MR. TAI PHOA:    Sure.  Yes.

16                   MS. KATRINE DILAY:   And so, in terms  
17 of a scenario, are you suggesting MPI would not be  
18 able to apply the pure premium trends suggested by  
19 Oliver Wyman to the combined severity and frequency  
20 trends?

21

22                                   (BRIEF PAUSE)

23

24                   MR. TAI PHOA:    Again -- sorry, not  
25 again; I should -- I should -- I use that word so

1 often, I should be careful how I use that word.

2           Like, I just want to reiterate that,  
3 you know, there is a process that we follow in terms  
4 of the claim's forecast. If -- if there was a  
5 scenario that Oliver Wyman would like us to test, we  
6 would gladly look at it. However, I think just giving  
7 us the pure premium trends and asking us to sort of  
8 apply that to the severity and the frequency trends to  
9 achieve that pure premium trend, I -- I think that's  
10 sort of minimizing the robust process that we have for  
11 the claim's forecast.

12           The claims forecasting process looks --  
13 even at the coverage level, it looks at -- say -- say  
14 collision, for example, it looks at total losses, it  
15 looks at repairs separately. For comprehensive, we  
16 look at the various loss potential; for example, it  
17 could be from vandalism, from theft. We -- we sort of  
18 break them down.

19           That's a very huge robust process. We  
20 look at the severity. We look at the -- the  
21 frequency. We examine those things and then we come  
22 up with conclusions that reflects our best estimate.

23           So to -- to just sort of change those  
24 to reflect a pure premium trend, trivializes the sort  
25 of robust process that we have that -- that uses best

1 estimates.

2                   So -- so it's not that I don't want to  
3 do that, it's just if -- if there was specific areas  
4 in the claims incu -- in the claims forecasting  
5 process that -- that Oliver Wyman feels that we should  
6 review and -- and provide more details, we will gladly  
7 test out the scenario. But -- but we can't -- I -- I  
8 just don't want to trivialize the -- the full spectrum  
9 of the process.

10                   MS. KATRINE DILAY: But you did agree  
11 again that the pure premium trends used in the rate  
12 making section should be equivalent to the frequency  
13 and severity trends multiplied in the claims incurred  
14 section, correct?

15                   MR. TAI PHOA: Agree on an overall --  
16 on an overall basis. But to reverse engineer the  
17 process, to sort of go back and say -- and say, what  
18 am I changing so that I achieve the pure premium  
19 trends of zero percent, that's not as -- that's not as  
20 easy.

21                   We can't just -- again, I -- like I'm  
22 not trying to -- I don't want to trivialize the  
23 process. The process -- the claims incurred forecast  
24 is a very robust process that we -- we have in place  
25 and -- and just going back and just changing one (1)

1 or two (2) factors here and there does not provide a  
2 good representation of -- of the overall claims level  
3 that we expect for 2022/'23.

4 MS. KATRINE DILAY: Thank you. I'll  
5 move on for now. I might come back to it at -- at the  
6 end, but we'll move on for now. Thank you very much  
7 for your responses.

8 Moving on to the issue of territories  
9 and uses, at a high level you'll agree that Manitoba  
10 is divided in four (4) geographical rating  
11 territories?

12 MR. TAI PHOA: That is the current  
13 rate structure, yes.

14 MS. KATRINE DILAY: Sorry, can you  
15 just repeat the...

16 MR. TAI PHOA: Sorry, that is -- the -  
17 - the current rate structures has four (4)  
18 territories, and -- and one (1) additional territory  
19 which is customers who travel frequently between  
20 Territory 2 and Territory 1.

21 MS. KATRINE DILAY: Thank you. And --  
22 and I'll go -- I'll bring you to -- to confirm what  
23 the territories are.

24 So, you'll agree Territory 1 is  
25 Winnipeg, including St. Norbert, Headingley, East and

1 West St. Paul?

2 MR. TAI PHOA: Give me one (1) second  
3 and let me pull up that -- let me pull up a certain  
4 document so that I'm not contradicting the document.

5 MS. KATRINE DILAY: Thank you.

6

7 (BRIEF PAUSE)

8

9 MR. TAI PHOA: Just so that we're on  
10 the same page, I'm going to ask Kristen to pull up VCR  
11 Appendix 1, if -- so that, you know, we are looking at  
12 the same reference.

13 Kristen, that's in Part 6 of the  
14 initial application.

15 MS. KATRINE DILAY: Thank you. This  
16 is very helpful. And so there we see Territory 1  
17 includes the City of Winnipeg, as well as the  
18 following -- as well as a number of areas and  
19 municipalities?

20 MR. TAI PHOA: Yes, a number of areas  
21 and municipa -- municipalities that borders around  
22 Winnipeg. Yes.

23 MS. KATRINE DILAY: And Territory 2  
24 essentially includes areas south of the 53rd parallel,  
25 except for the Territory 1 region?

1 MR. TAI PHOA: Agreed.

2 MS. KATRINE DILAY: And Territory 3  
3 includes all areas north of the 55th parallel?

4 MR. TAI PHOA: Agreed.

5 MS. KATRINE DILAY: And finally,  
6 Territory 4 is the area north of the 53rd parallel and  
7 south of the 55th parallel, correct?

8 MR. TAI PHOA: Agreed.

9 MS. KATRINE DILAY: And you alluded to  
10 this earlier, but those individuals who live in  
11 Territory 2, but who drive into Territory 1, which is  
12 Winnipeg to go to or from school or work have to  
13 insure as a commuter, correct?

14 MR. TAI PHOA: Yeah, that's correct.

15 MS. KATRINE DILAY: And is this to  
16 reflect the fact that they will do a lot of driving in  
17 Territory 1 even if they live in Territory 2?

18 MR. TAI PHOA: Yeah, that's generally  
19 the case. And also -- it also reflects the fact that,  
20 you know, that travel between 2 and 1, that could be  
21 on highways that are -- that where -- where the speed  
22 limit is a lot higher.

23 MS. KATRINE DILAY: And you'll agree  
24 that motorists are required to insure their vehicle in  
25 various insurance use categories?

1 MR. TAI PHOA: Yes, I agree.

2 MS. KATRINE DILAY: And I won't go  
3 through all of them, but two (2) examples would be  
4 pleasure and all-purpose?

5 MR. TAI PHOA: Yes, there's pleasure  
6 and all-purpose insurance-use category.

7 MS. KATRINE DILAY: And pleasure  
8 insurance, just for -- to confirm, is for passenger  
9 vehicles that are not used to drive to or from work --  
10 to or from work or school on a regular basis, correct?

11 MR. TAI PHOA: In general, that --  
12 that sounds about right.

13 MS. KATRINE DILAY: And an all-purpose  
14 passenger vehicle is used to drive to or from school  
15 or work?

16 MR. TAI PHOA: I agree.

17 MS. KATRINE DILAY: And, generally,  
18 you'll recall that the issue of territories and uses  
19 was discussed at last year's GRA?

20 Do you recall that?

21 MR. TAI PHOA: Yeah, I recall that  
22 discussion.

23 MS. KATRINE DILAY: And just in terms  
24 of reminding ourselves of what the issues were that  
25 were discussed, Ms. Schubert, could we please turn to

1 the 2021 GRA transcript at page 1,951.

2 And were you advised by your legal  
3 counsel that I may refer to this transcript today?

4 MR. TAI PHOA: I was advised by my  
5 legal counsel late last night, yes.

6 MS. KATRINE DILAY: And I --  
7 essentially, I just want to go through some of the --  
8 the excerpts from this transcript.

9 If we look at lines 8 to 10, you'll  
10 agree that here Mr. Johnston, who was then the chief  
11 actuary at MPI, indicated that location is a driver of  
12 a -- of a difference in risk in most jurisdictions, if  
13 not all?

14 MR. TAI PHOA: I don't have any reason  
15 to disagree with Mr. Johnston, so I agree, yes.

16 MS. KATRINE DILAY: Thank you. So --  
17 so you -- so you see the statement, and you also agree  
18 with the statement?

19 MR. TAI PHOA: I agree with the  
20 statement.

21 MS. JING LANG: This is Jing. I just  
22 want to clarify, if I'm reading it as I'm  
23 interpreting, it says,

24 "location will be a driver of a  
25 difference in your risk, if not..."

1 I want to clarify that. Location  
2 shouldn't be the only reason of that differentiated  
3 risk premium.

4 MS. KATRINE DILAY: Thank you for that  
5 clarification. And indeed, Mr. Johnston was --  
6 indicated it as a driver of a difference in risk,  
7 correct?

8 MR. TAI PHOA: Yes, that is correct.  
9 It recognizes territory as being a driver in -- in  
10 risk differences, yes.

11 MS. KATRINE DILAY: And if we turn to  
12 page 1956 to 1957 -- so it'll be the bottom of the  
13 first page to the top of the second page -- and we  
14 might have to go a little bit before this. My  
15 apologies, Ms. Schubert.

16 But is it your understanding from this  
17 excerpt that Mr. Johnston and Mr. Williams here were  
18 discussing that the Insurance Corporation of British  
19 Columbia had recently updated its territorial data to  
20 better reflect different regions of the province?

21

22 (BRIEF PAUSE)

23

24 MR. TAI PHOA: Just to read into the  
25 record, Mr. Johnston's comment was:

1 "If territory was part of that, that  
2 wouldn't surprise me."

3 Unfortunately, I'm not able to comment  
4 on -- on whether -- the changes that has happened in  
5 British Columbia. We can certainly look into that,  
6 but I -- I'm not able to comment on that right now.

7 MS. KATRINE DILAY: Thank you. And if  
8 we turn back to page 1948 to 1949, and specifically  
9 the page -- the top of 1949, and you'll agree that in  
10 this excerpt here, Mr. Johnston was agreeing that  
11 there is a longer-term trend where the vehicle  
12 population in Winnipeg and commuter territory is  
13 increasing relative to the other rural populations?

14

15 (BRIEF PAUSE)

16

17 MR. TAI PHOA: Yes, it looks like Mr.  
18 Johnston is agreeing to that statement, yes.

19 MS. KATRINE DILAY: And is that your  
20 understanding of the situation as well?

21 MR. TAI PHOA: Again, it's something  
22 that I haven't looked into. I haven't looked at the  
23 data to -- I haven't looked intimately at the data, I  
24 -- so I can't comment on that, whether that's --  
25 whether that's true or not.

1 I -- I assume Mr. -- Mr. Johnston, when  
2 he answered that question, was more familiar with the  
3 data, or at least that was his recollection, so we --  
4 I will accept Mr. Johnston's comments as -- as is, I  
5 guess.

6 MS. KATRINE DILAY: I appreciate that.  
7 Thank you. And just a couple more kind of historical  
8 or contextual transcript references.

9 If we turn to page 2197 to 2198, and  
10 specifically at the top of page 2198 -- maybe I'll  
11 just let you take a quick look at this, and then I'll  
12 -- I'll just ask you whether your understanding is the  
13 same as mine.

14 MR. TAI PHOA: I appreciate you giving  
15 me some time.

16

17 (BRIEF PAUSE)

18

19 MR. TAI PHOA: Kristen, if you don't  
20 mind just scrolling up a little bit.

21

22 (BRIEF PAUSE)

23

24 MR. TAI PHOA: That's good.

25

1 (BRIEF PAUSE)

2

3 MR. TAI PHOA: Okay. Thank you.

4 MS. KATRINE DILAY: Thank you. And is  
5 it your understanding that on this page, Mr. Johnston  
6 confirmed that Territory 1 and 2 are much more similar  
7 than implied by the current relativity -- relativities  
8 underlying the rate application?

9 MR. TAI PHOA: Yes.

10 MS. KATRINE DILAY: And the reasonable  
11 inference being that territories involving more  
12 highway driving may have been undercharged for PIPP?  
13 And you'll see that at lines 3 to 5 here.

14 MR. TAI PHOA: If counsel would give  
15 me a minute.

16

17 (BRIEF PAUSE)

18

19 MR. TAI PHOA: My apologies. Can you  
20 just repeat that last question?

21 MS. KATRINE DILAY: And you'll agree  
22 that part of the discussion that Mr. Johnston was  
23 having here was that the reasonable inference that --  
24 was that territories involving more highway driving  
25 may have been undercharged for PIPP?

1 MR. TAI PHOA: Yes, that's -- that's  
2 Mr. Johnston's inference based on the data that he had  
3 available, the analysis that we were -- that was being  
4 referenced, yes.

5 MS. KATRINE DILAY: And if we go to  
6 page 2199, specifically lines 9 to 14, is it your  
7 understanding on this page that Mr. Johnston was  
8 saying that when -- when consideration of DSR is  
9 included in the minimum bias procedure, the relative  
10 rates between different uses such as all-pleasure --  
11 all-purpose and pleasure become less volatile or more  
12 similar? Is that what you see in this excerpt here?

13 MR. TAI PHOA: Yeah, that's what I see  
14 in this excerpt based on the -- again, I say based on  
15 the numbers that he was looking at when he was  
16 responding to the questions, yes.

17 MS. KATRINE DILAY: And is one (1)  
18 inference that can be drawn from the statement by Mr.  
19 Johnston that all-purpose is being overcharged as  
20 compared to pleasure?

21

22 (BRIEF PAUSE)

23

24 MR. TAI PHOA: I don't see any  
25 reference there to passenger -- sorry, all-purpose and

1 pleasure, unless I'm mistaken.

2

3 (BRIEF PAUSE)

4

5 MR. TAI PHOA: It just -- so -- so,  
6 again, yeah, there's no -- there's no reference here.  
7 I -- I might have to go back to -- to the entire  
8 document. I don't see any reference here to all-  
9 purpose and pleasure, at least not from the few lines  
10 that I'm reading here.

11 MS. KATRINE DILAY: And just my turn  
12 to -- to give me thirty (30) seconds to see if I can  
13 just locate my reference. My apologies.

14

15 (BRIEF PAUSE)

16

17 MS. KATRINE DILAY: I think we'll --  
18 we'll just skip over this question, and that's no  
19 problem.

20 Would it be fair to -- to say -- based  
21 on this excerpt and ones we've reviewed before, would  
22 it be fair to say that findings from the DSR pricing  
23 review cannot be reviewed or understood in isolation  
24 from revised relativities, especially as they relate  
25 to territories?

1 MR. TAI PHOA: Ms. Dilay, I apologize  
2 for -- I keep asking you to repeat your questions.  
3 I'm just trying to -- I -- I want to be able to  
4 provide the best answers, so if you don't mind, I just  
5 want to make sure I get that question in my head  
6 properly.

7 MS. KATRINE DILAY: Would it be fair  
8 to say that findings from the DSR pricing review  
9 cannot be reviewed or understood in isolation from  
10 revised relativities, especially as they relate to  
11 territories?

12 MR. TAI PHOA: Are -- are you --  
13 sorry. Is the question suggesting that we should use  
14 the territory and use relativities from the DSR  
15 analysis? Is that -- 'cause I'm just trying to  
16 clarify the question.

17 I think, if -- if I may, just  
18 referencing PUB-MPI-1-82, if -- if we can go there for  
19 a little while, PUB-MPI-1-82.

20

21 (BRIEF PAUSE)

22

23 MR. TAI PHOA: Okay. So my  
24 understanding -- my understanding of this conversation  
25 that Mr. Johnston was having with Mr. Williams last

1 year refers to a similar table that we provided last  
2 year, and I -- a similar table that we provided last  
3 year.

4

5 (BRIEF PAUSE)

6

7 MR. TAI PHOA: Sorry, Ms. Dilay. I  
8 just need about a minute.

9 MS. KATRINE DILAY: Thank you.

10

11 (BRIEF PAUSE)

12

13 MR. TAI PHOA: Okay. So sorry about  
14 that, Ms. Dilay. So I believe the -- the conversation  
15 between Mr. Johnston and Mr. Williams refers to the  
16 differences in the territory and use relativities that  
17 MPI is using currently and the territory and use  
18 relativities that will determine based on using the  
19 minimum bias with the four (4) rating variables  
20 together, which is DSR level, rate group, insurance  
21 use, and -- and territory.

22 And I believe Mr. Williams noticed some  
23 differences when -- when we -- in terms of the two (2)  
24 analyses. Some of the results from this year are --  
25 are shown in PUB-MPI-1-82, which is what I'm bringing

1 up right now.

2                   So -- so MPI continues to recognize  
3 that are differences between the two (2) methods, and  
4 -- and part of it is the data that we are using. And  
5 that's explained a little bit lower in Figure 3 where  
6 we compare the data that we're using for the two (2)  
7 methods.

8                   But the other part of it is -- is  
9 really, when you consider all four (4) rating  
10 variables together as opposed to just considering the  
11 insurance use and territory, there will be  
12 differences.

13                   And then -- and -- and so one (1) of  
14 the things that we've committed to, at least in terms  
15 of understanding this a little bit better, is that --  
16 and -- and this is respond -- respond to PUB-MPI-2-39  
17 we said:

18                   "MPI will review its ratemaking  
19 methodology for the 2023 GRA to  
20 reconcile these differences. On a  
21 preliminary basis, MPI will review,  
22 using consistent data sets, in both  
23 its analysis and the treatment of  
24 PIPP losses, and then make  
25 appropriate changes based on this

1 review."

2 One (1) thing I -- a couple of other  
3 things that I would say is that the way we were doing  
4 it this year, and -- is no different from how -- how  
5 we'd been doing it last year. So -- at least in terms  
6 of the approach that we are using, it's the same and  
7 so that avoids us any significant rate -- rate  
8 dislocations because we -- we are changing the -- the  
9 relativities while we are still trying to understand  
10 and trying to view why it's different.

11 And the other thing -- sorry, I'll just  
12 leave the other one.

13 So -- so we are -- so my -- my comment  
14 on that is that we were -- we are reviewing it. We --  
15 we notice that there's been a discrepancy in terms of  
16 the indications, and -- and -- yeah, and so we -- we  
17 hope to come back with a more solid 'what will we do  
18 about this' for the 2023 GRA.

19 MS. KATRINE DILAY: Thank you for  
20 that. And I think it'll be on the same topic, but to  
21 go back to one (1) last transcript excerpt from last  
22 year, which is at page 2,200, lines 20 to 25.

23 And you'll correct me if I'm wrong, but  
24 here Mr. Johnston was agreeing with Mr. Williams that  
25 the sensible thing to do would be to address the

1 relativities for all of these variables with the same  
2 timing to ensure the correlation between them are  
3 accounted for?

4 MR. TAI PHOA: Yeah. And that's, sort  
5 of, what I was alluding to. Definitely want to review  
6 why it's different.

7 So -- so the first question that we  
8 want to ask is: Why is it different? The second  
9 thing that we want to do is saying: Let's use  
10 consistent data sets, first of all, to take away the  
11 differences.

12 And then, of course, at the end of the  
13 day, we -- we are -- we have to ask the question:  
14 What is the right thing to do, what is the right  
15 approach, what is the correct relativities to use?  
16 And then apply them appropriately. Yes.

17 MS. KATRINE DILAY: Thank you for  
18 that. I can take you to a reference, if you'd like.  
19 But you'll agree that MPI has not conducted a  
20 territory review since their introduction?

21 MR. TAI PHOA: Yes, I would agree with  
22 you.

23 MS. KATRINE DILAY: And, again, I can  
24 take you to a reference, if you'd like. But you'll  
25 confirm that MPI had indicated last year that the

1 territory review could be done for the next GRA?

2 MR. TAI PHOA: I would agree with you  
3 that that was what we said last year, yes.

4 MS. KATRINE DILAY: Thank you.

5 And the next GRA would be the current  
6 one, correct?

7 MR. TAI PHOA: Yeah, that is correct.  
8 I'm just going to -- I'll let you ask the next  
9 question.

10 MS. KATRINE DILAY: But you'll agree  
11 that MPI has not completed the territory review,  
12 correct?

13 MR. TAI PHOA: I would agree with  
14 that, yes.

15 MS. KATRINE DILAY: And that MPI is  
16 planning to complete it and file it in the 2023 GRA,  
17 correct?

18

19 (BRIEF PAUSE)

20

21 MS. JING LANG: Can you please repeat  
22 your question?

23 MS. KATRINE DILAY: So I believe we  
24 just agreed MPI has not completed the territory review  
25 as of yet, but MPI is planning to complete it and file

1 it in the 2023 GRA, correct?

2 MS. JING LANG: As in the 2023/2024?

3 MS. KATRINE DILAY: Yes.

4 MS. JING LANG: Is there a reference  
5 that you can share with us?

6 MS. KATRINE DILAY: Yes. Yes. We can  
7 go to the reference; Ms. Schubert, it would be CAC-  
8 MPI-1-58.

9

10 (BRIEF PAUSE)

11

12 MS. JING LANG: Yes, if I can -- if  
13 I'm reading this response, it does say that it's  
14 anticipated a review will be completed maybe by the  
15 next GRA.

16 MS. KATRINE DILAY: Thank you. Moving  
17 on to a different topic, which would -- which will be  
18 the impacts of COVID-19. So this might be for Mr.  
19 Dunstone.

20 You'll agree that in MPI's initial  
21 filing in June of 2021, MPI assumed no COVID-19  
22 impacts after September 30th of this year, correct?

23 MR. DEAN DUNSTONE: I would agree.

24 MS. KATRINE DILAY: And, at that time,  
25 MPI was essentially forecasting a back to normal, as

1 of September 30th, 2021, correct?

2 MR. DEAN DUNSTONE: October 1st, yes.

3 MS. KATRINE DILAY: Thank you very  
4 much for that clarification.

5 But you'll -- you'll agree that, in the  
6 rate update, MPI has included updated assumptions,  
7 correct?

8 MR. DEAN DUNSTONE: That's correct.

9 MS. KATRINE DILAY: And just to  
10 confirm those assumptions. For September and October  
11 2021, MPI has forecasted 20 percent below normal?

12 MR. DEAN DUNSTONE: That's correct.

13 MS. KATRINE DILAY: For November and  
14 December, MPI has forecasted 15 percent below normal?

15 MR. DEAN DUNSTONE: Correct.

16 MS. KATRINE DILAY: And for January  
17 and February of 2022, MPI has forecasted 10 percent  
18 below normal?

19 MR. DEAN DUNSTONE: Correct.

20 MS. KATRINE DILAY: For March of 2022,  
21 MPI has forecasted 5 percent below normal?

22 MR. DEAN DUNSTONE: That's correct.

23 MS. KATRINE DILAY: And then, as of  
24 April 1st, 2022, MPI has assumed a return to normal,  
25 correct?

1 MR. DEAN DUNSTONE: That's correct.

2 MS. KATRINE DILAY: So, in other  
3 words, MPI is forecasting no impacts of COVID-19 on  
4 claims incurred after April 1st -- as of April 1st,  
5 2022?

6 MR. DEAN DUNSTONE: That's correct.

7 MS. KATRINE DILAY: And you'll agree  
8 this is because MPI's best estimate is that things  
9 will go back to normal once the pandemic subsides?

10 MR. DEAN DUNSTONE: That's correct.

11 MS. KATRINE DILAY: And that is  
12 because MPI is simply not able to reliably predict  
13 what will happen?

14 MR. DEAN DUNSTONE: Yes. Too much  
15 uncertainty and too much unknown, yes.

16 MS. KATRINE DILAY: And is MPI aware  
17 whether this is the approach taken by other insurers;  
18 that is to assume no ongoing impacts of COVID-19?

19 MR. DEAN DUNSTONE: Yeah. I can  
20 confirm with discussions with ICBC and SGI that, for -  
21 - for the '22/'23 year, yes, there's no COVID impacts  
22 for that.

23 MS. KATRINE DILAY: And I think you  
24 discussed this with Ms. McCandless this morning. But  
25 you'll agree MPI is not denying that it is possible

1 there may be long term impacts of COVID-19 in terms of  
2 lower claims incurred as compared to pre-COVID-19m  
3 correct?

4 MR. DEAN DUNSTONE: Yeah. I can't  
5 deny that, no.

6 MS. KATRINE DILAY: And you'll agree  
7 that public health officials have recently confirmed  
8 that Manitoba is entering the fourth wave of the  
9 COVID-19 pandemic?

10 MR. DEAN DUNSTONE: Yes.

11 MS. KATRINE DILAY: And this is  
12 because of rising case numbers in hospital admissions?

13 MR. DEAN DUNSTONE: That's correct.

14 MS. KATRINE DILAY: And the province  
15 has moved to the restricted or orange level on the  
16 pandemic response system, as of October 1st, 2021. Is  
17 that your understanding?

18 MR. DEAN DUNSTONE: That's my  
19 understanding.

20 MS. KATRINE DILAY: And new public  
21 health measures were put in place, as of October 5th,  
22 2021. Is that your understanding?

23 MR. DEAN DUNSTONE: I can accept that,  
24 yeah.

25 MS. KATRINE DILAY: And you'll agree

1 it's not guaranteed that the fourth wave will be the  
2 last wave of COVID-19 in Manitoba, correct?

3 MR. DEAN DUNSTONE: I would agree.

4 MS. KATRINE DILAY: And MPI does not  
5 deny that it is possible that further restrictions may  
6 come into place in the spring of 2022, for example, if  
7 there were to be a fifth wave?

8 MR. DEAN DUNSTONE: Yeah. I cannot  
9 deny that, no.

10 MS. KATRINE DILAY: And spring of 2022  
11 is the time where MPI has assumed things will go back  
12 to normal, correct?

13 MR. DEAN DUNSTONE: That's correct.

14 MS. KATRINE DILAY: But, again, the  
15 forecasts contained in MPI's application, which would  
16 be the rate update, in this case are your best  
17 estimates, correct?

18 MR. DEAN DUNSTONE: They are our best  
19 estimates, yes.

20 MS. KATRINE DILAY: But you'll confirm  
21 that MPI will continually monitor collision frequency  
22 for the impacts of COVID-19?

23 MR. DEAN DUNSTONE: Yes.

24 MS. KATRINE DILAY: And MPI will  
25 adjust the forecast accordingly?

1 MR. DEAN DUNSTONE: Yes, we will.

2 MS. KATRINE DILAY: I can take you to  
3 a reference, if you need. But you'll agree that the  
4 Public Utilities Board has previously asked MPI to  
5 file comparison of monthly claims costs versus budget  
6 for a time period in order for the PUB to -- for the  
7 PUB, pardon me -- to monitor the Corporation's  
8 financial performance during the COVID-19 pandemic?

9 MR. DEAN DUNSTONE: I recollect that a  
10 little bit, yeah.

11 MS. KATRINE DILAY: And you'll agree  
12 that excess capital is the result of better than  
13 expected claims experience on prior policies?

14 MR. DEAN DUNSTONE: Yes.

15 MS. KATRINE DILAY: But the capital  
16 that is -- that is collected, essentially, is returned  
17 to future ratepayers or current ratepayers?

18 MR. DEAN DUNSTONE: Current  
19 ratepayers, yes.

20 MS. KATRINE DILAY: And it may include  
21 individuals who have not lived -- who did not live in  
22 Manitoba during the pandemic, is that possible?

23

24 (BRIEF PAUSE)

25

1 MR. DEAN DUNSTONE: Yeah, that is  
2 correct.

3 MS. KATRINE DILAY: And you'll agree  
4 that, given the experience of the past eighteen (18)  
5 months, there is a possibility that MPI will continue  
6 to accumulate excess capital due to lower claim's  
7 costs?

8 MR. DEAN DUNSTONE: There is possible  
9 -- possibility for that, yes.

10 MS. KATRINE DILAY: But you'll agree  
11 that in its application MPI has not specified how it  
12 will return capital to ratepayers after the current  
13 special rate application, which is before the Public  
14 Utilities Board?

15 MR. DEAN DUNSTONE: Yeah, this is our  
16 best estimate up to the end of 2021/'22. So that --  
17 at this point, that we're -- any excess capital as of  
18 March 31st, 2022 would be returned, but anything after  
19 that, no.

20 MS. KATRINE DILAY: And so you'll  
21 agree that MPI has the discretion to come to the  
22 Public Utilities Board to apply for a rebate  
23 application when it deems that capital has  
24 sufficiently accumulated?

25

1 (BRIEF PAUSE)

2

3 MR. DEAN DUNSTONE: Yeah. So I guess  
4 that -- the methodology that we apply for rebates is -  
5 - is -- well, it is set out in our rebate applications  
6 there. So, obviously, over the last eighteen (18)  
7 months it's very unique and different times, so this  
8 brought on the rebate applications.

9 MS. KATRINE DILAY: And so would you  
10 agree that, essentially, until the next general rate  
11 application, between now and then, it is within MPI's  
12 discretion to come to the Public Utilities Board with  
13 a rebate application when it deems that capital has  
14 sufficiently accumulated?

15 MR. DEAN DUNSTONE: I'm not sure how  
16 the process would work. I'm sure we would work with -  
17 - with government, with the Public Utilities Board.  
18 You know, if these unique circumstances continue,  
19 then, I mean, we -- we have to, you know, take care of  
20 the financial well-being of Manitobans. And if -- and  
21 if we continue to, you know, collect excess premiums  
22 and build our capital, then I could foresee possibly  
23 another rebate at this time.

24 MS. KATRINE DILAY: But currently,  
25 there's no moment in time or a specific capital level

1 where MPI would automatically come to the Public  
2 Utilities Board to apply for a rebate between now and  
3 the next general rate application?

4 MR. DEAN DUNSTONE: No.

5 MS. KATRINE DILAY: Sorry, just to  
6 confirm. So you're agreeing with my statement?

7 MR. DEAN DUNSTONE: Can you repeat  
8 your statement?

9 MS. KATRINE DILAY: Yes, for sure.

10 Currently, there's no moment in time or  
11 specific capital level where MPI would automatically  
12 come to the Public Utilities Board to apply for a  
13 rebate between now and the next general rate  
14 application being filed?

15

16 (BRIEF PAUSE)

17

18 MR. DEAN DUNSTONE: Yeah. So at this  
19 point the -- you know, the third special rebate  
20 application is before us at this point, which takes us  
21 to the end of March 31st, 2022. I don't foresee, at  
22 this point, any -- any other further rebate  
23 applications coming. You know, probably the next time  
24 we -- we speak on this is likely at the 2023 GRA, I  
25 would expect.

1                   And -- and as you know, there -- there  
2 could be some possible changes coming for that that  
3 we're considering, but at this point, no.

4                   MS. KATRINE DILAY:   And the possible  
5 changes you're referring to are to the Capital  
6 Management Plan?

7                   MR. DEAN DUNSTONE:   Yes.

8                   MS. KATRINE DILAY:   And -- and so just  
9 to go back to my question, so you'll agree that  
10 there's no specific moment in time or specific capital  
11 level where MPI would automatically come to the Public  
12 Utilities Board for a further rebate, correct?

13

14                                   (BRIEF PAUSE)

15

16                   MR. DEAN DUNSTONE:   Yeah, at this  
17 point in time there's no specific level outlined where  
18 we'd come to the PUB for a rebate.

19                   MS. KATRINE DILAY:   Thank you.

20                   Madam Chair, I still have two (2) areas  
21 of questioning, and I will be coming back, likely, to  
22 -- to a discussion from earlier. I -- I think in  
23 terms of estimating how much time, I would say  
24 probably around twenty (20) to twenty-five (25)  
25 minutes if I were to guess.

1                   So, I leave it up to you in terms of  
2 the -- the afternoon break.

3                   THE PANEL CHAIRPERSON:    Thanks, Ms.  
4 Dilay, please proceed.  We'll continue with you.  
5 Thank you.

6                   MS. KATHLEEN MCCANDLESS:    Ms. Dilay,  
7 sorry, I just want to clarify the last question you  
8 had, you're also welcome to ask that again tomorrow at  
9 the CPM panel.

10                  MS. KATRINE DILAY:     Thank you for  
11 that.

12

13 CONTINUED BY MS. KATRINE DILAY:

14                  MS. KATRINE DILAY:     I'd like to ask  
15 some questions about complex claims and the personal  
16 injury protection plan.  I'm not sure who would be the  
17 best person to answer that.  Thank you.

18                  So, could we turn to the IR CAC-MPI 1-  
19 76?  And in the preamble here -- are you familiar with  
20 this IR response or this Information Request?

21

22                  (BRIEF PAUSE)

23

24                  MR. TAI PHOA:     Actually, I'm not  
25 familiar with this request.  Give me one (1) second to

1 confirm.

2

3

(BRIEF PAUSE)

4

5

MR. TAI PHOA: Sorry, can you give me

6

the reference once again?

7

MS. KATRINE DILAY: CAC-MPI 1-76.

8

MR. TAI PHOA: Thank you.

9

10

(BRIEF PAUSE)

11

12

MR. TAI PHOA: Sorry, Ms. Dilay, I --

13

I'm not familiar with this question, so I'm just

14

taking a -- a minute to look at it to ensure that I'm

15

the right person to answer the questions.

16

MS. KATRINE DILAY: Thank you.

17

18

(BRIEF PAUSE)

19

20

MR. TAI PHOA: I'll let you proceed

21

with your questions, Ms. Dilay. I will -- and -- and

22

I'll see how far I can go.

23

MS. KATRINE DILAY: Thank you. I

24

appreciate that. So, based on what we see in the

25

preamble here, you'll agree that this is trying to

1 provide a bit of -- a summary of the discussion of the  
2 issue of complex claims in the 2021, 2020, 2019, and  
3 2018 GRAs?

4 MR. TAI PHOA: That seems to be the  
5 pre -- in the preamble, yes.

6 MS. KATRINE DILAY: And we can turn to  
7 a reference if you'd like, but you'll agree that in  
8 this year's GRA, the 2022 GRA, MPI has refi -- has  
9 referred to the increasing complexity of claims as a  
10 risk?

11 MR. TAI PHOA: Yes.

12 MS. KATRINE DILAY: And when we refer  
13 to 'increasing complexity of claims', you'll agree  
14 that MPI is referring to a change in medical science  
15 that increases claims complexity?

16 MR. TAI PHOA: Let me refer to my back  
17 row. I'm probably going to have to do a lot of that  
18 for this -- for this line of questioning.

19 MS. KATRINE DILAY: And if you'd like,  
20 we could pull up the reference. Would that help?

21 MR. TAI PHOA: That would help, yeah.

22 MS. KATRINE DILAY: Kristen, could we  
23 go to part 7, Risk Management Framework, appendix 5,  
24 page 4?

25

1 (BRIEF PAUSE)

2

3 MS. KATRINE DILAY: So, you'll agree  
4 here that this is a -- the -- this year's scorecard,  
5 which refers to the increasing complexity of claims as  
6 a risk?

7 MR. TAI PHOA: Yeah, based on what the  
8 scorecard is showing, yes.

9 MS. KATRINE DILAY: And, Kristen, if  
10 we could go back to the -- the IR 1-76, and if we look  
11 at the reference here in -- from the 2021 GRA, so that  
12 first italicized paragraph.

13 And if you look at the second sentence,  
14 you'll agree there it refers to a change in medical  
15 science that increases claims complexity?

16

17 (BRIEF PAUSE)

18

19 MS. JING LANG: This is, Jing. Yes, I  
20 see that.

21 MS. KATRINE DILAY: And if we go on in  
22 that same sentence, this is relating mostly to  
23 injuries such as concussion and mental health claims,  
24 correct?

25 MR. TAI PHOA: That seems to be what's

1 written here, yes.

2 MS. KATRINE DILAY: And then if we  
3 keep going, it refers to a resulting increase in  
4 reported injury relapses and precedent setting court  
5 decisions that expand coverage?

6 MR. TAI PHOA: That's what's written  
7 there, yeah.

8 MS. KATRINE DILAY: And if we go to  
9 the response to part A, Ms. Schubert. And so, here --  
10 so this is the -- the question -- you'll agree this is  
11 asking, essentially, to confirm that the risk  
12 scorecard that we just looked at from the 2022 GRA was  
13 the same issue identified in the 2021 risk scorecard?

14 And, Kristen, if we look to the  
15 response. You'll agree here this is referencing the  
16 same issue, that -- that that was MPI's response,  
17 correct?

18 MR. TAI PHOA: That is MPI's response,  
19 yes.

20 MS. KATRINE DILAY: And you'll agree  
21 that as an insurance company, these types of complex  
22 claims are characterized as a risk, because of the  
23 uncertainty in terms of forecasting for these types of  
24 claims?

25 MR. DEAN DUNSTONE: I would agree.

1

2

(BRIEF PAUSE)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MS. KATRINE DILAY: And if we look to the response here before us at section B, MPI has indicated there that it continuously reviews trends as it relates to complex claims, and that duration has stabilized based on controls put in place to mitigate the risk of increasing claims complexity.

You see that?

MR. DEAN DUNSTONE: I see that.

MS. KATRINE DILAY: And then MPI goes on to state that the figure below, which we'll look at in a -- in a minute, demonstrates that in the more recent loss years less claims will remain ongoing beyond the two (2) year stage, correct?

MR. DEAN DUNSTONE: Correct.

MS. KATRINE DILAY: And if we just look at the -- the figure, just so we have a visual aid, in plain language, Ms. Schubert, if we could go to the next page. Thank you.

So, in plain language, this means that a larger percentage of claimants are receiving income replacement benefits for a shorter period of time, after the 12 month mark. Correct?

1 MR. DEAN DUNSTONE: I'm just waiting  
2 for the chart to load up here. Oh there it is.

3 MR. TAI PHOA: Yeah. Sorry. Could  
4 you just repeat that question and maybe -- maybe,  
5 Kristen, if you can just roll it up a little -- go --  
6 go up a little bit to the written response.

7 MS. KATRINE DILAY: And -- and there  
8 is -- there is also an IR that relates to my specific  
9 question, which we could bring up as well if it's of  
10 assistance.

11 MR. TAI PHOA: Agreed. I -- I -- so -  
12 - so Figure 1 actually just shows that there are less  
13 people now who are -- there are less claimants right  
14 now who are staying -- who we are paying for beyond  
15 the 24 months. So -- so if you look at the -- the --  
16 the two (2) lines, between 2011 to 2017, once you get  
17 to the 24 months about 10 1/2-11 percent are  
18 remaining.

19 Right now, what it looks like is closer  
20 to 9 percent are remaining. Yeah.

21 MS. KATRINE DILAY: But in terms, and  
22 you'll agree that it's a -- that there are less -- I  
23 guess less claimants receiving those benefits even  
24 after the twelve (12) month mark. Correct? That line  
25 is lower starting after the twelve (12) month mark?

1 MR. TAI PHOA: Yeah. I will agree.  
2 Yeah. So the -- the -- we are seeing -- we are seeing  
3 less people who are on-going beyond the twelve (12)  
4 months, and that's -- that's just based on the case  
5 management -- the -- the claims management that we are  
6 having right now. Yeah.

7 MS. KATRINE DILAY: Thank you. And  
8 you'll agree that brain injuries also contribute to  
9 increasing claims complexity and we can go to a  
10 reference if you'd like.

11 MR. TAI PHOA: I would agree with you.

12 MS. KATRINE DILAY: Thank you. And,  
13 you'll agree generally that as a society, our  
14 understanding of brain injuries and complex claims  
15 more generally is evolving?

16 MR. TAI PHOA: Yes. I would agree  
17 with that.

18 MS. KATRINE DILAY: And as a society  
19 we are seeing this in our approach to sports and also  
20 elsewhere?

21 MR. TAI PHOA: That sounds about  
22 right. Yeah.

23 MS. KATRINE DILAY: Our societal  
24 attitudes and understandings about brain injuries and  
25 mental health are evolving and has changed materially

1 in the recent past? Would that be fair?

2 MR. TAI PHOA: Yeah. I mean there's -  
3 - there's significant changes there. Yeah.

4 MS. KATRINE DILAY: And because this  
5 understanding is rapidly evolving in the society,  
6 you'll agree that for an insurance company, there are  
7 uncertainties in terms of how to adequately forecast  
8 for these types of claims and compensation for  
9 victims.

10 MR. TAI PHOA: Well, it -- it makes  
11 the -- it makes the forecasting process a little bit  
12 harder. You're right.

13 MS. KATRINE DILAY: And when we talk  
14 about compensation, this could relate to income  
15 replacement for victims?

16 MR. TAI PHOA: Yeah. Income  
17 replacement. Yes. And -- and might be other -- other  
18 -- other benefits as well.

19 MS. KATRINE DILAY: Such as, medical  
20 treatment for example?

21 MR. TAI PHOA: Yes.

22 MS. KATRINE DILAY: And in light of  
23 our evolving understanding, you'll agree that it is  
24 incumbent on MPI to be aware of best practices as it  
25 relates to complex claims, such as mental health and

1 brain injuries?

2 MR. TAI PHOA: Give me one (1) second.  
3 Yeah. I -- I -- I would assume that, you know, the --  
4 the folks out there at claims are actually looking at  
5 what's the best practice to help the claimant to get  
6 back on their feet and -- and -- and where the case is  
7 a little bit more serious, they're also helping them  
8 with -- making sure that, you know, they are  
9 adequately covered.

10 MS. KATRINE DILAY: So, and you  
11 referred to this -- to the team looking at best  
12 practices and then they -- it -- would it be fair to  
13 say that they would also implement best practices in  
14 their own assessment -- in MPI's own assessment of  
15 PIPP claims?

16 MR. TAI PHOA: I would agree with  
17 that.

18 MS. KATRINE DILAY: And you'll agree  
19 that, in light of our evolving understanding, there is  
20 a risk that what is considered industry standard or  
21 best practice today may be revealed to be inadequate  
22 tomorrow or at a later point in the future?

23 MR. TAI PHOA: Sorry, can you repeat  
24 that? I was -- I -- I -- I was distracted for about  
25 two (2) seconds.

1 MS. KATRINE DILAY: And my apologies,  
2 it's a long question.

3 You'll agree that, in light of our  
4 evolving understanding regarding complex claims, there  
5 is a risk that what is considered industry standard or  
6 best practices today may be revealed to be inadequate  
7 tomorrow or at a later point in the future?

8 MS. JING LANG: This is Jing. I'm  
9 going to jump in here.

10 Medical science -- medical sciences is  
11 always evolving, so there's a possibility. Correct.

12 MS. KATRINE DILAY: Thank you. And  
13 there is a possibility it could be, in fact, revealed  
14 to be grossly inadequate in terms of industry  
15 standards and best practices today?

16 MS. JING LANG: There's a possibility.

17 MS. KATRINE DILAY: Thank you. Moving  
18 on to questions on the fleet program. I did touch upon  
19 the fleet program with the expenses. I believe it was  
20 the Expenses and Revenue panel, but I have some  
21 questions that were directed -- I was -- I was advised  
22 were better directed to this panel.

23 MR. TAI PHOA: Yes.

24 MS. KATRINE DILAY: So just to confirm  
25 what we're talking about, you'll agree that fleets are

1 ten (10) vehicles or more registered to a single  
2 registered owner?

3 MR. TAI PHOA: Yes.

4 MS. KATRINE DILAY: And you'll agree  
5 that MPI's fleet program operates by pricing  
6 commercial fleets on an after-the-fact basis,  
7 providing discounts or surcharges based on the loss  
8 ratio of the fleet in the prior year?

9 MR. TAI PHOA: Yes.

10 MS. KATRINE DILAY: And year over year  
11 fleet program rebates exceeds surcharges, correct?

12 MR. TAI PHOA: Yes. There's an --  
13 every bit every year.

14 MS. KATRINE DILAY: And, I can bring  
15 you to a reference, but for the test year, 2022/'23,  
16 net fleet rebates are forecast at just under \$18.2  
17 million?

18 MR. TAI PHOA: Yes.

19 MS. KATRINE DILAY: And you'll agree  
20 that the costs of the rebates associated with the  
21 fleet program are recovered from the private  
22 passenger, commercial and public major classes?

23 MR. TAI PHOA: I would agree.

24 MS. KATRINE DILAY: And if we can  
25 turn, Ms. Schubert, to the ratemaking chapter of the

1 filing at Part 6 and page 44 of that document.

2 And if we go to line 13, so you'll see  
3 here that the three (3) major classes of private  
4 passenger, commercial and public each pay \$20.05 per  
5 policy on average to fund the fleet program? Or the  
6 fleet rebates?

7 MR. TAI PHOA: Yes. I agree.

8 MS. KATRINE DILAY: And we can go to a  
9 reference if you'd like, but you'll agree that this  
10 amount is derived as the total fleet rebate divided by  
11 the total units?

12 MR. TAI PHOA: Yes, I agree.

13 MS. KATRINE DILAY: And you'll agree  
14 that MPI allocates the fleet rebates to these major  
15 classes because only vehicles in these major classes  
16 are eligible for the fleet program?

17 MR. TAI PHOA: I agree.

18 MS. KATRINE DILAY: And if we look at,  
19 Ms. Schubert, CC-MPI-2-26, on page 2.

20 So you'll agree that in the response to  
21 part A here, there's a total of 59,124 fleet vehicles  
22 insured by MPI?

23 MR. TAI PHOA: Yes. I agree.

24 MS. KATRINE DILAY: And then below,  
25 MPI has listed the proportion of fleet vehicles in

1 each major class. Correct?

2 MR. TAI PHOA: I agree. Yes.

3 MS. KATRINE DILAY: And you'll agree  
4 that the net rebates of the fleet program are  
5 distributed among some proportion of those 59,000  
6 vehicles that are eligible for a rebate on an after-  
7 the-fact basis?

8 MR. TAI PHOA: Yes. Those 59,000 or  
9 so fleet vehicles are part of the Fleet Program and  
10 depending on their loss experience, they either get a  
11 -- a surcharge or a rebate. And, yes, they are the  
12 ones who are receiving the \$18 million that we are  
13 forecasting for 2022/23. Yes.

14 MS. KATRINE DILAY: So if we look at  
15 the proportion -- the proportions listed here by MPI,  
16 in terms of the three (3) major classes, you'll agree  
17 that in the private passenger class 96.3 percent of  
18 the vehicles in that class are not fleet vehicles.  
19 Correct?

20 MR. TAI PHOA: 96.2 percent are not  
21 fleet vehicles. Yes.

22 MS. KATRINE DILAY: But that 96.3  
23 percent of the vehicles are -- are still paying \$20.05  
24 per policy, on average, to fund the fleet program  
25 rebates. Correct?

1 MR. TAI PHOA: Yeah. And I think we  
2 explained that in the -- the next part of the thing,  
3 so maybe I should, just quickly discuss the -- the  
4 fleet rebate.

5 So, as -- as you alluded to in -- in  
6 the question, you know, there is -- we have a fleet  
7 program that comprises of vehicles that -- sorry,  
8 registered owners that have ten (10) or more vehicles,  
9 and so what we do is we say -- we -- we look at the  
10 loss experience of -- of this group, and -- and I  
11 believe at 70 percent -- at a 70 percent loss ratio,  
12 they receive nothing. Thereafter, they either get a  
13 net rebate or a surcharge.

14 The net rebate is up to 33 percent of  
15 their premiums, and the surcharge is up to 150 percent  
16 of their premiums -- sorry, not the net rebate; the  
17 rebate is up to 33 percent of their premiums and the  
18 surcharge is up to 150 percent of their premiums, or  
19 an additional 50 percent on their premiums.

20 So what happens year-over-year is that  
21 we are -- obviously, the -- the -- year-over-year, we  
22 are seeing a net rebate, as -- as pointed out, and  
23 that obviously speaks to the fleet program and the  
24 fact that, you know, the fleet vehicles are actually  
25 doing -- performing well in terms of their loss

1 ratios.

2                   And they're -- they're -- and that's  
3 expected because -- you should even -- when we -- we  
4 talk about larger fleets, they have incentives to sort  
5 of control who's driving their vehicles, they have  
6 incentives to make sure that, you know, their vehicles  
7 are -- are properly handled and -- and whatever --  
8 whatever the incentive may be. They might even have a  
9 -- if you have a really huge fleet, you might even  
10 have a -- a safety program for your -- for your  
11 drivers just to make sure that things are -- you know,  
12 that you -- you -- your drivers are well trained and -  
13 - and to -- to be handling the vehicles that you're  
14 handling.

15                   So -- so historically -- so  
16 historically, as you've pointed out, there's always a  
17 net rebate, which means, you know, that they're doing  
18 the fleet pro -- the fleet vehicles are doing well.

19                   So now what -- what this means for --  
20 for the rest of us as -- as ratepayers is that -- and  
21 -- and again, this -- this is sort of alluded to in  
22 the response to 'B' which I would just read into the  
23 record. MPI -- so in our response to CAC-2-26B:

24                   "MPI understands that the Fleet  
25                   Program is both accessible and

1                   beneficial to all vehicles in the  
2                   above major classes."

3                   So I just going to quickly elaborate on  
4 'accessible'. It means, you know, any one of us could  
5 access the fleet programs subject to us having ten  
6 (10) vehicles. And benefic -- and -- so -- so then --  
7 continuing on, sorry:

8                   "Almost all insurance uses in these  
9                   major classes have access to the  
10                  Fleet Program. Further, to the  
11                  extent the fleet pro -- fleets  
12                  perform well in regards to managing  
13                  towards a lower number of accidents,  
14                  and therefore the net rebate means  
15                  safer roads for all users.

16                  So recognizing this, MPI submits  
17                  that it is appropriate that the  
18                  costs are shared on a per-unit basis  
19                  by the above three (3) major  
20                  classes."

21                  So just to elaborate a little bit on  
22 that, how fleet vehicles perform -- so obviously there  
23 is something about fleet vehicles and how they are  
24 performing. The fact that they are having a net  
25 rebate suggests that these vehicles are actually --

1 these fleets are actually managing their vehicles  
2 properly and they are trying to make sure that, you  
3 know, they -- they have to -- their -- their drivers  
4 are safer, they -- that they're causing less accidents  
5 which -- which drives their loss ratio.

6                   So to the extent that they are doing  
7 well in this means the rest of us are doing well. It  
8 means there's less accidents on the road. It means  
9 our loss cost as a whole is less.

10                   Usually, for the most part, there's two  
11 (2) vehicles involved, so a fleet vehicle involved  
12 with another vehicle, that's two (2) accidents. And -  
13 - and so to -- to have -- to have the accident not  
14 happen is actually a good thing.

15                   So -- so in that sense, that's why we  
16 find that, you know, everybody shares in the costs of  
17 these -- of what we consider savings as a -- that --  
18 that's resulting from the fleet operations. So -- so  
19 to that extent, it is appropriate to have the costs  
20 shared by everybody who's not a fleet vehicle as well.

21                   MS. KATRINE DILAY: Thank you for  
22 those clarifications. I do just want to -- to confirm  
23 my understanding, if we go back to the Part A of the  
24 response, and then I will take you back to Part B of  
25 the response, as well.

1                   So -- so just to confirm my  
2 understanding, I'm not sure -- I can't recall if -- if  
3 you had confirmed it, but in terms of a private  
4 passenger class, the 96.3 percent of the vehicles who  
5 are not fleet vehicles, they are still paying that  
6 twenty-eight dollars and five cents (\$28.05) per  
7 policy on average?

8                   MR. TAI PHOA:    Yes.  I -- I -- yeah,  
9 that's right.

10                  MS. KATRINE DILAY:   And similarly, in  
11 the Commercial Class, 58.45 percent of the vehicles in  
12 that class are not fleet vehicles?

13                  MR. TAI PHOA:    Yes, that is correct.

14                  MS. KATRINE DILAY:   And they are  
15 paying the twenty dollars and five cents (\$20.05) per  
16 policy on average to fund the fleet program rebates,  
17 correct?

18                  MR. TAI PHOA:    Yes, that's correct.

19                  MS. KATRINE DILAY:   And if we go to  
20 Part B which you -- you helpfully pointed us to -- so  
21 you pointed out, if we look at this response,  
22 essentially, you can -- you'll confirm that MPI is  
23 indicating that to the extent that fleets perform well  
24 in regards to managing towards a lower number of  
25 accidents, it means safer roads for all users,

1 correct?

2 MR. TAI PHOA: Yeah, that's what the  
3 response was. Yes.

4 MS. KATRINE DILAY: And you'll agree  
5 that all users would mean all those who use the roads?

6 MR. TAI PHOA: Yes, of course.

7 MS. KATRINE DILAY: And this would  
8 include motorcycles and trailers, correct?

9 MR. TAI PHOA: Motorcycles, yes.  
10 Trailers are generally -- trailers generally don't  
11 drive on their own, so for -- at least most of them  
12 are sort of -- don't drive on their own, they are  
13 attached to something. So -- so, yes, it really --  
14 but -- but you're right, so to the extent that it  
15 reduces the number of accidents, it applies to all  
16 vehicles, yes.

17 MS. KATRINE DILAY: But the two (2)  
18 classes of motorcycles and trailers are not levied a  
19 fleet rebate premium, correct?

20 MR. TAI PHOA: Agreed. But then that  
21 brings me back to the first point, is that the fleet  
22 program is not accessible to them. So -- so the fact  
23 that, you know, motorcycles aren't -- aren't -- you  
24 can't -- the Fleet Program does not cover the --  
25 sorry, motorcycles are not -- cannot access the Fleet

1 Program, so -- so we don't it is appropriate to -- to  
2 charge them for it.

3 MS. KATRINE DILAY: Thank you. Madam  
4 Chair, I just have one (1) last -- I'm -- one (1) last  
5 question, and then I will be -- I will be done. But I  
6 am hoping to go back to the actuarial assumptions and  
7 the pure premium trends recommended by Oliver Wyman.

8 And so I'm wondering if MPI would be  
9 willing to provide -- as a scenario for the Public  
10 Utilities Board's information, to please calculate the  
11 revised rate indication based on the pure premium  
12 trends recommended by Oliver Wyman, using the same  
13 pure premium trends for all claim categories for each  
14 coverage, and distributing the pure premium trend to  
15 frequency and severity, as MPI best sees fit.

16

17 (BRIEF PAUSE)

18

19 MR. TAI PHOA: Can you just give me a  
20 minute to consult with my back row.

21 MS. KATRINE DILAY: Thank you.

22

23 (BRIEF PAUSE)

24

25 MR. TAI PHOA: Sorry, Ms. Dilay, but

1 this is causing a bit of a delay. My apologies.

2 MS. KATRINE DILAY: And I wonder,  
3 Madam Chair -- and I'm not sure what MPI would think  
4 of this, but perhaps we could take the break to -- to  
5 see if we can sort it out, and come back after the  
6 break and see if we're able to confirm. But I'll see  
7 -- I'm suggesting this. I'm not sure if MPI -- if  
8 that would be agreeable to MPI or to the Board.

9 THE PANEL CHAIRPERSON: Mr. Guerra, do  
10 you have any comments on that?

11 MR. ANTHONY GUERRA: Leaving aside the  
12 fact that we've already put into evidence that we  
13 don't think that much -- there'd be much value in  
14 coming to -- to -- through with this exercise, my  
15 concern right now, and that's a question I don't have  
16 answered, is whether or not this can be produced  
17 within the time frame of this hearing, given that  
18 resources are already being dedicated to a project.

19 So we just want to make sure that if  
20 this is something that, subject of a motion, that we  
21 can -- we can respond with -- with what the actual  
22 response time would be.

23 THE PANEL CHAIRPERSON: Thank you for  
24 that. Let's take the break now then, and we'll come  
25 back at -- at quarter after 3:00. Thank you.

1 --- Upon recessing at 2:57 p.m.

2 --- Upon resuming at 3:22 p.m.

3

4 THE PANEL CHAIRPERSON: Ms. Dilay...?

5 MS. KATRINE DILAY: Thank you, Madam  
6 Chair.

7 So I'll -- I'll advise that MPI counsel  
8 did come to see me. And my understanding is that MPI  
9 is prepared to give the undertaking and that I should  
10 read it into the record for clarity.

11 So the undertaking would be to please  
12 calculate a revised rate indication, substituting pure  
13 premium trends proposed by Oliver Wyman for the  
14 combined frequency and severity trends used by MPI to  
15 determine the overall rate indication.

16 Please use the same pure premium trends  
17 for all claim categories for each coverage and Please  
18 distribute the pure premium trend to severity and  
19 frequency as you best see fit.

20 Is that acceptable?

21 MR. ANTHONY GUERRA: Yes, counsel.  
22 We'll give the undertaking.

23

24 --- UNDERTAKING NO. 28: MPI to calculate a revised  
25 rate indication, substituting pure

1 premium trends proposed by Oliver Wyman  
2 for the combined frequency and severity  
3 trends used by MPI to determine the  
4 overall rate indication.

5 And use the same pure premium trends  
6 for all claim categories for each  
7 coverage and distribute the pure  
8 premium trend to severity and frequency  
9 as you best see fit.

10

11 MS. KATRINE DILAY: Thank you. Those  
12 are all my questions, Madam Chair.

13 THE PANEL CHAIRPERSON: Thank you, Ms.  
14 Dilay. Oh, I'm sorry.

15 MS. KATRINE DILAY: I was just going  
16 to advise Ms. Meek, I believe, will be coming in. And  
17 so, I will be stepping out. If you will give us just  
18 two (2) minutes to do so.

19

20 (BRIEF PAUSE)

21

22 THE PANEL CHAIRPERSON: Mr. Hacault,  
23 are you on the line at the moment?

24

25 (BRIEF PAUSE)

1 MR. ANTOINE HACAULT (by Teams): Yes,  
2 I am, Madam Chair.

3 THE PANEL CHAIRPERSON: Thank you. I  
4 understand that you expect your cross-examination to  
5 take approximately two (2) hours. Is that accurate?

6 MR. ANTOINE HACAULT (by Teams):  
7 That's right. It may be shortened because I had sent  
8 to MPI, on Sunday, late in the day, some aids to  
9 cross-examination. And if I can use those, it may be  
10 that I can get through, I'm going to call it, my  
11 tedious cross-examination on numbers far quicker.

12 THE PANEL CHAIRPERSON: Okay. Thank  
13 you.

14 And Ms. Meek, can you advise how long  
15 you expect your cross-examination to take?

16 MS. CHARLOTTE MEEK: I expect to be  
17 about thirty (30) to forty-five (45) minutes.

18 THE PANEL CHAIRPERSON: Okay. Thanks  
19 very much.

20 Mr. Hacault, I think that given that  
21 Ms. Meek's cross-examination will take us past 4:00,  
22 we'll ask you to return tomorrow morning and start  
23 your cross-examination then, so that you won't be  
24 interrupted.

25 MR. ANTOINE HACAULT (by Teams): Thank

1 you, Madam Chair. That would be appreciated.

2 I've also communicated with Board  
3 counsel to see whether it's possible for me to attend  
4 in person. And also, whether it's possible to have  
5 one (1) consultant, Jeff Crozier, be there with me.

6 I understand that that's going to be  
7 considered and that I'm to be advised whether it's  
8 just me that's possible or whether both of us are  
9 possible, or neither. Thank you.

10 THE PANEL CHAIRPERSON: Certainly.  
11 Yeah, we'll make sure that you are advised tomorrow  
12 morning. Thank you very much. And we'll see you  
13 then.

14 Ms. Meek, please proceed.

15

16 CROSS-EXAMINATION BY MS. CHARLOTTE MEEK:

17 MS. CHARLOTTE MEEK: Thank you. Good  
18 afternoon. My name is Charlotte Meek. I represent  
19 the Coalition of Manitoba Motorcycle Groups.

20 I'd like to start off by looking at the  
21 methodology currently used by MPI to discount claims  
22 costs. So if we could start at Part 6 Ratemaking,  
23 page 21.

24

25 (BRIEF PAUSE)

1 MS. CHARLOTTE MEEK: If you go down to  
2 line 21. So, here, it reads:

3 "MPI uses the investment return to  
4 discount future payments as based on  
5 the market value weighted yield of  
6 the marketable bonds portfolio  
7 maintained by MPI, i.e., the new  
8 money yield. The investment return  
9 of 2.46 percent reflects the  
10 projected yield as at the midpoint  
11 of the rating year 2022/'23, i.e.,  
12 October 21st, 2022."

13 Do you see that there?

14 MR. TAI PHOA: Yes, I do. And just to  
15 provide an update, the investment rate based on the  
16 rate update that we provided in October is 2.34  
17 percent.

18 MS. CHARLOTTE MEEK: Thank you. And  
19 then, I'd like to skip to Part 5 Claims Incurred.  
20 Page 10. And we'll go to line 13.

21 And so, here, this is a little bit  
22 long, but I'd like to read this in as well.

23 It says here:

24 "The application of assumed loss  
25 development patterns results in a

1 protection of paid and reported  
2 losses by fiscal period from the  
3 current year until all claims are  
4 paid and reported losses by a fiscal  
5 period from the current year until  
6 all claims are paid.  
7 These payment cash flows are  
8 discounted to a present value basis  
9 at the end of each fiscal year,  
10 using the assumed investment return  
11 at that date."

12 Do you see that there?

13 MR. TAI PHOA: Yes, I do.

14 MS. CHARLOTTE MEEK: Okay. So to  
15 summarize the above -- and you'll have to bear with me  
16 a little bit here -- I understand then that MPI's  
17 methodology is to first project paid and reported  
18 losses over the fiscal year. Is that correct?

19

20 (BRIEF PAUSE)

21

22 MR. TAI PHOA: Yeah. So what we do is  
23 -- at MPI, what we do is we project losses by what we  
24 call loss year. And then, we -- and then, we have to  
25 figure out how that -- sorry, in respect to any loss

1 year, we have to figure out the cash flows for those  
2 losses until everything is paid out. Yes.

3 MS. CHARLOTTE MEEK: Sure. So you use  
4 a discounting method to accommodate for the assumed  
5 investment return. Is that correct?

6 MR. TAI PHOA: That is correct.

7 MS. CHARLOTTE MEEK: Okay. And then,  
8 one number is calculated for the assumed investment  
9 return and that is based on an average across all  
10 coverages and all major classes. Is that correct?

11 MR. TAI PHOA: Yes. So, like I shared  
12 this morning, we calculated the -- the current rate of  
13 return that we use -- or the new money yield -- based  
14 on the duration of the unpaid claim liabilities as a -  
15 - as a point in time.

16 MS. CHARLOTTE MEEK: Sure. And that's  
17 the duration of the unpaid claims liabilities across  
18 all major classes. So it's one number effectively.

19 MR. TAI PHOA: Yes, it's an overall  
20 number. Yes.

21 MS. CHARLOTTE MEEK: Thank you. Yeah.  
22 And then, I'd like to just quickly go to an exhibit  
23 from last year, please. So this is CMMG Exhibit 3  
24 from the 2021 GRA. And this was a confidential  
25 Information Request from CMMG that was then put on the

1 public record by MPI.

2

3

(BRIEF PAUSE)

4

5 MS. CHARLOTTE MEEK: And the question  
6 -- oh, it's loading, but I'll start off a little bit.

7

The question here was, basically,  
8 asking MPI about MPI's appetite for risk. And it was  
9 also discussing the significant impact that interest  
10 rates have had on the motorcycle class.

11 And then, I want to just look at MPI's  
12 response. Just give it a moment to load.

13

14

(BRIEF PAUSE)

15

16 MS. CHARLOTTE MEEK: Thank you. So  
17 the first paragraph there, we can see MPI indicates  
18 that it does not support the idea of creating a  
19 special backing portfolio for motorcycle claims  
20 liabilities.

21

However, MPI recognized that a  
22 reasonable consideration would be to apply interest  
23 rates at points on a yield curve that correspond to  
24 the duration of the liabilities for discounting  
25 purposes.

1                   And they suggest that such an approach  
2 would provide a more appropriate discount rate for  
3 policy cash flows.

4                   The motorcycle class has a very large  
5 composition of Personal Injury Protection Plan claims  
6 that have a very long tail. And as a result, are more  
7 impacted by long term interest rates.

8                   As of today, the yield curve is  
9 significantly flat, so there would be no substantial  
10 benefit in using that approach in the near term.

11                   MPI also stated, in the application, it  
12 would consider making this change in the 2022 GRA,  
13 after a more thorough impact assessment is completed  
14 for all vehicles.

15                   So here, we see that MPI suggested the  
16 concept of using points on a yield curve to correspond  
17 to the duration of liabilities. Is that correct?

18                   MR. TAI PHOA: Yes, that is correct.  
19 And, yeah, just to follow up on that, the -- the  
20 Public Utilities Board also ordered us to do the same.  
21 And we have filed our response as part of the  
22 application this year.

23                   MS. CHARLOTTE MEEK: Thank you. Yeah.  
24 And we'll get to that.

25                   And so, that proposal, it was intended

1 to provide a more appropriate discount rate for the  
2 major classes because each major class has a different  
3 makeup of coverages. Is that correct?

4 MR. TAI PHOA: That is correct.

5 MS. CHARLOTTE MEEK: So, for example,  
6 the motorcycle major class is made up of ninety-one  
7 (91) -- I think someone said today 92 percent PIPP  
8 claims. Whereas the private passenger major class is  
9 made up of only 26 percent PIPP claims.

10 Is that correct?

11 MR. TAI PHOA: That is correct.

12 MS. CHARLOTTE MEEK: Okay. So that  
13 means that each major class may have a different  
14 duration point on the yield curve. Is that right?

15 MR. TAI PHOA: That is correct.

16 MS. CHARLOTTE MEEK: So as MPI notes  
17 in this Information Response -- or Information  
18 Request, sorry -- it was proposed as a methodology  
19 that may assist, in particular, in ameliorating the  
20 impact of interest rate volatility on the motorcycle  
21 class. Is that correct?

22 MR. TAI PHOA: Yeah. So that is  
23 correct, yeah. At least we are -- were responding to  
24 the PUB order.

25 MS. CHARLOTTE MEEK: Right. And

1 would you agree that, this year, the yield curve has  
2 returned to a more normal sloping -- a more normal  
3 upward sloping curve?

4

5 (BRIEF PAUSE)

6

7 MS. CHARLOTTE MEEK: I could go to a  
8 reference, if that would be helpful.

9 MR. TAI PHOA: Yeah. That would be  
10 helpful. Thank you.

11 MS. CHARLOTTE MEEK: Sure. If we  
12 could go to Exhibit 27, page 3, figure 2.

13

14 (BRIEF PAUSE)

15

16 MS. CHARLOTTE MEEK: So this is the  
17 investment return over sixteen (16) years. And it  
18 shows a gradually increasing and that demonstrates the  
19 upward sloping curve. Is that accurate?

20 MR. TAI PHOA: Yeah, for -- for  
21 durations one (1) to sixteen (16), yeah. I agree with  
22 that.

23 MS. CHARLOTTE MEEK: Thank you. And  
24 then, if we can go to page 1 of this exhibit.

25 So as you alluded to, this is the

1 ultimate rate indication that MPI provided this year.

2 Is that correct?

3 MR. TAI PHOA: That is correct.

4 MS. CHARLOTTE MEEK: Okay. And so, as  
5 you mentioned previously, the Board gave a directive  
6 and the directive was as follows:

7 "In the 2022 GRA, the Corporation  
8 shall provide a rate indication by  
9 major class -- by major use class,  
10 including the use of interest rates  
11 at points on the yield curve  
12 corresponding to the duration of  
13 liabilities in the determination of  
14 the rate indication for each major  
15 class. As well as an alternative  
16 rate indication by major use class,  
17 excluding this change."

18 Is that correct?

19 MR. TAI PHOA: That is correct.

20 MS. CHARLOTTE MEEK: Okay. So the way  
21 the directive is written, it indicates that MPI will  
22 provide a rate indication using points on the yield  
23 curve and will also provide an ultimate rate  
24 indication excluding that change. Is that true?

25 MR. TAI PHOA: Yes, that is true. And

1 the way MPI interpreted the second part of the  
2 directive is that, basically, we are comparing what  
3 we're doing now -- which is the alternative rate  
4 indication -- excluding this change to what it would  
5 like with the change.

6 MS. CHARLOTTE MEEK: Right. So the  
7 ultimate rate indication, basically, provides both,  
8 right? It provides excluding the change and what it  
9 would be -- like, there's the last figure on the end  
10 of the document here that we'll go to eventually.

11 MR. TAI PHOA: Yes, I agree.

12 MS. CHARLOTTE MEEK: Okay. But it  
13 does note here that the PUB was expecting the rate  
14 indication in the GRA to be provided using points on  
15 the yield curve. Is that correct?

16 MR. TAI PHOA: That is correct.

17 MS. CHARLOTTE MEEK: Okay. So you'd  
18 agree that's not exactly what happened, but MPI had a  
19 different interpretation of this directive?

20 MR. TAI PHOA: Sorry, could you repeat  
21 the question again? I might have missed something.  
22 Yeah, just maybe repeat that question again.

23 MS. CHARLOTTE MEEK: Sure. I'll --  
24 I'll try to repeat it for you.

25 You'd agree that what was ordered by

1 PUB, that the rate indication in the GRA would be  
2 provided including the use of interest rates on points  
3 on the yield curve. That did not actually happen.

4

5 (BRIEF PAUSE)

6

7 MS. CHARLOTTE MEEK: The rate  
8 indication in the main GRA was not provided using  
9 points on a yield curve, it was using a single point?

10

11 (BRIEF PAUSE)

12

13 MR. TAI PHOA: My apologies, Ms.  
14 Meeks, (sic) for taking so long. I will agree with  
15 you that we did not use the interest rates points on  
16 the yield curve for this application.

17 My understanding of the directive was  
18 more a question of looking -- bringing forward to the  
19 PUB what the two (2) methods were -- the difference  
20 between the two (2) methods, so that is -- so that the  
21 Board can -- the Board and Interveners can look at it  
22 and decide on whether that is the methodology they  
23 would like to proceed with.

24 So, that was my understanding of the  
25 directive. I can see where you're coming from, just

1 reading it -- the directive.

2 MS. CHARLOTTE MEEK: Thank you for that  
3 clarification.

4 So, I'd like to now go to Figure 4 of  
5 this exhibit, so page 5. You'll have to bear with me;  
6 these kinds of figures are always challenging.

7 So, on line 3 I understand that we can  
8 see the rate indication without the change. That's  
9 correct, right?

10 MR. TAI PHOA: Yes, that is correct.

11 MS. CHARLOTTE MEEK: Thank you. And if  
12 we look at line 7, we can see what the rate indication  
13 would be with this change.

14 Is that correct?

15 MR. TAI PHOA: That is correct.

16 MS. CHARLOTTE MEEK: Okay. And then  
17 line 8 gives us the impact and change -- or the change  
18 between those two (2)?

19 MR. TAI PHOA: Yes, that reflects the  
20 difference between what would happen if we did -- if  
21 we made the change, yes.

22 MS. CHARLOTTE MEEK: Okay. And we can  
23 see that for each major class, except trailers and  
24 off-road vehicles, that this change increased the rate  
25 indication.

1 Is that correct?

2 MR. TAI PHOA: Yes, that is true.

3 MS. CHARLOTTE MEEK: Okay. So, it  
4 increased the private passenger by 2.1 percent,  
5 correct?

6 MR. TAI PHOA: That is correct.

7 MS. CHARLOTTE MEEK: Commercial by 2.4  
8 percent?

9 MR. TAI PHOA: That is correct.

10 MS. CHARLOTTE MEEK: Public by 2.3  
11 percent?

12 MR. TAI PHOA: That is correct.

13 MS. CHARLOTTE MEEK: And motorcycles  
14 by 4 percent?

15 MR. TAI PHOA: That is correct, as  
16 well.

17 MS. CHARLOTTE MEEK: Okay. So, this  
18 change did not have the desired effect, as proposed by  
19 MPI, despite the fact that the yield curve is  
20 inclining. Is that right?

21 MR. TAI PHOA: That is correct. So,  
22 just to -- just to clarify a little bit, again.  
23 Historically, what we've done is we use a -- an  
24 investment return that corresponds to the duration of  
25 (INDISCERNIBLE) liabilities. We talked about that

1 this morning.

2                   So, that duration, like I men -- like I  
3 -- I spoke about it this morning, is -- is a lot  
4 longer than the claims -- than the duration on, say  
5 rating the 2022/'23. So, as a result of that, what  
6 would happen when we -- if we shift the methodology is  
7 that now you are looking at a short claims which --  
8 sho -- a shorter duration for just the rating year  
9 itself.

10                   And because of that, the new money  
11 yield will -- with decrease, and even for long-term --  
12 long-term coverage, because now -- now you have to  
13 recognize that there is the -- we are -- we are just  
14 looking at one (1) year, as opposed to the many years  
15 that built up the (INDISCERNIBLE) liabilities.

16                   So -- so, because of that, on an  
17 overall basis, we are looking at about a 2.1 percent  
18 higher rate indication.

19                   And -- and the results are a little bit  
20 -- significantly higher for motorcycles; that's  
21 because the -- the -- again, motorcycles are very much  
22 driven by PIPP and the -- any -- when it comes to  
23 discounting, if you're -- if -- if you have a longer  
24 tail, then the impact of discounting is greater.

25                   MS. CHARLOTTE MEEK:    Okay.   Thank you.

1 And if we could go up now to the bottom of page 1, I'd  
2 just like to review the methodology that was used for  
3 this alternate rate application.

4 So, this section indicates that MPI  
5 first determined the duration of cashflows for the  
6 rating year '22/'23 separately for the following.

7 And we can scroll down a little bit,  
8 please, Kristen.

9 So did it separately for the following:  
10 for claims costs, claims expenses, non-claims costs  
11 and other income sources.

12 Is that correct?

13 MR. TAI PHOA: That is correct.

14 MS. CHARLOTTE MEEK: Okay. And then  
15 we can see under 'claims cost', MPI indicates that  
16 durations were determined separately for each coverage  
17 listed there.

18 Is that correct?

19 MR. TAI PHOA: That is correct.

20 MS. CHARLOTTE MEEK: Okay. And if we  
21 go to page 3, we can see the different coverages and  
22 their corresponding durations in respect of investment  
23 return discount.

24 Is that correct?

25 MR. TAI PHOA: That is correct.

1 MS. CHARLOTTE MEEK: Okay. So, here  
2 MPI has determined the duration for each coverage and  
3 applied that duration for that coverage to all major  
4 classes.

5 Is that correct?

6 MR. TAI PHOA: That is correct.

7 MS. CHARLOTTE MEEK: Okay. So, that -  
8 - they did that rather than determining a duration of  
9 liabilities by major class so, for example, a duration  
10 of liabilities for the Motorcycle Class, a total  
11 duration of liabilities for the Private Passenger  
12 Class.

13 Is that correct?

14 MR. TAI PHOA: Yes, I -- I would -- I  
15 would agree with you on that one. I -- I just want to  
16 add in there that we -- we -- when we look at  
17 cashflows, we look at cashflows on an overall basis.  
18 It is -- I -- I believe we have mentioned the past --  
19 it is very -- it is difficult to look at, you know, ex  
20 -- projected payment patterns for -- for certain major  
21 classes, esp -- especially when it comes to things  
22 like PIPP coverages, namely, indemnity, accident  
23 benefits other, and -- and the accident benefits  
24 other.

25 So -- so we use -- we -- we did not

1 look at cash flows at the major class level, but look  
2 at it on an overall basis. And then -- and then  
3 depending on the composition, like for example,  
4 motorcycles are heavily PIPP, so -- so you -- so  
5 motorcycles will get the benefit of the coverages with  
6 the long-term durations.

7 MS. CHARLOTTE MEEK: Okay. So, had  
8 MPI done it the opposite way, had calculated a total  
9 duration per major class, that would result in a  
10 different result of duration per major class.

11 Would you agree with that?

12 MR. TAI PHOA: I -- I would agree with  
13 that somewhat. However, I don't believe the  
14 differences will be significant. Again, like -- and  
15 so, we are trading off, you know -- again, it is -- it  
16 is very hard to accurately determine a cashflow for --  
17 for certain major classes, major -- for certain major  
18 classes with very small -- not -- I wouldn't say  
19 small, but where -- where the -- the small number of  
20 vehicles in the major class can result in a lot of  
21 significant vol -- volatility or significant  
22 differences year-over-year.

23 MS. CHARLOTTE MEEK: Okay. So, you're  
24 saying for some major classes, because they have a  
25 smaller number of individuals within that class, it

1 creates volatility and it's more difficult to  
2 determine cashflows?

3 MR. TAI PHOA: Yeah. So -- so we --  
4 like -- like you alluded to in the claims forecasting  
5 process, you know, we are looking at lost development  
6 patterns -- we are trying on -- on an overall basis.  
7 So, in order to sort of say what is the cashflow for  
8 say the Motorcycle Major Class, we'll have to figure -  
9 - try and figure out, based on historical indications,  
10 how that will flow year-over-year.

11 But when it comes to something like  
12 PIPP, where the losses are -- are -- even -- even on  
13 an overall basis, for something like PIPP, it is often  
14 difficult to select lost development factors that  
15 properly reflects the historical.

16 And -- and so when you bring it down to  
17 a more granular level like motorcycles, that will --  
18 that makes it even a lot more difficult when -- when -  
19 - especially because the Motorcycle Major Class only  
20 has about, I believe about eleven thousand (11,000)  
21 units a year, or something like that.

22 MS. CHARLOTTE MEEK: So, you say that  
23 it's difficult, but it is possible to do?

24 MR. TAI PHOA: Nothing's impossible, if  
25 -- if -- if that's the question.

1 MS. CHARLOTTE MEEK: Good --

2 MR. TAI PHOA: -- whether -- whether -  
3 - whether the data -- whether such an indication is  
4 reliable and -- and the whole concept of being  
5 statistically significant, whether that is correct,  
6 you know, that -- all those things have to come into  
7 consideration as well. Certainly we -- certainly, you  
8 know, there -- there will be a lot of variability and  
9 -- any -- any number that we select, might not be  
10 appropriate.

11 MS. CHARLOTTE MEEK: And I just want  
12 to confirm, you did previously say that if the  
13 alternate rate indication was done that way, you  
14 didn't think it would be significantly different from  
15 the way that MPI has done the alternate rate  
16 indication here. Is that correct?

17 MR. TAI PHOA: No, I don't think it  
18 would be significantly different -- different, again,  
19 you know, motor -- motorcycles are given -- based --  
20 based on the methodology, and given that motorcycles  
21 are 92 percent long till, the methodology the -- the  
22 revised methodology does recognize the higher yields  
23 for those coverages.

24 So, you know, where income replacement  
25 identity is 2.01 percent, you know, for normal, then

1 we, that -- that's recognizing when -- when we figure  
2 out the major class rates for motorcycles.

3           So I -- I think this methodology works,  
4 and you'd be able to sort of -- and it's -- it's  
5 probably more accurate than trying to figure out  
6 payment patterns for PIPP for motorcycles.

7           MS. CHARLOTTE MEEK:   Okay.  If we  
8 could turn to the transcript of proceedings from last  
9 year, so this would be the October 20 transcript from  
10 2020.  Page 502.  You go to line 22.

11           So this was my cross-examination of Mr.  
12 Johnston last year, and I just want to read through a  
13 little bit of what he says, so he says:

14           "What we have up -- I don't want to  
15 go too far off base here, but what  
16 we have put forward in this  
17 application is a recognition that  
18 using a single discount rate is --  
19 there are fairness issues with --  
20 with that.  So in a normal  
21 environment where long-term bonds  
22 have higher yields than short term  
23 bonds, we're not in -- we're in a  
24 fairly flat interest rate  
25 environment today.  There is

1                   definitely merit that we should have  
2                   a different discount rate for  
3                   motorcycles in all classes to  
4                   reflect the nature of the claims in  
5                   those classes."

6                   So would you agree that the methodology  
7                   that's been used by MPI is not the same as the  
8                   methodology described by Mr. Johnston here?

9                   MR. TAI PHOA:     Kristen, if you don't  
10                  mind, just scrolling down a little bit, I just want to  
11                  make sure that I read Mr. Johnston's comment  
12                  appropriately.

13                  So I -- I don't -- I don't believe -- I  
14                  don't believe there's any difference because we are  
15                  actually using a different discount rate for  
16                  motorcycles than say private passenger and that's  
17                  because, again, there's 90 percent weight to PIPP.  
18                  And so PIPP is discounted differently than collision  
19                  based on the -- the revised methodology.

20                  So, to the extent that motorcycles have  
21                  more PIPP claims, your discount factor would be a lot  
22                  larger than -- than say the private passenger itself.

23                  MS. CHARLOTTE MEEK:    Okay.    Maybe we  
24                  could go back then to the Board Order.    So back to  
25                  Exhibit 27, page 1.    Thank you, Kristen.

1                   So, in the Board Order you'll agree  
2 that it indicates that what MPI do is we'll use  
3 interest rates at points on the yield curve  
4 corresponding to the duration of liabilities for each  
5 major class use.

6                   Would you agree that the duration of  
7 liabilities for each major use class indicates a total  
8 duration for that major class, rather than a breakdown  
9 of the duration of coverages?

10                  MR. TAI PHOA:    Sorry, Ms. Meeks, (sic)  
11 I -- I just want to be very sure of the question  
12 you're asking. Can you just, if you don't mind, just  
13 repeating that again?

14                  MS. CHARLOTTE MEEK:    Sure. I just  
15 want to note the language that was used in the Board  
16 directive, which indicates that the Corporation shall  
17 provide a rate indication using points -- interest  
18 rates at points on the yield curve, corresponding to  
19 the duration of liabilities for each major use class.

20                  So, it specified that -- the way the  
21 points on the yield curve are going to be applied is  
22 based on the duration of liabilities for each major  
23 use class, rather than a duration for each coverages  
24 then applied to the major classes.

25                  MR. TAI PHOA:    I -- I -- I read this a

1 little bit differently because the directive says, the  
2 use of interest rates at points on the yield curve,  
3 corresponding to the duration of liabilities, in the  
4 determination of the rate indication for each major  
5 use class.

6                   So I -- I -- I read this a little bit  
7 differently. I read this as saying when you are --  
8 when you are determining the rate indication for each  
9 major use class, what -- I want you to do is instead  
10 of using that single point for -- on -- on -- of 2.46  
11 percent, I want you to figure out what is your -- the  
12 duration of the different liabilities by coverage and  
13 -- and -- and up -- and -- and determine and -- and  
14 calculate the yield curve -- the -- the yield, based  
15 on the yield curve, based on that duration.

16                   And then, so -- so -- so that's kind of  
17 how I -- that's how I read it when -- in terms of  
18 dealing with this question.

19                   MS. CHARLOTTE MEEK: Okay. Would MPI  
20 be willing to provide an updated alternate rate  
21 indication using my interpretation of this directive,  
22 so using points on a yield curve, corresponding to the  
23 duration of liabilities by major class?

24

25                   (BRIEF PAUSE)

1

2 MR. ANTHONY GUERRA: So -- so Counsel,  
3 your -- your question is whether or not it's -- it's  
4 possible to provide this analysis and -- and I think  
5 there -- there are -- there is another question that  
6 comes from that, which is to say, is it -- is it  
7 possible within the time frame that -- that works for  
8 the purposes of this hearing.

9 And so I think that's the -- the  
10 question that needs to be posed to the witness because  
11 he does have some comments that he would like to make  
12 on that.

13

14 CONTINUED BY MS. CHARLOTTE MEEK:

15 MS. CHARLOTTE MEEK: Sure.

16 MR. TAI PHOA: Yeah. So, I'm just  
17 going to quickly comment on the feasibility of getting  
18 this done.

19 So, a couple of comments. One, like I  
20 said, we are looking at -- so -- so -- what -- what  
21 this would require me to do -- require -- the -- the  
22 work that is required is that we have to select LDFs  
23 for all the major classes in order to determine the  
24 payment pattern of all the major classes.

25 This is -- this in itself is -- is

1 difficult and potentially very inaccurate because --  
2 especially for small groups like -- and -- and in all  
3 fairness, the only group that's large, when it comes  
4 to PIPP losses, is -- is the -- private passenger  
5 major class and all the others are -- are fairly  
6 smaller and -- and so -- so that -- that's going to be  
7 one (1) of the things that has to be done.

8                   The second point, of course, is that --  
9 just in terms of the timing, you know, such a -- such  
10 an undertaking would -- would take at -- at least a  
11 week, a whole week to just get it done.

12                   It would be -- just to be very  
13 confident in terms of what we're doing, and -- and  
14 confident in terms of the selections that we make so  
15 that we are -- we provide the most accurate reflection  
16 of what this looks like to the Board.

17                   And then, of course, it's pieces --  
18 like I said earlier, the difference would probably be  
19 not very material. You know, I -- we're -- we're  
20 like, I -- I can see -- I can see us forcing our way  
21 to trying to figure out loss development factors but,  
22 at the end of the day, we sort of have to select  
23 what's reasonable and where no reasonable selections  
24 can be made, we probably will -- will revert back to  
25 the overall indications.

1                   So, I -- I just, my -- my -- my feel on  
2 this is that, you know, that we are not going to be  
3 very significantly different from what's presented in  
4 this -- this particular submission.

5                   MS. CHARLOTTE MEEK:   Thank you for  
6 those comments. I think you mentioned your concerns  
7 about whether or not the numbers would be reliable. I  
8 would take no issue with MPI providing comment as to  
9 the reliability of the numbers provided in alternate  
10 rate indication.

11                   So if you had concerns about, you know,  
12 the size of a certain major class and whether the  
13 reliability of the LDFs selected for that, I would  
14 have no issue with MPI providing those comments within  
15 the undertaking.

16                   You also noted that -- you said the  
17 change in the numbers may not be material. Could you  
18 confirm, is that in terms of all the major classes?  
19 Like it could be quite material for one (1) major  
20 class and less material for the other major classes?

21                   So, for example, as you noted, duration  
22 is so important for the motorcycle major class, so it  
23 could have a more significant impact on the numbers  
24 that we're looking at for the motorcycle class than it  
25 would for other vehicle classes perhaps.

1 MR. TAI PHOA: Yeah, and I think --  
2 and I think we are appropriately -- as I said earlier,  
3 I think we are appropriately reflecting the duration  
4 for the motorcycles because, like I said, we -- the --  
5 it is more heavily weighted to PIPP losses. And so we  
6 recognize the higher discount -- discount factors  
7 applicable to the longer durations.

8 I -- I will say -- when I say -- when I  
9 say, "not material," I would -- I would -- my -- my  
10 reference is to all major classes. So when I say it's  
11 not -- it would not be materially different for all  
12 major classes as presented right now.

13 MS. CHARLOTTE MEEK: But it could be  
14 materially different for the motorcycle major class?

15 MR. TAI PHOA: I would -- I would  
16 think they would not be materially different for the  
17 motorcycle major class either because, like I say, we  
18 are already reflecting the duration of the group based  
19 on the weights of the -- the relative weights of the --  
20 - the claims costs, so.

21 MS. CHARLOTTE MEEK: So you're saying  
22 because the weights, because, for example, the  
23 motorcycle class has a large PIPP category, that  
24 there's already a weighted factor?

25 MR. TAI PHOA: Yeah. So we already --

1 so -- so 90 percent of PIPPs -- 90 percent of  
2 motorcycle costs or -- or more is PIPP, and so when we  
3 look at -- when -- when we -- when we apply the  
4 discount and then we apply the allocation by major  
5 class, naturally, you know, the -- the most -- again,  
6 the -- the impact of the discount will be highest on  
7 the PIPP coverages. And that would be reflected in  
8 what's allocated to the -- to the motorcycle major  
9 class.

10 MS. CHARLOTTE MEEK: In terms of the  
11 timing that you said that it might take, I understand  
12 that the -- the LDF charts or the tables for LDF  
13 patterns, those are easily accessible for MPI. It's  
14 just a question of selecting which factor would be the  
15 most appropriate?

16 MR. TAI PHOA: To be fair, Ms. Meek,  
17 we have to create the -- the -- we have to create the  
18 historical triangles that will allow us to actually  
19 even select the -- the -- those factors.

20 So -- so we have to start basically  
21 from scratch and -- and then look at the historical  
22 numbers, select factors, make sure that, on an overall  
23 basis, it makes sense, and then -- and then we can  
24 apply, you know, some of the -- the other things.

25 And I'm just -- I'm just assuming that

1 we will have a few snags on the road as well. That's  
2 just how it goes. You should even be -- when we talk  
3 about doing a different analysis, so there will be  
4 other -- other questions to answer as we go along.

5 MS. CHARLOTTE MEEK: Sure. Maybe I  
6 can speak to why I believe that this information's  
7 relevant.

8 I think I've indicated that the  
9 directive from the Board could be interpreted two (2)  
10 ways. I think this suggestion was made by MPI in  
11 order to -- or with the hopes that it would help with  
12 ameliorating the interest rate impact on the  
13 motorcycle class.

14 MPI has not come to the Board with any  
15 other alternative to alleviate interest rate impacts  
16 on the motorcycle class. It is our perspective, or  
17 CMMG's perspective, that this alternative  
18 interpretation of the Board directive would in fact  
19 help to prepare the rate determination for the  
20 motorcycle class.

21 And therefore, I think it's important  
22 that the Board has that information before it in order  
23 to make a determination as to whether the alternate  
24 rate indication as provided by MPI is accurate or  
25 whether there's another alternate rate indication that

1 could actually assist.

2 THE PANEL CHAIRPERSON: Just give us a  
3 moment, please.

4

5 (BRIEF PAUSE)

6

7 THE PANEL CHAIRPERSON: Thank you, Ms.  
8 Meek. Could you please provide us with the wording of  
9 the undertaking that you are looking for from MPI?

10 MS. CHARLOTTE MEEK: I was seeking  
11 that MPI would provide an updated alternate rate  
12 indication which uses points on a yield curve  
13 corresponding to the duration of liabilities by major  
14 class.

15

16 (BRIEF PAUSE)

17

18 THE PANEL CHAIRPERSON: Thank you.  
19 Given the suggested timing -- this would take one (1)  
20 week -- we are hoping that it would be available prior  
21 to the end of the hearing.

22 So certainly we are in agreement with  
23 the request for the undertaking and would ask that MPI  
24 attempt to expedite that to the extent possible so it  
25 can be of value in the hearing. Thank you.

1 MR. ANTHONY GUERRA: Madam Chair, with  
2 respect, we didn't actually object to the undertaking,  
3 but we didn't also provide our reasons for objection.

4 So I would like just to put it on to  
5 the record now because I do think it's improper for  
6 unfortunately this Board to have a decision without  
7 hearing MPI's position as to whether or not it can  
8 actually fulfil this.

9 I also --

10 THE PANEL CHAIRPERSON: I'm sorry. I  
11 thought you had indicated that you thought it was  
12 going to take too long, and that was the reason for  
13 the objection.

14 MR. ANTHONY GUERRA: No, but I would  
15 like to put on to the record that we do have our  
16 witness, Ms. Phoa -- Mr. Phoa rather -- who would be  
17 providing the -- the research and the completion of  
18 that.

19 Mr. Phoa is actually being presented  
20 here as a witness for the balance of this week and so  
21 will not be attending to this project for the balance  
22 of this week. So when Mr. Phoa says that this is a  
23 week-long project, it's a week-long project that will  
24 start next week.

25 And so I just want to make sure that

1 everyone's aware. We're not challenging this on the  
2 basis of relevance, but we do have concerns about  
3 whether or not this is something that can be done  
4 within a reasonable time period for the rest of this  
5 hearing.

6                   And I would note for the Board's  
7 consideration that this was information that was  
8 provided to my friend as early as September 15th, and,  
9 you know, it's -- it's one thing to -- to ask for the  
10 information, but it's another thing to ask for the  
11 information in a way that it's not practical to -- to  
12 respond to.

13                   We don't want to be seen as being  
14 obstructionist, but at the same time we do have  
15 practicalities here. We -- we don't work twenty-four  
16 seven (24/7), and we don't, you know, make -- take  
17 these undertakings lightly. We want to do a good job  
18 on it.

19                   So, I would just note for the Board's  
20 consideration that if the Board were to order this,  
21 this is not something that can be done before the end  
22 of the hearing.

23

24                   (BRIEF PAUSE)

25

1 MR. ANTOINE HACAULT (by Teams): It's  
2 Mr. Hacault here. Sorry to interrupt.

3 Having listened to some of the  
4 exchange, I can give notice to MPI that tomorrow I'll  
5 be asking questions as to whether a more limited  
6 undertaking which would focus only on taxicab and only  
7 on motorcycles would take less time.

8 I understand the statement that for all  
9 major classes it would take a week. But I'm giving  
10 notice that I'll ask questions and make the similar  
11 request for undertaking, but a more limited one to  
12 focus only on two (2) major classes, being the taxis  
13 and the motorcycles.

14 THE PANEL CHAIRPERSON: Thank you, Mr.  
15 Hacault.

16 Ms. Meek, what's your response to that?

17 MS. CHARLOTTE MEEK: So I could put  
18 the question to MPI to see if that would reduce their  
19 time lines for providing this undertaking.

20 THE PANEL CHAIRPERSON: Certainly.  
21 Thank you.

22 MR. TAI PHOA: So a couple of points.

23 1. If we -- if we are deciding that --  
24 that -- sorry, if -- if doing loss development factors  
25 for motorcycles is really onerous in itself, trying to

1 do that for an even smaller group like taxis, I -- the  
2 only one -- I'm very cautious about testifying about  
3 the validity of those results.

4                   The second piece, of course, is that  
5 while it appears that we could just do it for  
6 motorcycles and taxis, in -- practically we can't,  
7 because at the end of the day we still need to balance  
8 everything back to the overall rate indications. We  
9 still need to -- we still need to look at it for the  
10 other major classes, so that -- to provide a more --  
11 the most accurate project -- the most accurate rate  
12 indications by major class.

13                   So -- so it looks like we should be  
14 able to but, you know, in reality the most -- the most  
15 accurate picture that we can paint is if we did it for  
16 everybody in the same way.

17

18                   (BRIEF PAUSE)

19

20                   THE PANEL CHAIRPERSON: Thank you. We  
21 will discuss this following the end of the day today  
22 and provide a response by tomorrow. Thank you.

23

24 CONTINUED BY MS. CHARLOTTE MEEK:

25                   MS. CHARLOTTE MEEK: Thank you, Madam

1 Chair. I just have a few quick snapper questions, I  
2 think -- as Mr. Williams would say -- to end my cross  
3 today.

4 I'd like to look now at some  
5 information that you discussed with Ms. McCandless  
6 this morning. If we could turn to MPI Exhibit 63,  
7 slide 6.

8

9 (BRIEF PAUSE)

10

11 MS. CHARLOTTE MEEK: This is your  
12 presentation from this morning.

13

14 (BRIEF PAUSE)

15

16 MS. CHARLOTTE MEEK: I think we  
17 don't even need to go there. I can maybe just ask you  
18 to confirm.

19 In your presentation, you noted that  
20 there was an increase in operating expense that had an  
21 impact of .8 percent.

22 Could you confirm that?

23 MR. TAI PHOA: That is confirmed.

24 MS. CHARLOTTE MEEK: Thank you. And  
25 then we're going to jump to another exhibit. I'm

1 sorry, Kristen. Exhibit 52, please.

2 Ms. McCandless also put this to you  
3 this morning. So this was a pre-ask from CMMG, which  
4 notes an increase in data processing expenses, which  
5 relates to the operating expenses impacting the rate  
6 indication of approximately 14.3 million.

7 Is that correct?

8 MR. DEAN DUNSTONE: That's correct.

9 MS. CHARLOTTE MEEK: Thank you, Mr.  
10 Dunstone.

11 And with Ms. McCandless, you confirmed  
12 that this was due to a change in standards, which  
13 means that expensing, licensing, or subscription costs  
14 can no longer be capitalized. Is that correct?

15 MR. DEAN DUNSTONE: That's correct.

16 MS. CHARLOTTE MEEK: Okay. And can  
17 you confirm whether the increase in data processing  
18 expenses, is that entirely due to the change in  
19 standards or -- which prevents capitalization or are  
20 there other increases to that expense that have been  
21 co-mingled into that number?

22 MR. DEAN DUNSTONE: Yeah, I can't  
23 confirm that right now, but it -- it could be -- there  
24 could be other co-mingled data processing in there.  
25 I'm not sure.

1 MS. CHARLOTTE MEEK: Would MPI  
2 undertake to provide a breakdown of -- of that 14.3  
3 million and how much applies to the new standards that  
4 prevent capitalization?

5

6 (BRIEF PAUSE)

7

8 MR. ANTHONY GUERRA: Yes, Counsel.  
9 We'll give the undertaking.

10 MS. CHARLOTTE MEEK: Thank you.

11

12 --- UNDERTAKING NO. 29: MPI to provide a breakdown  
13 of the 14.3 million data  
14 processing expenses and how  
15 much applies to the new  
16 standards that prevent  
17 capitalization

18

19 CONTINUED BY MS. CHARLOTTE MEEK:

20 MS. CHARLOTTE MEEK: I just have some  
21 general questions regarding motorcycle licences in  
22 Manitoba.

23 Can you confirm that there are  
24 approximately eighteen thousand (18,000) motorcycles  
25 registered in Manitoba? Is that correct?

1 MR. TAI PHOA: Subject to check, sure.

2 MS. CHARLOTTE MEEK: Thank you. And  
3 can MPI provide the number of motorcycle licences that  
4 are either a Class 6L or Class 6F currently?

5 MR. TAI PHOA: My recollection, the  
6 last time this was discussed it was about seventy  
7 thousand (70,000).

8 MS. CHARLOTTE MEEK: Seventy thousand  
9 (70,000). Thank you. That's sufficient.

10 And can MPI also provide data over the  
11 last four (4) years where a motorcycle was involved in  
12 a collision where the driver was not the registered  
13 owner of the vehicle?

14 MR. TAI PHOA: Sorry, please, repeat  
15 that question again?

16 MS. CHARLOTTE MEEK: Sure. I guess  
17 I'm asking for another undertaking as to whether MPI  
18 could provide data over the last four (4) years where  
19 a motorcycle was involved in a collision where the  
20 driver was not the registered owner of the vehicle?

21

22 (BRIEF PAUSE)

23

24 MR. ANTHONY GUERRA: Yes, counsel.

25 We'll give the undertaking.

1 MS. CHARLOTTE MEEK: Thank you.

2

3 --- UNDERTAKING NO. 30: MPI to provide data over  
4 the last four (4) years  
5 where a motorcycle was  
6 involved in a collision  
7 where the driver was not  
8 the registered owner of the  
9 vehicle

10

11 CONTINUED BY MS. CHARLOTTE MEEK:

12 MS. CHARLOTTE MEEK: If we could go  
13 now to -- this will be my last question -- PUB-MPI-2-  
14 38. I believe this was put to you by Ms. McCandless  
15 this morning again. If we can go to the answer to  
16 'A'.

17 Sorry. Actually, can we go to the  
18 question posed at 'A'. I apologize.

19 And again I mean 'B'. I'm sorry about  
20 that.

21 So the question here at 'B' says:

22 "Please, confirm that the use of  
23 severity groups weighted by incurred  
24 amounts would reduce the rate  
25 indication by about negative 1.4

1 percent with a large impact mainly  
2 for motorcycles. In other words,  
3 please, confirm that changing from  
4 weighted severity groups indicated  
5 trends by incurred amounts to  
6 weighting by claim counts has  
7 increased the rate indication by  
8 about 1.4 overall."

9 And I'm wondering if you can confirm  
10 what the impact would be on the motorcycle rate  
11 indication if MPI used severity groups by incurred  
12 amounts, rather than claims counts?

13

14 (BRIEF PAUSE)

15

16 MR. TAI PHOA: Sorry, Ms. Meeks. Just  
17 give me one (1) moment to make sure that I'm comparing  
18 apples to apples.

19 MS. CHARLOTTE MEEK: Sure.

20

21 (BRIEF PAUSE)

22

23 MR. TAI PHOA: Okay. So if we went  
24 back to PUB-MPI-1-78, I have here page 12 -- the last  
25 page of PUB-MPI-1-78. Perhaps, we could go there.

1 The last page, so -- yeah.

2                   So this is -- this is the results by  
3 major classification of the particular scenario. As  
4 you can see, the required rate change for motorcycles  
5 is minus 2.7 percent, going down a little bit.

6                   All right. So by comparison, what we  
7 filed in the June -- the June filing, the motorcycles  
8 were 1.1 percent. So that's a change of 3.8 percent.

9                   MS. CHARLOTTE MEEK: All right. Can I  
10 just -- could you scroll up to the top of this page,  
11 please, Kristen?

12

13                                   (BRIEF PAUSE)

14

15                   MS. CHARLOTTE MEEK: So this provides  
16 the effect on all major classes, where it would be --  
17 severity groups were done by incurred amounts, rather  
18 than claims counts.

19                   MR. TAI PHOA: Yeah. This is the  
20 initial question that -- so PUB-30 -- PUB-2-38 refers  
21 to C -- PUB-1-78, and this is the -- our initial  
22 response.

23                   So if you -- if you scroll down a  
24 little bit, Kristen, you can see that the 1.4 percent  
25 is the difference between the 4.2 percent that you see

1 for the full credibility required change, and the 2.8  
2 percent that was filed in the June GRA. So -- so  
3 that's -- That's the comparison.

4 MS. CHARLOTTE MEEK: Perfect. Thank  
5 you very much for that explanation. Those are my  
6 questions.

7 THE PANEL CHAIRPERSON: Thank you very  
8 much. It's quarter after 4:00 and we'll adjourn for  
9 the day and resume tomorrow at 9:00 with Mr. Hacault.  
10 Thank you.

11

12 --- Upon adjourning at 4:17 p.m.

13

14 Certified Correct,

15

16

17 \_\_\_\_\_

18 Wendy Woodworth, Ms.

19

20

21

22

23

24

25