



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA PUBLIC INSURANCE CORPORATION (MPI)
2022/2023 GENERAL RATE APPLICATION
HEARING

Before Board Panel:

Irene Hamilton - Board Chairperson
Robert Gabor, Q.C. - Board Chair
Michael Watson - Board Member

HELD AT:

Public Utilities Board
400, 330 Portage Avenue
Winnipeg, Manitoba
October 26, 2021
Pages 2362 to 2489

1 APPEARANCES
2
3 Kathleen McCandless (by Teams)) Board Counsel
4 Robert Watchman) Board Counsel
5 Kara Moore (by Teams)) Board Counsel
6 Darren Christle)
7 Kristen Schubert)
8 Roger Cathcart (by Teams)) PUB advisor
9 Kevin Yang (by Teams)) PUB advisor
10 Blair Manktelow (by Teams))
11
12 Anthony Guerra (by Teams)) Manitoba Public
13 Steve Scarfone) Insurance
14
15 Katrine Dilay) CAC (Manitoba)
16 Chris Klassen (by Teams))
17
18 Antoine Hacault (by Teams)) Taxi Coalition
19
20 Charlotte Meek (by Teams)) CMMG
21 Doug Houghton (np))
22
23
24
25

1	TABLE OF CONTENTS	
2		Page No.
3		
4	CONTINUED MPI NOVA PANEL:	
5	SIDDHARTHA PARTI, Previously Affirmed	
6	GLENN BUNSTON, Previously Affirmed	
7	SHAYON MITRA, Previously Affirmed	
8	SATVIR JATANA, Previously Sworn	
9		
10	Continued Cross-examination	
11	by Ms. Kathleen McCandless	2366
12	Cross-examination by Mr. Robert Watchman	2374
13		
14	CONTINUED CAC PANEL:	
15	RAJESH SAHASRABUDDHE, Previously Affirmed	
16		
17	Cross-Examination by Mr. Steve Scarfone	2378
18	Cross-Examination by Mr. Robert Watchman	2475
19	Re-Direct Examination by Ms. Katrine Dilay	2483
20		
21	Certificate of Transcript	2489
22		
23		
24		
25		

1 --- Upon commencing at 9:01 a.m.

2

3 THE PANEL CHAIRPERSON: Good morning,
4 everyone. Mr. Watchman, I believe that there are a
5 couple of questions that follow from the responses to
6 undertakings. Perhaps you could take us through that.

7 MR. ROBERT WATCHMAN: Yes, Madam
8 Chair. We received the further responses to
9 undertakings yesterday evening, and two (2) of them
10 related to Project NOVA. And I believe Ms. McCandless
11 was going to ask questions with respect to that.

12 THE PANEL CHAIRPERSON: Thank you.

13 Ms. McCandless, are you -- there you
14 are virtually. Okay. Thank you.

15 MR. STEVE SCARFONE: So we have
16 available for that, Madam Chair -- Ms. Jatana
17 obviously is here. As well, Sid Parti and Shayon
18 Mitra are available.

19 And I also understand that a question
20 is formulated for -- on the investments issue, so we
21 have Mr. Bunston on the line as well. So that's who
22 we have available for you, Ms. McCandless.

23 THE PANEL CHAIRPERSON: Okay. Thank
24 you, Mr. Scarfone.

25 Ms. McCandless...?

1 MS. KATHLEEN MCCANDLESS (by Teams):
2 Thank you, Madam Chair. I'm going to be asking the
3 question of the NOVA panel. I believe Mr. Watchman is
4 going to speak to the other issue.

5 THE PANEL CHAIRPERSON: Okay. That's
6 fine. Please proceed with the questioning to the NOVA
7 panel.

8

9 CONTINUED MPI NOVA PANEL:

10 SATVIR JATANA, Previously Sworn
11 SIDDHARTHA PARTI, Previously Affirmed
12 SHAYON MITRA, Previously Affirmed
13 GLENN BUNSTON, Previously Affirmed

14

15 CONTINUED CROSS-EXAMINATION BY MS. KATHLEEN
16 MCCANDLESS:

17 MS. KATHLEEN MCCANDLESS (by Teams):
18 Thank you. So welcome back, members of the panel. I
19 wanted to just ask one (1) question by way of follow-
20 up to the response to Undertaking number 41.

21 Kristen, could you please pull up that
22 response? It's MPI Exhibit 117 that was filed last
23 night. So if we could just scroll to the top of the
24 page, please, Kristen, the question was asked by way
25 of undertaking for MPI to, essentially, set out what

1 development would have to take place within NOVA to
2 allow for the implementation of a primary driver
3 safety rating system down the road.

4 And the response here at the first
5 paragraph provided that Project NOVA involves more
6 than IT development changes.

7 And then the third paragraph down:

8 "The Corporation has advised that
9 the Duck Creek system provides
10 capabilities to support a primary
11 driver model. MPI will be required
12 to configure specific business rules
13 in the system. MPI feels a high-
14 level estimate would be nine (9) to
15 twelve (12) months to implement the
16 following technology changes."

17 Yes? Mr. Mitra, I'm not sure if you're
18 best to respond here.

19 MR. SHAYON MITRA (by Teams): Good
20 morning. Mr. Mitra here. The answer is yes.

21 MS. KATHLEEN MCCANDLESS (by Teams):
22 And so by way of follow-up, my question is:

23 What steps is MPI taking to ensure that
24 -- its ability to make a change later from registered
25 owner to primary driver if it so chooses or is

1 directed?

2 So, essentially, we understand that the
3 system has the capability. What is MPI doing right
4 now to ensure that that's going to be the case down
5 the road?

6 MR. SHAYON MITRA (by Teams): Shayon
7 here again. So I'll respond from a NOVA perspective,
8 and -- and then I'll have to defer with regards to the
9 business response.

10 So in Duck Creek, as duly noted, that
11 functionality or configuration exists, whether we do
12 is as part of Release 3A. So do the business due
13 diligence and then roll it out, or after Release 3
14 happens, the time frame will be anywhere from nine (9)
15 to twelve (12) months.

16 And if you recall in my testimony, I'd
17 said we're using an Agile delivery approach. So the
18 reason why it's nine (9) or twelve (12) is each
19 program increment is three (3) months long.

20 So short answer is, if you're ready
21 with regards to customer displacement, understanding
22 the business rule, understanding the -- the new model,
23 it'll be slotting it into our Agile delivery mechanism
24 and then roll it out -- roll it out as a function of
25 the program increment.

1 So we would do it right after 4B, short
2 answer. So if we don't hit the deadline for 3A, we
3 would do it after we finish releases 4A and 4B -- 4B,
4 which would be a year from when Release 3A is
5 implemented from a system's standpoint. I just want
6 to confirm that.

7 MS. KATHLEEN MCCANDLESS (by Teams):
8 Right. And is anyone else on the panel wishing to
9 speak to that question?

10 MS. SATVIR JATANA (by Teams): Sure.
11 Good morning. Yeah, I can speak from a business
12 perspective.

13 As we spoke or we mentioned a few times
14 the other day, there's a lot more work that's required
15 on the business side versus the -- just the IT
16 implementation.

17 So I would say, you know, kind of on
18 the spot, if I was to answer that question, there's a
19 number of things need to happen. One is, understand
20 exactly what is the I'll say problem that we're trying
21 to solve.

22 And -- and what we've heard the other
23 day, it's about preventing grandma registering a
24 vehicle, and grandma's registering for the grandson.
25 In that example, that how do we ensure that there's no

1 gaming of the system.

2 So today, the only data we have is
3 that, at the time of the accident, 33 percent of the
4 drivers are not the registered owner, and that seems
5 to be the number that we're going by. We need to
6 understand how big of that problem exists and for us
7 to build a business case around as to what are
8 potentially the solution that could address that
9 issue.

10 What is Manitobans' appetite for such
11 change, having a government buy in on that, of course;
12 proper approval, due diligence, any legislation that
13 would be required, along with, of course, extensive
14 customer communication?

15 Provided that is all in a business case
16 once we would have a business case, then we would
17 pursue obviously the next steps.

18 We still are not confident that primary
19 driver would solve the problems that we -- we've been
20 discussing here. We were also again -- you know,
21 these are -- like I said the other day, this is a
22 priority for MPI, but we need to prioritize this with
23 everything else that's going in the organization.

24 So one of the things we've considered
25 and we need to -- you know, this is not something

1 perhaps I would say we can commit to today, but
2 something that we can take back, is: Is there a way
3 for MPI to collect data in terms of, let's say, in --
4 in -- under the current model, I'm a primary driver
5 or, sorry, the registered owner. Who else is using my
6 vehicle?

7 And start collecting that data; have
8 that data for at last twelve (12) months to do some
9 analysis and then determine philosophically in -- in a
10 MPI or in a public model how accurate -- is it
11 accuracy and fairness, and -- and where do we go, you
12 know, and what is the appetite overall of all the
13 stakeholders involved?

14 So my recommendations, of course, and
15 something that I need to take back to the organization
16 and -- and discuss with the team at large: Do we
17 start with analysis of -- of such before we land on a
18 model that we're not confident will address the issue
19 itself?

20 It's a long story, but what we do know,
21 that it's -- it needs some time, it needs some
22 planning, and -- and we need some time to even plan
23 what that plan will be.

24 MS. KATHLEEN MCCANDLESS (by Teams):
25 Thank you. Just going back to the system's question,

1 Mr. Mitra, I appreciate that you've set out where you
2 think that the changes would need to take place.

3 Just by way of follow-up, I would
4 expect that once you get too far from the core of the
5 system, it would get too difficult, too cumbersome to
6 make the change to the business model from registered
7 owner to primary driver.

8 And so what I'm trying to get at is:
9 What does MPI have in place right now to ensure that
10 it doesn't get too far down the road in terms of
11 systems so that a change could be made down the road
12 if MPI were to choose or was directed to do so?

13 MR. SHAYON MITRA (by Teams): Shayon
14 here. I'll respond, and then, Mr. Parti, if you have
15 anything to add, by all means jump in.

16 So, Duck Creek is the platform in which
17 we would -- we would implement the primary driver
18 model. That functionality or configuration exists in
19 Duck Creek. They have done it in other parts or with
20 other carriers.

21 So, short answer is it's not a net new
22 customization function on the Cots (phonetic)
23 platform. Duck Creek has that ability. The question
24 is, when will MPI be ready, should we go down the
25 primary driver model to implement that.

1 And so, it will be a configuration
2 function with a bunch of due diligence. But the
3 bigger effort will be around customer communication,
4 displacement, the model, and bringing that in.

5 Now, from a timing, if you do it as --
6 as R 3A release, I think that would be when we would
7 do it as we are configuring, but that doesn't stop us
8 from configuring Duck Creek in the future.

9 And that's the whole reason why we are
10 moving away from our Legacy systems to commercially
11 off the -- off-the-shelf solutions.

12 So, short answer is it'll still be
13 within the nine (9) to twelve (12) month window
14 through our program increments irrespective of when we
15 do it.

16 The -- the only caveat would be, if we
17 don't do it as a function of 3A in Nova, then we would
18 have to wait until the other configurations are
19 completed, and then do it after 4B, and that would be
20 a continuum going forward.

21 So, the system will not be the limiting
22 factor with regards to delivering a primary driver
23 model.

24 MS. KATHLEEN MCCANDLESS (by Teams):
25 Thank you. I don't have any more questions for the

1 panel. Thank you for coming back.

2 THE PANEL CHAIRPERSON: Thank you, Ms.
3 McCandless. Mr. Gabor...? Mr. Watson...? Thank you.
4 Mr. Watchman...?

5

6 CROSS-EXAMINATION BY MR. ROBERT WATCHMAN:

7 MR. ROBERT WATCHMAN: Thank you, Madam
8 Chair. As Mr. Scarfone mentioned, we had -- we
9 requested a clarification with respect to the
10 determination of bond duration. And I -- oh, sorry.

11 We requested clarification with respect
12 to the determination of bond duration. And I believe
13 Mr. Dunstone was going to appear to respond to that.

14 MR. GLENN BUNSTON (by Teams): Yes.
15 This is Glenn Bunston here. I can speak to -- to that
16 issue.

17 So, the forecasted weighted average
18 duration of ten point two nine (10.29) years includes
19 MUSH or nonmarketable bonds which have a duration of
20 approximately five (5) years, and this offsets the
21 relatively high duration of corporate and government
22 bonds.

23 And MPI included MUSH bonds in the
24 calculation of the duration of the portfolio as this
25 was a change implemented in June of 2021 due to the

1 new Moment-Matching strategy that was implemented.

2 We did not include MUSH bonds in the
3 calculation of the weighted average yield as we were
4 expecting to purchase approximately \$40 million of new
5 MUSH bonds per year. And this is replacing maturing
6 MUSH bonds and, therefore, is not purchased with new
7 money from premiums.

8 And I -- so, I can confirm that we
9 lengthened the duration of our provincial bond
10 portfolio to reflect the fact that MUSH bonds have a
11 duration of five (5) years and are included in our
12 Moment-Matching strategy.

13 And we've also made revisions to our
14 rebalancing rules where, in the past, we matched the
15 marketable bond duration only to the Basic claims
16 duration, and now we're including MUSH bonds in that
17 duration calculation.

18 MR. ROBERT WATCHMAN: And just for the
19 record, Mr. Bunston, the rebalancing rules, those
20 would be found in INV 11.1?

21 MR. GLENN BUNSTON (by Teams): Yes,
22 that's correct.

23 MR. ROBERT WATCHMAN: Thank you, Mr.
24 Bunston. Madam Chair, I have no further questions.

25 THE PANEL CHAIRPERSON: Mr. Gabor...?

1 THE CHAIRPERSON: Yeah. Sorry, Mr.
2 Bunston, I'm going back to my memory, which is a
3 dangerous thing.

4 I thought two (2) hearings ago the
5 evidence was that MPI was not going to purchase more
6 MUSH bonds.

7 Three (3) -- three (3) ago. Mr.
8 Watson, who's younger and has a much better memory
9 than me, says three (3) years ago.

10 Do you know if that was the evidence,
11 or have we got it wrong, or is there a change in mind?

12 I -- I thought that MUSH bonds were
13 just going to be phased out completely. And now --
14 now it sounds like you're purchasing more MUSH bonds?

15 MR. GLENN BUNSTON (by Teams): So,
16 your understanding was correct and your memory is --
17 is good. I can confirm.

18 So, that understanding was based on
19 direction we had received from the Province of
20 Manitoba at the time, who issues MUSH bonds on behalf
21 of largely municipalities.

22 And what they had indicated at that
23 time was that, due to a change in funding of schools,
24 they would not be issuing bonds going forward, and so
25 the availability of MUSH bonds would be severely

1 limited. And, at that time, we -- we weren't sure how
2 many MUSH bonds would be available.

3 But subsequent to that, we have learned
4 from the province that municipalities are continuing
5 to issue MUSH bonds, and so we can purchase some MUSH
6 bonds. And it appears initially, I believe, two (2)
7 years ago, we had assumed we could purchase 20 million
8 and this year we've forecasted \$40 million of
9 purchases of MUSH bonds.

10 So, it's approximately enough to
11 replace the maturing MUSH bonds within our portfolio.

12 THE CHAIRPERSON: Okay. Just a
13 follow-up. Is this a good investment, MUSH bonds,
14 versus buying other bonds that might bring you a
15 better rate of return?

16 MR. GLENN BUNSTON (by Teams): Well,
17 they do offer a yield premium relative to Province of
18 Manitoba bonds. They have a similar credit to
19 Province of Manitoba bonds, and that yield premium is
20 because they are a liquid, so they do offer an
21 attractive yield.

22 And so, we believe that they are a good
23 addition to our portfolio for that reason.

24 THE CHAIRPERSON: Thank you.

25 THE PANEL CHAIRPERSON: Thank you.

1 Thank you very much, Mr. Scarfone. Certainly, anyone
2 who is on the Teams channel, Ms. Jatana, if they're no
3 longer required for the CAC witnesses, they can leave
4 the Hearing. Thank you.

5 MR. STEVE SCARFONE: Okay. Thank you.

6 THE PANEL CHAIRPERSON: And we'll --
7 we'll now move to MPI's cross-examination of Mr.
8 Sahasrabuddhe.

9

10 CONTINUED CAC PANEL:

11 RAJESH SAHASRABUDDHE, Previously Affirmed

12

13 CROSS-EXAMINATION BY MR. STEVE SCARFONE:

14 MR. STEVE SCARFONE: Good morning
15 again, sir.

16 MR. RAJESH SAHASRABUDDHE (by Teams):
17 Good morning.

18

19 (BRIEF PAUSE)

20

21 MR. STEVE SCARFONE: So, I will take
22 you up on your offer, sir, and call you Raj, if that's
23 okay --

24 MR. RAJESH SAHASRABUDDHE (by Teams):

25 Okay. That's fine.

1 MR. STEVE SCARFONE: -- throughout the
2 course of this questioning. What I normally do, and I
3 appreciate it appearing in your report, sir, is I just
4 want to confirm the independence assertion that's at
5 page 2 of your report.

6 And, Kristen, I'll -- I'll probably be
7 going through various pages of the report more so than
8 the deck that we saw yesterday. And so, if you could
9 have the -- the report that was prepared by the
10 gentleman. That's it. Thank you.

11 And on page 2 of that report, sir,
12 again, you spoke to this yesterday, but you'll confirm
13 that the evidence that you're giving concerning the
14 details of your report is objective and nonpartisan?

15 MR. RAJESH SAHASRABUDDHE (by Teams):
16 That's correct.

17 MR. STEVE SCARFONE: And that your
18 primary role, of course, would be to assist this Board
19 in determining the issues before it to have fair and
20 just and reasonable rates in place, correct?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 Yes, that's correct.

23 MR. STEVE SCARFONE: And that, of
24 course, means that you have no particular -- no
25 particular interest in whether a particular issue is

1 decided in any particular way.

2 And what I mean by that is, we'll get
3 to this later, but on -- for example, on the Capital
4 Management Plan you have recommended a hybrid
5 approach, meaning, both a rebate and a release,
6 correct?

7 MR. RAJESH SAHASRABUDDHE (by Teams):
8 That's correct.

9 MR. STEVE SCARFONE: And you'll note
10 that MPIC has asked that this Board replace its rebate
11 provision with -- or its release provision with a
12 rebate, correct?

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 Yes, that's my understanding.

15 MR. STEVE SCARFONE: And so, using
16 that as an example, you have no particular interest in
17 one versus the other?

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 That's right. That -- that's correct, meaning --
20 meaning I have no -- I think you're asking me -- that
21 question was specific to the Capital Management Plan
22 --

23 MR. STEVE SCARFONE: Yeah.

24 MR. RAJESH SAHASRABUDDHE (by Teams):
25 -- sorry, no interest in -- in the rebate versus the -

1 - versus the capital release provision, so.

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 Yeah.

4 MR. STEVE SCARFONE: Yeah.

5 MR. RAJESH SAHASRABUDDHE (by Teams):

6 And that would be correct, yes.

7 MR. STEVE SCARFONE: And, sir, at page
8 1 of your report, I also wanted to make a note that
9 you recognize there that the PUB, that is the Public
10 Utilities Board, will consider both the impact to
11 customers and the financial requirements of a utility
12 in approving rates, correct?

13 MR. RAJESH SAHASRABUDDHE (by Teams):

14 Yes, that's correct.

15 MR. STEVE SCARFONE: We went through
16 this briefly yesterday that, on your CV, it includes
17 working with Canadian automobile insurance regulators?

18 MR. RAJESH SAHASRABUDDHE (by Teams):

19 Yes, that's correct.

20 MR. STEVE SCARFONE: And also the
21 review of rate filings as -- as we've done here,
22 submitted by insurers in Canada.

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Yes, that -- automobile insurers only. So it's not --
25 not other lines of business. But, yes, that's

1 correct.

2 MR. STEVE SCARFONE: Yes. And then,
3 lastly, we heard yesterday that you had appeared as an
4 expert for the New Brunswick Insurance Board, correct?

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 Yes, that's correct.

7 MR. STEVE SCARFONE: I'll suggest to
8 you, sir, that in that instance, where you're
9 appearing before the New Brunswick Insurance Board,
10 there are two (2) principal players involved, that is,
11 the insurance company and the regulator, is that fair?

12 MR. RAJESH SAHASRABUDDHE (by Teams):
13 So our -- I -- in appearing before the New Brunswick
14 Insurance Board, we're retained by the office of the
15 Attorney General. So -- so the office of the Attorney
16 General is an Intervener to a filing much as CAC is an
17 Intervener to this filing.

18 There are other Interveners as well in
19 the New Brunswick case, just as there are in the
20 Manitoba case.

21 MR. STEVE SCARFONE: And so, aside
22 from those Interveners though, I would suggest to you
23 that those -- the two (2) principal players -- and,
24 yes, we have Interveners at this particular hearing as
25 well -- but the regulator and the insurance company,

1 as I've described it, are the two (2) principal
2 players in that proceeding.

3 MR. RAJESH SAHASRABUDDHE (by Teams):
4 Yeah. I'll accept that. I don't quite understand the
5 terminology of principal player, but -- but,
6 certainly, I can accept that.

7 MR. STEVE SCARFONE: Okay. And this,
8 sir, is the first time -- I don't know why I'm getting
9 that feedback. Let's see if...

10 Okay. We'll try that again. Oh.

11

12 (BRIEF PAUSE)

13

14 MR. STEVE SCARFONE: Are you hearing
15 that feedback?

16 MR. RAJESH SAHASRABUDDHE (by Teams):
17 I'm sorry, was there a question to me there?

18 MR. STEVE SCARFONE: Yeah, I'm just
19 wondering if you're hearing feedback on your end?

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 I am not, no. It sounds -- sounds clear to me, but --
22 but perhaps I'm missing something.

23 MR. STEVE SCARFONE: And, yesterday,
24 sir, we confirmed that this the first time that you've
25 appeared before a Public Utility Board, is that

1 correct?

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 Yes, that's correct.

4 MR. STEVE SCARFONE: Also, the first
5 time that you have provided advice concerning Manitoba
6 Public Insurance, which is a Crown-owned insurance
7 corporation?

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 Yes, that's correct.

10 MR. STEVE SCARFONE: And then, I would
11 suggest to you, sir, that this particular proceeding
12 operates under a different dynamic than what you've
13 experienced.

14 In -- in fact, to the extent that it
15 has an insurance company involved, correct?

16 MR. RAJESH SAHASRABUDDHE (by Teams):

17 I guess my -- again, my experience is sort of limited
18 to what I saw yesterday. It doesn't feel all that
19 different than -- than the proceeding in New
20 Brunswick.

21 If there's a specific area of
22 difference that you'd like to me to comment on, I
23 certainly can. But -- but, at a high level, I have
24 not noted any significant differences in the way that
25 -- that this hearing has proceeded relative to New

1 Brunswick.

2 MR. STEVE SCARFONE: Okay. So let me
3 just put that to you. So I would suggest there's a
4 different dynamic at play to the extent that there's
5 an insurance company involved, a regulator, the Public
6 Utilities Board, and also, because it's a Crown-owned
7 insurance company, that another player would be the
8 Provincial Government. Would you agree with that?

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Yes. I guess, again, we -- we work for the office of
11 the Attorney General, which represents the Provincial
12 Government of New Brunswick. So they're also involved
13 in that hearing.

14 Again, perhaps I don't understand the
15 term 'dynamic' in the question. But -- so maybe
16 that's the area of confusion on my part.

17 MR. STEVE SCARFONE: Okay. So I'll
18 just -- I'll help you out with an exhibit that was
19 filed in this proceeding.

20 Kristen, at CAC 2-4, please. And if
21 you could have attachment 'A' from that Board of
22 Directors meeting pulled up, please.

23

24 (BRIEF PAUSE)

25

1 MR. STEVE SCARFONE: Thank you. So
2 on the screen before you, sir -- and one (1) of the
3 issues that your paper or report addresses is the
4 Capital Management Plan. Correct?

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 Yes.

7 MR. STEVE SCARFONE: And you'll see
8 there, sir, that that's a letter that was issued by
9 the Government of Manitoba back in June of 2021 to
10 Manitoba Public Insurance.

11 MR. RAJESH SAHASRABUDDHE (by Teams):
12 Yes, I see that.

13 MR. STEVE SCARFONE: And the two
14 addressees would be Mr. Herbelin -- that's MPIC's
15 President and Chief Financial Officer -- or Chief
16 Executive Officer -- and the second addressee is a
17 gentleman by the name of Mike Sullivan. He is the
18 Board chair of the Manitoba Public Insurance Board of
19 Directors.

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 Yes, I see their email addresses on the screen. I'll
22 -- I'll trust that those are the names that are
23 associated with those email addresses. That certainly
24 seems logical.

25 MR. STEVE SCARFONE: There they are.

1 Thank you.

2 And so, in that first paragraph, you'll
3 see that the Government is speaking to an
4 unanticipated surplus as a result of the pandemic.

5 Do you see that?

6 MR. RAJESH SAHASRABUDDHE (by Teams):

7 Yes, I do see that.

8 MR. STEVE SCARFONE: And also, in the
9 second paragraph, directing MPIC to issue a rebate to
10 its customers.

11 MR. RAJESH SAHASRABUDDHE (by Teams):

12 Yes, I do see that.

13

14 (BRIEF PAUSE)

15

16 MR. STEVE SCARFONE: And so, the --
17 the dynamic that I spoke of earlier, sir, was simply
18 that there is another different -- I would suggest --
19 from your appearance before the New Brunswick
20 Insurance Board, there is another player, as I called
21 it -- perhaps you don't like that language -- but some
22 other party that's a consideration in -- in the
23 matter.

24 MR. RAJESH SAHASRABUDDHE (by Teams):

25 I guess -- yes. And this is part of the hearing, this

1 -- this direction from the Provincial Government?

2 MR. STEVE SCARFONE: Yes, that's
3 evidence before this -- this Board.

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 Yes. And I would agree with your statement then.

6 MR. STEVE SCARFONE: I know that you
7 dealt with it just briefly yesterday because we were
8 somewhat rushed. But I want to start with the Capital
9 Management Plan, sir, if I can, in your -- in your
10 paper.

11 MR. RAJESH SAHASRABUDDHE (by Teams):
12 Sure.

13 MR. STEVE SCARFONE: And so, you had
14 an opportunity to review the Capital Management Plan
15 that MPIC has before this Board in this Hearing?

16 MR. RAJESH SAHASRABUDDHE (by Teams):
17 I did.

18 MR. STEVE SCARFONE: And I think, at
19 page 7 of your report, you say it's detailed in the
20 Rate Stabilization Reserve chapter, Part 7 of the
21 Application.

22 MR. RAJESH SAHASRABUDDHE (by Teams):
23 I'm going to that -- page 7 -- okay. I'm sorry, I
24 looked at page 17 where we had the details. Okay. I
25 see page 7 on the screen. Yes, I see that.

1 MR. STEVE SCARFONE: And underneath
2 that particular paragraph, it reads that the Basic
3 capital is consistently adjusted to 100 percent MCT
4 target.

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 Yes.

7 MR. STEVE SCARFONE: And that the
8 rates may include a capital build or a capital release
9 provision.

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 Yes.

12 MR. STEVE SCARFONE: And that's from
13 your review of the Capital Management Plan?

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 It is.

16 MR. STEVE SCARFONE: And it says:
17 "In cases where capital is
18 significantly above target, MPIC may
19 provide a capital rebate."

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 Yes.

22 MR. STEVE SCARFONE: And that, sir, as
23 we know, is part of the relief sought in this
24 application is to rebate amounts that were collected
25 as a result of the pandemic.

1 MR. RAJESH SAHASRABUDDHE (by Teams):

2 Yes. You're correct that the pandemic is certainly
3 the primary driver. It may not be the 100 percent
4 driver of -- of the value of the excess capital. But
5 -- but it's certainly a primary driver.

6 MR. STEVE SCARFONE: Thank you. And
7 we'll get to your trends issue momentarily.

8 I'm just wondering, sir, where it reads
9 that "MPIC may provide a capital rebate," you didn't
10 get that from the Capital Management Plan, did you?

11 MR. RAJESH SAHASRABUDDHE (by Teams):
12 I'm -- I'm sure I got it from a document, but I -- I
13 forget exactly which document.

14 MR. STEVE SCARFONE: Okay. But having
15 reviewed the Capital Management Plan, you'll be aware
16 that there's no provision in there for a rebate,
17 correct?

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 I don't recall, but I'll certainly accept that. I
20 understand that this is a Special Rebate Application
21 and -- and, certainly, the word 'special' sort of
22 implies that -- that it's an extraordinary
23 circumstance; maybe not consistent with the Capital
24 Management Plan.

25 MR. STEVE SCARFONE: Okay. Thank you.

1 Question, going back to that last screen, Kristen...

2 Thank you.

3

4 (BRIEF PAUSE)

5

6 MR. STEVE SCARFONE: In the last
7 paragraph there it reads that the approach provides --
8 and -- and so, I should read the entire thing:

9 "We concluded there's a benefit to
10 maintaining the capital release
11 provision, and the release provision
12 would not preclude the rate
13 described."

14 And then it goes on to read that:

15 "The approach provides for a more
16 consistent governance approach as to
17 the capital maintained by MPI."

18 Can you explain what it is that you
19 mean by that -- by that "consistent governance
20 approach"?

21 MR. RAJESH SAHASRABUDDHE (by Teams):

22 Yes, our -- our view was that maintaining the Capital
23 Management Plan sort of -- or would force the review
24 of the adequacy of the capital of MPI on an annual
25 basis, which we think is a -- a part of proper

1 governance of the -- of -- of MPI.

2 MR. STEVE SCARFONE: I see. Okay.

3 And Kristen, if you go -- could go to six-point-three
4 (6.3) of the -- of the report, please. I can help you
5 out with the page if need be. It would be page 17.
6 You're on it. Thank you.

7

8 (BRIEF PAUSE)

9

10 MR. STEVE SCARFONE: So there, sir, is
11 where you discuss, if I can paraphrase, the -- the
12 difference between capital and ratemaking to the
13 extend that the ratemaking is more of a perspective
14 exercise looking into the future, and the capital is
15 the accumulation of -- of money from the past.

16 Is that fair?

17 MR. RAJESH SAHASRABUDDHE (by Teams):

18 Yes, that's fair.

19 MR. STEVE SCARFONE: And in your paper
20 you suggest, I think as MPI has, that the mixing of
21 capital returns and that perspective rate setting can
22 lead to some consumer confusion?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Yes, it -- it certainly has the -- the possibility for
25 that to occur.

1 MR. STEVE SCARFONE: And the -- the
2 mixing of that as well, I think you indicate is -- is
3 slow to return excess capital, to the extent that it
4 includes a release provision versus a full rebate.

5 Is that fair?

6 MR. RAJESH SAHASRABUDDHE (by Teams):
7 Yes, I would agree it's -- a -- a release is slower
8 than a rebate.

9 MR. STEVE SCARFONE: And so, all else
10 being equal, I think you're in agreement that if -- to
11 the extent that you can, you should avoid mixing
12 capital the ratesetting money?

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 Yes, I would agree with that.

15 MR. STEVE SCARFONE: And we've seen,
16 sir, at least at MPI, perhaps it's different in your
17 experience, but we have what's called a Rate
18 Stabilization Reserve and it holds the capital for the
19 Basic line of business.

20 You're aware of that?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 I am.

23 MR. STEVE SCARFONE: And MPIC
24 typically does not apply the investment income from
25 that reserve to rates.

1 Is that consistent with the advice in
2 your paper?

3 MR. RAJESH SAHASRABUDDHE (by Teams):
4 I don't think we addressed that issue in the paper,
5 but I'll -- I'll certainly accept that.

6

7 (BRIEF PAUSE)

8

9 MR. STEVE SCARFONE: And the removal
10 of the capital release provision and -- and replacing
11 it with a rebate, would certainly help to address some
12 of this confusion, this consumer confusion that you
13 make reference to in your paper?

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 Yes, I -- I would agree.

16 MR. STEVE SCARFONE: Now, sir, did you
17 -- and -- and Kristen, while I'm asking the question,
18 and if you can pull up CAC-189A.

19 And did you happen to read in -- in the
20 applications during your review of the materials,
21 MPI's reference to the capital release provision
22 causing what is called an 'Artificial Premium
23 Deficiency'?

24 MR. RAJESH SAHASRABUDDHE (by Teams):
25 I don't rec -- I don't recall -- I'm sorry, could you

1 zoom out so I can just relook at this? All I -- if I
2 could loo -- if I could see the -- okay. I guess I'm
3 looking for the premium deficiency language here just
4 so I can refresh my memory.

5 MR. STEVE SCARFONE: Right. So -- and
6 it's not in the document before you, but Kristen, if
7 you can scroll down to the answer to A, please?

8 MR. RAJESH SAHASRABUDDHE (by Teams):
9 Okay.

10 MR. STEVE SCARFONE: And so another
11 way that the Corporation has described -- it's not
12 there, thank you.

13 Another way that the Corporation has
14 described it is -- is really, that the -- that the 5
15 percent discount that -- that the capital release
16 provision provides is imbedded into rates.

17 And so, the Corporation indicated in
18 its overview that -- that they describe as an
19 artificial premium deficiency. And so, I'm going to
20 have you look at the explanation --

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 Yes.

23 MR. STEVE SCARFONE: -- there in A and
24 tell me if -- if that accords with your understanding.
25 And if you start with -- "by the nature of excess

1 capital." If you can read that part to -- to
2 yourself, then I'll ask you a question on it.

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 Okay.

5

6 (BRIEF PAUSE)

7

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 Okay. I -- I've read this part. Thank you.

10 MR. STEVE SCARFONE: You have. So,
11 that -- that is -- is what the Corporation has
12 described as an 'artificial premium deficiency',
13 meaning as it says there, that at some point in the
14 future the capital release would deplete and have to
15 be removed.

16 Do you agree with that?

17 MR. RAJESH SAHASRABUDDHE (by Teams):

18 I agree with the latter concept. To me the word
19 'premium deficiency' means that the premium -- the
20 premium is deficient, meaning that it's too low to
21 cover the exposure.

22 So, I -- I sort of agree with the
23 second part, that the terminology would -- appears --
24 is confusing to me, but -- but I agree with the
25 principle that you're describing.

1 MR. STEVE SCARFONE: Yes, and so that
2 -- that the -- the discount, if I can, is embedded
3 into rates, correct?

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 The 5 percent discount would be embedded into rates.
6 Is that what you're asking?

7 MR. STEVE SCARFONE: Yes.

8 MR. RAJESH SAHASRABUDDHE (by Teams):
9 So, my understanding is that on the premium billing,
10 the -- the -- essentially, the return of capital is a
11 separate line item so that MPI sort of -- my
12 understanding is that approach is taken in order to
13 try to help the consumer understand the difference.

14 But, I accept the fact that -- that
15 regardless of best efforts to avoid that confusion,
16 that confusion could still occur.

17 MR. STEVE SCARFONE: And the
18 Corporation, as -- as you're aware, sir, in it's -- in
19 the relief sought in this Application is asking that
20 that 5 percent discount be removed and instead, be
21 subsumed into the rebate that's proposed, correct?

22 MR. RAJESH SAHASRABUDDHE (by Teams):
23 Yes.

24 MR. STEVE SCARFONE: And to the extent
25 that -- that those rates or that discount is embedded

1 into rates, sir, would you agree it's going to be less
2 painful to have that removed which MPI says has to be
3 the case in a year when there may be excess capital
4 available to the customers?

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 That was a long question, so let me try to parse it
7 here. So, you're saying, had removing the excess
8 capital provision is less painful?

9 MR. STEVE SCARFONE: Yes. So, in a --
10 in a year when there's excess available to the
11 customers in the form of a rebate, that would be a
12 better time to remove the embedded capital release
13 than --

14 MR. RAJESH SAHASRABUDDHE (by Teams) I
15 understand.

16 MR. STEVE SCARFONE: -- than in a year
17 when there might be a rate increase.

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 Okay. So, the less painful, the 'less' there is a --
20 is a reference to timing, that the current timing is
21 less painful than other potential timing periods? And
22 I would agree with that.

23 MR. STEVE SCARFONE: Yes, and indeed,
24 if you go to 6-2 of your paper. You'll see there that
25 you quote from MPI's evidence, And the either/or

1 option that I believe your firm put to MPIC and the
2 response from MPI there was, in fact, making reference
3 to the timing issue.

4 So you see that?

5 MR. RAJESH SAHASRABUDDHE (by Teams):

6 Yes, I -- I do those as two (2) separate timing
7 issues. This -- this referenced it expeditiously,
8 which again, I would take as a timing issue is how
9 quickly it could be returned.

10 I -- I took your reference as to timing
11 as being this year versus some other year, in the
12 specific context of a year where the rate indication
13 might have a -- a more significant increase.

14 MR. STEVE SCARFONE: And -- and so,
15 you take a different interpretation of timing as it
16 concerns the passage there before you?

17 MR. RAJESH SAHASRABUDDHE (by Teams):

18 No, just -- I'm comparing this passage to your prior
19 question.

20 MR. STEVE SCARFONE: Okay.

21 MR. RAJESH SAHASRABUDDHE (by Teams):

22 Yeah, and I -- I take those references to timing as
23 being slightly different.

24 MR. STEVE SCARFONE: Okay. And so on
25 that, we look there that MPI says it does not consider

1 the capital release and the capital rebate to be an
2 either/or option.

3 And so is your understanding of that
4 that, from MPIC's perspective at least, you can't have
5 the hybrid approach that you're recommending in your
6 report?

7 MR. RAJESH SAHASRABUDDHE (by Teams):
8 No. I take it as you can have the hybrid option.
9 This is -- that it's not an either/or, meaning you
10 have to do one or the other, but that you could do
11 both.

12 So to the -- again, the -- MPI does not
13 consider this to be an either/or, meaning you have to
14 do one or the other, but rather you could do both is
15 the way I interpreted the -- the response to the
16 Information Request.

17 MR. STEVE SCARFONE: Okay. Thank you.
18 And that's the clarification I was looking for
19 because, as you say in your paper, it doesn't -- one
20 doesn't preclude the other in your view.

21 Is that correct?

22 MR. RAJESH SAHASRABUDDHE (by Teams):
23 That's my view, and that's my understanding of MPI's
24 position as well.

25 MR. STEVE SCARFONE: And to the

1 extent, sir, that the release provision is embedded in
2 rates, if the Corporation was to continue with its 5
3 percent discount and release the rest by way of
4 rebate, then that 5 percent will be embedded in rates
5 going forward, correct?

6 MR. RAJESH SAHASRABUDDHE (by Teams):
7 So it's embedded in the premium billing, not in the
8 rates. The rates and -- and the premium billing are
9 two (2) different items. There's no discount in the
10 rate structure itself.

11 MR. STEVE SCARFONE: Right. So -- and
12 perhaps it's just semantics, but the 5 percent
13 discount on premiums would still exist if the 5
14 percent capital release provision is made use of in
15 the next rating year, correct?

16 MR. RAJESH SAHASRABUDDHE (by Teams):
17 Yes, that -- yes.

18 MR. STEVE SCARFONE: And at some point
19 would still have to be undone going back to that
20 artificial premium deficiency that we spoke of,
21 correct?

22 MR. RAJESH SAHASRABUDDHE (by Teams):
23 Again, I -- I take -- I object to the term 'premium
24 deficiency', but -- but I -- I take the point that at
25 some point it would have to be undone, which would

1 appear as an increase to the ratepayer.

2 MR. STEVE SCARFONE: Going to your
3 conclusions at six four on the Capital Management
4 Plan. And just scroll a bit more, Kristen. Thank
5 you. And there, sir -- oh, and now we've got feedback
6 happening again.

7 MR. RAJESH SAHASRABUDDHE (by Teams):
8 Okay. Again, I -- I don't hear anything on my side,
9 but --

10 MR. STEVE SCARFONE: No, just one (1)
11 -- just one (1) moment, sir.

12 MR. RAJESH SAHASRABUDDHE (by Teams):
13 Yes.

14

15 (BRIEF PAUSE)

16

17 MR. STEVE SCARFONE: Just bear with
18 me, sir. We're -- we're going to try switching up the
19 microphones.

20

21 (BRIEF PAUSE)

22

23 MR. STEVE SCARFONE: So, Raj, we're
24 just looking at the -- the suggestion that your --
25 that seems to be working better -- the suggestion that

1 your report makes concerning the Capital Management
2 Plan. Do you see that there before you?

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 I do.

5 MR. STEVE SCARFONE: And as we've
6 discussed, what you're suggesting is that the
7 Corporation maintain its CMP.

8 And you're aware, sir, that the
9 Corporation has, in fact, asked that the two (2) year
10 trial be extended in this Application?

11 MR. RAJESH SAHASRABUDDHE (by Teams):

12 Yes, I'm aware of that.

13 MR. STEVE SCARFONE: And also there at
14 the second bullet, that MPI include the -- the 5
15 percent capital release in the 2022/'23 rate program.

16 Do you see that?

17 MR. RAJESH SAHASRABUDDHE (by Teams):

18 Yes, I do.

19 MR. STEVE SCARFONE: And then, in line
20 with that hybrid approach that you're recommending
21 that it use a rebate to return what's left over to the
22 customers, correct?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Yes.

25 MR. STEVE SCARFONE: And also, sir,

1 you'll -- you'll be aware, of course, that the 5
2 percent capital release is -- is triggered when the
3 Basic RSR exceeds 100 percent to MCT?

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 Yes, that's my understanding.

6 MR. STEVE SCARFONE: And that that MCT
7 is driven by any excess capital that's transferred
8 over from the Extension line of business, correct?

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Yes. I'm a little bit less clear -- I don't -- I
11 don't fully recall the details between the Basic and
12 the Extension in the transfer, but -- but I'll -- I'll
13 accept that. I do recall reading -- reading about
14 transfers between the two (2) pools of money,
15 essentially.

16 MR. STEVE SCARFONE: Yeah. So in the
17 Capital Management Plan, the Corporation has an
18 Extension line of business that has a different
19 capital target than the Basic line of business. It's
20 that 200 percent to MCT.

21 Do you recall reading about that?

22 MR. RAJESH SAHASRABUDDHE (by Teams):
23 Yes, I do.

24 MR. STEVE SCARFONE: And so when that
25 MCT target is -- is exceeded, then the -- any excess

1 monies that might be in that reserve are transferred
2 over into the Rate Stabilization Reserve. Is that --
3 is that --

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 Yes, I recall reading that, yes.

6 MR. STEVE SCARFONE: And so were you
7 aware that there is currently no excess monies
8 forecast to be transferred into the Rate Stabilization
9 Reserve for the 2022/'23 rate program?

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 I don't specifically remember that, but -- but I'll
12 certainly accept that.

13 MR. STEVE SCARFONE: Okay. And so
14 you'll agree with me that -- that you can't use the 5
15 percent capital release if there's no monies forecast
16 to be transferred into the RSR, correct?

17 MR. RAJESH SAHASRABUDDHE (by Teams):
18 From the Extension?

19 MR. KATRINE DILAY: Yeah. Mr.
20 Scarfone, it's Ms. Dilay here. I just wanted to
21 clarify, when you say, "transfer," you're talking
22 about the transfers from Extension to Basic, correct?
23 Just for -- just for Mr. Sahasrabuddhe's
24 understanding.

25 MR. STEVE SCARFONE: Yes, and that's

1 why I wanted to bring him through the mechanics of the
2 CMP just in case he hadn't --

3 MR. RAJESH SAHASRABUDDHE (by Teams):
4 Right.

5 MR. STEVE SCARFONE: -- had it clear.

6 MR. RAJESH SAHASRABUDDHE (by Teams):
7 So, yes. Our view was that the capital release occur
8 first, the 5 percent, and then the excess capital be
9 calculated after that, which should be in -- in
10 essence 5 percent, which is in essence would be
11 reduced by 5 percent of the -- of prospective
12 premiums.

13

14 CONTINUED BY MR. STEVE SCARFONE:

15 MR. STEVE SCARFONE: Okay. I see.
16 Okay. In fact, the -- the trans -- the -- the
17 discount, the 5 percent discount, sir, is -- is the
18 second step. It occurs after the transfer?

19 MR. RAJESH SAHASRABUDDHE (by Teams):
20 Yes, but before the rebate.

21 MR. STEVE SCARFONE: No. We're just
22 talking about now the 5 percent capital release in the
23 Capital Management Plan because there's no rebate
24 provision in the Capital Management Plan.

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Okay. Understood. I thought you meant the mechanics
2 of capital return, but -- so okay. Okay.

3 MR. STEVE SCARFONE: Yeah. And then
4 on that point, too, just before we move on from the
5 Capital Management Plan, Kristen, if you go to 6.2 of
6 the gentleman's report, and we see there that, at the
7 -- at the last sentence of that section, it says:

8 "We note that, in the last year,
9 MPIC has applied for special rebates
10 as exceptions to its CMP."

11 Do you see that, sir?

12 MR. RAJESH SAHASRABUDDHE (by Teams):

13 I do.

14 MR. STEVE SCARFONE: And were you
15 aware, sir, that, because -- as we've canvassed,
16 there's no rebate provision in the Capital Management
17 Plan, correct?

18 MR. RAJESH SAHASRABUDDHE (by Teams):

19 Yes, that's my understanding.

20 MR. STEVE SCARFONE: And the two (2)
21 prior rebates perhaps you weren't aware were -- were
22 done retrospectively, if I might?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 I'm not aware of that.

25 MR. STEVE SCARFONE: Okay, and meaning

1 that there were amendments to past Orders to allow for
2 the rebates to occur. Were you aware of that?

3 MR. RAJESH SAHASRABUDDHE (by Teams):
4 I'm -- I'm not aware of that, but again I'll -- I'll
5 certainly accept that.

6 MR. STEVE SCARFONE: Okay. Were you
7 aware that that is also the case for the proposed
8 rebate before the Board this year?

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Could you define the term 'retrospective' in -- in the
11 context of your question?

12 MR. STEVE SCARFONE: Yeah. So the
13 Orders, to the extent that they didn't provide for a
14 rebate to the customers, had to be amended. So we
15 brought applications before this Board to amend those
16 Orders to allow for the rebate to occur.

17 MR. RAJESH SAHASRABUDDHE (by Teams):
18 Okay. I -- I understand now. Okay. Yeah, so I would
19 agree, in that context, it would be considered retro -
20 - a retrospective change.

21 MR. STEVE SCARFONE: And that again, I
22 -- I would suggest to you, is a reflection of the
23 perspective ratemaking process versus the capital
24 component of the business, correct?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Yes, I would agree with that.

2 MR. STEVE SCARFONE: So I want to turn
3 now to the driver safety rating system that -- that
4 you address in your -- in your paper.

5 And -- and before I do that, I meant to
6 go through quickly with you the scope of your paper
7 because there's a number of issues that you discuss,
8 only some of which you have recommendations for the
9 Corporation and this Board, correct?

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 That's correct.

12 MR. STEVE SCARFONE: So, on the Driver
13 Safety Rating you do have some recommendations and --
14 and some discussion, as we'll get to, about the
15 subsidization between the various levels on the scale?

16 MR. RAJESH SAHASRABUDDHE (by Teams):
17 Yes, that's correct.

18 MR. STEVE SCARFONE: You have no
19 concerns with the manner by which the Corporation has
20 handled the COVID-19 pandemic?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 That's correct.

23 MR. STEVE SCARFONE: Similarly, no
24 concerns regarding case reserves for accident
25 benefits?

1 MR. RAJESH SAHASRABUDDHE (by Teams):
2 That -- that's sort of very generally stated, but in
3 sort of the specific aspect of the indexing of case
4 reserves, we did not have concerns, that's correct.

5 MR. STEVE SCARFONE: We do -- we did
6 hear yesterday, and it's at three four, that the
7 actuarial assumptions made by MPIC you take some issue
8 with?

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Yes, that's correct.

11 MR. STEVE SCARFONE: And that's with
12 respect to trends, which we'll get to, correct?

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 Yes.

15 MR. STEVE SCARFONE: And we've just
16 dealt with the Capital Management Plan. We have your
17 -- your recommendations there.

18 And as it concerns the IFRS 17 impact,
19 no concerns there with respect to how MPIC is adopting
20 that reporting standard?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 Yes, that's correct.

23

24 (BRIEF PAUSE)

25

1 MR. STEVE SCARFONE: So, on the Driver
2 Safety Rating system at page 5 of your report.

3

4 (BRIEF PAUSE)

5

6 MR. STEVE SCARFONE: I think you've --

7 MR. RAJESH SAHASRABUDDHE (by Teams):

8 Yes, I -- I see that.

9

10 MR. STEVE SCARFONE: You've got that
11 before you. Thank you. I think you've indicated that
12 MPIC's proposal does not, in -- in your view, fully
13 adopt the actuarial indicated discount levels?

14 MR. RAJESH SAHASRABUDDHE (by Teams):

15 Yes, it's my view. I think it's also stated in the --
16 in -- in the General Rate Application.

17 MR. STEVE SCARFONE: And that the
18 subsidization of the lower DSR levels by the higher
19 DSR levels will continue beyond the next rating year?

20 MR. RAJESH SAHASRABUDDHE (by Teams):

21 Yes.

22 MR. STEVE SCARFONE: And the other
23 criticism that I noted that the -- the effect of that,
24 I think you're saying, is that there would be a
25 lessening of the incentive for improved driving
behaviour?

1 MR. RAJESH SAHASRABUDDHE (by Teams):
2 The -- the comment is really that the -- that comment
3 about incentive is -- there's sort of two (2) aspects
4 to that. One (1) relates to the primary driver model
5 and the other relates -- so, it's not -- it's not
6 directly related to the adoption of the fully
7 actuarial indicated rates.

8 And then there is a second aspect on
9 incentives that gets to the potential --

10 MR. STEVE SCARFONE: The -- sorry, the
11 potential?

12 MR. RAJESH SAHASRABUDDHE (by Teams):
13 -- potential changes to driving behaviour by DSR
14 level. So, there's -- there's sort of two (2) aspects
15 of -- of that issue.

16 MR. STEVE SCARFONE: I understand.
17 Okay. Sir, I -- I'm going to bring you to figure 1 on
18 the subsidization issue at the DSR. Figure 1 of your
19 report at page 9, please, Kristen.

20

21 (BRIEF PAUSE)

22

23 MR. STEVE SCARFONE: You'll recall
24 going through these -- these panels yesterday, sir?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Yes.

2 MR. STEVE SCARFONE: And, as I
3 understand it, these particular numbers were taken
4 from a response to an undertaking at CAC 2-32?

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 I'll accept that being the number, but, yes, they were
7 taken from a response to an Information Request.

8 MR. STEVE SCARFONE: And, Kristen, if
9 you're able to pull up figure 1 from 2-32, please.
10 And are you able to put it beside the gentleman's
11 panels?

12

13 (BRIEF PAUSE)

14

15 MR. STEVE SCARFONE: It's fairly
16 small. But what we see here --

17 MR. RAJESH SAHASRABUDDHE (by Teams):
18 Yeah.

19 MR. STEVE SCARFONE: -- is, if we
20 start in the panel on the upper left --

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 Yes.

23 MR. STEVE SCARFONE: -- you're
24 indicating there, sir, the indicated and the proposed,
25 correct?

1 MR. RAJESH SAHASRABUDDHE (by Teams):

2 Yes.

3 MR. STEVE SCARFONE: And you'll see --

4 MR. RAJESH SAHASRABUDDHE (by Teams):

5 Yes, indicated and proposed; that's correct.

6 MR. STEVE SCARFONE: Right. And
7 you'll see from figure 1 that MPIC has an indicated
8 and a proposed, but also a current, correct?

9 MR. RAJESH SAHASRABUDDHE (by Teams):

10 Yes.

11 MR. STEVE SCARFONE: And -- and that
12 current isn't reflected on your panel. Is that -- is
13 that fair?

14 MR. RAJESH SAHASRABUDDHE (by Teams):

15 That's -- that's fair, yes.

16 MR. STEVE SCARFONE: And so, if we use
17 DSR level 15 -- and you'll see that on the top left-
18 hand panel?

19 MR. RAJESH SAHASRABUDDHE (by Teams):

20 Yes.

21 MR. STEVE SCARFONE: And we have an
22 arrow that's going up?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Correct.

25 MR. STEVE SCARFONE: And the

1 indicated, as we see, is seven hundred and seventy
2 dollars (\$770), right?

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 Yes, that's correct.

5 MR. STEVE SCARFONE: And it's going up
6 to your proposed of nine hundred and six (906),
7 correct?

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 Yes, that's correct.

10 MR. STEVE SCARFONE: The current that
11 isn't reflected would fall above that at nine sixty-
12 three (963)?

13 MR. RAJESH SAHASRABUDDHE (by Teams):

14 Yes.

15 MR. STEVE SCARFONE: And so, by
16 factoring into the current, that's a reflection of
17 what MPIC's proposal, if I can, has. It's moving us
18 towards actuarial targets.

19 Is that your understanding?

20 MR. RAJESH SAHASRABUDDHE (by Teams):

21 Yes, it is.

22 MR. STEVE SCARFONE: And similarly,
23 sir, on the bottom right-hand panel we see the average
24 subsidy there for the DSR drivers, correct?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Yes.

2 MR. STEVE SCARFONE: And the big
3 square and the little square -- the little square, or
4 the little rectangle, is DSR levels 10 to 15?

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 The -- yes, the average -- average value across those
7 DSR levels; that's correct.

8 MR. STEVE SCARFONE: And, yeah, 10 to
9 15 specifically, correct?

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 Let me just confirm that. Yes, that's correct.

12 MR. STEVE SCARFONE: And we see there
13 that you have the average dollar difference indicated
14 for -- again, for proposed versus indicated?

15 MR. RAJESH SAHASRABUDDHE (by Teams):
16 Yes, that's correct.

17 MR. STEVE SCARFONE: And that amounts
18 to an average of ninety-six dollars (\$96), correct?

19 MR. RAJESH SAHASRABUDDHE (by Teams):
20 I haven't -- it looks to be about ninety-six dollars
21 (\$96). I -- I don't have the underlined calculation
22 in front of me, but -- but I would agree that that
23 seems reasonable.

24 MR. STEVE SCARFONE: And if we look to
25 the -- the figure that's beside it, as I understand

1 it, you arrived at that ninety-six dollars (\$96) by
2 weighting the various levels of the DSR.

3 So, what I mean by that is you would
4 have taken the units at three hundred and thirty
5 thousand (330,000)?

6 MR. RAJESH SAHASRABUDDHE (by Teams):
7 Yes, that's correct.

8 MR. STEVE SCARFONE: And you would
9 have multiplied that by the indicated versus current,
10 which is one ninety-three (193)?

11 MR. RAJESH SAHASRABUDDHE (by Teams):
12 No, indicated versus proposed. That would be the
13 subsidization, so the one thirty-six (136)
14 approximately.

15 MR. STEVE SCARFONE: Oh, yes.
16 Apologies --

17 MR. RAJESH SAHASRABUDDHE (by Teams):
18 Yeah.

19 MR. STEVE SCARFONE: -- yeah. So --

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 Yeah.

22 MR. STEVE SCARFONE: -- what -- again,
23 what's missing from your graph is the indicated versus
24 current, correct?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Right. This is not a -- our -- our charts do not --
2 we don't address the issue of where the current
3 discount is at. So, the -- the current is not just in
4 our report.

5 MR. STEVE SCARFONE: It's not in your
6 report. So, to calculate that ninety-six dollars
7 (\$96), you would have multiplied the number of units
8 by the one thirty-six (136), proposed versus
9 indicated?

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 Right. And so, it would be the weighted average
12 extending that calculation for 10 through 15, and then
13 dividing by the total units, yes.

14 MR. STEVE SCARFONE: Yes. So, you sum
15 up the -- the two (2) numbers and divide, and that
16 gets you your ninety-six dollars (\$96)?

17 MR. RAJESH SAHASRABUDDHE (by Teams):
18 Yes, that was -- that was the -- the way we approached
19 that calculation.

20 MR. STEVE SCARFONE: And if you were
21 to do the same things, sir, but this time, include the
22 current, and you would make that same calculation
23 weighting the units, but you would use the indicated
24 versus current column there, correct?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Yes. Yes, we could. Well, no, only in the sense that
2 -- I think that's difficult because the indicated is
3 for a future period, the current is for the current
4 period.

5 So, I don't know that -- that those
6 would be directly comparable as subsidies or in -- in
7 either direction, but I would have to think about that
8 a little bit more.

9 MR. STEVE SCARFONE: Okay. Would you
10 have any reason to dispute if that same calculation
11 was done that led you to your ninety-six dollar (\$96)
12 subsidization figure for -- for the current versus
13 indicated, you would have a hundred-and-forty-four
14 dollar (\$144) subsidization, factoring in the current?

15 MR. RAJESH SAHASRABUDDHE (by Teams):
16 I have no reason to dispute that. I can see the
17 differences are larger and it would be, you know --
18 and I can see the magnitude on DSR-15, which is the --
19 the principal class. So, again, while I haven't done
20 the calculation, I'll -- I'll certainly accept that.

21 MR. STEVE SCARFONE: And so, having
22 accepted that hundred-and-forty-four dollar (\$144)
23 subsidization using current numbers, you'll agree that
24 moving down to ninety-six dollars (\$96) is an
25 improvement?

1 MR. RAJESH SAHASRABUDDHE (by Teams):

2 Yes.

3 MR. STEVE SCARFONE: And that
4 improvement that the Corporation is proposing is not
5 reflected in your report?

6 MR. RAJESH SAHASRABUDDHE (by Teams):
7 Correct. We only comment on the proposed versus the
8 indicated, not the proposed versus the prior.

9 MR. STEVE SCARFONE: So I would
10 suggest to you, sir, that the panels there before the
11 -- the Board don't tell the full picture. Because
12 MPIC's proposal is showing a movement toward the
13 actuarial indicated rates that's not reflected in your
14 panels.

15 MR. RAJESH SAHASRABUDDHE (by Teams):
16 It's not in the panels. I believe it's in the
17 discussion that we have that -- that -- that points
18 out that, you know, we recognize that the -- the rate
19 redundancy is being allocated to DSR-15 in order to
20 move in that direction.

21 But you're correct, the purpose of
22 these panels is not to show current versus prior.
23 It's to -- it's to show the subsidization that would
24 occur under the proposed program, which, in our view,
25 as we talked about, the -- our primary role is to

1 advise the PUB on the current filing. And where the
2 current filing sits relative to actuarial indications,
3 not where the current filing sits relative to the
4 prior filing.

5 MR. STEVE SCARFONE: But you'll be
6 aware, certainly, sir, that MPI's proposal is -- is to
7 have some of the rate indication applied to the upper
8 levels of the DSR to move the drivers towards more
9 actuarial sound rates.

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 Yes.

12 MR. STEVE SCARFONE: And the other
13 part of that, as I understand it, when evaluating the
14 Driver Safety Rating system, is -- is you've indicated
15 that there's a lessening, in your words, of the
16 incentive that is one (1) of the goals of the program.

17 MR. RAJESH SAHASRABUDDHE (by Teams):
18 Yes. So the idea there being that if -- if the -- the
19 full effect of the actuarial indications -- be they a
20 benefit or a surcharge -- if that was, sort of, fully
21 reflected, then the -- the better drivers would get
22 more of a benefit and it would increase their
23 incentive for continuing to drive well. And the
24 poorer drivers would get more of a penalty and it
25 would, ideally, improve their incentive to drive

1 better.

2 MR. STEVE SCARFONE: And we've seen,
3 in that figure that's before you, figure 1, that the
4 large majority of the units -- that is the registered
5 vehicles -- are at DSR level 15, correct?

6 MR. RAJESH SAHASRABUDDHE (by Teams):
7 Yes, that's correct.

8 MR. STEVE SCARFONE: And, Kristen, if
9 you could pull up CAC-160, please.

10

11 (BRIEF PAUSE)

12

13 MR. STEVE SCARFONE: And figure --
14 revenue -- right there. Thank you. Oh, sorry, in the
15 response, figure 1.

16 And similar to the number of registered
17 vehicles at DSR level 15, we also see there that the
18 large majority of drivers -- 34 percent, in fact, in
19 2021 -- are at DSR level 15, correct?

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 Yes. I see that on this chart.

22 MR. STEVE SCARFONE: And so, to the
23 extent that we have a number of registered owners and
24 drivers -- over approximately one-third -- at least as
25 it concerns those customers, there's no further

1 incentive available to them at this time, correct?

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 No further financial incentive, is that what you're
4 asking?

5 MR. STEVE SCARFONE: Yes. No -- no
6 further discounts available to them, having attained
7 the highest level on the DSR scale.

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 Yes, that's -- that's my understanding.

10 MR. STEVE SCARFONE: And so, unless
11 there was another level to jump up to, there's no
12 incentive to those customers -- no lessening of
13 incentive as -- as stated in your report.

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 So they -- to the extent that they received the full
16 amount of discount, they would be incented to continue
17 their good driving behaviour, understanding that if
18 they -- they didn't, they would have more to lose is
19 maybe the way -- maybe the way that I would describe
20 the incentive.

21 MR. STEVE SCARFONE: But moving up,
22 there's no incentive. Do you agree with that?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Yes, I would agree with that.

25 MR. STEVE SCARFONE: Unless, of

1 course, another DSR level was made available to them.

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 Yes.

4 MR. STEVE SCARFONE: And you're aware
5 that that forms part of MPIC's proposal as well,
6 correct? To add a different level?

7 MR. RAJESH SAHASRABUDDHE (by Teams):

8 Yes.

9 MR. STEVE SCARFONE: And, in fact, to
10 add five (5) levels over the next five (5) years.

11 MR. RAJESH SAHASRABUDDHE (by Teams):

12 Yes, I'm aware of that.

13

14 (BRIEF PAUSE)

15

16 MR. STEVE SCARFONE: Just go back to
17 the gentleman's paper, please, Kristen. At section
18 4.4.

19

20 (BRIEF PAUSE)

21

22 MR. STEVE SCARFONE: We'll see here
23 your conclusion as it concerns the Driver Safety
24 Rating system. In the last paragraph, it reads:

25

"Given the stated goals of the

1 program and the fairness issues with
2 the subsidization, we recommend that
3 this Board adopt actuarially
4 indicated DSR credits."

5 Do you see that, sir?

6 MR. RAJESH SAHASRABUDDHE (by Teams):

7 That's part of the sentence. I don't think you can --
8 I do see that part, yes.

9 MR. STEVE SCARFONE: I'm breaking --
10 I'm breaking it up on purpose, so it's not too much
11 for you to digest.

12 But, yes, of course, it goes on.

13 MR. RAJESH SAHASRABUDDHE (by Teams):

14 Yeah.

15 MR. STEVE SCARFONE:

16 "Due consideration to the
17 acceptability of year-over-year rate
18 changes and the use of capping to
19 address acceptability."

20 MR. RAJESH SAHASRABUDDHE (by Teams):

21 Right. Again, I didn't want it broken up because it's
22 not an independent recommendation. It's a -- it's a -
23 - you have to take the recommendation as -- in total.

24 MR. STEVE SCARFONE: Yes, but as we
25 saw at the introduction to this Driver Safety Rating

1 commentary, you indicate there that by not fully
2 crediting policyholders with better experience,
3 there's a lessening.

4 So my understanding of that is that one
5 option, at least, would be to adopt immediately all of
6 the actuarial accepted -- or indicated rates.

7 Is that not what you're suggesting?

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 So, I guess, as we talked about in terms of our -- the
10 scope of our review and our -- our role here, it's to
11 comment on areas within our -- our area of expertise,
12 which is actuarial indications.

13 There are certainly other
14 considerations in developing and improving rates. And
15 so, from an actuarial perspective, your -- your
16 statement is correct. But we recognize that there's
17 other considerations as well.

18 MR. STEVE SCARFONE: Yes. And,
19 indeed, we've -- we've canvassed this at the outset
20 that one (1) of the factors that the -- this Board has
21 to take into consideration is the impact to customers,
22 correct?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Yes, I would assume so. I'm not familiar with -- with
25 all of the regulations and bylaws governing the Board,

1 but I would assume that that's the case.

2 MR. STEVE SCARFONE: Well, indeed,
3 that -- that's what you put in your paper, that -- and
4 we went through --

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 Yes.

7 MR. STEVE SCARFONE: Right? The PUB
8 considers both the impact to customers and the
9 financial requirements of the Utility.

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 Yes.

12 MR. STEVE SCARFONE: And so, there,
13 while adopting the full actuarially indicated DSR
14 credits, you do have to have consideration to the
15 customer, correct?

16 MR. RAJESH SAHASRABUDDHE (by Teams):
17 Yes, I would agree with you with that.

18 MR. STEVE SCARFONE: And, as you say
19 there, to the capping rules that may be in place?

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 Yes, that should be a consideration as to the adoption
22 of the full -- again, taken in total, adopt the
23 actuarially indicated DSR credits, but with these two
24 (2) -- but also consider these two (2) aspects of the
25 overall premium that ratepayers will have to pay.

1 MR. STEVE SCARFONE: Yes. And the
2 year-over-year rate changes.

3 MR. RAJESH SAHASRABUDDHE (by Teams):
4 Yes.

5 MR. STEVE SCARFONE: And so, I think
6 you'd agree with me, sir, that that is, in fact, what
7 MPI's proposal does. It -- it adopts the DSR
8 actuarially indicated credits, but with due
9 consideration to the year-over-year changes and the
10 use of the capping that's in place.

11 Do you have any reason to disagree with
12 that?

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 No, I don't. I think that's MPI's view of
15 acceptability as opposed to the PUB's view of
16 acceptability. But I -- I don't disagree with that.

17

18 (BRIEF PAUSE)

19

20 MR. STEVE SCARFONE: Sir, you've
21 indicated that you've done a lot of work in -- in
22 various jurisdictions, including Saskatchewan?

23 MR. RAJESH SAHASRABUDDHE (by Teams):
24 No, so -- so Saskatchewan hasn't had a filing in
25 several years. I believe it's six (6) or seven (7)

1 years. This is the first year since I've come on to
2 this part of our practice that we -- that Saskatchewan
3 has made a filing.

4 And because it was coincident with the
5 Manitoba filing, we had to split up the work between
6 Ms. Elliott and myself. And while we both were sort
7 of involved, and helping each other, and have a, you
8 know, a general sense of what's going on in both
9 filings, Ms. Elliot was the lead on the Saskatchewan
10 filing.

11 MR. STEVE SCARFONE: I see. May --
12 perhaps this will help you with -- Kristen, if you
13 could pull up benchmark 2, please.

14

15 (BRIEF PAUSE)

16

17 MR. STEVE SCARFONE: And there's a
18 graph before you, sir. I'll -- I'll have you digest
19 it, but it sets out the -- the rates of customers and
20 what they pay in various jurisdictions.

21 Do you see that?

22 MR. RAJESH SAHASRABUDDHE (by Teams):
23 I -- yes, I do see that.

24 MR. STEVE SCARFONE: And you'll see
25 there that at the bottom of that graph is Brandon in

1 Winnipeg and right beside it is Regina in our Province
2 to the west.

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 I do see that, yes.

5 MR. STEVE SCARFONE: And you'll be
6 aware, sir, that Manitoba currently uses a registered
7 owner model?

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 I am aware of that, yes.

10 MR. STEVE SCARFONE: And are you also
11 aware that Saskatchewan is the only other province to
12 use the registered owner model?

13 MR. RAJESH SAHASRABUDDHE (by Teams):

14 I'm not specifically aware of that, but I'll -- I'll
15 certainly accept that.

16 MR. STEVE SCARFONE: Okay. And then,
17 Kristen, to benchmarking 4, please. And there it is
18 depicted in another way, sir.

19 You'll see that Manitoba and
20 Saskatchewan are the two (2) lowest lines on that
21 graph in terms of premiums?

22 MR. RAJESH SAHASRABUDDHE (by Teams):

23 Yes, I'll accept that. At the very end I can't quite
24 tell if British Columbia is -- on the very right side
25 whether British Columbia is sort of slightly below or

1 slightly below Saskatchewan.

2 But -- but I'll accept that in general
3 it's Manitoba the lowest, and, you know, Saskatchewan
4 and British Columbia being relatively close and tied
5 for second.

6 MR. STEVE SCARFONE: And -- and does
7 that -- does that graph accord with your understanding
8 based on your experience in the industry, that
9 Saskatchewan and Manitoba offer the lowest rates
10 across the country?

11 MR. RAJESH SAHASRABUDDHE (by Teams):
12 I have not looked at that issue. It -- it wouldn't
13 surprise me just, again, knowing some of the -- the
14 demographic and some of the other issues in --
15 throughout the country, but it wouldn't surprise me.

16 MR. STEVE SCARFONE: And in your
17 experience, sir, do you have any insight into the
18 correlation between Saskatchewan and Manitoba, and
19 those two (2) jurisdictions using the registered owner
20 model?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 No, I do not have any specific knowledge of that.
23 Specific knowledge of the correlation. Sorry, to --
24 to be clear of -- of the correlation in the -- both --
25 both provinces using the registered owner model and

1 the result in the rate.

2

3

(BRIEF PAUSE)

4

5

MR. STEVE SCARFONE: At page 8 of your
6 report. Still dealing with the Driver Safety Rating
7 system at page 8, under 4.2, under the conclusion. It
8 indicates there, sir, that:

9

"A primary driver model would better
10 support the goals of the DSR program
11 and the collection of information
12 does not appear to be too onerous."

13

Do you see that?

14

MR. RAJESH SAHASRABUDDHE (by Teams):

15 Yes.

16

MR. STEVE SCARFONE: And I did make a
17 note of this in fairness to you, that you naively said
18 yesterday that that data is not too difficult to
19 collect?

20

MR. RAJESH SAHASRABUDDHE (by Teams):
21 Yes, that's a naive opinion. I -- I would agree with
22 that. We would -- that would be our naive view of
23 that -- or my naive view of that.

24

MR. STEVE SCARFONE: And -- and you
25 weren't privy to much of the discussion in this

1 hearing about the difficulties that switching models
2 might present to the Corporation?

3 MR. RAJESH SAHASRABUDDHE (by Teams):
4 I -- I did not -- I am not privy to that discussion.
5 That's correct.

6 MR. STEVE SCARFONE: But you'd agree
7 that that data collection, that is declaring the
8 primary driver model on an insurance policy, is
9 something that would be an extra step for the customer
10 that's not currently done on the -- under the existing
11 model?

12 MR. RAJESH SAHASRABUDDHE (by Teams):
13 Yes, it would be an extra step. I -- I would agree
14 with that.

15 MR. STEVE SCARFONE: And that
16 incremental step would also be expected at the broker
17 level for those customers that deal with the brokers?

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 Yes, I would assume that's the case.

20 MR. STEVE SCARFONE: And then just
21 generally, sir, I know this isn't in your area of
22 exper -- expertise, but there might be concerns over
23 the gathering of that information, privacy concerns,
24 what the data is used for, et cetera, correct?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 I'll -- I'll accept that as being a concern from the -
2 - by the customer.

3 MR. STEVE SCARFONE: And in the
4 adoption of a new model for Manitobans, you would
5 agree with me that there would also be needed a
6 communication and an education campaign?

7 MR. RAJESH SAHASRABUDDHE (by Teams):
8 Yes, I would agree with that.

9 MR. STEVE SCARFONE: And there would
10 be system changes required for collecting the primary
11 driver information?

12 MR. RAJESH SAHASRABUDDHE (by Teams):
13 Yes, to -- to capture that information would
14 presumably require a systems change. I would agree
15 with that.

16 MR. STEVE SCARFONE: And additional
17 resources would be required in terms of both time and
18 money?

19 MR. RAJESH SAHASRABUDDHE (by Teams):
20 Yes, I would -- I would agree that there would be
21 additional resources. I can't comment on if they were
22 significant or not, but yes, I would agree with that.

23 And then lastly, again, appreciating
24 your comments in this regard, because it's not in your
25 exper -- expertise, but any such declaration might

1 trigger some coverage issues concerning who was
2 driving the vehicle at the time?

3 MR. RAJESH SAHASRABUDDHE (by Teams):
4 Yes, there could be a dispute as to whether the
5 policyholder reported truthfully and that could create
6 a coverage issue. Is that what your implying?

7 MR. STEVE SCARFONE: Yes.

8 MR. RAJESH SAHASRABUDDHE (by Teams):
9 I -- I would accept that that's a -- that's a
10 potential issue, yes.

11

12 (BRIEF PAUSE)

13

14 MR. STEVE SCARFONE: Now, I want to
15 move on, if I can, sir, to the actuarial commentary in
16 your paper at page 12, and the loss trends that you
17 made reference to yesterday.

18

19 (BRIEF PAUSE)

20

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 Yes, I see that.

23 MR. STEVE SCARFONE: At -- it's 13.
24 Statistical significance. The second paragraph there
25 it reads:

1 "The P value indicates the
2 probability that the coefficient
3 would have occurred by chance if the
4 true value of the coefficient was
5 zero."

6 MR. RAJESH SAHASRABUDDHE (by Teams):

7 Yes.

8 MR. STEVE SCARFONE: I just wanted to
9 read that. I have no idea what it means.

10 But, I do want to go back to page 12,
11 because this is what I do understand, sir, is that
12 MPIC selected different growth rates than the Oliver
13 Wyman projections, correct?

14 MR. RAJESH SAHASRABUDDHE (by Teams):

15 Yes. Again, as I've mentioned in -- in the my -- in
16 the presentation I gave yesterday, that these trend
17 rates -- unfortunately, we used the trend rates that
18 were in the ratemaking section and that's the
19 comparison here.

20 MR. STEVE SCARFONE: Yeah.

21 MR. RAJESH SAHASRABUDDHE (by Teams):

22 The actual trend rates that underlie the development
23 of the premium or in the claims incurred section,
24 they're generally similar, but they're not exactly the
25 same.

1 And as -- as we show here for -- for
2 MPI and -- and yes, on -- looking at the same body of
3 evidence, we would arrive at the trend rates that are
4 in the last two (2) columns, perhaps the comparative
5 to the MPI side would be slightly different if --
6 would be slightly different and we would -- we would
7 show the -- the trend rates from the claims incurred
8 section.

9 MR. STEVE SCARFONE: Right. And my --
10 my question really is just to get a basic
11 understanding of it.

12 So, where you indicate there under
13 future pure premium trend, if it's zero, I take that
14 to mean that there's no discernable trend?

15 MR. RAJESH SAHASRABUDDHE (by Teams):
16 That's correct.

17 MR. STEVE SCARFONE: And a zero pure
18 premium would, essentially, mean no revenue
19 requirement.

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 No, no additional revenue requirement. Perhaps you
22 could say it that way. It doesn't mean --

23 MR. STEVE SCARFONE: Yes.

24 MR. RAJESH SAHASRABUDDHE (by Teams):
25 -- yeah, it doesn't mean that the rate is zero. It

1 just means that the rate of loss per vehicle in
2 aggregate is not growing.

3 MR. STEVE SCARFONE: Yes, yes. Sorry.
4 Of course.

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 Yeah.

7 MR. STEVE SCARFONE: No additional rev
8 -- revenue requirement, correct?

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Per vehicle, yes.

11 MR. STEVE SCARFONE: Yes, because as
12 you indicate there, that the pure premium trends are a
13 critical assumption in determining rates.

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 Yes.

16 MR. STEVE SCARFONE: And so I take
17 that to mean that a positive pure premium would, in
18 fact, mean additional revenue requirement?

19 MR. RAJESH SAHASRABUDDHE (by Teams):
20 Yes, that's correct.

21 MR. STEVE SCARFONE: Okay. So that --
22 with that basic understanding, zeros are good for the
23 customer, anything above that, they're paying extra
24 premium?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Yes. I guess if you characterize 'good' as -- as
2 temporarily paying less premium, yes, that -- that
3 would be correct.

4 MR. STEVE SCARFONE: And so the
5 Corporation did some number crunching with the future
6 pure premium trends that -- that you've indicated
7 there in your report. Are you aware of that?

8 MR. RAJESH SAHASRABUDDHE (by Teams):
9 Yes. Future and future only is my understanding, yes.

10 MR. STEVE SCARFONE: And as I
11 understand it, sir, the -- the future pure premium
12 trend used, essentially, just one (1) trend for each
13 of the coverages there we see.

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 Yes. In -- with the data that we analyzed, that's
16 correct, yes.

17 MR. STEVE SCARFONE: Right. So for
18 comprehensive, for example, the future pure -- pure
19 premium trend is zero, and that -- that trend was used
20 for all of comprehensive, correct?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 That's correct, yes.

23 MR. STEVE SCARFONE: And not unlike in
24 other jurisdictions, comprehensive coverage would
25 include hail?

1 MR. RAJESH SAHASRABUDDHE (by Teams):

2 Yes.

3 MR. STEVE SCARFONE: And it would

4 include theft?

5 MR. RAJESH SAHASRABUDDHE (by Teams):

6 Yes.

7 MR. STEVE SCARFONE: And it would

8 include vandalism?

9 MR. RAJESH SAHASRABUDDHE (by Teams):

10 Yes.

11 MR. STEVE SCARFONE: And it would

12 include glass?

13 MR. RAJESH SAHASRABUDDHE (by Teams):

14 Yes.

15 MR. STEVE SCARFONE: And you'd agree

16 with me, sir, that each of these different sub-

17 coverages, if I can, differ in both frequency and

18 severity?

19 MR. RAJESH SAHASRABUDDHE (by Teams):

20 Yes. We use the term 'peril', but -- but that's fine,

21 yes.

22 MR. STEVE SCARFONE: Right. So each

23 of those perils would differ in frequency and

24 severity?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Yes. They -- they would -- yeah. Certainly they
2 would potentially differ. It's possible, when you
3 looked at the data, there were certain -- certain
4 perils that exhibited sort of the same -- remember on
5 the severity side, it's potentially that the -- that
6 the values are about the same. The trend rates are
7 about the same. Frequency side, certainly, yes, you'd
8 expect some differences in -- in the -- in the trend
9 rates.

10 MR. STEVE SCARFONE: And for each of
11 those perils, as you described them, there could be
12 underlying trends within each?

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 Yes.

15 MR. STEVE SCARFONE: Which wouldn't be
16 reflected in the one (1) trend that's identified there
17 under the future pure premium?

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 So they wouldn't be separately reflected, but they are
20 reflected in the aggregate. All those pieces just
21 combine up into the total, so we're just analyzing the
22 total as opposed to analyzing the pieces. But they're
23 just -- it's just a -- it should -- it should balance
24 out.

25 MR. STEVE SCARFONE: Yes, but to the

1 extent that you're dealing with the totality, then
2 there wouldn't be different weights assigned to any
3 variances in the trend, correct?

4 MR. RAJESH SAHASRABUDDHE (by Teams):

5 Well, no. There are weights because there's weights
6 in the underlying experience. So the underlying data
7 has a mix of all of those perils, and it enters into
8 the data at those respective weights.

9 So -- so they are -- you know, the --
10 the -- it's essentially a database weight, so it's
11 whatever weight is in the data. You're correct in
12 that we might not be able to capture changes in
13 weights, but -- but it is weighted in -- because the
14 underlying data is essentially a weighted average of -
15 - of all the perils.

16 MR. STEVE SCARFONE: Okay. And so to
17 the extent that the -- the one (1) trend that you've
18 used doesn't address those underlying trends for each
19 of the sub-coverages, I would suggest to you, sir,
20 that that future pure premium trend is -- is somewhat
21 simplistic compared to the -- the other analysis. And
22 that -- when I say, "other analysis," that --

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 No, I under -- no, I understand what you mean, the bi-
25 peril analysis. It is a simpler way to -- to look at

1 it.

2 I wouldn't -- I -- I wouldn't suggest
3 that -- it's a simpler way -- there's no inherent
4 reason to -- to have the view that you're necessarily
5 going to get a statistically significantly different
6 result unless for some reason -- and this has happened
7 in other provinces, so I -- I acknowledge this --
8 that, for example, if theft claims were -- were
9 growing at -- at a much different degree than other
10 claims and they had a different cost level than --
11 than the average mix.

12 So -- but that would also, again, come
13 out in the data because the -- the grow -- the theft -
14 - theft claims would be in the data as well.

15 MR. STEVE SCARFONE: And so if there
16 were some underlying trends, and if for example theft
17 claims were growing or -- or vandalism here in
18 Winnipeg was increasing, that wouldn't be directly
19 reflected in your future pure premium trend, correct?

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 No, but we are providing a pure premium trend for the
22 coverage as a whole. We're not providing trends by
23 peril.

24 MR. STEVE SCARFONE: Yes. Thank you.
25 And similarly, sir, for property damage -- you'll see

1 it there -- you have a zero future pure premium trend,
2 correct?

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 That's correct.

5 MR. STEVE SCARFONE: So you would
6 project no additional revenue requirement for property
7 damage. Is that how I understand that?

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 Yes, and to be clear, just for the PUB's benefit,
10 these are a combination of frequency and severity.
11 And -- and really the -- the primary driver --
12 shouldn't use that term, 'primary driver' -- but the -
13 - the main reason that -- that trends are somewhat
14 flatter is because cars are becoming safer and
15 frequency is going down.

16 So it's not meant to imply that -- that
17 there's no growth in average costs, but that, taken
18 together, frequency and severity get to zero percent.

19 MR. STEVE SCARFONE: Yes. And again,
20 not unlike comprehensive, the property damage
21 coverage, you can have differences in both frequency
22 and severity, as I think you've just acknowledged.

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Yes. I acknowledged that you -- you would have
25 underlying components. Essentially, this is the

1 combination of frequency and severity, so -- so you
2 could get to zero in a variety of ways. You could be,
3 you know, plus six (6) for severity, minus six (6) for
4 frequency. You still get to zero.

5 So -- but this is a combination of --
6 of both factors, and again we believe that it's a
7 reasonable way to provide a high-level assessment as
8 to the reasonableness of the -- of -- of the MPI
9 trends, that, if you look at the total, it should --
10 it should reasonably well align with -- with where the
11 components would add up to be.

12 MR. STEVE SCARFONE: And then so for
13 collision -- and it's there before -- you use a rather
14 small trend of .62 percent, correct?

15 MR. RAJESH SAHASRABUDDHE (by Teams):
16 That's correct.

17 MR. STEVE SCARFONE: Compared to
18 MPIC's forecast of 3.75 percent?

19 MR. RAJESH SAHASRABUDDHE (by Teams):
20 Yes, that's correct.

21 MR. STEVE SCARFONE: And with
22 collision, you'll agree with me, sir, that that
23 particular peril would be -- would consider both
24 repairs to a vehicle, but also, of course, the actual
25 cash value of a vehicle if it's written off, correct?

1 MR. RAJESH SAHASRABUDDHE (by Teams):

2 Yes, that's correct.

3 MR. STEVE SCARFONE: And that changes
4 in the growth of repair claims are different than the
5 changes for total loss claims.

6 Would you agree with that?

7 MR. RAJESH SAHASRABUDDHE (by Teams):

8 I haven't -- I haven't looked at that issue, but I'll
9 accept that it certainly could be true.

10 MR. STEVE SCARFONE: And so your
11 future pure premium trend doesn't account for the
12 differences between a repair to a vehicle and its
13 replacement, correct?

14 MR. RAJESH SAHASRABUDDHE (by Teams):

15 No, I think it does because, again, it's based on data
16 that includes both perils. So we -- we project using
17 the total and -- and again, it should balance to the
18 sum of the components. And -- and if -- if it doesn't
19 for some reason, then -- then there should be an
20 understanding as to why.

21 MR. STEVE SCARFONE: Right, and I
22 think you answered my question there. So that .62
23 percent reflects the -- the total of those two (2)
24 factors?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Yes, that's correct.

2 MR. STEVE SCARFONE: And to the extent
3 that there is an underlying trend for one that's
4 different than the other, your future pure premium
5 trend wouldn't reflect that?

6 MR. RAJESH SAHASRABUDDHE (by Teams):
7 Now, again, it still would because both -- both pieces
8 of the -- both components, both perils are in our
9 data, so that would be coming through in the
10 underlying data that we're analyzing. It's just a
11 matter of how it's separated and -- and analyzed and
12 under the way the -- under the way that MPI looks at
13 it.

14 MR. STEVE SCARFONE: Okay. So, do I
15 take that to mean, sir, that -- that your advice here
16 is that there's no need to look at underlying trends
17 for each of the sub-coverages under those coverages?

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 No, I did not imply that. I think that was in my
20 direct presentation yesterday, that we think it's
21 reasonable to look at the underlying -- at the -- look
22 at the underlying perils, but that, ultimately, then
23 they should be reconciled to what the -- what the
24 total -- what the -- what the sum of the data, the
25 aggregate data, indicates.

1 MR. STEVE SCARFONE: Yes. So, your
2 preference is the sum of the data rather than looking
3 at it broken down into each sub-coverage and those --

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 Yeah, no, I don't think that would be my -- again, we
6 -- we stated we're -- we're indifferent on that. We -
7 - we think that you should do -- that, if you look at
8 the pieces, you should then reconcile to the total.

9 MR. STEVE SCARFONE: On the collision
10 front yesterday you, in your slide presentation, I
11 think it was -- if you have that available, Kristen.
12 That's slide 11.

13

14 (BRIEF PAUSE)

15

16 MR. STEVE SCARFONE: No, that's not
17 the slide. It's the -- the slide, sir, where you
18 looked at -- remember where you showed the lines were
19 flattening --

20 MR. RAJESH SAHASRABUDDHE (by Teams):
21 Yes.

22 MR. STEVE SCARFONE: -- for the
23 trending?

24 MR. RAJESH SAHASRABUDDHE (by Teams):
25 Yes. I'll -- I have it here. I can give you the

1 slide number. Seventeen. I'm sorry, 18 or 19.

2 MR. STEVE SCARFONE: Nineteen. Thank
3 you.

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 Yeah.

6 MR. STEVE SCARFONE: I've got it.
7 And, Kristen, I didn't give you this one in advance,
8 but I'm wondering if you could pull up MPI Exhibit
9 number 62, which is a presentation on claims, and it
10 would be slide 6.

11 So, there, sir, while we're...

12

13 (BRIEF PAUSE)

14

15 MR. STEVE SCARFONE: Okay. So, if you
16 could put them beside each other, please.

17

18 (BRIEF PAUSE)

19

20 MR. STEVE SCARFONE: So, when looking
21 at your trends on the left there, sir, and MPIC's data
22 for Basic losses.

23

24 (BRIEF PAUSE)

25

1 MR. STEVE SCARFONE: And then if you
2 can move Raj's over a bit so we can see the -- the
3 axis on the left. Thank you.

4 So, I just want to understand. There's
5 a lot happening in -- in yours, sir. Those data
6 points that we see on the circles, those are -- those
7 are the points that you used to come up with the --
8 the lines. Is that correct?

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Yes, it is, but there's an important distinction
11 between the two (2). So, a couple things. One, the
12 slide that you show for -- for me is -- is the pure
13 premium slide as opposed to the total loss slide.

14 So, I think the same message is true,
15 so -- but it's one (1) slide up if you'd like to go
16 back to slide 18 --

17 MR. STEVE SCARFONE: Sure.

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 -- on my side. I -- I don't mind if you keep it on
20 this slide because the message --

21 MR. STEVE SCARFONE: No.

22 MR. RAJESH SAHASRABUDDHE (by Teams):
23 -- is essentially the same.

24 MR. STEVE SCARFONE: If it's the same.

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 Yeah. The -- the other issue is that we use a log
2 scale. And we think that's important in terms of how
3 you look at the data. And the reason for that is
4 that, if you look at the percentage differences -- so,
5 when you're talking about -- so, just -- just consider
6 the left side of this chart, where the values are four
7 fiftyish and going up to, you know, let's say the high
8 five hundreds (500s).

9 MR. STEVE SCARFONE: Yeah.

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 So, what -- so, what's happening there, that movement
12 is 25 percent, right, whereas once you get to the
13 right side of the chart, when the -- the values are
14 closer to seven hundred (700), and then 25 percent
15 there becomes -- it would have to go up to eight
16 seventy-five (875).

17 So, on a log scale, the percentage
18 movements are -- are consistent in width. On a -- on
19 a non-transform scale, for -- for lack of better
20 words, the percentage movements are not constant. The
21 higher -- the percentage movements on the left side
22 are larger than the percentage movements on the right
23 side.

24 So -- so, there's -- there's that
25 little bit of nuance. That's why you see more of a --

1 of -- of the growth on the left side of our chart,
2 because the percentage movements are -- are bigger.

3 And then, on the right side, again, I
4 think the message is -- is relatively consistent, that
5 -- that GRA 20 -- any of the GRAs that you look at, it
6 looks like they're generally flattening around.

7 In our slide 16, 17, so I assume that's
8 labelled 16 on the slide to the right, but, again,
9 that flattening would -- would look flatter if you
10 looked at it on a log scale because the percentage
11 movements are smaller because now you're up to a base
12 of in the high seven hundreds (700s).

13 So, that movement that you see once you
14 get up to seven hundred (700) is -- is much smaller on
15 a percentage basis than that same -- that -- that same
16 movement that you would see if it was pegged to a base
17 of four hundred and fifty (450), let's say.

18 MR. STEVE SCARFONE: I see. So, the -
19 - the log scale that you made reference to accounts
20 for some of the differences on the -- on the left-hand
21 side there, on the axis, right.

22 So, you'll see that MPIC's growth is
23 somewhere between 400 million back in 2005 and
24 increasing to almost 900 million in 2024.

25 Do you see that?

1 MR. RAJESH SAHASRABUDDHE (by Teams):
2 In 2024? I'm sorry, which side? You're referring to
3 the right side, right, that 2024 --

4 MR. STEVE SCARFONE: Just -- just --

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 Yeah.

7 MR. STEVE SCARFONE: -- generally --
8 sorry to cut you off. Generally, you'll see that
9 MPIC's data would suggest that Basic losses are
10 increasing from just over \$400 million and projected
11 into 2024 to be just under one thousand million
12 dollars.

13 Do you see that?

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 I do. So, the right side is not limited to collision,
16 right, just to be clear, and where our --

17 MR. STEVE SCARFONE: Yeah.

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 -- our data is limited to collision on the left side.
20 Is that -- is that -- am I -- I'm understanding that
21 correct -- correctly, right?

22 MR. STEVE SCARFONE: That's correct.
23 And -- and what I asked you to help me with was on --
24 on your scale, you made reference to a log scale.

25 So, those -- that accounts for the

1 percentages that you -- you spoke of. Is that my
2 understanding?

3 MR. RAJESH SAHASRABUDDHE (by Teams):
4 No. I -- I think -- so, what I have on the left is
5 collision only, so I apologize if that wasn't clear.
6 But we looked at collision; that's the largest premium
7 component. And we wanted to bring out the -- the
8 sensitivity of the collision estimates. And on the
9 right side, it's more than just collision.

10 So, that's -- that's really the
11 fundamental difference in -- in the values.

12 MR. STEVE SCARFONE: And that
13 collision is -- is your .62 percent, correct?

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 Correct.

16 MR. STEVE SCARFONE: And that .62
17 percent pure premium trend, sir -- sir, was that a
18 statistically significant trend?

19 MR. RAJESH SAHASRABUDDHE (by Teams):
20 No. I think we addressed that in our report where we
21 say it's not statistically significant. But we wanted
22 just to provide a comparative to how MPI would have
23 looked at it. We included it.

24 MR. STEVE SCARFONE: Okay. Because of
25 it's 'P' value, it -- it can't be a statistically

1 significant trend?

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 Right. The -- I think we -- we addressed that in --

4 let's see.

5

6 (BRIEF PAUSE)

7

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 So, at the bottom of page 15 of our report, section

10 5.3 --

11 MR. STEVE SCARFONE: Yes.

12 MR. RAJESH SAHASRABUDDHE (by Teams):

13 -- where -- where we say that -- right there, that

14 last paragraph:

15 "We believe it would be appropriate
16 that a model... support data points,
17 it would have produced a
18 statistically insignificant trend of
19 .62 percent.

20 We would suggest zero; however, as
21 MPI doesn't consider 'P' values as a
22 sensitivity test, we are providing
23 the indicated pure premiums assuming
24 the .62 percent trend."

25 MR. STEVE SCARFONE: Okay. Thank you.

1 And -- and on that point, insufficient evidence to
2 show that there's statistical significance does not
3 mean that the trend is necessarily zero.

4 Is that -- is that my understanding?

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 It means there's no statistical support for a trend
7 other than zero is -- is what it means.

8 MR. STEVE SCARFONE: Does it also mean
9 that the zero falls within the possible range of
10 trends that -- that could produce that data?

11 MR. RAJESH SAHASRABUDDHE (by Teams):
12 Yes, that's what it -- yes, that's correct.

13 MR. STEVE SCARFONE: Okay. And with
14 your flattening that we see for -- again, it was for
15 collision, right, using your --

16 MR. RAJESH SAHASRABUDDHE (by Teams):
17 Yes.

18 MR. STEVE SCARFONE: -- your trend of
19 .62, that, as I heard you yesterday, was over the last
20 four (4) periods, correct?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 Yes, that's correct.

23 MR. STEVE SCARFONE: And MPIC's trend
24 of 3.75 percent was taken from 2011 to 2019 data?

25 MR. RAJESH SAHASRABUDDHE (by Teams):

1 I'll accept that. I don't recall exactly. But I
2 think that should be on my -- that should be on my
3 slide, but I don't think we need to go there. I'll
4 accept that.

5 MR. STEVE SCARFONE: Okay. And the
6 flattening, sir, because it occurred over the past
7 four (4) years, might account for perhaps some milder
8 winters in the last two (2) or (3) years?

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Yes. There certainly could be a -- a weather-related
11 affect to collision claims.

12 MR. STEVE SCARFONE: And you, sir, are
13 in Pennsylvania, as I understand it, correct?

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 That is correct.

16 MR. STEVE SCARFONE: Have you ever
17 been to Winnipeg?

18 MR. RAJESH SAHASRABUDDHE (by Teams): I
19 have not. Hopefully next year.

20 MR. STEVE SCARFONE: And if you come
21 during a particularly bad winter, sir, that certainly
22 would affect the flattening that you have there in
23 your four (4) year time frame, correct?

24 MR. RAJESH SAHASRABUDDHE (by Teams):
25 So are you asking me if the winter was particularly

1 bad, would the data still -- would the data be as
2 flat? Is that the question?

3 MR. STEVE SCARFONE: Yes. If -- if we
4 have a bad winter this winter and collisions are up,
5 that would certainly impact that flattening that
6 you're saying should be relied upon.

7 MR. RAJESH SAHASRABUDDHE (by Teams):
8 Yes. And then, the future trend would be different.
9 So, yes, I acknowledge that.

10

11 (BRIEF PAUSE)

12

13 MR. STEVE SCARFONE: And the other
14 point, of course, I think both the Oliver Wyman model
15 and MPI's accounts for the lower frequency trends as a
16 result of the pandemic.

17 MR. RAJESH SAHASRABUDDHE (by Teams):
18 I think they both exclude the COVID affected data.
19 Maybe that's -- that's what you mean to say. But --
20 by 'account for'.

21 So it if that's what you mean to say,
22 then I would agree.

23 MR. STEVE SCARFONE: Yes. And -- and
24 I did mean to say that. So by adjusting, we see that
25 MPIC estimated those impacts to be \$10 to \$20 million

1 during the -- the pandemic time period?

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 I don't recall those estimates. That -- that seems a
4 little bit light to me, but -- but I don't know for a
5 fact what -- what the estimate was.

6 Because -- and let me just tell you why
7 they -- I think it seems a little bit light. If the
8 aggregate claims incurred value is -- is, let's call
9 it -- let me just go back to my slide -- it's in the,
10 you know, \$400 or \$500 million range. Ten (10) to
11 twenty (20) is, sort of, 2-and-a-half to 5 percent for
12 the COVID effect.

13 And if I look up there, the -- the pure
14 premium indications that drop looks like more than --
15 more than that.

16 But perhaps you're referring to all
17 coverages combined and -- and then maybe it's true.
18 But, on collision, I would certainly expect that it
19 would be more than 10 to 20 million.

20 So I guess, in an absolute sense, I
21 would expect it to be more than 10 to 20 million.

22 MR. STEVE SCARFONE: Okay. And then -
23 - so on that point, if we go to your slide 18 again.

24 MR. RAJESH SAHASRABUDDHE (by Teams):

25 Yes.

1 MR. STEVE SCARFONE: Where you show
2 the trends and -- and the flattening of -- of the
3 curve, if you were to adjust the 2019/'20 data to
4 increase the adjustment -- so whether it's 20 million
5 or 30 million -- that would impact upon the flatness
6 of your line. Is that not fair?

7 MR. RAJESH SAHASRABUDDHE (by Teams):
8 Well, again, I think 10 to 20 million, to me, just
9 doesn't seem like a reasonable estimate. You see
10 where that data point is for -- for 2021, it's at --
11 you know, let's call it, 310 or 320 million. If you
12 increased it 10 to 20 million, you're just going to
13 get to 350 million-ish, let's call it, which is still
14 way below the -- the trend line of the prior year.

15 So to me, it seems like the adjustment
16 would have to be in the neighbourhood of seventy (70)
17 -- 70 to 80 million. And, again, I'm ball parking it.
18 But let's call it, 70 million.

19 So to the extent that you add a data
20 point, that will affect the estimate of trend. So
21 I'll sort of acknowledge that.

22 But 10 to 20 million just doesn't feel
23 right to me, based on -- on what I see in this data.

24 MR. STEVE SCARFONE: Okay. And I
25 won't quarrel with you over the number. I -- I'm

1 simply trying to suggest to you that if you were to
2 adjust that -- that outlier year, it will impact upon
3 the trajectory that your -- your line is taking,
4 correct?

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 Yes. And in either direction. Potentially flatter or
7 steeper.

8 MR. STEVE SCARFONE: Yes.

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Right. Okay.

11 MR. STEVE SCARFONE: Just give me one
12 moment, sir.

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 Sure.

15

16 (BRIEF PAUSE)

17

18 MR. STEVE SCARFONE: So, Kristen, just
19 before we leave the trending, if you could pull up
20 figure ratemaking 14, which is from MPI Exhibit 37.

21

22 (BRIEF PAUSE)

23

24 MR. STEVE SCARFONE: And it would be
25 page 14 of Exhibit 37. Thank you.

1 And also, figure 4 from undertaking
2 number 86.

3

4 (BRIEF PAUSE)

5

6 MR. STEVE SCARFONE: So there, sir, on
7 the right, are the figures that reflect your one
8 trending factor in your chart.

9 So what I mean by that is the .62
10 percent for collision, the 1 percent for bodily
11 injury, and the -- the balance of them are zeroes.
12 Correct?

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 No, that's not correct. Not the way we suggested it.

15 I think, if you -- again, our -- in our
16 view and our suggestion is you can't separate the
17 future and the past; that -- that they are two (2)
18 components of -- of the same.

19 And I think, as the MPI witness
20 described yesterday and as I went through in my
21 presentation, what you have on the right side only
22 reflects a change to the future. It does not include
23 the changes to the past.

24 MR. STEVE SCARFONE: Right side.
25 Sorry, what -- what --

1 MR. RAJESH SAHASRABUDDHE (by Teams):

2 The right side of what's up, which I assume is
3 undertaking 28. But maybe I'm...

4 MR. STEVE SCARFONE: Oh, yes. So
5 those -- the undertaking was for MPIC to calculate a
6 revised rate indication by substituting a pure premium
7 trends proposed by Oliver Wyman for the combined
8 frequency and severity trends used by MPI to determine
9 the overall rate indications.

10 Do you recall that undertaking?

11 MR. RAJESH SAHASRABUDDHE (by Teams):

12 Yes. I don't have the specific language in front of
13 me, but -- but that -- I'm just wondering whether the
14 specific language included reference to past and
15 future.

16 And to the extent that -- our intent
17 was to incorporate both past and future because those
18 are the pure premium trends that we have in our rates.
19 I'm sorry, in our report.

20 We have two (2) columns of trends; not
21 just one.

22 MR. STEVE SCARFONE: Yes.

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 To the extent that -- but as I had mentioned
25 yesterday, I -- I sort of -- I can appreciate the

1 difficulty of incorporating the past trend into the
2 MPI model the way it's set up. The future trend is a
3 little bit easier and -- particularly, given the time
4 constraints.

5 Yeah, I can sort of understand why only
6 the future was incorporated. But that was not the
7 intent of what were asking for. We wanted both past
8 and future to be incorporated into the analysis.

9 MR. STEVE SCARFONE: I see. So, in
10 fact, the response to undertaking number 28 and the
11 revised indications there use only the future pure
12 premium trends from your report?

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 Yes, that's correct. I think, again, that was
15 presented on my slides. I'd be happy to go through
16 that again, if you'd like.

17 MR. STEVE SCARFONE: Not at all.
18 So using that future pure premium
19 trend, the Corporation did respond to this undertaking
20 and -- and, on the right-hand side there, you'll see
21 the affect of that on line 29 for each of the various
22 classes. Do you see that?

23 MR. RAJESH SAHASRABUDDHE (by Teams):
24 I do, yes.

25 MR. STEVE SCARFONE: And then, compare

1 it to figure RM-14 on the left, line 29. And there,
2 set out, are the implications that MPIC has presented
3 to this Board. Do you see that?

4 MR. RAJESH SAHASRABUDDHE (by Teams):

5 Yes.

6 MR. STEVE SCARFONE: And so, you'll
7 see, just going through them quickly, that the private
8 passenger class using the Oliver Wyman has a .1
9 percent, whereas MPIC's is 1.5 percent.

10 Do you see that?

11 MR. RAJESH SAHASRABUDDHE (by Teams):

12 Yeah. Just for the record I would say using Oliver
13 Wyman future trend only, but yes, that -- that would
14 be correct if you -- if you state it that way, because
15 again, as I stated, our trend recommendation has two
16 (2) components to it, not just one (1).

17 MR. STEVE SCARFONE: Yes, but the --
18 the undertaking before us was to substitute the pure
19 premium trend presented by Oliver Wyman.

20 So -- and as you've indicated -- and
21 perhaps you can explain why using the past year
22 premium trend would be a difficult exercise?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Sure. So, I -- I guess let me, again, just sort of
25 reiterate, that our intent, our pure premium trend in

1 our report is -- has both past and future components.
2 They're not separate.

3 It's not adopt one (1) and not the
4 other. It's -- it -- what we were asking was for both
5 to be adopted.

6 MR. STEVE SCARFONE: I see.

7 MR. RAJESH SAHASRABUDDHE (by Teams):
8 The -- the reason -- and again, acknowledging that --
9 that maybe we didn't use the words 'past' and 'future'
10 in -- in the undertaking. And -- and I apologize for
11 not being specific -- more specific with that.

12 The -- the reason why it's difficult
13 for MPI to -- to adopt or sort of adjust the model to
14 consider a different past trend is because of the way
15 the claims incurred section works where the -- the
16 frequency and severity components are -- are forecast
17 to -- to current levels.

18 It's just a little bit wieldy. I'm --
19 I'm sure it requires some -- I'll call it for lack of
20 better words, manual intervention. It's not something
21 that you could do with just changing one (1) cell on a
22 spreadsheet, which you could probably do with the
23 future trend.

24 So, I acknowledge that it's more
25 difficult and -- and that it would be more difficult

1 to -- to change the past. It doesn't mean that we
2 think that the past trend is -- that the -- that the
3 way the past trending was performed to arrive at -- at
4 sort of that inflection point between past and future,
5 in response to Undertaking 28 is -- is correct.

6 So, again, hopefully that -- that
7 answers your question.

8 MR. STEVE SCARFONE: It does. So,
9 having said that, we can acknowledge that the
10 undertaking makes use of your future pure premium
11 trend, correct?

12 MR. RAJESH SAHASRABUDDHE (by Teams):
13 Yes, and future pure premium trend only, so you just
14 add the word 'only' in there and yes, I'll accept
15 that.

16 MR. STEVE SCARFONE: And so, we see
17 that for each of the various classes, making use of
18 only that one (1) trend, as the rate indications would
19 be going up for each, is that -- or decreasing for
20 each, correct?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 Yes, that's correct.

23 MR. STEVE SCARFONE: So, for example,
24 the private passenger where under MPI's at the 1.5
25 percent increase, using the Oliver Wyman approach,

1 it's .1 percent.

2 Do you see that?

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 Yes.

5 MR. STEVE SCARFONE: I'll use one (1)
6 other example. For the motorcycles, MPIC has a rate
7 increase of 3.4 percent. Do you see that?

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 I do.

10 MR. STEVE SCARFONE: For the Oliver
11 Wyman, it would be 2.2 percent?

12 MR. RAJESH SAHASRABUDDHE (by Teams):

13 That's correct.

14 MR. STEVE SCARFONE: Okay. So, again,
15 not surprisingly given that the future pure premium
16 trend was at or near zero for most of these coverages,
17 we would expect less additional premium was required,
18 correct?

19 MR. RAJESH SAHASRABUDDHE (by Teams):

20 That's correct, yes.

21 MR. STEVE SCARFONE: And, sir -- and
22 again, I -- I want to be fair to you. We don't have
23 your past pure premium trend factored into this, but
24 if those trendings are off, you'll agree with me, sir,
25 that the Corporation will have insufficient premiums

1 to pay for its claims, correct?

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 No, in -- so premium sufficiency is -- relates to
4 whether you've collected enough premium to pay claims.
5 And I think if -- again, our view is that our pure --
6 pure premium trends are appropriate.

7 And I think if you -- if you look at
8 what they imply for the total dollars collected to pay
9 claims, they look pretty reasonable. I think that's
10 the point of slide -- if we could go to slide 17 of --

11 MR. STEVE SCARFONE: But, sir, that
12 wasn't -- that wasn't my question.

13 My question wasn't whether they're
14 reasonable, my question to you was: If they're off,
15 which would make them unreasonable.

16 If they're off, then the Corporation
17 will have collected insufficient premiums from its
18 customers, correct?

19 MR. RAJESH SAHASRABUDDHE (by Teams):
20 They could be off and being too high. So, I don't
21 understand the point. If -- if they're --

22 MR. STEVE SCARFONE: If they're off
23 and the premiums that you're forecasting are
24 insufficient.

25 So, to the extent that they're off,

1 meaning that you've indicated there, as we've just
2 indicated, that 1.5 percent for private passengers is
3 now .1 percent.

4 That's a significant difference, you'll
5 agree?

6 MR. RAJESH SAHASRABUDDHE (by Teams):
7 So, that's -- that's one point on -- on roughly the --
8 one (1) point on a thousand dollars (\$1,000) -- or
9 twelve hundred dollars. I -- I don't know -- again,
10 I'm not in a position to judge significance, but one
11 (1) point doesn't seem terribly significant to me in
12 the context of an estimation exercise.

13 And I -- I think you're essentially
14 correct that actuarial indications are based on a
15 series of assumptions to the -- to the extent that any
16 assumption is -- is too optimistic, the premium is
17 going to be low. To the extent that any assumption is
18 too pessimistic, the premium is going to be high.

19 And what we are doing is we're trying
20 to identify what the most appropriate assumption is,
21 but we do recognize that they're assumptions and that
22 there is the potential that we are either too high or
23 too low.

24 MR. STEVE SCARFONE: Yes. And so,
25 I'll -- I'll put this to you, one (1) point, a general

1 rule of thumb at least before this Board is one (1)
2 point is about \$10 million in premium.

3 Do you have any reason to disagree with
4 that?

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 No, I don't.

7 MR. STEVE SCARFONE: Okay. So, to the
8 extend that the Oliver Wyman projections have the
9 private passenger class point a point, 1 percent
10 increase, versus MPI at 1.5 percent.

11 You'll agree with me that that's a
12 difference than more than \$10 million?

13 MR. RAJESH SAHASRABUDDHE (by Teams):
14 I would agree with that, yes.

15 MR. STEVE SCARFONE: And so, that
16 represents, as we've canvassed the additional premium
17 required for that class, correct?

18 MR. RAJESH SAHASRABUDDHE (by Teams):
19 Could you help me with "additional premium required."
20 So re -- required by -- required to do what?

21 MR. STEVE SCARFONE: To pay the
22 forecasted claims.

23 MR. RAJESH SAHASRABUDDHE (by Teams):
24 To pay the MPI forecasted claims, not to pay the
25 claims that we would think -- not to pay a claim's

1 forecast that we think is more appropriate.

2 MR. STEVE SCARFONE: Correct.

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 Yes.

5 MR. STEVE SCARFONE: And similarly,
6 for the other class that we looked at, which was the
7 motorcycle class, and again, I want to be fair to you,
8 we've only factored into this equation the future of
9 pure premium trends.

10 But again, the motorcycle class, the
11 additional revenue requirement, in your calculations,
12 would be 2.2 percent?

13 MR. RAJESH SAHASRABUDDHE (by Teams):

14 Yes, that's correct. Again, Oliver wrote "future
15 trend only," but yes, that's correct.

16 MR. STEVE SCARFONE: Whereas MPIC's is
17 3.4 percent?

18 MR. RAJESH SAHASRABUDDHE (by Teams):

19 Yes, that's correct.

20 MR. STEVE SCARFONE: And again, that's
21 the difference of about 1 percent and so another \$10
22 million?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 Again, I assume the one (1) point is on the total
25 premium basis. I would assume that the motorcycle

1 premium basis is much smaller so that one (1) point on
2 the motorcycle premium basis, I would assume, is much
3 less than --

4 MR. STEVE SCARFONE: Yes, yes.

5 MR. RAJESH SAHASRABUDDHE (by Teams):
6 -- than \$10 million, but I don't -- certainly don't
7 have the exact number to provide to you.

8 MR. STEVE SCARFONE: And -- and would
9 those numbers that we see on the right here, how would
10 you expect those to change if you can -- had the past
11 pure premium trend had been factored in or would that
12 serve to reduce them further or would they essentially
13 be the same?

14 MR. RAJESH SAHASRABUDDHE (by Teams):
15 No, it would serve to reduce them further. Again, we
16 didn't look at every single coverage, but our focus
17 was on collision because we have the -- we have the
18 difference in the -- the focus was on collision
19 because number 1, it's the largest coverage and that's
20 probably where we have the more significant
21 differences in the trend rate.

22 So, I -- I don't have the total value,
23 but -- but it certainly would be greater.

24 MR. STEVE SCARFONE: Okay. And again,
25 that is the same -- the same percentages was used for

1 the future pure premium trend, correct, point-six-two?

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 You mean past --

4 MR. STEVE SCARFONE: Yeah, the past is
5 the same as the future?

6 MR. RAJESH SAHASRABUDDHE (by Teams):

7 Yes. The past trend is the same as a future trend.

8 MR. STEVE SCARFONE: But that would
9 still, in -- in your estimation, serve to -- to
10 decrease them further? Notwithstanding --

11 MR. RAJESH SAHASRABUDDHE (by Teams):

12 Yeah, if you adopted -- again, we didn't do a direct
13 comparison to the claims incurred section. So,
14 leaving that aside and understanding that the -- the
15 ratemaking section trends and the claims incurred
16 section trends are similar, and our trends are -- are
17 generally lower.

18 That would require -- that would
19 indicate a less of a need for -- that would imply that
20 less premium needs to be collected. So, I would
21 acknowledge that.

22 And it will certainly be less than what
23 -- what was provided in undertaking 28 because that
24 only reflected -- only partially reflected our view of
25 how that -- how that -- this claim forecast should be

1 determined.

2 MR. STEVE SCARFONE: Just give me a
3 one (1) moment. I think that may be all my questions
4 for you, sir.

5

6 (BRIEF PAUSE)

7

8 MR. STEVE SCARFONE: Thank you. Those
9 are my questions for you, Raj.

10 MR. RAJESH SAHASRABUDDHE (by Teams):

11 Okay. Thank you.

12 THE PANEL CHAIRPERSON: Thank you, Mr.
13 Scarfone. We'll take a break now until 11:15, please.

14

15 --- Upon recessing at 11:01 a.m.

16 --- Upon resuming at 11:21 a.m.

17

18 THE PANEL CHAIRPERSON: Thank you,
19 everyone. Now we'll go to cross-examination by
20 counsel for the Board, Mr. Watchman.

21 MR. ROBERT WATCHMAN: Thank you, Madam
22 Chair.

23

24 CROSS-EXAMINATION BY MR. ROBERT WATCHMAN:

25 MR. ROBERT WATCHMAN: Good morning,

1 Mr. Sahasrabuddhe. I am -- my name is Robert
2 Watchman. I am one (1) of the Board counsel, and --

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 Good morning.

5 MR. ROBERT WATCHMAN: -- good morning.

6 My questions are largely directed to filling in some
7 of the responses that were provided through
8 Information Requests filed by the Coalition -- sorry,
9 the Consumers' Association of Canada, although I will
10 have at the end a question that is more technical in
11 nature.

12 So I would ask if we could turn then
13 first to Information Request PUB-CAC-1-1. And this
14 Information Request relates to, essentially, a
15 comparison of the primary driver model to the
16 registered owner model for driver safety rating.

17 So do you see that there, sir?

18 MR. RAJESH SAHASRABUDDHE (by Teams):

19 I -- I do.

20 MR. ROBERT WATCHMAN: And I'm going to
21 turn to the second page, the response to (b),
22 referring to the goal of the DSR model. You indicate
23 that the -- the goal in section 4.1 refers --
24 references improved driving behaviour:

25 "We would expect that a primary

1 driver model would directly
2 influence driving behaviour."

3 And then it continues on:

4 "The registered owner model
5 indirectly influences driving
6 behaviour when a registered owner
7 has multiple vehicles."

8 Is that correct?

9 MR. RAJESH SAHASRABUDDHE (by Teams):

10 Yes.

11 MR. ROBERT WATCHMAN: And can you
12 provide any insight as to how much more influence a
13 primary driver model might have on driving behaviour
14 versus the registered owner model?

15 MR. RAJESH SAHASRABUDDHE (by Teams):

16 Sure. So again, while this isn't sort of strictly
17 speaking an actuarial area to the extent that the --
18 the driver -- or the financial implications of his or
19 her driving behaviour, we would expect that it would
20 have a stronger influence.

21 So in that sense, that -- in an
22 indirect approach where -- in an indirect approach
23 where, you know, potentially the registered owner can
24 convey that financial implication down to the primary
25 driver, the -- the influence would be indirect and

1 would be less strong.

2 That's sort of the point that we were
3 trying to make in the response.

4 MR. ROBERT WATCHMAN: Is Oliver Wyman
5 aware of any registered owner models in use in the
6 competitive markets in Canada?

7 MR. RAJESH SAHASRABUDDHE (by Teams):
8 I don't know one -- one way or the other, so in the --
9 in the competitive market, no, that's not an issue
10 that we typically look at. So I'm sorry, I don't know
11 that.

12 MR. ROBERT WATCHMAN: Are you aware of
13 any use of a registered owner model in the competitive
14 markets in the United States?

15 MR. RAJESH SAHASRABUDDHE (by Teams):
16 No. I know that my -- my personal automobile policy
17 is not a registered owner model, that it's a -- it's -
18 - it's a primary driver model, but that's the extent
19 of my knowledge.

20 MR. ROBERT WATCHMAN: Now, if MPI was
21 to remain with the registered owner model for five (5)
22 years, and following the -- the examples, increased
23 the DSR scale to twenty (20) with a maximum discount
24 of about 57 percent, would you expect there to be
25 greater dislocation or less dislocation if MPI

1 switched to a primary driver model later -- latter --
2 later rather than sooner?

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 Okay. So, expand scale and switch in, let's say, five
5 (5) years as opposed to now.

6 So, if you expand the scale and you
7 switch in five (5) years, I would expect that there --
8 and if we define 'dislocation' as sort of movement in
9 premiums because -- because you're switching models, I
10 don't know that I have a view on that.

11 I would -- I would expect that there
12 would be more dislocation, but I'm having trouble
13 articulating exactly why.

14 MR. ROBERT WATCHMAN: Okay. Thank
15 you. I'm going to turn now to Information Request
16 PUB-CAC 1-6. And if we go down to the bottom --
17 toward the bottom of the page, the response indicates:

18 "Oliver Wyman response. We
19 recommend calculation of the rebate
20 after consideration of the 5 percent
21 release provision."

22 Do you see that there?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 I do.

25 MR. ROBERT WATCHMAN: And are you

1 recommending a 5 percent capital release for only the
2 '22/'23 rating year or would you continue to recommend
3 the same for the '23/'24 rating year?

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 No. Our recommendation is, essentially, the capital
6 be reviewed every year. So, this is only for the
7 '22/'23 rating year.

8 And then whatever the capital review
9 would indicate for '23/'24, that that's the -- whether
10 it's a release or build provision, that's -- we -- we
11 believe that's the appropriate way, review capital
12 every year and -- and adjust as necessary.

13 MR. ROBERT WATCHMAN: Can you indicate
14 what level of MCT Oliver Wyman would recommend for the
15 '21/'22 insurance year, and then following, the
16 '22/'23 and the '23/'24?

17 MR. RAJESH SAHASRABUDDHE (by Teams):
18 Yeah, I'm -- yeah, I'm sorry, that's not an issue that
19 we looked at as to the MCT target. I think we -- in
20 our initial review, we assumed that that was a policy
21 decision.

22 And as -- as I stated early on, that
23 we're here -- again, we -- we tried to focus on areas
24 within our area of expertise and -- and certainly,
25 policy decisions. While we understand some of the

1 underlying factors, we didn't consider that as -- as
2 an item for our review.

3 MR. ROBERT WATCHMAN: Thank you.

4 Kristen, if we could now turn to CAC Exhibit 4. This
5 is the Oliver Wyman report. And I'm turning to the
6 section on page 13, the section on statistical
7 significance.

8 And you were asked some questions about
9 that by Mr. Scarfone, and some questions relating to
10 the 'P' value used in the model.

11 And in that second paragraph, I'm going
12 to the last two (2) sentences. You indicate that:

13 "Coefficients are statistically
14 significant if there is less than 5
15 percent chance that we would observe
16 by chance.

17 When the 'P' value exceeds 0.05 --

18 And I translate that into 5 percent.

19 Is that...?

20 MR. RAJESH SAHASRABUDDHE (by Teams):

21 Yes, that's correct.

22 MR. ROBERT WATCHMAN: So:

23 "When the 'P' value exceeds 5
24 percent, we conclude that the model
25 could not discern a statistically

1 significant trend."

2 Correct?

3 MR. RAJESH SAHASRABUDDHE (by Teams):

4 Yes.

5 MR. ROBERT WATCHMAN: And so, another
6 way of phrasing that might be that the model is unable
7 to confirm what the underlying trend might be?

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 Yes.

10 MR. ROBERT WATCHMAN: Yeah. Okay.

11 MR. RAJESH SAHASRABUDDHE (by Teams):

12 Yeah, that -- that's fair.

13 MR. ROBERT WATCHMAN: So -- but --
14 but, clearly, it doesn't confirm that the underlying
15 trend is zero?

16 MR. RAJESH SAHASRABUDDHE (by Teams):

17 No. It just says that a trend other than zero is not
18 supported.

19 MR. ROBERT WATCHMAN: Okay. So, in
20 other words, the model is unable to prove that the
21 zero trend is wrong but, at the same time, it is not
22 proving that the zero trend is correct?

23 MR. RAJESH SAHASRABUDDHE (by Teams):

24 That's correct, yes.

25 MR. ROBERT WATCHMAN: And thank you,

1 sir. Madam Chair, those are all the questions on
2 behalf of Board counsel.

3 THE PANEL CHAIRPERSON: Thank you.
4 Ms. Meek...? Ms. Dilay, do you know whether Ms. Meek
5 is cross-examining?

6 MS. KATRINE DILAY: Ms. Meek has
7 indicated to me that -- I don't believe she has any
8 questions. And my understanding from yesterday was
9 that Mr. Hacault also had no questions, but that's my
10 understanding.

11 THE PANEL CHAIRPERSON: Okay. Thank
12 you very much. Redirect...?

13 MS. KATRINE DILAY: I do have a few
14 questions, Madam Chair.

15

16 RE-DIRECT EXAMINATION-IN-CHIEF BY MS. KATRINE DILAY:

17 MS. KATRINE DILAY: Good morning, Mr.
18 Sahasrabuddhe. I just have a few questions on
19 redirect.

20 You'll recall your discussion with Mr.
21 Scarfone regarding the capital release and the rebate?

22 MR. RAJESH SAHASRABUDDHE (by Teams):
23 Yes.

24 MS. KATRINE DILAY: And is it your
25 understanding that if the capital -- the 5 percent

1 capital release provision were kept in for the year
2 2022/'23, this would not preclude also issuing a
3 rebate if the PUB approved it?

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 Yes, that's my understanding.

6 MS. KATRINE DILAY: And is that
7 because the 5 percent release would not fully release
8 all the excess capital in the year of 2022/'23?

9 MR. RAJESH SAHASRABUDDHE (by Teams):
10 Yes, that's my understanding.

11 MS. KATRINE DILAY: Thank you.
12 Regarding the Driver Safety Rating model, do you
13 recall your discussion with Mr. Scarfone regarding
14 privacy concerns in the primary driver model?

15 MR. RAJESH SAHASRABUDDHE (by Teams):
16 Yes.

17 MS. KATRINE DILAY: And is it your
18 understanding that -- and I think you referred to this
19 -- the primary driver model is used in other
20 jurisdictions, correct?

21 MR. RAJESH SAHASRABUDDHE (by Teams):
22 Yes, that's -- that's -- I expect it's used in most
23 other jurisdictions. Yes.

24 MS. KATRINE DILAY: So in those
25 jurisdictions, the primary driver information would be

1 collected, is that your understanding?

2 MR. RAJESH SAHASRABUDDHE (by Teams):

3 Yes.

4 MS. KATRINE DILAY: So MPI would not
5 be unique amongst automobile insurers, in terms of
6 collecting this information from its customers,
7 correct?

8 MR. RAJESH SAHASRABUDDHE (by Teams):

9 Yes, that's correct.

10 MS. KATRINE DILAY: And do you recall,
11 generally, the discussion about customers having to
12 declare driver information truthfully?

13 MR. RAJESH SAHASRABUDDHE (by Teams):

14 Yes.

15 MS. KATRINE DILAY: And would it be
16 your understanding that customers may have incentives
17 to declare their information about who drives the
18 vehicles truthfully?

19 MR. RAJESH SAHASRABUDDHE (by Teams):

20 Yes. I think, as we -- we outlined in that
21 discussion, I think Mr. Scarfone brought up the
22 possibility of coverage issues. So they would
23 certainly be incented to declare truthfully to avoid
24 potential coverage issues later on if they were to
25 have a claim.

1 MS. KATRINE DILAY: And by "coverage
2 issues," do you mean that their claim could
3 potentially be denied?

4 MR. RAJESH SAHASRABUDDHE (by Teams):
5 Yes, that's correct.

6 MS. KATRINE DILAY: And is it your
7 understanding that -- or would you expect customers
8 would have to sign some kind of declaration indicating
9 that the information they provide is truthful?

10 MR. RAJESH SAHASRABUDDHE (by Teams):
11 Yes, that's my understanding of what happens in
12 Manitoba. And, certainly, on -- on every other
13 insurance policy that I've reviewed.

14 And it would not only be limited to the
15 primary driver, but other aspects of the risk as well,
16 including territory garage, for example. For -- for
17 an insured that owned two (2) homes, for example.

18 MS. KATRINE DILAY: Thank you. And
19 just a few questions on the trends issue.

20 You'll recall the discussion with Mr.
21 Scarfone about different frequency and severity trends
22 by peril.

23 MR. RAJESH SAHASRABUDDHE (by Teams):
24 Yes.

25 MS. KATRINE DILAY: And is it your

1 understanding that frequency and severity trends are
2 based on the same aggregated data as pure premium
3 trends?

4 MR. RAJESH SAHASRABUDDHE (by Teams):

5 Yes.

6 MS. KATRINE DILAY: And are you
7 familiar with the testimony by MPI's witness, Mr.
8 Phoa, that pure premium trends essentially equal
9 severity multiplied by frequency trends?

10 MR. RAJESH SAHASRABUDDHE (by Teams):

11 I recall reading that and I certainly agree with that
12 statement, yes.

13 MS. KATRINE DILAY: So are they,
14 essentially, two (2) sides of the equation?

15 MR. RAJESH SAHASRABUDDHE (by Teams):

16 Two (2) components of the -- of the same equation, but
17 -- but, yes. I guess, if you put pure premium on one
18 side and frequency and severity on the other side, it
19 would be two (2) sides. Yes.

20 MS. KATRINE DILAY: That would equal
21 to each other?

22 MR. RAJESH SAHASRABUDDHE (by Teams):

23 Yes.

24 MS. KATRINE DILAY: And just regarding
25 your discussion regarding the underlying perils, would

1 it be fair to summarize your response as it's
2 reasonable to look at underlying perils, but they
3 should ultimately be reconciled to what the sum of the
4 data indicates?

5 MR. RAJESH SAHASRABUDDHE (by Teams):

6 Yes, that's correct.

7 MS. KATRINE DILAY: And you'll recall
8 your discussion regarding past and future trends?

9 MR. RAJESH SAHASRABUDDHE (by Teams):

10 Yes.

11 MS. KATRINE DILAY: And is it your
12 understanding -- and I believe you referred to this in
13 your evidence yesterday -- but in the Canadian
14 Actuarial Standards, the application of trends is a
15 two (2) step process, correct?

16 MR. RAJESH SAHASRABUDDHE (by Teams):

17 Yes, that's correct.

18 MS. KATRINE DILAY: Which considers
19 both the past experience, as well as expectations for
20 the future?

21 MR. RAJESH SAHASRABUDDHE (by Teams):

22 Yes.

23 MS. KATRINE DILAY: Thank you, Madam
24 Chair. Those are my questions for redirect.

25 THE PANEL CHAIRPERSON: Thank you, Ms.

1 Dilay. And thank you very much, Mr. Sahasrabuddhe,
2 for your testimony today and yesterday.

3 That concludes the Hearing for today.

4 Just to review, tomorrow, we will start
5 at 9:00 with the MPI closing arguments, followed by
6 PUB closing remarks, and CAC.

7 MS. KATHLEEN MCCANDLESS (by Teams):
8 Madam Chair, it's Ms. McCandless. If I could just pop
9 in.

10 THE PANEL CHAIRPERSON: Sure.

11 MS. KATHLEEN MCCANDLESS (by Teams):
12 Typically, Board counsel starts with the closing
13 submissions, so I expect that's the order of
14 proceedings tomorrow.

15 THE PANEL CHAIRPERSON: Okay. Thank
16 you.

17 MS. KATHLEEN MCCANDLESS (by Teams):
18 Thank you.

19

20 --- Upon adjourning at 11:36 a.m.

21

22 Certified Correct,

23

24 _____

25 Wendy Woodworth, Ms.