

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MANITOBA PUBLIC UTILITIES BOARD

Re: MANITOBA HYDRO'S APPLICATION  
FOR APPROVAL OF NEW ELECTRICITY RATES  
FOR 2010/11 AND 2011/12

Before Board Panel:

Graham Lane - Board Chairman  
Robert Mayer, Q.C. - Board Member

HELD AT:

Public Utilities Board  
400, 330 Portage Avenue  
Winnipeg, Manitoba  
March 8, 2011  
Pages 3970 to 4170

APPEARANCES

1  
2 Bob Peters ) Board Counsel  
3 Anita Southall (np) )  
4  
5 Patti Ramage ) Manitoba Hydro  
6 Marla Boyd )  
7  
8 Byron Williams ) CAC/MSOS  
9 Myfanwy Bowman (np) )  
10  
11 Antoine Hacault ) MIPUB  
12  
13 Michael Anderson (np) ) MKO  
14  
15 William Gange (np) ) RCM/TREE  
16  
17 Delanie Coad (np) ) SCO  
18  
19 Denise Pambrum ) City of Winnipeg  
20  
21 Gavin Wood ) Independent Experts  
22  
23  
24  
25

|    |   |          |
|----|---|----------|
| 1  | TABLE OF CONTENTS                             |          |
| 2  |   | Page No. |
| 3  | Exhibits                                      | 3973     |
| 4  | List of Undertakings                          | 3974     |
| 5  |   |          |
| 6  | MANITOBA HYDRO PANEL:                         |          |
| 7  | VINCE WARDEN, Resumed                         |          |
| 8  | DAVID CORMIE, Resumed                         |          |
| 9  | HAROLD SURMINSKI, Resumed                     |          |
| 10 |   |          |
| 11 | Continued Cross-Examination by Mr. Bob Peters | 3975     |
| 12 |   |          |
| 13 | Certificate of Transcript                     | 4170     |
| 14 |   |          |
| 15 |   |          |
| 16 |   |          |
| 17 |   |          |
| 18 |   |          |
| 19 |   |          |
| 20 |   |          |
| 21 |   |          |
| 22 |   |          |
| 23 |   |          |
| 24 |   |          |
| 25 |   |          |

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXHIBITS

| No.   | Description                | Page No. |
|-------|----------------------------|----------|
| MH-66 | Response to Undertaking 55 | 4125     |
| MH-67 | Response to Undertaking 83 | 4125     |

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNDERTAKINGS

| No. | Description   | Page No. |
|-----|---|----------|
| 84  | Manitoba Hydro to provide the minutes of settlement that summarizes the agreement between the City and Manitoba Hydro | 4029     |
| 85  | Manitoba Hydro to indicate whether there is an adverse water clause in the contract that currently exists with NSP    | 4069     |

1 --- Upon commencing at 9:32 a.m.

2

3 THE CHAIRPERSON: Okay. Good morning,  
4 everyone. Ms. Ramage, do you have something? You seem  
5 to be reaching for your mic.

6 MS. PATTI RAMAGE: No, I -- I -- we don't  
7 have anything this morning. I think we're -- I believe  
8 there'll be some undertakings filed at the break. That's  
9 what we're targeting right now.

10 THE CHAIRPERSON: Very good. Back to  
11 you, Mr. Peters.

12 MR. BOB PETERS: Yes, thank you.

13

14 MANITOBA HYDRO PANEL:

15 DAVID CORMIE, Resumed

16 VINCE WARDEN, Resumed

17 HAROLD SURMINSKI, Resumed

18

19 CONTINUED CROSS-EXAMINATION BY MR. BOB PETERS:

20 MR. BOB PETERS: Mr. Cormie, when we left  
21 off yesterday you were explaining to the Board that it is  
22 a condition precedent of Manitoba Hydro's pending term  
23 sheets with Wisconsin Public Service and Minnesota Power  
24 that there be transmission constructed in the United  
25 States, correct?

1 MR. DAVID CORMIE: Correct.

2 MR. BOB PETERS: And the plan is that  
3 that construction will be done by either the  
4 counterparties, that is Minnesota Power and Wisconsin  
5 Public Service, or alternatively, a regionalization -- a  
6 regionalized process that you explained to the Board  
7 yesterday.

8 MR. DAVID CORMIE: Correct.

9 MR. BOB PETERS: And right now, the path  
10 being followed is to regionalize the costs, which I think  
11 you also used the word, "socialized the cost," amongst  
12 all of the transmission carriers in the MISO region.

13 MR. DAVID CORMIE: We -- we are  
14 proceeding down that as one (1) option, Mr. Peters. The  
15 other is protecting the option of building a private  
16 transmission line.

17 MR. BOB PETERS: And when you say,  
18 "building a private transmission line," that is Minnesota  
19 Power and Wisconsin Public Service building a  
20 transmission line.

21 MR. DAVID CORMIE: They would arrange for  
22 the line to be built.

23 MR. BOB PETERS: Would they pay for it?

24 MR. DAVID CORMIE: Yes.

25 MR. BOB PETERS: Would Manitoba Hydro pay

1 any amount of it?

2 MR. DAVID CORMIE: We're not responsible  
3 for any costs in the US.

4 MR. BOB PETERS: I understand that, but  
5 would Manitoba Hydro pay any of the costs associated with  
6 the US transmission leg?

7 MR. DAVID CORMIE: No. No.

8 MR. BOB PETERS: When you say -- so -- so  
9 you're protecting both aspects then. You're -- you're  
10 looking at an option of -- first choice is have the  
11 regional optimized upgrades done and paid for by all  
12 transmission carriers in the MISO region, and the  
13 fallback position is to have a private line built by  
14 Minnesota Power and Wisconsin Public Service.

15 MR. DAVID CORMIE: Yes.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: How do you protect on  
20 both sides of the -- the equation on that, Mr. Cormie?

21 MR. DAVID CORMIE: The -- the usual  
22 process for acquiring transmission service is to put in a  
23 transmission service request with the MISO. And Manitoba  
24 Hydro, Minnesota Power, Wisconsin Public Service, and  
25 Great River Energy, WPPI Energy, and -- another Wisconsin



1 utility, and several others put in a group reque -- put  
2 in separate requests to interconnect with Manitoba Hydro.

3 Those transmission service requests were  
4 combined into a group study by the MISO. And an initial  
5 transmission study was done, and that initial  
6 transmission study was the screening study that  
7 determined what options could best meet the entire needs  
8 of all the transmission customers.

9 From that screening study came a detailed  
10 facility study that identified the costs of the top two  
11 (2) options. That transmission service request process  
12 is still active, and the transmission customers have --  
13 have not walked away from proceeding with that option.

14 At the same time though, in conjunction  
15 with the CapX utilities we came up with a variant on the  
16 -- the preferred option, and that's the variant that the  
17 CapX utilities requested the -- be included in the Minnes  
18 -- MISO transmission expansion plan in October of 2010,  
19 and that is now -- is now part of the -- the MISO  
20 transmission expa -- expansion plan.

21 So we are -- we are trying to protect both  
22 -- we're trying to proceed down both paths. There are  
23 obstacles in both paths, and -- and neither of them is a  
24 -- is a certainty. The -- proceeding with the CapX  
25 utilities is our preferred option because it involves all

1 the transmission-owning utilities who -- who would be  
2 affected. It -- it allows for an optimized transmission  
3 network in -- in the -- in the region.

4 Building a private line by Manitoba Hydro  
5 and its counterparties would involve building  
6 transmission through service territories of other  
7 companies. That's not necessarily the best way to get  
8 things done. And so we are very confident that our plan  
9 to work with the CapX utility will result in -- in  
10 getting the line -- line built.

11 The extent to which the line actually  
12 receives multi-value project status is still yet to be  
13 determined. A portion of it or all of it could be  
14 categorized as that -- that project. To the extent that  
15 it's not all declared a multi-value project, then  
16 Minnesota and Wisconsin Public Service would be  
17 responsible for funding the balance of the project.

18 MR. BOB PETERS: You were telling the  
19 Board about the obstacles to each of the methodologies.  
20 For the variant or the private build by Minnesota Power  
21 and Wisconsin Public Service it appeared that the  
22 obstacle is you have to -- you have to put a corridor  
23 through the service territories of other utilities. That  
24 seems to be the major obstacle?

25 MR. DAVID CORMIE: Yes. And for -- I

1 think the main obstacle is that for Mi -- Minnesota Power  
2 and Wisconsin Public Service to pay a hundred percent of  
3 a \$2 billion transmission line is -- is huge. And we  
4 need to -- at the end of the day this transaction from  
5 their customer's perspectives has to be the best -- bring  
6 them -- bring them value. And if they have to bear the  
7 entire cost of the new interconnection, there's some risk  
8 to the project because of -- of those costs.

9 MR. BOB PETERS: Are you able to tell the  
10 Board which process appears more likely to proceed and  
11 why?

12 MR. DAVID CORMIE: Well, we've -- we've -  
13 - we've put the transmission service request path on hold  
14 now because we are of the view that we will be most  
15 successful working in cooperation with the CapX  
16 utilities. And -- and having everybody win from the --  
17 the construction of the new interconnection.

18 And the CapX utilities already have a  
19 transmission line planned for Minnesota. If they were to  
20 proceed on their own it would cost them more than if they  
21 were to work with Manitoba Hydro and its counterparties  
22 in finding a -- an optimized transmission expansion plan.

23 So I think everybody is in favour of the  
24 new interconnection. They feel that there's a savings to  
25 be made by working together. The CapX utilities have a

1 proven record of getting new transmission built in  
2 permended -- permitted and built in -- in Minnesota.  
3 Manitoba Hydro and its counterparties want to leverage  
4 that experience and capability, and that's the path that  
5 we're proceeding down today.

6 MR. BOB PETERS: Has Manitoba Hydro been  
7 made aware of any transmission costs, Mr. -- Mr. Cormie,  
8 in excess of the \$2 billion number?

9  
10 (BRIEF PAUSE)

11  
12 MR. DAVID CORMIE: The only facility  
13 study that we have -- well, we have done two (2) facility  
14 studies, one (1) for the -- the preferred private option  
15 and one (1) for the -- the second option. The preferred  
16 one (1) has the cos -- estimated cost of 1.46 billion US  
17 plus additional costs. So we have no other cost  
18 estimates at this time.

19 Those ultimately will be determined once  
20 the inter -- integrated transmission project is fully  
21 defined and -- and cost shares are determined.

22 MR. BOB PETERS: That 1.4 or \$1.6 billion  
23 number, Mr. Cormie, doesn't include financing costs  
24 during construction?

25 MR. DAVID CORMIE: No, that was just the

1 -- the 2010 costs.

2 MR. BOB PETERS: And so when you add in  
3 the financing costs, that's what gets it up closer to the  
4 \$2 billion?

5 MR. DAVID CORMIE: Yes, and -- and I  
6 think at the time that we put the \$2 billion on record,  
7 that included conversion to Canadian dollars as well, so.

8 MR. BOB PETERS: Now, we might get a  
9 break the other way.

10 MR. DAVID CORMIE: Well, it's going to be  
11 paid for in the US, Mr. Peters, in US dollars. It  
12 doesn't really affect Manitoba Hydro except that if -- if  
13 it gets too expensive, the project is at risk.

14 MR. BOB PETERS: And the -- the \$2  
15 billion figure doesn't include the capital escalation  
16 costs since the estimate was prepared, does it?

17 MR. DAVID CORMIE: No, but I'm -- I'm --  
18 I'm thinking -- my view is that the costs will actually  
19 go down. If we were to build the 500 kV line as is  
20 proposed from Winnipeg to South Dakota, down the Red  
21 River Valley, and without changing the transmission  
22 projects that the other CapX utilities are planning, the  
23 interconnection would have a capacity of about up to  
24 1,800 megawatts of firm transfer capability.

25 That's more than Manitoba Hydro and its

1 counterparties need, which indicates to me that that  
2 would be an overbuild.

3                   So because that's an overbuild, and that  
4 overbuild would cost that \$2 billion, an optimized  
5 transmission project will -- should come in at -- at  
6 something significantly less than that because there  
7 aren't customers for 1,800 megawatts of firm transfer  
8 capacity.

9                   So I'm -- I'm -- you know, I -- I don't  
10 have a final number, but I'm -- everybody is pursuing the  
11 -- the regional plan because it is -- it makes -- it just  
12 makes sense.

13                   MR. BOB PETERS: All right. Let's just  
14 take a few minutes on the regional plan then. The  
15 essence of it yesterday that you explained was that the  
16 costs of the regional plan would be shared pro rata  
17 amongst the transmission utilities based on their share  
18 of the transmission in the MISO market. Is that correct?

19                   MR. DAVID CORMIE: Well, the -- the costs  
20 will go into the -- will be paid thr -- in accordance to  
21 the MISO tariff. It'll be -- yes, it'll be spread over  
22 the entire MISO footprint according to how all  
23 transmission costs get allocated. So it gets -- it gets  
24 allocated to load, Mr. Peters.

25                   MR. BOB PETERS: All right. So there

1 will be a tariff on the load that is transferred over the  
2 -- over the line to pay for the line.

3 MR. DAVID CORMIE: Yeah. Right now all  
4 transmission assets in the MISO region are paid for  
5 through -- through the tariff. This project would then  
6 get added into the total cost of -- annual cost of  
7 transmission in MISO, and it will be allocated back to  
8 load through -- through the tariff.

9 MR. BOB PETERS: Who pays for the initial  
10 out-of-pocket expense to build the -- the transmission  
11 line?

12 MR. DAVID CORMIE: Generally what happens  
13 is that the companies through whose service territories  
14 the line gets built will invest in that line, and they --  
15 they make the investment and they recover their costs on  
16 an annual basis through the tariff.

17

18 (BRIEF PAUSE)

19

20 MR. BOB PETERS: And I suppose then that,  
21 to the extent that there are other regionalized multi-  
22 value projects in the MISO region that maybe aren't  
23 expressly needed by Minnesota Power or Wisconsin Public  
24 Service, those utilities will end up picking up some of  
25 those costs in future years on future projects.

1 MR. DAVID CORMIE: Yes, and I -- that --  
2 that's the idea, is that everybody will -- you know,  
3 regardless of where you are in the MISO footprint, you'll  
4 pay for -- you pay your fair share of regional  
5 transmission upgrades, the backbone of the transmission  
6 system.

7 MR. BOB PETERS: There's no free  
8 transmission to the counterparties in the term sheets  
9 then.

10 MR. DAVID CORMIE: No, there's no free  
11 transmission service.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Mr. Cormie, can Bipole 3  
16 be submitted as a multi-value project to be optimized on  
17 a regional basis in MISO?

18 MR. DAVID CORMIE: I guess we could  
19 submit it, Mr. Peters. Unfortunately, Manitoba Hydro is  
20 only a coordinating member. We're not -- our assets and  
21 our -- our load are not in the MISO. We -- we have a  
22 coordinating tariff, but our -- we can't recover our  
23 transmission costs through -- through -- from the MISO  
24 footprint.

25 MR. BOB PETERS: If Manitoba Hydro was a



1 full member of MISO, would it be more likely you could  
2 recover those costs through a regionalized process?

3 MR. DAVID CORMIE: You know, I'm not that  
4 certain of that, but it -- because the DC is generation  
5 only transmission, it's not part of the network  
6 transmission, Mr. Peters. Usually, DC lines are not  
7 shareable like others. Anybody's not entitled to use it.  
8 It's only -- has only a single purpose. That's to bring  
9 the generation from our northern station south, whereas  
10 in an AC network, power flows over all the lines and --  
11 in -- in a network, and so network transmission is -- is  
12 usually eligible for that kind of cost recovery.

13 Lines that connect generators to the major  
14 transmission sign, the -- the generation outlet  
15 transmission is usually not included as part of -- of  
16 transmission costs. They are considered to be part of  
17 generation costs.

18 MR. ROBERT MAYER: Mr. Cormie, I think it  
19 was Mr. Rose -- I think the guy who called us the -- what  
20 is it the -- the north end of North America or something,  
21 did talk about reliability and extra transmission  
22 capability from Manitoba. And I re -- I would suspect  
23 then that the -- what is -- the transmission line that's  
24 going out of Riel south and the one I -- which I hadn't  
25 heard about before going down the Red River Valley would

1 -- would at least possibly comply.

2                   But wouldn't the -- what I'm particularly  
3 thinking is the third bipole line, which, sir, of course  
4 increases the -- the reliability to transmit a  
5 significant -- a very significant portion of Hydro's  
6 power into the -- what -- to all intent and purposes,  
7 probably a distribution line?

8                   MR. DAVID CORMIE:     Yes, but what Mr. Rose  
9 was referring to was the -- the interconnection to the  
10 United States that -- that has that -- that fi -- the  
11 existing five hundred (500) line has a capacity on its  
12 own of over 1,500 megawatts. So from the region's  
13 perspective, that's the largest single contingency.

14                   We consider the loss of both bipoles to be  
15 a double contingency and it's not something that -- you  
16 need to be aware of that, but it's not something that we  
17 protect for on a daily basis, whereas on a daily basis we  
18 have to protect for the loss of the 500 kV line.

19                   If we put in a second five hundred (500)  
20 line into the US, the size of the contingency that needs  
21 to be protected for would go down, and so reliability, in  
22 effect, would be improved.

23

24 CONTINUED BY MR. BOB PETERS:

25                   MR. BOB PETERS:     Mr. Cormie, if there was

1 a private build for this transmission line in the United  
2 States it would be Minnesota Power's obligation to come  
3 up with 250 megawatts of -- of capacity to be exported to  
4 Manitoba, and Wisconsin Public Service would have to come  
5 up with 650 megawatts of incremental export to Manitoba.  
6 Would that be correct?

7 MR. DAVID CORMIE: Except that you can't  
8 add the two together, Mr. Peters. The six fifty (650)  
9 includes the two fifty (250) from Minnesota Power. The -  
10 - there's already a hundred megawatts of firm  
11 transmission available between Manitoba and Wisconsin.  
12 So if you add the six fifty (650), the Wisconsin has to  
13 be involved. As to the hundred, tha -- that's seven  
14 fifty (750). Seven fifty's (750) the total of both  
15 sales. The two fifty (250) to Minnesota Power plus the  
16 five hundred (500) to Wisconsin, but they're -- they're,  
17 in effect, talking about the same interconnection.

18 MR. BOB PETERS: Okay. Well, then you've  
19 answered my next question. The -- the total capacity  
20 then that -- that is embedded in the term sheets is 650  
21 megawatts?

22 MR. DAVID CORMIE: Yes, but the -- we  
23 have MOUs with other customers as well who are interested  
24 in participating in the line, and they were part of the -  
25 - the transmission service request, part of the joint

1 study. And so we're not looking at just building a line  
2 that has 700 and -- or 650 megawatts of capacity. We're  
3 -- we're looking at a bigger line, and -- but Wisconsin  
4 and Minnesota are the anchor tenants.

5 MR. BOB PETERS: But the preconditions or  
6 the prerequisites of the term sheets is 650 megawatts of  
7 --

8 MR. DAVID CORMIE: That's correct.

9 MR. BOB PETERS: -- capacity? Yeah. And  
10 the existing firm capacity, I think that's owned by NSP,  
11 is about 600 -- or 850 megawatts?

12 MR. DAVID CORMIE: We have 892 megawatts  
13 of -- of firm transfer capability.

14 MR. BOB PETERS: Is that held by NSP?

15 MR. DAVID CORMIE: Yes.

16

17 (BRIEF PAUSE)

18

19 MR. BOB PETERS: When you talked about  
20 the seven fifty (750) total, that's with the additional  
21 utilities that might be wanting to expand on the -- on  
22 the transmission line with Wisconsin and Minnesota?

23 MR. DAVID CORMIE: Well, the seven fifty  
24 (750) is the -- the amount of capacity that Manitoba  
25 Hydro wants to sell to Wisconsin and Minnesota Power.

1     However, to achieve that all we need is an additional 650  
2     megawatts, because we already have a hundred (100) with  
3     Wisconsin.

4                     So the net addition for the two (2) sales  
5     is at least six fifty (650), plus whatever additional  
6     firm transmission is required under the MOUs with the  
7     other counterparties.

8                     MR. BOB PETERS:     When it's privately  
9     built, the transmission rights are owned by the builder.  
10    Would that be fair?

11                    MR. DAVID CORMIE:     The firm -- the firm  
12    transfer capability will be assigned to the -- to the  
13    holder of the transmission service request. The builder  
14    is not necessarily the person that holds the -- the  
15    transmission service -- or the -- the transmission  
16    rights. The -- if the -- if the -- if the line is going  
17    through NSP's service territory then NSP will probably  
18    own the line.

19                    But the transmission service rights may be  
20    assigned to a -- to a company like Minnesota Power or  
21    Wisconsin Public Service. So there's a difference  
22    between who builds it, who owns it, who has the rights to  
23    use it.

24                    MR. BOB PETERS:     That's in the example of  
25    a private build, correct?

1 MR. DAVID CORMIE: Yes.

2 MR. BOB PETERS: All right. If we turn  
3 over to the -- the regionalized process that we talked  
4 about in terms of the CapX, as you call them, utilities  
5 being involved, in those situations, who would own the  
6 transmission rights if the transmission line was built  
7 under that scenario?

8 MR. DAVID CORMIE: We would need to still  
9 have -- the -- the companies still need to own -- own firm  
10 -- firm transmission on -- on the path in order to be  
11 able to deliver the capacity that Manitoba Hydro has  
12 contracted to -- to them.

13 MR. BOB PETERS: So Minnesota Power and  
14 Wisconsin would have to buy the firm rights to that  
15 transmission?

16  
17 (BRIEF PAUSE)

18  
19 MR. DAVID CORMIE: This is an area now  
20 we're not -- where we are -- we are still working on  
21 those details. How do we deliver capacity over a line  
22 that's built for the market, Mr. Peters. So it's -- it's  
23 an issue that needs to be addressed.

24 Right now the multi-value project lines --  
25 multi-value project lines are -- are -- are -- are built

1 by the market and -- and the question is how do you --  
2 how do you transfer private rights over those lines. It  
3 -- it -- for certain, Manitoba Hydro alone, they -- they  
4 -- the firm rights on the Canadian side.

5 And the question is how to meet our  
6 contractual obligations. And the normal mechanism would  
7 be for Manitoba Hydro to amend its coordination agreement  
8 with MISO to accommodate the multi-value project lines.  
9 And so we're starting -- just starting to work on those -  
10 - those details now. But how -- how we have a contract  
11 and meet our contract obligations on a -- on a -- on a  
12 line that is built by the market is -- is still to be  
13 determined.

14 MR. BOB PETERS: That's a significant  
15 risk, I guess, on the -- on the multi-value pro --  
16 project side of the equation?

17 MR. DAVID CORMIE: Yes, it's -- it's  
18 still -- it's still an issue that we need -- that we --  
19 that we need to deal with and we are dealing with it.

20 MR. BOB PETERS: Not yet resolved?

21 MR. DAVID CORMIE: No.

22 MR. BOB PETERS: And it would be fair to  
23 say that there's no assured transmission under either of  
24 the two (2) options that Manitoba Hydro has examined and  
25 has tried to protect itself on?

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: Yes, there is an  
4 assured option, and that is to build private lines. And  
5 -- and there's no reason man -- Manitoba Hydro and its --  
6 its counterparties can't build -- build to -- to build to  
7 acquire those transfer capability.

8 That is -- that is certain. It's -- we --  
9 we can -- we know how to do that. We've done that in the  
10 past, so we're -- there's no reason why we can't do that  
11 in the future.

12 MR. BOB PETERS: Except you'd have to  
13 build through the service territories of other utilities,  
14 and that may be problematic.

15 MR. DAVID CORMIE: No, that's -- that's  
16 pretty normal though. But you just can't -- you just  
17 can't bulldoze your way through. You need to negotiate,  
18 and -- but that's -- that's how transmission lines have  
19 always been built.

20 MR. BOB PETERS: And so the reason that  
21 that private build is on hold is that there may be a more  
22 financially beneficial offer to Wisconsin and Minnesota  
23 by going through the multi-value project proposal.

24 MR. DAVID CORMIE: Yes, and -- and, you  
25 know, from -- for -- for this transmission line to get a



1 certificate of need through the regulatory process in --  
2 in Minnesota, Minnesota has to be assured -- has to be  
3 assured that this transmission line is the best line to  
4 be built, right.

5 So it has to get regulatory approval, and  
6 that transmission line is going to get recovered through  
7 rates, and I think building a -- a line that doesn't --  
8 isn't the best possible line for the Minnesota ratepayer  
9 would be problematic.

10 MR. BOB PETERS: Does that last answer  
11 indicate that unless it goes through a multi-value  
12 project proposal, the deal is less likely with Minnesota  
13 and Wisconsin?

14 MR. DAVID CORMIE: No, it's just that we  
15 need to explore the options, Mr. Peters, and if -- if the  
16 multi-value project process, when all things are  
17 considered, is better than -- if it results in more  
18 transmission, a more robust regional transmission  
19 network, deals with reliability issues, those things have  
20 to be considered, not just the private benefits and costs  
21 of two (2) utilities.

22 MR. BOB PETERS: Is it a condition  
23 precedent to proceeding with the multi-value project  
24 methodology that the Manitoba Hydro to Wisconsin, and  
25 Manitoba Hydro to Minnesota Power, sales qualify as

1 renewable energy credits?

2

3

(BRIEF PAUSE)

4

5 MR. DAVID CORMIE: There's -- there is a  
6 linkage between achieving multi-value project status and  
7 -- and renew -- renewable energy in that multi-value  
8 projects are designed -- are -- are intended for regional  
9 upgrade transmissions -- regional transmission projects  
10 that -- that have a renewable component. And to the  
11 extent that -- that's one (1) of the tests that has to be  
12 -- has to be passed to achieve that -- that funding.

13 MR. BOB PETERS: Does that answer suggest  
14 to the Board that it would make the multi-value project  
15 build an easier -- an easier project to bring to fruition  
16 if Manitoba Hydro's energy qualified as renewable energy  
17 credit -- credits?

18 MR. DAVID CORMIE: Yes, if -- if new  
19 large hydro were deemed to be a renewable technology then  
20 -- then it would make it easier to achieve that MVP  
21 status.

22 MR. BOB PETERS: Is it a condition  
23 precedent in the sale to Minnesota Power or Wisconsin  
24 Public Service in those term sheets that are in effect,  
25 that Hydro -- Manitoba Hydro's energy must qualify for

1 renewable energy credits?

2 MR. DAVID CORMIE: The term sheets were  
3 written at a time before multi-value projects were an  
4 option, Mr. Peters, so there's no -- no reference in the  
5 term sheets to MVP status. The only requirement in the  
6 term sheet is that the US counterparties arrange for the  
7 construction of a new interconnection to the United  
8 States.

9 MR. BOB PETERS: And the interconnection  
10 would be easier if Manitoba Hydro's energy did qualify  
11 for renewable energy credits?

12 MR. DAVID CORMIE: Well, it -- it's more  
13 likely that we would qualify for funding under MVP if --  
14 if the energy that was to flow over the -- over the line  
15 from Manitoba were to be declared renewable technology.

16 One (1) -- one (1) benefit of the proposal  
17 that is being made now for the Manitoba project is that  
18 it -- it facilitates the transfer of the transmission of  
19 renewable energy from North Dakota into Minnesota.

20 So the -- the combination of the 500 kV  
21 backbone line down the Red River Valley and the Manitoba  
22 Hydro's ability to regulate wind and act as a battery to  
23 store energy when there's more wind generation than the  
24 market needs and to provide regulation service is seen as  
25 a complimentary relationship.

1                   And without the transmission, the Manitoba  
2 battery can't work -- doesn't work very -- as well as it  
3 could if we were to have a larger interconnection. And  
4 so in viewing the -- the interconnection, what it -- what  
5 it does, it fa -- facilitates the construction of more  
6 wind and it achieves an improvement in grid operability.

7                   And so although at present new hydro from  
8 Mani -- new large hydro from Manitoba is not renewable,  
9 there's that -- there's that linkage. And it would be a  
10 much easier ca -- case to make if the -- the laws in  
11 Minnesota and Wisconsin were to recognize hydro as being  
12 renewable technology.

13                   There's no doubt that they do recognize it  
14 as renewable energy, just -- it's not deemed to be one of  
15 the technologies that the companies can use to meet their  
16 RPSSs.

17                   MR. ROBERT MAYER:     Mr. Cormie, the --  
18 it's my understanding that those green designations are  
19 done state-by-state, and your indication that Minnesota  
20 and Wisconsin create a problem in that regard. What is  
21 the status of hydro type energy in the rest of MISO?

22                   I mean, if MISO is talking about  
23 regionalizing the whole of the -- of the transmission  
24 system and if only Wisconsin and Minnesota were the  
25 problem, would Manitoba Hydro's power, and, therefore,

1 transmission lines used to transmit it have green energy  
2 status in -- in the rest -- in the rest of the MISO  
3 region, and thereby qualifying it for regionalization of  
4 the cost of the transmission lines?

5 MR. DAVID CORMIE: Mr. Mayer, you know,  
6 there's -- Hydro's not on the radar of very many states  
7 because it's not -- it's not a significant resource. I'm  
8 sure there's lots of small hydro sites available, but --  
9 so it -- it's only on the radar in Minnesota and -- and  
10 in Wisconsin because Manitoba Hydro is -- has been a  
11 traditional supplier of those markets.

12 And as we talked about yesterday, we've  
13 now sold the renewable energy credits for all the energy  
14 that will go to Xcel Energy and at the new sale  
15 agreement. And we are hopeful that that will incent them  
16 to try and bring value to that and -- and to the extent  
17 that they can do that would be good for them and it would  
18 be good for us.

19 Wisconsin is in a -- in a situation where  
20 they have very few renewables and as a result they have a  
21 -- a relatively low RPS threshold, I think it's about 10  
22 percent. The proposal is to increase that up to 25  
23 percent, and that would be achievable with the purchase  
24 from Manitoba Hydro.

25 So -- but if they don't -- if they don't -

1 - if they don't purchase from Manitoba Hydro they're not  
2 -- they're probably not going to change the standard  
3 because it would be unattainable. It just -- it would  
4 create a goal that they could never achieve.

5                   So there's incentive in Wisconsin to -- to  
6 -- to do everything that makes this transaction work. It  
7 allows them to have a -- a standard that's compatible  
8 with -- with most other jurisdictions. Even if Wisconsin  
9 were not to achieve renewable status for their energy,  
10 they still believe that this is their lowest cost option.  
11 And so it's still a good business case from their  
12 perspective, to the extent that they -- they are able to  
13 count those -- the RECs and that would be icing on the  
14 cake from their perspective.

15

16 CONTINUED BY MR. BOB PETERS:

17                   MR. BOB PETERS: Mr. Cormie, in terms of  
18 the legislation in Wisconsin and Minnesota, it will take  
19 legislation changes in each of those states for Manitoba  
20 Hydro's energy coming from Keeyask and Conawapa to be  
21 considered for part of renewable energy credits. Is that  
22 correct?

23                   MR. DAVID CORMIE: Yes.

24                   MR. BOB PETERS: And in terms of those  
25 states, is it correct that in Wisconsin to become

1 qualified as a renewable resource under their legislation  
2 or under their requirements, hydro-electric power as a  
3 resource has to come from a facility of 60 megawatts or  
4 less?

5 MR. DAVID CORMIE: Yes.

6 MR. BOB PETERS: And in Minnesota to  
7 qualify as a renewable resource the hydro has to come  
8 from a plant with a capacity of less than 100 megawatts?

9 MR. DAVID CORMIE: That sounds correct,  
10 Mr. Peters.

11 MR. BOB PETERS: And is it also correct  
12 that Wisconsin was going down a legislative track to try  
13 to change the law in Wisconsin such that the definition  
14 of renewable resource would specifically be expanded to  
15 include hydro-electric power generated in Manitoba,  
16 Canada?

17 MR. DAVID CORMIE: Yes, draft legislation  
18 was prepared last spring and -- however, it didn't reach  
19 the floor of the house before the house adjourned for the  
20 session, so it wasn't acted on last spring.

21 MR. BOB PETERS: The Wisconsin  
22 legislation, it failed to pass pursuant to a joint senate  
23 resolution where it was withdrawn?

24

25

(BRIEF PAUSE)

1 MR. DAVID CORMIE: I -- I stand to be  
2 corrected, Mr. Peters, but I understood that it just  
3 didn't -- it wasn't a priority and it didn't -- it -- it  
4 -- it just didn't get to the floor.

5

6 (BRIEF PAUSE)

7

8 MR. DAVID CORMIE: The -- but it -- that  
9 doesn't mean that it's a dead issue. It's -- it is still  
10 being actively pursued by -- in -- in Wisconsin, and I  
11 don't know the exact status as of today.

12 MR. BOB PETERS: And they've had some  
13 other issues in Wisconsin, but you're telling the Board  
14 that this one (1) is -- is on the backburner?

15 MR. DAVID CORMIE: Yes, it's -- it -- it  
16 -- it -- it's important for Wisconsin to meet their  
17 future renewable standards and -- and I think it's a --  
18 it is a priority.

19 MR. BOB PETERS: Can you tell this Board  
20 as to when, if at all, new legislation will be re-  
21 introduced?

22 MR. DAVID CORMIE: I -- I don't have that  
23 knowledge, no.

24 MR. BOB PETERS: Is Manitoba Hydro aware  
25 of any legislation revisions sought in Minnesota?



1 MR. DAVID CORMIE: It -- the status of  
2 large hydro is not on the radar screen in Minnesota at  
3 this time.

4

5 (BRIEF PAUSE)

6

7 MR. ROBERT MAYER: While we're waiting, I  
8 was just speculating, so every Winnipeg River generating  
9 station, with the exception of Seven Sisters, would  
10 qualify on the hundred megawatt rules that -- did you say  
11 Minnesota? They -- they aren't new hydro by any means,  
12 but, I mean, is -- is that the kind of stuff we're  
13 worried about?

14 MR. DAVID CORMIE: I think on the  
15 Winnipeg River, only McArthur would -- is -- would go  
16 under the size limit asset.

17 MR. ROBERT MAYER: Well --

18 MR. DAVID CORMIE: Well, depending  
19 whether it's 60 or 100 megawatts, Mr. Mayer.

20 MR. ROBERT MAYER: -- yeah, I -- I was  
21 using 100 megawatts, and the only one (1) bigger, as I  
22 understand it, is Seven Sisters.

23 MR. DAVID CORMIE: Great Falls is bigger  
24 than a hundred.

25

1 (BRIEF PAUSE)

2

3

4 CONTINUED BY MR. BOB PETERS:

5 MR. BOB PETERS: Mr. Cormie, can we tie  
6 this back then to the MISO construction of the  
7 transmission line? Would it be correct to understand  
8 that if there is -- there are renewable portfolio  
9 standards in both Wisconsin and in Minnesota, and if  
10 Manitoba Hydro's energy doesn't qualify to provide  
11 renewable energy credits to Manitoba Hydro's  
12 counterparties, that will make the construction project  
13 more difficult.

14

15 (BRIEF PAUSE)

16

17 MR. DAVID CORMIE: Yeah, I -- I think I'd  
18 rather put it the other way. Sh -- should Manitoba's  
19 energy be deemed a renewable energy supply will make the  
20 transmission project easier to justify as an MVP than  
21 not.

22 But there's the aspect of -- of the wind  
23 energy in North Dakota, and wind by itself is not  
24 necessarily the best resource. It needs to be regulated  
25 and firmed, and in conjunction with the Manitoba Hydro

1 project, there are significant -- significant benefits to  
2 the market.

3 And so when you view it from a broad  
4 perspective, and interpret the renewable requirements  
5 under MVP projects, you know, you can -- you can take  
6 that perspective.

7 And -- and I think that's -- that's the  
8 direction that we will be going down to show that,  
9 overall, more renewables are possible -- it's possible to  
10 bring more renewables to the market with an MVP project  
11 than -- with this line than -- than without, and, as a  
12 result, it would help achieve the MVP status.

13 MR. BOB PETERS: Does the MVP, or multi-  
14 value project status, fail if Manitoba Hydro's energy is  
15 not -- does not qualify for renewable energy credits?

16

17 (BRIEF PAUSE)

18

19 MR. DAVID CORMIE: Well there's --  
20 there's -- there is a financial test where the benefits  
21 have to exceed the costs, and the benefit-cost  
22 calculation is defined in the tariff.

23 To the extent that the project does not  
24 ach -- achieve that, the project would have to be  
25 redefined to exclude certain portions of the

1 interconnection, or certain portions of the -- of the  
2 project in order that the balance of the project would  
3 achieve MP -- MVP status.

4                   That would mean that some private funding  
5 would have to come to the table to -- to support the  
6 project as a whole. So it's not a matter of passing or  
7 failing. It's to the extent that we're not -- it doesn't  
8 a hundred -- qualify a hundred percent for MVP status.  
9 Well, then the question is: How do you close that gap?  
10 And that gap can be closed by private investment.

11                   And that's -- that re -- that would be the  
12 responsibility of our counterparties in the US. And that  
13 may be a lesser expensive -- a lower cost option than  
14 building a private line and paying for it in its  
15 entirety.

16                   MR. BOB PETERS: So I take it that then  
17 becomes even a third option in the -- in the options  
18 you've told the Board about this morning?

19                   MR. DAVID CORMIE: Absolutely, and -- and  
20 that's why we -- we are working on this and trying to  
21 bring everybody to the table and finding a project that -  
22 - that is a win/win for everyone, and -- and then  
23 allocating the costs appropriately and defining which  
24 part of the project is to be regionalized and which part  
25 of the project won't be.

1                   For example, you know, we -- we already  
2 know the Canadian portion of the interconnection will be  
3 paid for by Manitoba Hydro. The portion from the border  
4 south to Grand Forks may be -- end up being paid for by  
5 Wisconsin and Minnesota Power because that portion can be  
6 deemed to part of the interconnection to Canada.

7                   Where the balance of the transmission from  
8 Grand Forks to Fargo down into Spilt Rock, South Dakota  
9 and east into Wisconsin, that could be part of the  
10 regional transmission upgrade. So you can cut the pie up  
11 however you -- however you want.

12                   And -- and we're -- we're working with the  
13 CapX utilities and with MISO to find a solution that will  
14 be beneficial to everybody and that the benefits and  
15 costs will be properly allocated.

16                   MR. BOB PETERS:     And presently Minnesota  
17 Power has not agreed to pay for any extension from the  
18 US/Canada border down to Grand Forks, have they?

19                   MR. DAVID CORMIE:    Minnesota Power is  
20 committed to invest in transmission in the US, Mr.  
21 Peters. I -- that's as much as I can tell you about.

22

23   (BRIEF PAUSE)

24

25                   MR. DAVID CORMIE:    One of the -- one of

1 the problems is when you build a two thirty (230) line  
2 you get 250 megawatts. The next size line -- they come  
3 in huge chunks, and the chunks don't necessarily align  
4 with the amount of firm transfer capability that -- that  
5 you get when you build a new line.

6 And in addition, there are reliability  
7 benefits that everybody will enjoy. So our -- our  
8 counterparties in the US are saying: Why -- why should  
9 we pay a hundred percent for a line that's going to  
10 provide regional benefits? We're -- we need to have  
11 those costs properly shared by everybody in accordance to  
12 who gets the benefits.

13 And it would be unfair to have Minnesota  
14 Power and Wisconsin Public Service pay for a \$2 billion  
15 line when they're only receiving a billion dollars in  
16 value, and -- and then everybody else would be a free  
17 rider. So this is the issue that is being addressed:  
18 what are the benefits, what are the costs, and how are  
19 they properly allocated.

20 And that process has been made easier now  
21 because we have this funding mechanism through the MVP  
22 that allows large transmission lines that provide  
23 regional reliability benefits and access to renewables to  
24 step in and -- and there's a mechanism there. You don't  
25 have to go and negotiate that. That's -- that's a

1 funding mechanism.

2 So we're in the process of exploring that  
3 and -- but there is a commitment by Minnesota Power and  
4 Wisconsin to build transmission one way or the other.

5 MR. BOB PETERS: The timeline keeps  
6 getting pushed back on that?

7 MR. DAVID CORMIE: The timeline is driven  
8 now by the -- the in-service dates of the -- of the term  
9 sheets, and we're working to those schedules.

10 MR. BOB PETERS: And Manitoba Hydro has  
11 pushed its term sheet deadlines back a year in terms of  
12 the construction of Keeyask and Conawapa?

13 MR. DAVID CORMIE: Yes, we had to delay  
14 in-service dates.

15 MR. BOB PETERS: Because of the  
16 transmission issues in the United States?

17 MR. DAVID CORMIE: Yes, because we're not  
18 prepared to build projects unless there's signed  
19 contracts in place, and those contracts have to have  
20 transmission associated with them.

21 MR. BOB PETERS: But Mr. Warden is  
22 prepared to fund a million dollars a day on Keeyask and  
23 Conawapa even though there is no firm agreements in  
24 place?

25 MR. VINCE WARDEN: Mr. Peters, the only

1 reason we're prepared to provide such funding is that  
2 it's necessary in order to maintain the schedule. And if  
3 we didn't do that we would not be able to meet the  
4 schedule that we're planning to meet for -- to serve  
5 these contracts -- these term sheets.

6 MR. BOB PETERS: And I appreciate it, Mr.  
7 Warden, but doesn't the timeline keep getting pushed back  
8 by -- the problem with the US transmission pushes the --  
9 the -- the in-service date back in Manitoba?

10 MR. VINCE WARDEN: It does, but we've  
11 adjusted our spending accordingly.

12 MR. BOB PETERS: Well, at a million  
13 dollars a day, is that a downward adjustment?

14 MR. VINCE WARDEN: Well, it's downward  
15 from what it was previously, or what it would otherwise  
16 be, had not the in-service date been deferred.

17 MR. BOB PETERS: And yet there is no  
18 certainty of transmission as we've heard from Mr. Cormie,  
19 and that puts an additional risk on Manitoba Hydro and  
20 its ratepayers as to the costs being expended on Keeyask  
21 and Conawapa?

22 MR. DAVID CORMIE: Mr. Peters, there is  
23 certainty on transmission, transmission will be built.

24 MR. BOB PETERS: It's a question of when  
25 and who will build it and who will pay for it?



1 MR. DAVID CORMIE: The question is how  
2 the costs will get allocated, but transmission will be  
3 built.

4 MR. ROBERT MAYER: Mr. Warden, this  
5 million dollars a day, is that money that would otherwise  
6 -- if you -- if at some period in time you will build  
7 Keeyask and Conawapa, is that money that would have to  
8 otherwise be spent in any event?

9 MR. VINCE WARDEN: Yes, absolutely.

10 MR. ROBERT MAYER: Thank you.

11

12 (BRIEF PAUSE)

13

14 MR. DAVID CORMIE: You know, maybe, Mr.  
15 Peters, I can explain one (1) other factor. To -- to  
16 bring a large new hydro station into service takes eight  
17 (8) years of construction, six (6), maybe ten (10) years  
18 to work through the business relationships with the  
19 Aboriginal communities, do the environmental studies, it  
20 takes a long, long time.

21 It's very difficult for Manitoba Hydro to  
22 go to its customers and say, We need you to sign a  
23 contract for the delivery of power that will start  
24 fifteen (15) years from now. We would never find a  
25 customer who would help bear the costs of -- of a new

1 hydro project because of those timelines.

2                   And that's different than it used to be.  
3 It used to be that it was, you know, construction times  
4 were shorter, the upfront study times were much shorter  
5 and we could -- we could negotiate a -- a contract in  
6 advance of -- of having to commit.

7                   But the reality is is that -- that -- that  
8 in -- in order to help -- to -- to get a contract we have  
9 to -- we have to do a -- we have to make a pre-investment  
10 decision in -- and to fund the environmental studies, the  
11 -- the business planning that's necessary with the  
12 Aboriginal communities, and -- and -- and that's -- and -  
13 - and come to the table with a project that is ready to  
14 be built.

15                   And that's where we are now with -- with  
16 Keeyask and Conawapa. We've -- we've made that  
17 investment and the investment hasn't been cheap, but we  
18 would have never been able to find a customer who -- in  
19 the United States who would have been prepared fifteen  
20 (15) years in advance of deliveries to -- to sign those  
21 contracts.

22                   It just doesn't align with their -- with  
23 their timelines. So this is -- this is the -- the -- the  
24 -- the -- this is where this -- it's becoming more  
25 difficult to -- to -- to do that and we have to -- we

1 have to make that upfront investment.

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: So, in essence, this  
5 pre-investment decision is you have to build partially on  
6 -- on -- on speculation that you're going to consummate  
7 these arrangements with Wisconsin and Minnesota Power?

8 MR. DAVID CORMIE: Yes, and I -- I -- I  
9 believe that at any time during the last four (4) years  
10 if -- if there had been any doubt in our mind that the  
11 term sheets with Wisconsin and Minnesota Power weren't  
12 going to go to fruition, we would have stopped.

13 We're only continuing down this path  
14 because we are making progress on all fronts, progress  
15 with our Aboriginal partners, progress with our -- our  
16 external customers, and -- and as we evaluate annually  
17 through our planning cycle, the -- the -- whether this is  
18 still the right direction, or on a day-to-day basis as  
19 we're interacting with all these stakeholders, we're  
20 convinced that we're -- we're going in the right  
21 direction and we're not blindly going down a path because  
22 of something that we decided to do four (4) years ago.

23 There's been definite progress being made  
24 in all fronts, and -- but ultimately the decision to  
25 build has yet -- it has to be -- it still has to be made.

1 We -- we have not got to the commitment stage.

2 MR. VINCE WARDEN: And, Mr. Peters, I  
3 might just add that while there is the spending that's  
4 taking place now, I -- I wouldn't label that spending  
5 "speculation."

6 We're doing so with the knowledge that we  
7 have these contracts that are being negotiated, firm  
8 power is required to serve the Manitoba load at -- at  
9 some point in the future, so we are making these  
10 expenditures with the knowledge that these facilities  
11 will be built.

12 And I -- I have some difficulty calling  
13 that speculative spending. In fact, I -- I would not  
14 call it that at all.

15 MR. BOB PETERS: It's not speculative in  
16 your mind, even though if these arrangements don't come  
17 to fruition with Minnesota Power and Wisconsin Public  
18 Service, IFRS may require them to be charged through  
19 against retained earnings, like we talked about  
20 yesterday?

21 MR. VINCE WARDEN: Well, there's --  
22 there's a risk with any type of expenditure that we  
23 undertake, any forward-looking expenditure, and yes, we  
24 can't let the accounting rules drive good management  
25 decisions.

1                   MR. BOB PETERS:     Following up on Mr.  
2 Cormie's last answer, if Manitoba Hydro was to put a full  
3 stop to the Conawapa and Keeyask construction sites, what  
4 implications does that have, other than it may extend or  
5 terminate the agreements with Wisconsin and Minnesota  
6 Power?

7                   MR. DAVID CORMIE:     I don't -- I don't  
8 think Manitoba Hydro would -- would stop, Mr. Peters. We  
9 have a Manitoba load that needs to be served in the  
10 future, and the only reason we would stop if we felt that  
11 the -- the load forecast was indicating that we did not  
12 need new facilities in the future, and so I -- I don't  
13 agree with the premise of your question.

14                  MR. BOB PETERS:     Well, the premise is  
15 that you won't need let's say Conawapa for many decades  
16 to come, and the purpose of building it and having it in  
17 reserve may not make economic sense for Manitobans,  
18 correct?

19                  MR. VINCE WARDEN:    Mr. Peters, we do  
20 require new facilities, new generation facilities to  
21 serve the Manitoba load by 2022, therefore I am not sure  
22 how you could conclude that Conawapa would be deferred  
23 for decades to come.

24                  I think in the alternative scenarios that  
25 we've reviewed, in fact Conawapa would be advanced if --

1 if -- in the no-sale scenario.

2 MR. BOB PETERS: Well, I was putting  
3 Keeyask ahead of Conawapa in my premise, but --

4 MR. VINCE WARDEN: Well, you were making  
5 an assumption there that isn't necessarily valid.  
6 Conawapa is the low-cost plant in the absence of the  
7 sales.

8 MR. BOB PETERS: So the Keeyask  
9 expenditures could be put off for decades to come?

10 MR. VINCE WARDEN: In the event that the  
11 sales did not proceed, the alternative development plan  
12 would put Conawapa first, yes.

13 MR. BOB PETERS: And -- and Keeyask would  
14 be some decades down the road.

15 MR. VINCE WARDEN: Keeyask would then, in  
16 that situation, be deferred, yes.

17

18 (BRIEF PAUSE)

19

20 MR. ROBERT MAYER: I -- I'm not sure I  
21 really want to ask this question, but now that you've  
22 raised the issue, we've read over the past several months  
23 about arriving at agreements with the downstream  
24 Aboriginal First Nation -- downstream First Nations with  
25 respect to the construction of, I believe, Keeyask.

1 I'm not sure that we've seen a lot of the  
2 detail of what's in those agreements, but would  
3 significant delay of Keeyask jeopardize those agreements  
4 with the First Nations people that are affected by those  
5 projects?

6 MR. VINCE WARDEN: My response to that,  
7 Mr. Mayer, would be that the First Nations are fully  
8 aware of the situation with respect to Keeyask, and that  
9 there is the potential for -- for deferment should the  
10 sales not proceed.

11

12 (BRIEF PAUSE)

13

14 CONTINUED BY MR. BOB PETERS:

15 MR. BOB PETERS: Mr. Warden, maybe to  
16 assist the Vice Chair, if we turn to Tab 50, 5-0, of PUB  
17 Exhibit 16, which is Volume II of Board council's book of  
18 documents. This will be the last tab in that book of  
19 documents, you'll find a response fro -- from Manitoba  
20 Hydro to a question on behalf of the Board, PUB Manitoba  
21 Hydro Second Round Question 7A and following.

22 This was Manitoba Hydro's response in  
23 terms of where the Keeyask joint development agreement  
24 stood together with its comparatives with the Wuskwatim  
25 development agreement, correct?

1 MR. VINCE WARDEN: Yes.

2 MR. BOB PETERS: And is it -- would it be  
3 fair to say that in -- in many respects, the Keeyask  
4 agreement parallels the Wuskwatim agreement?

5 MR. VINCE WARDEN: In many -- many  
6 respects, that's correct, yes.

7 MR. BOB PETERS: Are you able to tell the  
8 Board any of the significant differences that you  
9 understand exist as between the Keeyask arrangement and  
10 the Wuskwatim arrangement?

11 MR. VINCE WARDEN: Mr. Peters, I believe  
12 that was the purpose of the table, Table 1, attached to  
13 the response to PUB-7.

14 MR. BOB PETERS: Fair enough. One of the  
15 differences in that table that -- and I'm looking at page  
16 152 of the book of documents, which happens to be again  
17 in Tab 50 of PUB Exhibit 16, the -- the Wuskwatim deal  
18 provided a common equity option only to the investors,  
19 whereas with Keeyask there can be a choice between  
20 preferred equity or a common equity option. Is that your  
21 understanding?

22 MR. VINCE WARDEN: Yes.

23 MR. BOB PETERS: Can you explain to the  
24 Board what the difference is between the preferred equity  
25 and the common equity option that is available in the



1 Keeyask arrangement?

2 MR. VINCE WARDEN: Well, the Keeyask  
3 arrangement with the preferred equity provision does  
4 allow for payments. The payments stream regardless of  
5 whether or not there may or may not be a threshold  
6 reached for which dividends will be paid in any given  
7 year.

8 So for the Wuskwatim partnership --  
9 partners to receive dividends there is a payment test  
10 that has to be met before those dividends can be paid.  
11 That same test isn't there for the Keeyask agreement.

12 The Wuskwatim partners were provided with  
13 the opportunity to amend their agreement to incorporate  
14 the preferred option. And to my knowledge, they're --  
15 they're happy with what they have, although I'm not sure  
16 that that's the ultimately -- or that's the -- been  
17 totally concluded yet.

18 MR. ROBERT MAYER: There is -- isn't  
19 there in the Wuskwatim release, some provision I thought  
20 I heard about, where Nisichawayasihk can borrow against  
21 future dividends, and thereby receive a cashflow of some  
22 sort?

23 MR. VINCE WARDEN: Yes.

24

25 CONTINUED BY MR. BOB PETERS:

1                   MR. BOB PETERS:     And in terms the  
2 preferred equity versus the common equity option, the  
3 preferred equity will -- will provide a cashflow  
4 regardless of how profitable the Keeyask generating  
5 station is?

6                   MR. VINCE WARDEN:     Yes.

7                   MR. BOB PETERS:     And the preferred equity  
8 would be paid out and not subject to being repaid?

9

10                                   (BRIEF PAUSE)

11

12                   MR. VINCE WARDEN:     Mr. Peters, subject to  
13 check, I believe that is the case, yes.

14

15                                   (BRIEF PAUSE)

16

17                   THE CHAIRPERSON:     Mr. Peters, I think  
18 we're -- there's a lot of important information being  
19 shared at this point in time. I think we'll take our  
20 break now. Thank you.

21                   MR. BOB PETERS:     Certainly. I'll...

22

23 --- Upon recessing at 10:39 a.m.

24 --- Upon resuming at 11:05 a.m.

25

1 THE CHAIRPERSON: Okay. Welcome back.

2 Mr. Peters...?

3

4 CONTINUED BY MR. BOB PETERS:

5 MR. BOB PETERS: Just to tidy up on a  
6 couple of thoughts from this morning's discussion with  
7 Mr. Cormie, Mr. Cormie, we've talked that Minnesota and  
8 Wisconsin had been the victims, in some regards, of the -  
9 - the economic recession that has happened from 2008 to -  
10 - to maybe currently.

11 Is that correct?

12

13 (BRIEF PAUSE)

14

15 MR. DAVID CORMIE: Both utilities did see  
16 a decline in their -- in their load, yes.

17 MR. BOB PETERS: And not necessarily in  
18 amount, but similar to Manitoba, their load growth didn't  
19 -- didn't materialize as they initially forecast. Would  
20 that be fair?

21 MR. DAVID CORMIE: Yes, I think in the  
22 short term their loads are lower than -- than they had  
23 previously forecast. I believe Minnesota Power is back  
24 on track though.

25 MR. BOB PETERS: And -- and you say

1 Minnesota Power is back on track because Minnesota Power  
2 had a -- a record high peak winter day?

3 MR. DAVID CORMIE: Yes.

4 MR. BOB PETERS: What about Wisconsin?  
5 It hasn't hit a -- a new peak yet?

6 MR. DAVID CORMIE: I haven't talked to my  
7 counterpart at Wisconsin since November, but -- so I  
8 don't know the answer to that, no.

9 MR. BOB PETERS: Can you tell the Board  
10 how long the term sheets are in existence before they --  
11 they lapse?

12

13 (BRIEF PAUSE)

14

15 MR. DAVID CORMIE: The -- the -- the term  
16 sheets are a -- a -- a living document, Mr. Peters. And  
17 as long as both parties to the term sheets feel that  
18 there's value in continuing to work on the issues that  
19 need to be considered before a -- an agreement to --  
20 expressed in a contract, there's progress being made,  
21 then -- then we will continue them.

22 The -- the current term sheets have  
23 another -- have another year to go. And to the extent  
24 that they need to be extended because the parties feel  
25 that there's value in extending them, they will. If we

1 get to the point where they're no longer bringing value,  
2 they will expire.

3 MR. BOB PETERS: In the interim, not that  
4 Manitoba Hydro would/should or -- but Manitoba Hydro  
5 could terminate its relations with the counterparties?

6 MR. DAVID CORMIE: Is that -- is that a  
7 question?

8 MR. BOB PETERS: Yes. Could Manitoba  
9 Hydro terminate its -- its term sheets with Wisconsin  
10 Power and Minnesota Power?

11

12 (BRIEF PAUSE)

13

14 MR. DAVID CORMIE: Yes, we could  
15 terminate them, yes.

16 MR. BOB PETERS: Would there be any  
17 financial penalty to Manitoba Hydro if that was to  
18 happen?

19 MR. DAVID CORMIE: No.

20 MR. BOB PETERS: And likewise, Minnesota  
21 or Wisconsin could terminate without financial penalty  
22 for any reason at any time?

23 MR. DAVID CORMIE: Yes.

24 MR. BOB PETERS: They don't have to wait  
25 until the end of the year or wait until this term sheet

1 anniversary date to indicate an intention to -- to  
2 terminate the -- the discussions with Manitoba Hydro?

3 MR. DAVID CORMIE: There's no requirement  
4 in the term sheets.

5 MR. BOB PETERS: No requirements to wait  
6 until the end?

7 MR. DAVID CORMIE: That -- that binds  
8 them to the end, no.

9 MR. BOB PETERS: Mr. Warden, I was going  
10 to ask you these questions when Ms. Pambrum wasn't in the  
11 room, but somehow she must have seen my notes this  
12 morning and snuck in, so since we last chatted about City  
13 of Winnipeg issues, you told me that Manitoba Hydro and  
14 the City were embroiled in litigation at one (1) point in  
15 time, correct?

16 MR. VINCE WARDEN: Correct.

17 MR. BOB PETERS: And you're going to have  
18 to take me with baby steps here, I haven't reviewed the  
19 statement of claim, or the defence, if there was any  
20 filed, but is the -- is the gist of what the litigation  
21 was over is that the City of Winnipeg wanted Manitoba  
22 Hydro to be charging a tax on behalf of the City of  
23 Winnipeg on certain of the taxes on the customer bills  
24 that Manitoba Hydro sent out to its customers?

25 MR. VINCE WARDEN: Yes. The issues that

1 resulted in the statement of claim being filed related to  
2 a -- an audit conducted by the City of Winnipeg on the  
3 billings of Manitoba Hydro.

4 Manitoba Hydro collects tax on behalf of  
5 the City on energy charges, both gas and electricity, and  
6 the issue -- the major issue, not the only one (1), but  
7 the major issue was with respect to the application of  
8 GST on the taxes already collected, so it was a  
9 compounding of taxes.

10 And, according to the reading of the  
11 Winnipeg Charter it does, in fact, provide for that, so  
12 it -- it was quite clear that there was provision to  
13 allow that compounding of tax, but Manitoba Hydro's point  
14 all along was that was never the intent of the  
15 legislation, and without getting into a lot of the  
16 details of that, we -- we refused to pay on that basis,  
17 hence the filing of the statement of claim.

18 It appeared that the only way for us to  
19 resolve this matter was through either some form of  
20 negotiation or retroactive leg -- legislation by the  
21 province, and ultimately we decided that negotiation was  
22 the best route.

23 MR. BOB PETERS: I told you I didn't  
24 understand it, and I really still don't, Mr. Warden, but  
25 the City of Winnipeg Charter allows the City to

1     apparently charge a city tax on top of the GST? Is that  
2     your understanding?

3                     MR. VINCE WARDEN:     Yes. In -- in the  
4     City of Winnipeg Charter, there is a definition of  
5     purchase price to which the tax is applied, and that  
6     definition of purchase price does include other taxes  
7     that may be applied. So the GST was part of the other  
8     taxes that may be applied.

9                     MR. ROBERT MAYER:     Mr. Warden, I was just  
10    discussing this with the Chair. Every time I leave the  
11    city I pay -- well, I don't, you eventually pay, I guess,  
12    a hotel bill for which there's the room fee, then there's  
13    the 5 percent accommodation tax, which I understand to be  
14    a city tax, and that's the cost.

15                    And then GST and PST are added, so it  
16    becomes very obvious that the 5 percent accommodation tax  
17    goes in before the PST and GST, which sounds exactly  
18    totally opposite to what you are describing the City  
19    argues is the case, or at least in the -- in the position  
20    you were in, so that the 5 percent GST is a different  
21    number than the 5 percent accommodation tax, and the 5  
22    percent GST is higher.

23                    MR. VINCE WARDEN:     Yeah, well, I -- I  
24    can't explain that, Mr. Mayer. I can explain the -- the  
25    tax that's been applied on electricity bills, but the



1 hotel bills I haven't -- I'm not in a position to  
2 comment, but -- but I think the -- the principle you're  
3 describing is similar.

4 MR. ROBERT MAYER: Well, it seems just  
5 the opposite, in fact. That the -- they wanted you to  
6 charge their tax after the PST and GST, whereas with the  
7 hotels the PST and GST is charged on the hotel bill  
8 itself, and the 5 percent accommodation tax, which sounds  
9 to be exactly opposite to what they were asking you to  
10 do.

11 MR. VINCE WARDEN: Yes, and it's  
12 consistent though -- it sounds like it's consistent with  
13 the way we were applying the tax, and it's the way, in  
14 fact, I -- really it -- it has -- happily, it has been  
15 resolved, so I -- I don't want to, you know, put Manitoba  
16 Hydro's case on the record. But nevertheless, it has  
17 been resolved, and I think to the satisfaction of both  
18 parties.

19 MR. BOB PETERS: And, Mr. Warden, the --  
20 the tax on the GST portion of the hydro bills, what rate  
21 was that tax to be charged at. Do you recall?

22 MR. VINCE WARDEN: Well, there's a  
23 different rate for residential, commercial, whether or  
24 not the energy is being used for space heating, so dif --  
25 different rates apply to different circumstances. The --

1 the rate -- the basic rate of tax though on residential  
2 was 2.5 percent.

3 MR. BOB PETERS: You told the Vice-Chair  
4 that the matter was resolved. It's a matter of public  
5 record as to what the resolution was. Is it not?

6 MR. VINCE WARDEN: Yes.

7 MR. BOB PETERS: And how much was paid by  
8 Manitoba Hydro to the city of Winnipeg to resolve this  
9 litigation?

10 MR. VINCE WARDEN: Manitoba Hydro did pay  
11 \$5.3 million. However, not all of that was related to  
12 the GST issue. There were other audit issues that --  
13 that arose. And the application of tax, according to the  
14 Winnipeg charter, is extremely com -- complex and a lot  
15 of judgment involved, a lot of room for misapplication.

16 So one (1) of the -- one (1) of the  
17 provisions in the agreement we have with the City is that  
18 we are going to form a team, in fact that team has been  
19 formed already, to review the application of tax and  
20 streamline it. And hopefully these problems will not  
21 arise in the future.

22 MR. BOB PETERS: Is that audit a matter  
23 of public record, sir?

24

25

(BRIEF PAUSE)

1 MR. VINCE WARDEN: Mr. Peters, the -- the  
2 audit was conducted by the city of Winnipeg. The extent  
3 to which they put that information on the public record  
4 I'm not certain.

5 MR. BOB PETERS: Could you undertake to  
6 foo -- to determine if a copy can be provided to the  
7 Board and advise the Board?

8 MR. VINCE WARDEN: We can certainly  
9 undertake to do that, Mr. Peters. However, it mi --  
10 might be more efficient for me to answer any questions  
11 the Board may have. I -- it's an extremely complex and  
12 convoluted exercise they go through, and I wouldn't want  
13 to impose that on the Board if -- if it's not necessary.  
14 I'd be pleased to answer any specific questions you might  
15 have though.

16 MS. PATTI RAMAGE: Mr. Peters, if I could  
17 just jump in here too. Insofar as Manitoba Hydro  
18 answered questions, we don't have access to the audit  
19 documents. We don't know if an audit report was  
20 produced. We just responded to questions, so I'm not  
21 sure we could accept the undertaking, in any event.

22 MR. BOB PETERS: In addition --

23 MR. ROBERT MAYER: Mr. Warden, Ms.  
24 Ramage, I know what the Chair and I really want to know.  
25 What are you committed to do in the future? Are you

1 going to charge a tax on tax to the Winnipeg consumers or  
2 no?

3 MR. VINCE WARDEN: No, definitely not.  
4 If you're looking for the -- what we've referred to as  
5 the minu -- minutes of settlement, which is a two (2)  
6 page document that summarizes the agreement between the  
7 City and -- and Manitoba Hydro, I would first confer with  
8 the City to make sure they have no objections, but I see  
9 no reason why that couldn't be filed.

10 MR. BOB PETERS: Then maybe that will be  
11 the undertaking, if you and your counsel would check to  
12 see if that can be provided, and if there's no objection,  
13 to provide it to the City -- or to -- from the City  
14 through Manitoba Hydro to the Board.

15 MR. VINCE WARDEN: Yes, we will do that.

16

17 --- UNDERTAKING NO. 84: Manitoba Hydro to provide the  
18 minutes of settlement that  
19 summarizes the agreement  
20 between the City and Manitoba  
21 Hydro

22

23 CONTINUED BY MR. BOB PETERS:

24 MR. BOB PETERS: and the \$5.3 million  
25 that was paid to Ms. Pambrum and her friends -- I'm

1 surprised she's not on holidays. But that said, in --  
2 how much of that 5.3 million related to the -- I'm going  
3 to call it the tax on tax issue, Mr. Warden? Are you  
4 able to determine that?

5 MR. VINCE WARDEN: There -- whe -- when  
6 an amount of the statement of claim was derived, it was a  
7 total amount and negotiations proceeded towards a  
8 settlement of that total amount. So -- so, no, there is  
9 no real breakdown as to how much of the 5.3 million would  
10 have been applicable to the tax on tax issue.

11 MR. BOB PETERS: Where is Manitoba Hydro  
12 going to come up with \$5.3 million, Mr. Warden?

13 MR. VINCE WARDEN: Well, it's a matter of  
14 -- like any other expenditure we have, we -- we have to  
15 find that funding somewhere. And so it's -- it's a  
16 question of where we -- if you're questioning where we  
17 will charge that amount to, it will be charged as a part  
18 of current operations on our income statement.

19 MR. ROBERT MAYER: You can't surcharge  
20 the City?

21 THE CHAIRPERSON: Mr. Warden, just one  
22 (1) question. The -- my understanding was that the --  
23 what the City was seeking actually went back to a period  
24 in which the City owned Winnipeg Hydro?

25 MR. VINCE WARDEN: Yes, and that was

1 something we were questioning as well, but that -- that  
2 is correct. It went back to a time when the City -- City  
3 owned Winnipeg Hydro and they did not apply tax on tax  
4 during that period as well.

5 THE CHAIRPERSON: Mr. Peters...?

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: And the \$5.3 million,  
9 Mr. Warden, is a compromise figure relative to the amount  
10 quantified through the statement of claim?

11 MR. VINCE WARDEN: Yes, it is. While the  
12 statement of claim was filed and then -- and then  
13 subsequently amended, there were negotiations going on  
14 between the City and the -- and Manitoba Hydro.

15 The -- the amount though, and just giving  
16 that a little bit further thought, the amount that was  
17 roughly related to GST would have been about -- of the  
18 five point three (5.3) would have been approximately \$4  
19 million, although that amount was not specified in the  
20 minutes of settlement.

21 MR. BOB PETERS: Just slowly processing  
22 the math Mr. Warden, if there was a one dollar (\$1)  
23 customer bill sent out by Manitoba Hydro for energy  
24 provided to a residential customer, that one (\$1) bill  
25 would attract 5 percent GST in the normal course?

1 MR. VINCE WARDEN: Currently, yes. As  
2 you know the GST was reduced, but -- so over the period  
3 of time we were talking about, it would have been at the  
4 higher rate.

5 MR. BOB PETERS: All right. Leaving that  
6 aside, at the current rate of 5 percent and the essential  
7 average residential tax that the City wanted charged on  
8 top of the GST, that was approximately 2.5 percent as I  
9 understood your previous evidence?

10 MR. VINCE WARDEN: Yes.

11 MR. BOB PETERS: So that means the City  
12 was looking for -- on that one dollar (\$1) invoice to a  
13 residential customer the city was looking for an  
14 additional one and a quarter (1 1/4) cents?

15 MR. VINCE WARDEN: Well, it would be --

16 MR. BOB PETERS: Two (2) -- that's 2 1/2  
17 percent of five (.05) cents.

18 MR. VINCE WARDEN: 2 1/2 percent of five  
19 (.05) cents. That would not be one and a quarter (1 1/4)  
20 cents though.

21 THE CHAIRPERSON: It only becomes a big  
22 amount when you have the aggregate bills.

23

24 CONTINUED BY MR. BOB PETERS:

25 MR. BOB PETERS: There was no admission

1 of liability, I suppose, the usual lawyer's words, in  
2 these settlements?

3 MR. VINCE WARDEN: Yes. That -- that's  
4 right.

5 MR. BOB PETERS: And it's a one-time  
6 payment is what I understood your answer to be to Mr. --  
7 the Vice-Chair?

8 MR. VINCE WARDEN: Yes.

9 THE CHAIRPERSON: Mr. Warden, if I recall  
10 the terms of the Purchase Agreement, I might be getting  
11 which -- Hydro has more than met the provision with  
12 respect to energy efficiency, has it not?

13 MR. VINCE WARDEN: Yes, we have.

14 THE CHAIRPERSON: Like you -- you  
15 exceeded the requirements that were within the contract  
16 itself?

17 MR. VINCE WARDEN: Yes, but that was  
18 contemplated at the time that was assigned.

19 THE CHAIRPERSON: And you've met all --  
20 all other terms, like you built the new head office and -  
21 - and continue making the perpetual payments and things  
22 of that nature?

23 MR. VINCE WARDEN: We did, which I  
24 certainly made them aware of during negotiations.

25



1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Mr. Warden, I'm just  
3 trying to deal with this. You've told the Board that  
4 this 5.3 million will be charged to fiscal 2011  
5 operations, as I understood your evidence.

6 MR. VINCE WARDEN: Yes.

7 MR. BOB PETERS: And does that mean that  
8 Manitoba Hydro will find internally the monies that  
9 weren't budgeted for this settlement?

10 MR. VINCE WARDEN: Well, no. All other  
11 things being equal, as we -- a term we've been using, the  
12 \$5.3 million will go directly to the bottom line of  
13 Manitoba Hydro.

14 MR. BOB PETERS: It'll mean that it may  
15 cause you to -- to not comply with the budget?

16 MR. VINCE WARDEN: Well, the net inco --  
17 net income of Manitoba Hydro will be -- will be \$5.3  
18 million lower than it would otherwise be.

19 MR. BOB PETERS: And the operating budget  
20 will be \$5.3 million higher than it would otherwise be.

21 MR. VINCE WARDEN: Well, the operating  
22 budget itself won't change, but the actual cost will  
23 change in -- in comparison to that budget.

24 MR. BOB PETERS: I -- I was -- just  
25 wanted to follow up on the Vice-Chair's question about

1 future impact on Manitoba Hydro's consumers.

2 I understood your answer to be that the  
3 consumers' bills for Manitoba Hydro will not increase  
4 going forward by the 2 1/2 percent on the -- on the GST  
5 portion --

6 MR. VINCE WARDEN: Yeah.

7 MR. BOB PETERS: -- for residential  
8 customers.

9 MR. VINCE WARDEN: Yes, that's right.

10 MR. BOB PETERS: Now, is that subject to  
11 review by this working group or this settlement  
12 committee?

13 MR. VINCE WARDEN: No.

14 MR. BOB PETERS: What is the purpose then  
15 of the -- of the settlement committee or the group that's  
16 going to now study the -- the tax issues?

17 MR. VINCE WARDEN: Well, as -- as I  
18 mentioned, the provisions of tax application are  
19 extremely complex, and we want to avoid any kind of  
20 future issues as much as possible by streamlining the  
21 application of that tax, making it simpler and more  
22 straightforward and less -- less open to interpretation.

23

24 (BRIEF PAUSE)

25

1 MR. BOB PETERS: What happens to the  
2 City's 2 1/2 percent tax on the tax going forward, Mr.  
3 Warden?

4 MR. VINCE WARDEN: Well, they will not be  
5 expecting to collect that tax, so...

6 MR. BOB PETERS: So Manitoba Hydro is not  
7 going to charge it, and they're not going to remit it to  
8 the City of Winnipeg, and they're doing that with the  
9 City's full concurrence.

10 MR. VINCE WARDEN: Yes.

11 MR. BOB PETERS: Okay.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: Mr. Cormie, maybe let's  
16 turn to something really easy, like drought and the  
17 implications for what happens under certain drought  
18 conditions.

19

20 (BRIEF PAUSE)

21

22 MR. BOB PETERS: Mr. Cormie, I -- I want  
23 to use our time to have a full understanding of what  
24 Manitoba Hydro indicates is going to happen in certain  
25 circumstances of drought, and first of all, as a starting

1 point, would it be correct to consider a drought as any  
2 water conditions that are below average?

3 MR. DAVID CORMIE: You could take that  
4 definition, but I think there needs to be some  
5 significance to the -- the deviation from average before  
6 we would classify it as a drought.

7 MR. BOB PETERS: Is -- is there any  
8 written definition that is used consistently in the  
9 agreements that Manitoba Hydro has as to what a drought  
10 is or is not?

11 MR. DAVID CORMIE: No.

12

13 (BRIEF PAUSE)

14

15 MR. BOB PETERS: If the Board looks at a  
16 situation dealing with a drought that has -- the likes of  
17 which have never been seen in Manitoba before, according  
18 to Manitoba Hydro's historical record.

19 Can you explain succinctly to the Board of  
20 what is Manitoba Hydro's obligation under the new pending  
21 NSP arrangement?

22

23 (BRIEF PAUSE)

24

25 MR. DAVID CORMIE: To the extent that

1 Manitoba Hydro is able to fulfill its obligations to NSP,  
2 with its -- with the -- with its resources, without  
3 having to curtail supply to its Manitoba customers,  
4 Manitoba Hydro has an obligation to -- to supply Xcel.

5 A drought of the magnitude that you have  
6 described would be considered a -- considered an act of  
7 God. It would trigger a Force Majeure event, and under  
8 that Force Majeure event Manitoba Hydro would be relieved  
9 of -- would be allowed to curtail, and -- and that may  
10 result in -- in no deliveries to Xcel Energy under the  
11 contract.

12 MR. BOB PETERS: Would Manitoba Hydro  
13 have to pay a financial penalty under that circumstance  
14 that we're talking?

15 MR. DAVID CORMIE: No.

16 MR. BOB PETERS: Is relief available to  
17 Manitoba Hydro for only that portion of energy that  
18 Manitoba Hydro would otherwise have to deliver after  
19 conditions get to this point, where they're the worst on  
20 record?

21 MR. DAVID CORMIE: Manitoba Hydro is --  
22 always has the right to curtail when the circumstances  
23 are such that the higher priority loads are at -- are at  
24 risk, and it doesn't necessarily have to be a drought  
25 worse than the record, it can be any circumstance.

1                   And -- and drought is -- is one (1) of the  
2 reasons for which curtailment is allowed. And then you  
3 curtail to the extent that you have to in order to  
4 continue to serve higher priority loads, including  
5 Manitoba firm load.

6                   MR. BOB PETERS:     Would it be a drought in  
7 Manitoba Hydro's determination if Lake Winnipeg inflows  
8 available for outflows were less than 80 percent of  
9 average?

10                  MR. DAVID CORMIE:     According to that --  
11 the -- the definition that it's below average, you could  
12 describe that as a drought, yes.

13                  MR. BOB PETERS:     And so if the below  
14 average level was 70 percent below average or 50 percent  
15 below average, that still would qualify as a drought  
16 definition?

17                  MR. DAVID CORMIE:     Yes.

18                  MR. BOB PETERS:     How would Manitoba Hydro  
19 know that the conditions are worse than anything on  
20 historical record starting in April of -- of a given  
21 year?

22

23

(BRIEF PAUSE)

24

25

MR. DAVID CORMIE:     Well, we only know

1 what is actually happening. We can't anticipate the  
2 future precisely, Mr. Peters, but we do protect the  
3 supply of electricity in Manitoba such that, should there  
4 be a repeat of the worst drought on record, that there  
5 will be sufficient supplies available to ensure the needs  
6 of our customers can be met.

7 I remember in the drought of 2003, in June  
8 of 2003, we had lower inflows to the Manitoba Hydro  
9 system than had ever occurred before. That the -- that  
10 the river flows were low was not a surprise. That they  
11 were setting new lows becomes a surprise, but -- but we  
12 were already in -- in mode of -- of conservation doing  
13 everything possible to ensure the supply of power to our  
14 customers. So we don't -- we -- we don't anticipate  
15 those kind of events, but we do know that they can occur.

16 And -- and under those situations we are  
17 operating the system with the strategy that recognizes  
18 that worse events than are in the historical record can  
19 occur. And we do everything possible to mitigate them.

20 MR. BOB PETERS: Thank you for that  
21 answer, Mr. Cormie. I take it dealing with the new NSP  
22 arrangement, whether the drought conditions are worse  
23 than the historical record or not worse than the  
24 historical record are irrelevant in terms of how Manitoba  
25 Hydro deals with delivery to that customer?

1 (BRIEF PAUSE)

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. DAVID CORMIE: If there is surplus generation capacity available beyond that, which is needed to serve the Manitoba load, that surplus is required to be used to serve the sale obligations to the extent that we can. And the contract doesn't require us to go to market to serve the sale, but it may be economic for Manitoba Hydro to do that.

So we could choose to continue to serve the sale because the revenue under the sale exceeds the cost of purchase power, and we have that option. But there's nothing that requires us to do that. And if we were to get into a situation where we had to curtail the last megawatt of deliveries to one (1) of our customers in order to protect the -- curtailing the Manitoba load by 1 megawatt, then we would exercise that and we would do that without penalty.

MR. BOB PETERS: And you would do that whether it was in winter or in summer?

MR. DAVID CORMIE: Yes.

MR. BOB PETERS: Manitoba Hydro may be in the spring of a year, Mr. Cormie, exporting energy with the result that later on in the year there wouldn't be enough energy available to serve Manitoba load and the



1 firm export commitment. That could happen?

2 MR. DAVID CORMIE: Yes, that can happen  
3 because there is -- there could be a dramatic turnaround  
4 in water conditions, and when you start with -- let's say  
5 that you're anticipating a drought and you started, like  
6 Mr. Surminski plans, that you have your reservoirs full  
7 at the onset of the drought. You have no place to store  
8 any spring runoff and you may have to release that water  
9 from storage because the reservoirs are full.

10 And, subsequently, the drought continues  
11 and had you had more storage you would have stored that  
12 energy, but it was -- storage wasn't available, and so  
13 subsequently you may have to -- you have sold in a year  
14 that you needed to purchase as well. It -- it's the  
15 nature of hydrology as it can dramatically turn around in  
16 a matter of a few months.

17 MR. BOB PETERS: And in that situation,  
18 Mr. Cormie, can you still curtail the new NSP arrangement  
19 without penalty?

20 MR. DAVID CORMIE: We can curtail in  
21 order to protect the supply to Manitoba load regardless  
22 of the circumstances that led up to that situation.

23 MR. BOB PETERS: And that again is  
24 without penalty?

25 MR. DAVID CORMIE: Yes.

1                   MR. BOB PETERS:     And in terms of making  
2     the decision whether or not to serve the new NSP contract  
3     under the circumstances you've just described, that would  
4     be a financial decision as to whether you could buy the  
5     energy and sell it for a profit back -- or sell it to NSP  
6     for a profit?

7                   MR. DAVID CORMIE:     Yes, we always have

8

9   (BRIEF PAUSE)

10

11                   MR. DAVID CORMIE:     Yes, we always have  
12     the right to serve a sale with purchased energy that  
13     doesn't come from Manitoba resources.  And -- and if that  
14     was a -- an alternative that made financial sense to  
15     Manitoba Hydro that's what we would do.

16                   MR. BOB PETERS:     But again --

17                   MR. ROBERT MAYER:     So under those  
18     circumstances, I'm assuming you would have to run your --  
19     the thermal units, because you don't have to curtail  
20     Manitoba power if you've still got the thermal units  
21     available.  So when we talk about profit, I suggest that  
22     if you can buy the power cheaper than we could use our  
23     thermal units, Manitoba Hydro would be ahead, although  
24     certainly not in a profit position.

25                   MR. DAVID CORMIE:     Yes.  And to the

1 extent that -- that we can purchase power to serve the  
2 Manitoba load, and that's less expensive to do than  
3 running the combustion turbines, we'll do that. But at  
4 some point, our hydraulic generation gets low enough that  
5 the tie lines are fully load as -- in an import mode, all  
6 your thermal generation is running, and you have no  
7 surplus resources available in Manitoba to export.

8           There's just -- but there is -- there is  
9 still the opportunity to go to market, and -- and fulfill  
10 your contractual obligations with purchased power in the  
11 market. And those -- the contracts allow us to serve our  
12 sale obligations from the market, and -- but there's no  
13 obligation to do so. We can curtail under those  
14 circumstances without penalty.

15           And Manitoba Hydro does not sell  
16 liquidated damage as power. It's -- it's not an LD  
17 product. We -- the -- this is a system participation  
18 product, and they are participating in the risks of our  
19 system, and they -- and we do that. And there are no  
20 penalties associated with that, as long as we have the  
21 contractual right to curtail, and we only curtail to the  
22 extent necessary to protect the higher priority loads.

23           MR. ROBERT MAYER: The weakness, however,  
24 is that -- that thermal generation is included in -- in  
25 your resources it -- to provide the power, and to meet

1 Manitoba's energy. I say "weakness" because of the cost.

2 MR. DAVID CORMIE: Yes. And -- and when  
3 we're doing the evaluations of the sale agreements, we  
4 look at the frequency at which we would have to run the  
5 expensive generation to serve the sale. And that's part  
6 of the economic analysis, and -- and that's generally a  
7 low percentage of the time.

8 MR. ROBERT MAYER: And, I guess, under  
9 those kind of circumstances, that becomes an emergency  
10 under which you could use your coal generation on Brandon  
11 5?

12 MR. DAVID CORMIE: The use of coal  
13 generation at Brandon should not be driven by economic  
14 factors, Mr. Mayer. If there is an economic solution  
15 that can avoid the use of Brandon 5, we will take those  
16 steps first.

17

18 CONTINUED BY MR. BOB PETERS:

19 MR. BOB PETERS: Mr. Cormie, what you're  
20 talking with the Vice Chair about is that to meet the NSP  
21 load, as well as the Manitoba Hydro load, Manitoba Hydro  
22 is required to use all of its dependable resources from  
23 its power resource plan?

24

25

(BRIEF PAUSE)

1 MR. DAVID CORMIE: Manitoba Hydro is  
2 required to use all its resources, not just its  
3 dependable resources. But I think in those  
4 circumstances, they're -- they're one (1) in the same.

5 There -- there is no exclusion of -- of  
6 generation. We have to be on the verge of curtailing  
7 load, and -- and to the extent that that's necessary, we  
8 have the right to curtail export contracts first, and --  
9 and before we curtail Manitoba load.

10 MR. BOB PETERS: I understand one (1) of  
11 the Vice Chair's points; the additional costs for running  
12 the thermal plants in Bra -- in Manitoba would fall to  
13 the Manitoba ratepayers, not to the export customer.

14 MR. DAVID CORMIE: Yes. Economics is not  
15 a -- a reason for curtailment, but it can be a reason for  
16 continued delivery with purchased power.

17 MR. BOB PETERS: Again, only if  
18 profitable?

19 MR. DAVID CORMIE: Yes, exactly.

20

21 (BRIEF PAUSE)

22

23 MR. BOB PETERS: So with NSP, whether it  
24 is a situation that is worse than the historical record  
25 or within the bounds of the '94/'96 year historical

1 record, the remedies to Manitoba Hydro do not change in  
2 situations of drought?

3 MR. DAVID CORMIE: It'd be difficult to  
4 justify a curtailment for drought reasons that was within  
5 the historic range of -- of conditions, because Manitoba  
6 Hydro plans and operates a system knowing that river  
7 flows can be ranged from the lowest on record to the  
8 highest. That's -- we consider that normal. We expect  
9 to supply service to all our customers under those  
10 conditions.

11 The costs may vary with flows, but drought  
12 is not a con -- not a reason for curtailment unless it  
13 gets to the point where Manitoba load is at risk. Just  
14 because we're in drought and we still may have sufficient  
15 surplus that allows us to continue to serving sale, we  
16 cannot declare a Force Majeure event for an event that's  
17 within the historic record.

18 MR. BOB PETERS: All right. Mr. War --  
19 Mr. Cormie, that answer suggests that the treatment of  
20 the NSP pending contract is different in situations that  
21 are -- drought situations that are within the historical  
22 record, compared to drought situations that are outside  
23 of the historical record?

24 MR. DAVID CORMIE: Well, you know,  
25 Manitoba Hydro -- there's a test having to do with good

1 utility practice, and for the utility to operate a system  
2 so that we are not able to serve our load, given the  
3 repeat of -- of a known condition in the past, wouldn't  
4 be consistent with good utility practice. It would say,  
5 you know, you've -- you're not operating the system as a  
6 prudent -- as -- as prudence would dictate.

7 MR. BOB PETERS: Let's leave the specific  
8 operations aside, if we can, or if you can. But in a  
9 situation where Manitoba Hydro is selling energy in the  
10 spring, even if it's not the highest of water problems,  
11 and subsequently in the year it finds out that it doesn't  
12 have enough energy to meet domestic load, but it still  
13 hasn't been -- it's still within the bounds of the  
14 historical record, is there a financial penalty for not  
15 serving under the new NSP agreement?

16 MR. DAVID CORMIE: Well, that would have  
17 to be determined through litigation, Mr. Peters. Clearly  
18 one (1) of our customers may disagree that we have met  
19 the terms and conditions of the contract. And -- but  
20 that's -- that is always a risk that -- that we curtail  
21 and the customer says, You had no right to curtail, and  
22 take us to court. But there are no -- that's -- that  
23 would be the only remedy.

24 MR. BOB PETERS: Well, I was hoping we  
25 were suggesting it -- hope it doesn't go that far. But

1 in understanding the arrangement with NSP, then the risk  
2 to the Corporation is that if there is a curtailment  
3 within the historical record, that exposes the  
4 Corporation to litigation. That's the risk -- the only  
5 risk to the Corporation.

6 Is that understanding?

7 MR. DAVID CORMIE: Well, Mr. Peters, I --  
8 I think I need to seek legal advice on this, because real  
9 -- really you're asking me to tell you what legal risk  
10 there are associated. As long as Manitoba Hydro's  
11 filling its obligations under the contract and follows  
12 good utility practice and exercises its curtailment  
13 rights according to the contract, we are not at risk.  
14 But the counterparty may mis -- disagree with that, and -  
15 - and their -- their recourse is -- is not to exercise  
16 some kind of clause in the contract that says we pay  
17 them; they have to take us to court for a breach of  
18 contract.

19 MR. BOB PETERS: Okay, let's not go there  
20 and avoid involvement here of Ms. Ramage, if we can.

21 But it's the -- it's the part, Mr. Cormie,  
22 that -- that I want the Board to understand, in terms of:  
23 Manitoba Hydro finds itself in a situation that is within  
24 the bounds of historical records that it is not able to  
25 meet Manitoba load. In those situations, is there relief



1 for Manitoba Hydro in its obligations to NSP in the new  
2 agreement?

3 MR. DAVID CORMIE: Yes, we have the right  
4 to curtail. Now, whether -- and we have the right to  
5 curtail without penalty. But if our customer disagrees  
6 that we had the right to curtail there could be  
7 litigation.

8 MR. BOB PETERS: Thank you.

9 MR. ROBERT MAYER: And you have said that  
10 if you operate your system in such a way that that  
11 happens, then it sounds to me like you're admitting you'd  
12 have been negligent because that wouldn't have been best  
13 practice, and I'm sure we don't want to admit that here  
14 right now, but that's the way it starts to sound to me if  
15 you operate a system under the -- under the circumstances  
16 Mr. Peters described and still couldn't serve Manitoba  
17 load.

18 MR. DAVID CORMIE: Well, you're -- you're  
19 absolutely right, Mr. Mayer. You could imagine a  
20 scenario where power prices were very high, it made sense  
21 for Manitoba Hydro to sell the energy to a third party  
22 and then not have sufficient energy supplies to fulfill  
23 its contractual obligations. You can imagine those  
24 circumstances could lead to litigation.

25

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Does that suggest then  
3 that it is bad utility practice to curtail within the  
4 historical limits? That is curtail the --

5 MS. PATTI RAMAGE: I think again --

6 MR. BOB PETERS: -- the third party  
7 counterparty arrangement?

8 MS. PATTI RAMAGE: I think we're, again,  
9 getting into potential admissions of liability in the  
10 future that I wouldn't want Mr. Cormie to begin  
11 commenting on the record what would be examples of bad  
12 utility practice, but...

13

14 (BRIEF PAUSE)

15

16 MR. DAVID CORMIE: Drought is one (1) of  
17 the reasons for curtailment. There's -- there's many  
18 reasons. Generally, there are factors that are beyond  
19 the control of Manitoba Hydro that allow Manitoba Hydro  
20 to curtail, but there are -- there are other reasons for  
21 curtailment that are under the control of Manitoba Hydro.

22 For example, we have to do maintenance  
23 outage, we have to do maintenance on our units. We have  
24 to take transmission lines out of service. So there are  
25 reasons for curtailment that are defined in the contract,

1 and to the extent that we exercise our rights we will  
2 curtail.

3                   There are reasons that are beyond Manitoba  
4 Hydro's control, those are covered off by the definition  
5 of Force Majeure, and -- but in all cases we have the  
6 right to curtail to serve Manitoba Hydro customers first  
7 in Manitoba.

8

9 CONTINUED BY MR. BOB PETERS:

10                   MR. BOB PETERS:     Are there other  
11 provisions with the prospective NSP arrangement where  
12 Manitoba Hydro can reduce energy during the winter season  
13 by paying a penalty?

14

15                                   (BRIEF PAUSE)

16

17                   MR. DAVID CORMIE:     Manitoba Hydro has to  
18 fulfill its obligations year round, Mr. Peters.   And  
19 there are no penalties in the contract.

20                   MR. BOB PETERS:     Well, rather than a  
21 penalty then, by paying monies to the counterparty,  
22 whatever you call that?

23                   MR. DAVID CORMIE:     Well, we have the  
24 option of -- we have a call -- we have a heat rate call  
25 option where we can financially settle the delivery of

1 the energy. We still have the capacity obligation, but  
2 we are going to provide the energy by buying down our  
3 obligation based upon the exercise of that option by  
4 September 15th. And again, that would be a -- a decision  
5 that will be made at that time, depending on the  
6 economics of the alternatives.

7 MR. BOB PETERS: Would that -- would that  
8 option only be exercised in periods of drought that are  
9 worse than -- than the historical record?

10

11 (BRIEF PAUSE)

12

13 MR. DAVID CORMIE: No, that option can be  
14 exercised at any time Manitoba Hydro declares adverse  
15 water conditions.

16 MR. BOB PETERS: Can you give the Board  
17 an example as to why you would declare adverse water  
18 conditions and use the heat rate call option to pay for  
19 the energy that would otherwise -- to be delivered by  
20 Manitoba Hydro to NSP, when it wasn't a situation of a  
21 drought worse than the historical record?

22 MR. DAVID CORMIE: Well, in -- in --  
23 Manitoba Hydro includes the call option as part of its  
24 dependable energy sources. So under the repeat of the  
25 worse drought, it doesn't have to be the -- has to be --

1 doesn't have to be worse than that, but just under the  
2 worse drought, Manitoba Hydro is counting on exercising  
3 that right.

4                   But there's no reason why we couldn't  
5 exercise that if conditions were -- were more favourable  
6 than that and that ended up being the most economic way  
7 of serving the sale.

8                   MR. BOB PETERS:     Would the use of that  
9 heat rate call option only be financially attractive to  
10 Manitoba Hydro if the market price was -- was exceedingly  
11 high?

12                   MR. DAVID CORMIE:    Well, the heat rate  
13 call option is tied to the price of natural gas, not to  
14 the price of electricity.  And so we would look at the  
15 cost of exercising the call option based on the cost of  
16 natural gas, and comparing that to the cost of purchasing  
17 energy in the market to serve the sale, and utilize  
18 whichever makes more sense to -- which is every -- more  
19 economic to the company.

20                   MR. BOB PETERS:     Can you tell the Board,  
21 Mr. Cormie, if Manitoba Hydro can curtail its deliveries  
22 under the diversity export commitments in the pending NSP  
23 arrangement, to the same extent as it can under the long  
24 term firm contract?

25                   MR. DAVID CORMIE:    Manitoba Hydro has no

1 minimum energy sale obligations to -- under the diversity  
2 contracts. We only have an obligation to offer; we have  
3 no obligation to supply.

4 MR. BOB PETERS: All right. I hope I  
5 don't get caught up on this again. But there's an  
6 obligation to offer into the market. And if offered,  
7 then NSP mandatorily has to purchase it from Manitoba  
8 Hydro?

9 MR. DAVID CORMIE: No, that's not  
10 correct. If we, for example, were to offer it to the  
11 market at a thousand dollars (\$1,000), the market cleared  
12 at a hundred dollars (\$100), Manitoba Hydro -- its energy  
13 wouldn't be in merit, and so the offer wouldn't be  
14 accepted; it would be out of -- out of the money.

15 So we have an obligation to offer, and we  
16 have an obligation to have the capacity on the system,  
17 but we have no obligation to actually send energy south  
18 under the diversity contracts.

19 MR. BOB PETERS: And the obligation to  
20 offer, is it at the highest marginal cost of the Manitoba  
21 Hydro dependable resources -- or resources?

22 MR. DAVID CORMIE: It's at Manitoba  
23 Hydro's discretion in the offer price.

24 MR. BOB PETERS: Mr. Chairman, I'm going  
25 to turn to the Minnesota Power and Wisconsin Public

1 Service arrangements, but this might be a good time for  
2 the lunch recess, if it suits the Board.

3 THE CHAIRPERSON: Okay. We'll be back at  
4 1:15. Thank you.

5

6 --- Upon recessing at 11:59 a.m.

7 --- Upon resuming at 1:18 p.m.

8

9 THE CHAIRPERSON: Okay, welcome back.  
10 Mr. Peters...?

11 MR. BOB PETERS: Yes, thank you.

12

13 CONTINUED BY MR. BOB PETERS:

14 MR. BOB PETERS: Mr. Cormie, to start the  
15 afternoon, following up on an issue with you and the  
16 Vice-Chair talking about resource commitment, how much by  
17 way of imports does Manitoba Hydro employ to fulfill the  
18 domestic and firm contracts to NSP?

19

20

21 (BRIEF PAUSE)

22

23 MR. DAVID CORMIE: Well, the imports,  
24 which are the -- the -- it's the amount of electricity  
25 that actually can come into Manitoba, is -- is restricted

1 by the tie-line capability. Assuming that there was a  
2 thousand megawatts an hour for a year, that would be  
3 about 9 terawatt hours.

4 In addition to that, Manitoba can purchase  
5 power and serve the sale without actually importing the  
6 power, and so there's also that additional amount that's  
7 available.

8 MR. BOB PETERS: That's the financially  
9 settlement option that -- that Hydro has?

10 MR. DAVID CORMIE: Yes, when we can serve  
11 the sales with purchased power, that doesn't -- that  
12 power doesn't need to flow into Manitoba.

13 MR. BOB PETERS: And, Mr. Cormie, is your  
14 answer in respect of a drought condition or just normal  
15 operating conditions?

16 MR. DAVID CORMIE: That would be in -- in  
17 the worst case drought conditions where we were utilizing  
18 the -- the interconnections to maximize imports into  
19 Manitoba.

20 MR. BOB PETERS: Mr. Cormie, I want to  
21 turn with you to the -- the term sheet. I may refer to  
22 them as contracts, but they're -- they're not yet binding  
23 contracts. I think we all acknowledge that, correct?

24 MR. DAVID CORMIE: Yeah.

25 MR. BOB PETERS: But the term-sheeted



1 agreements which I think this morning you characterized  
2 as living documents, just meaning that they're subject to  
3 change in the future?

4 MR. DAVID CORMIE: Yes.

5 MR. BOB PETERS: And at the -- at the  
6 point in time when Manitoba Hydro was doing its financial  
7 projections, Manitoba Hydro had to consider what  
8 obligations it had under different water flow situations  
9 to Minnesota Power and Wisconsin Public Service. Would  
10 that be correct?

11 MR. DAVID CORMIE: Yes.

12 MR. BOB PETERS: Can the Board understand  
13 or is Manitoba Hydro prepared to put on the record  
14 whether in respect of drought issues, the two (2) term  
15 sheets are identical? Is that something Manitoba Hydro  
16 can acknowledge or will not acknowledge?

17 MR. DAVID CORMIE: Identical in which  
18 way?

19 MR. BOB PETERS: Identical with respect  
20 to the obligations of Manitoba Hydro as to how to treat  
21 these counterparties, Minnesota Power and Wisconsin  
22 Public Service, in the event of a drought.

23 MR. DAVID CORMIE: The -- the terms of  
24 the term sheet are confidential, Mr. Peters, but they --  
25 in -- in general terms, as this -- as with all the other

1 contracts, they have curtailment provisions in them  
2 consistent with our past practice.

3 MR. BOB PETERS: Well, the only past  
4 practice Manitoba Hydro would have would be with NSP and  
5 -- and existing counterparties, correct?

6 MR. DAVID CORMIE: Yes, and that practice  
7 is Manitoba Hydro gives priority to domestic load first,  
8 and to the extent that there's a shortfall, that  
9 shortfall will be borne by the purchaser of our -- of --  
10 on the export market.

11 MR. BOB PETERS:

12 "In the proposed contracts to the  
13 counterparties in the term sheets and  
14 in the event of a drought, Manitoba  
15 Hydro can decrease firm energy volumes  
16 by a certain percentage."

17 And I'm reading from the ICF Report, page  
18 94. That percentage number is blacked out. Do you  
19 recall that statement, sir?

20 MR. DAVID CORMIE: Yes, under adverse  
21 water conditions there's flexibility that allows Manitoba  
22 Hydro to reduce the deliveries.

23 MR. BOB PETERS: Well, let's just stop  
24 there then. Can adverse water conditions be declared  
25 under the term sheets whether or not it is the worst

1 drought on historical record, or worse than the worst  
2 drought on historical record?

3 MR. DAVID CORMIE: Well, the -- the  
4 adverse water provisions are confidential, Mr. Peters, so  
5 I really can't comment on those, except that Manitoba  
6 Hydro in planning the supply for the system assumes that  
7 we will exercise our -- all available curtailment rights  
8 and plan for -- for whatever load is -- is -- is not  
9 curtailable. And -- and we will put in place facilities  
10 and we'll operate our system so that -- that those energy  
11 amounts can be met under the lowest flow conditions on  
12 record.

13 MR. BOB PETERS: All right. Let's take  
14 it to a worse situation, Mr. Cormie. I'm not sure if we  
15 should say Black Swan, but let's say a drought that is  
16 worse than the historical record. In those situations,  
17 is there an obligation on Manitoba Hydro to provide  
18 energy to the parties to the term sheets?

19 MR. DAVID CORMIE: Again, I can't be  
20 specific, but in principle, Manitoba Hydro has the right  
21 to curtail whatever is -- it can or needs to in order to  
22 serve Manitoba load first.

23

24

(BRIEF PAUSE)

25

1                   MR. BOB PETERS:     Can Manitoba Hydro  
2     curtail the delivery of weekend energy to Minnesota Power  
3     and Wisconsin Public Service when an adverse water  
4     condition is declared?

5                   MR. DAVID CORMIE:     Yes.

6                   MR. BOB PETERS:     And that would be in a  
7     situation of a Saturday/Sunday or a -- a holiday?

8                   MR. DAVID CORMIE:     Yes.

9                   MR. BOB PETERS:     If it's -- if adverse  
10    water conditions are declared by Manitoba Hydro, can  
11    Manitoba Hydro curtail the delivery of weekday five (5)  
12    by sixteen (16) energy?

13                  MR. DAVID CORMIE:     Only to the extent  
14    that it can't serve a domestic load out of the resources  
15    that are specified in the contracts.

16                  MR. BOB PETERS:     So the term sheets will  
17    indicate the power resources that are to be employed to  
18    serve the domestic load, and only if those resources  
19    can't serve it will Manitoba Hydro be able to curtail  
20    delivery of weekday five (5) by sixteen (16) energy?

21                  MR. DAVID CORMIE:     The contracts -- all  
22    the contracts have definition of adverse water that --  
23    that -- that create the context for in which curtailment  
24    can take place. And to the extent that curtailments are  
25    required, they have -- they are -- they are allowed to

1 the extent it's necessary to serve domestic load.

2 In all contracts to the extent that the --  
3 an event that might be classified as Force Majeure isn't  
4 necessarily a requirement for curtailment. Curtailment  
5 is triggered by the need to curtail, not -- not the  
6 existence of a Force Majeure event.

7 And the need to curtail is driven by the  
8 fact that we have higher-priority loads that need to be  
9 served, and only to the extent that the higher-priority  
10 loads are threatened is curtailment allowed.

11 And whether that event is a drought, a  
12 flood, tornado, whatever, it's -- but those -- all those  
13 specifics are defined in each and every contract, and  
14 those create the conditions for curtailment.

15 MR. BOB PETERS: And so there is  
16 financial risk to Manitoba Hydro if it curtails under the  
17 term-sheeted agreements with Minnesota Power and  
18 Wisconsin Public Service if the curtailment is not  
19 related to the serving of domestic load.

20 MR. DAVID CORMIE: To the extent that  
21 Manitoba Hydro violates the terms of its contracts, it is  
22 -- it would subject to a legal challenge, and that would  
23 be the only financial risk.

24 MR. BOB PETERS: Is there seasonality in  
25 the ability to curtail related to Minnesota Power and

1 Wisconsin Public Service?

2 MR. DAVID CORMIE: Those would be  
3 specific to the contracts, Mr. Peter, and I can't -- Mr.  
4 Peters, I can't answer that question.

5 MR. BOB PETERS: Are you able to tell the  
6 Board the quantity of imports that Hydro must employ  
7 before curtailment of the Minnesota Power and Wisconsin  
8 Public Service contracts?

9 MR. DAVID CORMIE: Again, I can't speak  
10 in specific terms, but there are resources that are  
11 identified that constitute the supply portfolio that  
12 Manitoba Hydro will use to serve the sale. To the extent  
13 that those resources are not available, that may give us  
14 the right to curtail.

15 But in the case of the new contracts,  
16 Manitoba Hydro is putting in adequate hydraulic resources  
17 that don't rely on purchase power to serve the sales, so  
18 in that extent they are -- are less exposed to imports  
19 than -- or purchases than -- than previous contracts.

20 But I had talked earlier before lunch, Mr.  
21 Peters, that we still have the right to serve the sale if  
22 it's economically advantageous given that purchased power  
23 may be available at a price less than the sale price --  
24 the sale price, and although we may have the right to  
25 curtail and we choose not to exercise it because we -- we

1 think it's economic for Manitoba Hydro to continue  
2 deliveries.

3 MR. BOB PETERS: But that economic test  
4 has to be weighed against all of the options Manitoba  
5 Hydro has at the time in serving the contract, and it  
6 would only be done if there was a profit in it for  
7 Manitoba Hydro.

8 MR. DAVID CORMIE: Well, in the event  
9 that we had a drought worse than record, Manitoba Hydro  
10 would do everything possible to ensure that the Manitoba  
11 load was served first.

12 To the extent that we would engage in  
13 market purchases to continue the sale, we would do that  
14 as a separate decision, and it would be based on  
15 economics as -- as one (1) of the considerations. We  
16 have the discretion there.

17 MR. BOB PETERS: Would it be correct in  
18 your last answer, Mr. Cormie, that you would purchase  
19 power to serve an export commitment, even if it meant  
20 Manitoba Hydro would lose money on the transaction.

21 MR. DAVID CORMIE: I didn't say that, Mr.  
22 Peters.

23 MR. BOB PETERS: Well, you said that  
24 economics would be one (1) consideration. What would be  
25 the other considerations?





1 the specifics of the term sheet, Mr. Peters, except that  
2 adverse water is -- is a known condition and it's relied  
3 on by Manitoba Hydro to determine what dependable  
4 resources need to be put in place to serve the sale.

5 And in -- in doing that determination, it  
6 requires Manitoba Hydro to exercise its adverse water  
7 rights in order to limit the sale quantities to the  
8 dependable energy amounts. Adverse water is -- so  
9 adverse water is activated within the range of historical  
10 flows.

11 MR. BOB PETERS: Would it be correct then  
12 to say that Force Majeure would be an unknown condition  
13 to Manitoba Hydro?

14 MR. DAVID CORMIE: Well, Force Majeure by  
15 definition is an event that's outside the control of  
16 Manitoba Hydro.

17 MR. BOB PETERS: And does a Force Majeure  
18 also mean outside the bounds of the historic water flow  
19 record?

20 MR. DAVID CORMIE: I can't answer that  
21 question. That's a legal interpretation.

22 MR. BOB PETERS: Is Force Majeure defined  
23 in the term sheets?

24 MR. DAVID CORMIE: Force Majeure is not  
25 defined in the term sheets, but it is a subject of

1 negotiations and will be defined in the -- in the  
2 ultimate contracts. The term sheets just define the  
3 major terms and conditions. And then all the legal  
4 issues are -- are subject to negotiation, and that  
5 includes the definition of terms and conditions.

6 MR. BOB PETERS: Can you indicate to the  
7 Board what is the latest date in a fiscal year in which  
8 Manitoba Hydro can declare adverse water conditions?

9 MR. DAVID CORMIE: I think the definition  
10 of adverse water conditions is -- differs from contract  
11 to contract, and I'm not -- I'm not able to give a single  
12 answer to that. And -- and I can't speak about the  
13 specifics of the -- the term sheets or the contracts that  
14 are being negotiated.

15 MR. BOB PETERS: Can you help the Board  
16 understand, Mr. Cormie, what would be the earliest day in  
17 the year in which Manitoba Hydro would know that it is  
18 experiencing an adverse water condition?

19 MR. DAVID CORMIE: Generally speaking,  
20 Mr. Peters, we would -- we recognize that we don't know.  
21 And in that context, we have to make assumptions about  
22 the future that are prudent. And under those prudent  
23 assumptions, if it appears that there's -- that the  
24 exercise of our adverse water rights is appropriate, we  
25 would exercise them regardless of the time of the year.

1                   So as we've discussed -- we con --  
2 earlier, we're continually planning and protecting  
3 against the worst case. And if protecting the worst case  
4 involves exercising adverse water rights under any of our  
5 contracts, we will do that, and -- and we will do that  
6 under the contracts consistent with what each contract  
7 allows us to do.

8                   MR. BOB PETERS:     Can you indicate whether  
9 then that decision could be made on virtually any day of  
10 the year?

11                  MR. DAVID CORMIE:     Subject to a contract  
12 not giving us that right, that -- that would be the case.  
13 I -- I don't believe there's any restrictions in the --  
14 any of the existing contracts for -- that limit Manitoba  
15 Hydro's flexibility in declaring adverse water.

16  
17   (BRIEF PAUSE)

18  
19                  MR. BOB PETERS:     Can you indicate to the  
20 Board whether your existing contract with NSP, the one  
21 (1) that will expire in 2015, whether there is an adverse  
22 water clause within that contract?

23  
24   (BRIEF PAUSE)

25

1 MR. DAVID CORMIE: I'll have to check on  
2 that, Mr. Peters, unless you already know the answer, you  
3 can inform me.

4 MR. BOB PETERS: No, I think it best if  
5 you determine if you can answer that question by way of  
6 undertaking I think would be the safest way to proceed,  
7 Mr. Cormie. Would that be acceptable?

8 MR. DAVID CORMIE: Sure.

9 MR. BOB PETERS: Yes, the undertaking is  
10 that Mr. Cormie will, on behalf of Manitoba Hydro,  
11 determine whether there is an adverse water clause in the  
12 contract that currently exists with NSP.

13 Is that correct, Mr. Cormie?

14 MR. DAVID CORMIE: Yeah.

15 MR. BOB PETERS: Thank you.

16 MS. PATTI RAMAGE: Subject to any  
17 confidentiality concerns because I -- I understand the  
18 document is on the public record, however, portions of it  
19 have been -- have been redacted as confidential, so.

20 MR. BOB PETERS: Thank you, Ms. Ramage.

21

22 --- UNDERTAKING NO. 85: Manitoba Hydro to indicate  
23 whether there is an adverse  
24 water clause in the contract  
25 that currently exists with

1 NSP

2

3 CONTINUED BY MR. BOB PETERS:

4 MR. BOB PETERS: In the winter of  
5 2002/'03, Mr. Cormie, Manitoba Hydro was aware that it  
6 had low winter precipitation? I guess that's from the  
7 October, November, December of 2002 and into January and  
8 February of '03.

9 MR. DAVID CORMIE: Yes.

10 MR. BOB PETERS: And in April of '03  
11 Hydro also had relatively low energy in storage?

12 MR. DAVID CORMIE: Yes.

13 MR. BOB PETERS: Did Manitoba Hydro  
14 declare adverse water conditions on April -- or in April  
15 of 2003?

16 MR. DAVID CORMIE: No.

17 MR. BOB PETERS: And into May of '03 the  
18 inflows were, again, relatively low in '03?

19 MR. DAVID CORMIE: Correct.

20 MR. BOB PETERS: And Manitoba Hydro  
21 curtailed opportunity sales in and around May of '03?

22 MR. DAVID CORMIE: Yes.

23 MR. BOB PETERS: Did Manitoba Hydro  
24 declare an adverse water conditions in May of 2003?

25 MR. DAVID CORMIE: No.

1 MR. BOB PETERS: And in the summer of  
2 2003 and into the fall of 2003, rainfall was relatively  
3 low. Is that your recollection or records?

4 MR. DAVID CORMIE: Yes.

5 MR. BOB PETERS: And again, did Manitoba  
6 Hydro declare adverse water conditions in the fall before  
7 September 15th of 2003, adverse water conditions?

8 MR. DAVID CORMIE: No.

9 MR. BOB PETERS: And if I recall from the  
10 earlier evidence, only approximately eight thousand  
11 (8,000) -- no, 18,500 gigawatt hours of hydraulic  
12 generation was produced in that year. Is that correct?

13 MR. DAVID CORMIE: Yes.

14 MR. BOB PETERS: And that would have been  
15 the lowest in probably the past thirty (30) years?

16 MR. DAVID CORMIE: Yes.

17 MR. BOB PETERS: Can you indicate whether  
18 Manitoba Hydro declared adverse water conditions in the  
19 winter of 2003?

20 MR. DAVID CORMIE: No, we didn't.

21 MR. BOB PETERS: And to this date, from  
22 that time until today, has Manitoba Hydro ever declared  
23 adverse water conditions?

24 MR. DAVID CORMIE: No, we haven't.

25 MR. BOB PETERS: And rather than enter

1 into adverse water conditions or declaring adverse water  
2 conditions, am I correct in understanding that Hydro  
3 entered into gas contracts in an effort to try to have  
4 energy available to meet obligations?

5 MR. DAVID CORMIE: The issue of the gas  
6 contracts is independent of the adverse water right  
7 issue.

8 MR. BOB PETERS: But the gas contract was  
9 an option pursued by Manitoba Hydro?

10

11 (BRIEF PAUSE)

12

13 MR. DAVID CORMIE: Yes, Manitoba Hydro  
14 entered into some call options, yes.

15 MR. BOB PETERS: Did Manitoba Hydro use  
16 any gas contracts in Canada?

17 MR. DAVID CORMIE: Manitoba Hydro had to  
18 secure a fuel supply for the combustion turbines at  
19 Brandon and the thermal station at Selkirk, and so we  
20 purchased natural gas throughout the summer of 2003, put  
21 the gas in storage as a hedge against high natural gas  
22 prices during the winter of '03/'04.

23 MR. BOB PETERS: So Manitoba Hydro  
24 purchased natural gas contracts in Canada, but never used  
25 the gas.

1 MR. DAVID CORMIE: The winter of '03/'04  
2 was one (1) of the warmest winters on record, and it was  
3 not necessary to use the gas because lower-priced  
4 electricity was available on the market -- on the mar --  
5 on the market, and -- and we sold off our gas positions  
6 as the winter proceeded -- as -- as the winter progressed  
7 in order to -- as -- as the gas became surplus to our  
8 requirements.

9 MR. BOB PETERS: Did Manitoba Hydro also  
10 purchase, back in the '02 to '04 drought, gas contracts  
11 in the United States?

12 MR. DAVID CORMIE: We purchased some call  
13 options to supply our -- our needs should the drought, in  
14 combination with high winter loads, require us to -- or  
15 to manage the -- the uncertainty associated with the --  
16 the supply demand forecasts for that winter.

17 MR. BOB PETERS: But in addition to those  
18 call options, do I take it Manitoba Hydro never had to  
19 take physical possession of the gas? Physical delivery  
20 of the gas?

21 MR. DAVID CORMIE: I was speaking about  
22 electricity call options. We also purchased natural gas,  
23 and put it into storage in -- in the US, again as a  
24 financial hedge against the cost of -- of high  
25 electricity.



1                   And although it wasn't a perfect hedge,  
2 because there's not a perfect match between natural gas  
3 prices and electricity prices, it was an effective hedge.

4

5   (BRIEF PAUSE)

6

7                   MR. BOB PETERS:     To what percent was it  
8 effective in Hydro's calculation?

9                   MR. DAVID CORMIE:     I don't remember that,  
10 Mr. Peters.

11                   MR. BOB PETERS:     Okay.   And in addition  
12 to those options, Manitoba Hydro also financially settled  
13 with its US counterparties?

14                   MR. DAVID CORMIE:     Yes.

15                   MR. BOB PETERS:     And if we fast forward  
16 to -- to today with the term sheets that Manitoba Hydro  
17 has with Wisconsin and Minnesota Power, if the 2002/'03  
18 and 2003/'04 situation were to exactly repeat itself, can  
19 you indicate to the Board how the adverse water clause  
20 would differ, and -- and what Manitoba Hydro would do  
21 differently than it did in 2003?

22                   MR. DAVID CORMIE:     Mr. Peters, although  
23 the -- those contracts have adverse water clauses in  
24 them, it also has a -- a clause that sets the price for  
25 that electricity, and in effect we would be required to

1 pay 110 percent of market price if we purchased the  
2 energy under the adverse water clause, so it was never an  
3 attractive alternative.

4           Why would we pay 10 percent more than  
5 market? So we went to -- went to the market and bought  
6 the electricity under separate contracts. Those clau --  
7 those contracts were written in 1990, 1991, at a time  
8 before Manitoba Hydro had market access.

9           And -- and in 2003 we were -- we were into  
10 -- we could -- we were into an -- an open market in the  
11 US where we could buy from anybody, and it wasn't  
12 necessary for us to purchase under the adverse water  
13 provisions and -- and based on that company's costs of  
14 generation.

15           I think if you look in the seasonal  
16 diversity contracts it says they will supply us adverse  
17 water energy at their incremental cost after having  
18 served their firm and their non-firm sales obligations.  
19 Their non-firm sales obligations are those spot-market  
20 sales that they're making at the time, and they would  
21 require us to pay 110 percent of the spot market sales,  
22 which is, in effect, 110 percent of market price.

23           So although we had that as a backup if we  
24 couldn't go to the market and buy it at a -- at a lesser  
25 price, we were always able to go to market and -- and

1 purchase the energy at market rather than at a premium to  
2 market. So those why -- that's why we didn't exercise  
3 the adverse water rights in -- in 2002/'03 because it  
4 would have been -- it would have been a more expensive  
5 option than what we -- what we did do.

6 In the current climate, Manitoba Hydro  
7 again has access to market, and -- and all the new  
8 contracts are written such that Manitoba Hydro can  
9 purchase energy from the market at market price. And  
10 there is -- there are -- there's no requirement for us to  
11 -- there's not a similar pricing premium required under  
12 the new contracts because both our customers and Manitoba  
13 Hydro realize that we wouldn't pay more than market  
14 price. And so those contracts are -- are not really  
15 relevant to today's situation.

16 We can settle all our obligations under  
17 all our existing contracts. And I anticipate under the  
18 term sheets you'll -- when we finally negotiate those,  
19 all the market mechanisms that are available will give  
20 Manitoba Hydro access to market-priced energy, and -- and  
21 so we don't need a special pricing provision associated  
22 with pricing adverse water energy.

23 MR. ROBERT MAYER: Mr. Cormie, Mr.  
24 Peters' question, if I recall, is: If you had exact same  
25 conditions as the 2002/2003, what would you do? And

1 we're -- I think we're talking about if the term sheets  
2 are turned into contracts.

3 MR. DAVID CORMIE: M-hm.

4 MR. ROBERT MAYER: You would have, am I  
5 correct, sixteen (16) new turbines online in Conawapa and  
6 Keeyask if those things are turned into contracts? If  
7 you had the same amount of water flowing down the Nelson  
8 River you would -- would you not be in a much better  
9 position than we were in 2003/2004?

10 MR. DAVID CORMIE: Clearly we would, Mr.  
11 Mayer, because we have put in sufficient hydraulic  
12 generation that it would be -- it -- it would be less  
13 necessary to purchase energy from the market. All I'm  
14 saying is that in 2002 and '03 we bought energy at market  
15 prices. Today we still buy energy at market prices. In  
16 the future we'll buy it at market prices.

17 So the question was: Why didn't we  
18 exercise our adverse water rights in 2002? Because we  
19 had mar -- access to market prices, and we have them  
20 today, and we will in the future. So there won't be  
21 anything different in the future than today if we go to  
22 the market. We will -- we will buy at market price.

23 So that -- that was my point, is that --  
24 is that although it -- we have access to adverse water  
25 under the existing contracts, in the Heritage contracts,

1 we don't exercise those rights because they're expensive.  
2 And they also have enduring obligations where we're  
3 obligated to return it to the seller in a five (5)  
4 period. And so we would then, having to -- there's the  
5 risk that now we have to supply that energy back to them  
6 and pay them a premium. So there was -- there was risks  
7 associated with taking adverse water energy, and -- and  
8 for those reasons, we chose not to in the drought of  
9 2003. We could get it less expensively and at a lower  
10 risk than we -- than by taking it under the contract.

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: The less expensive part  
14 was the 10 percent premium over and above market?

15 MR. DAVID CORMIE: That -- that's right.  
16 There's -- you'll see that in the pricing provisions for  
17 the diversity. The -- it -- it's 110 percent of their  
18 cost of serving their load, including firm and non-firm  
19 sales. And that -- and that -- that was pretty standard  
20 pricing at the time. It was always at, you know, cost  
21 plus 10 percent.

22

23 (BRIEF PAUSE)

24

25 MR. BOB PETERS: Mr. Cormie, I want to

1 just discuss a little further the Force Majeure clause to  
2 the extent that we're able to do that on the public  
3 record.

4 MR. DAVID CORMIE: Sure.

5 MR. BOB PETERS: Are you able to indicate  
6 whether there is or is not a Force Majeure clause in the  
7 NSP proposed contract as well as the term sheets with  
8 Minnesota Power and Wisconsin Public Service?

9 MR. DAVID CORMIE: There is a Force  
10 Majeure cont -- clause in the -- the new NSP sale  
11 agreement and, although I can't speak the details, there  
12 will be -- there'll be a Force Majeure provision in the  
13 new sale agreements. That's a pretty standard provision  
14 that's in almost every power purchase agreement in the  
15 industry.

16 MR. BOB PETERS: And the interpretation  
17 will be what's key is I think is what you told the Board  
18 earlier this afternoon?

19 MR. BOB PETERS: Right. We spend a lot  
20 of time negotiating the -- what Force Majeure means for  
21 each company and -- and the negotiations may settle on a  
22 different definition.

23 Again, all depending on who's willing to  
24 bear the risk and -- and the individual circumstances of  
25 the -- of the -- of the relationship.

1                   MR. BOB PETERS:     I suppose then with that  
2 answer, you know, for whose benefit is the Force Majeure  
3 clause inserted? It may be on the face of it for  
4 Manitoba Hydro's benefit, but you can expect the  
5 counterparties to try to negotiate away some of the  
6 protections. Would that be what would be expected?

7                   MR. DAVID CORMIE:     The Force Majeure  
8 provisions generally are symet -- symmetrical for both  
9 part -- and they apply to both parties. We don't have a  
10 Force Majeure definition that applies to Manitoba Hydro  
11 and -- and a different definition that applies to its  
12 counterparty.

13                   And so that definition applies for their  
14 benefit as well because there may be a circumstance where  
15 they can't take delivery of the energy. Remember, we  
16 must sell and they must buy, but there are circumstances  
17 when they can't buy, the transmission system has gone  
18 down, it -- and that -- and that -- that event is beyond  
19 their control.

20                   So they need -- they need to be able to  
21 protect themselves against act of God -- acts of God, and  
22 -- and every company looks at its risks and -- and  
23 there's a negotiation so that at the end of the day we  
24 have a balance between the companies needs and that's  
25 reflected in the definitions.

1 MR. ROBERT MAYER: So if Fargo and Grand  
2 Forks end up under water during the spring, I'm assuming  
3 that -- somebody might call that a Force Majeure and they  
4 wouldn't be required to take any power?

5 MR. DAVID CORMIE: Yes, because generally  
6 the power is delivered over a transmission system that's  
7 not controlled by the seller or the buyer. There's a --  
8 somebody in the middle, a transmission system operator,  
9 and if they declare the line is out of service, either  
10 for forced maintenance or for floods, there's nothing  
11 that the buyer and the seller can do to avoid that.

12 And so that would be a circumstances of --  
13 of Force Majeure. And -- and then parties are excused of  
14 their obligations under those circumstances.

15 MR. ROBERT MAYER: It's generally a good  
16 idea not to run power lines that weren't designed to be  
17 under water, or to use power lines that weren't designed  
18 to be under water when they are in fact under water, I  
19 imagine?

20 MR. DAVID CORMIE: I think in the flood  
21 of '97, I remember some of the power line were under --  
22 un -- very close to being under water, Mr. Mayer, so it  
23 does happen. We keep telling them to make the towers  
24 taller.

25



1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: Mr. Cormie, following up  
3 on the example from the Vice Chair, if Jenpeg goes down  
4 due to a turbine problem, would -- would that be  
5 considered a Force Majeure in the general sense?

6 MR. DAVID CORMIE: In -- in the general  
7 sense, unit outages aren't -- aren't a Force Majeure.  
8 They are identified separately as -- as a reason for  
9 curtailment.

10 So there has to be a -- an event, the loss  
11 of a generating unit, and -- and that loss has to -- if  
12 it -- if it leads to a shortage of electricity, and  
13 rationing between Manitoba customers has to -- Manitoba  
14 Hydro's customers has to occur, to the extent that  
15 Manitobans are at risk, the -- the -- the curtailment  
16 will take place on the export market. The export  
17 customers will curtail first.

18 So you determine that -- if there is a  
19 reason for curtailment, and then the magnitude of  
20 curtailment is determined by how much -- what's the size  
21 of the shortage, and whether that shortage has an effect  
22 on Manitoba Hydro's customers, and then it gets allocated  
23 to the customers according to our priority stack.

24 MR. BOB PETERS: Maybe help me with the  
25 last part of that answer, Mr. Cormie. If -- if there is

1 a loss of a unit as we've been giving in this example,  
2 and it results in a shortage to the Manitoba load, is the  
3 amount Manitoba Hydro would be -- would -- would consider  
4 -- it would be able to curtail would be equal to the  
5 amount that the Manitoba load would otherwise have to be  
6 curtailed?

7 MR. DAVID CORMIE: That's the si -- that  
8 would be the size of the curtailment.

9 MR. BOB PETERS: And -- and if we know  
10 the size of the curtailment, and we could pick any  
11 number, but how is the size of that curtailment then  
12 allocated amongst the three counterparties being NSP  
13 under its new contract, Minnesota Power under its term-  
14 sheeted arrangement, and Wisconsin Public Service also  
15 under the term-sheeted arrangement?

16 MR. DAVID CORMIE: Right. All customers  
17 who are being served with the same product type, let's  
18 say it's system participation and power, will get  
19 allocated the curtailment in proportion to -- on a pro  
20 rata basis.

21 So if there were three (3) customers, and  
22 they were all -- they were all purchasing the same  
23 quality of electricity, and there was a 30 megawatt  
24 curtailment, each customer if the size of the contract  
25 was exactly the same would get a 10 megawatt curtailment.

1                   It's a -- once -- having gone down the  
2 stack, you then allocate it on a pro rata basis within  
3 the stack.

4                   MR. BOB PETERS:     And the arrangements  
5 with -- the new arrangement with NSP, and the MP and WPS  
6 arrangements, are considered system participation  
7 contracts?

8                   MR. DAVID CORMIE:    Yes, we -- that's the  
9 only product that we're selling long-term today, Mr.  
10 Peters.

11

12                                   (BRIEF PAUSE)

13

14                   MR. BOB PETERS:     Mr. Cormie, I want to  
15 turn to something else, and give you the -- the last word  
16 on merchant sales. I thought we were done with this, but  
17 would the Board's understanding be correct that Manitoba  
18 Hydro does not deliberately enter into a merchant trading  
19 transaction to lose any amount of money?

20                   MR. DAVID CORMIE:     That's correct.

21                   MR. BOB PETERS:     And Mr. Warden, that's  
22 much the similar to the capacity management that happens  
23 on the gas side of the business, is that Manitoba Hydro  
24 won't pull the trigger on a capacity-management deal  
25 unless it guarantees itself a profit.

1 MR. VINCE WARDEN: I agree with that,  
2 yes.

3 MR. BOB PETERS: All right. In Manitoba  
4 Hydro's merchant trading transaction that we have  
5 discussed, what aspect of the transaction is subject to  
6 Manitoba Hydro's speculation?

7 MR. DAVID CORMIE: Mr. Peters, there's a  
8 response to Undertaking number 4, I think it's Exhibit  
9 23.

10 MR. BOB PETERS: It is, and I've got a  
11 copy in front of me, sir.

12 MR. DAVID CORMIE: And the first two (2)  
13 rows are the trading activities, the purchasing of -- or  
14 the sale of electricity, and the purchase of the power.  
15 That's the -- that's the purchase and sales transactions  
16 that we're talking about.

17 And those are done in the day-ahead  
18 markets with MISO and with Ontario, and you'll see over  
19 the eight (8) year period there is about \$46 million of  
20 profit that was realized in the trading -- in the buying  
21 and selling of electricity. That's where there -- there  
22 is some risk that a transaction would -- could ultimately  
23 not turn out as expected. And -- and there's the  
24 potential for the sale price to be less than the purchase  
25 cost and there could be some losses.

1                   Approximately, of all the transactions, I  
2 -- I would judge abo -- about over 90 percent of them  
3 actually make -- make a profit, the -- the revenue from  
4 the sale exceeds the -- the cost of the purchase.

5                   There is a risk associated with those  
6 transactions, that there can be some after-the-fact  
7 charges. And the record up to 2008 included some  
8 resettlement charges where MISO, several years after the  
9 transactions were completed, recalculated what the  
10 charges were associated with dispatching these types of  
11 transactions in the market.

12                   And Manitoba Hydro was initially issued a  
13 bill for \$5 million. And, ultimately, that -- some of  
14 that was claw -- clawed back, but, ultimately, we were --  
15 almost a thousand days after the transactions occurred we  
16 were sent a bill for \$2 million that are reflected in  
17 these results.

18                   So the resettlement charges that have --  
19 have been built into that 45.9 million, the -- the  
20 trading profits that were realized on a day-to-day basis  
21 were \$47.9 million, but we've -- we've gone back and --  
22 and readjusted those.

23                   In addition to those activities, there are  
24 other costs associated with merchant trading, and those  
25 include the purchase of transmission service on a term

1 basis. And so once those transmission positions are  
2 bought, those costs are sunk, and -- and -- but they  
3 don't affect the -- the amount of money that can be made  
4 in the -- in the market that we've already committed to  
5 those costs.

6           Similar to MISO setting -- sending us a  
7 subsequent bill for costs, they've also, in the past,  
8 sent us -- changed the price of the transmission service  
9 that we purchased. We originally purchased the first  
10 hundred megawatts of firm transmission between MISO and  
11 Ontario at what was called a discounted tariff. And we  
12 made the decision to purchase the transmission based on  
13 the economics of the discount.

14           Several years into that transaction they  
15 took the discount away. We appealed to the FERC that  
16 this was unfair, that we bought it at a certain price,  
17 and after -- after the fact they changed the price.

18           So the transmission costs have some risk  
19 associated with them, and -- and, in effect, they -- they  
20 make the -- the transmission the -- there -- there's  
21 risks associated with that, that, again, after the fact  
22 changes to the transactions can affect the profitability.

23           The losses that you see in the -- on that  
24 table, the 1.8 million in 2007, is mainly as a result of  
25 those after the fact changes, where MISO in -- after the

1 fact, sent us a bill for \$1.7 million that accounts for  
2 the majority of that one point eight (1.8).

3 But in addition to that, there's also the  
4 after the fact adjustment to the purchase cost of the  
5 transmission service. So it's -- there are -- there are  
6 risks associated with the trading, but the risks are more  
7 about how the mar -- where the market rules are going to  
8 change not whether we have any skill in buying and  
9 selling electricity in an arbitrage fashion.

10 Most of those changes occurred in the  
11 early years of the MISO market, and, since then, the  
12 market has stabilized. I -- I believe that everybody  
13 realizes that it's not very fair to market participants  
14 to come in after the fact and -- up to two (2) years  
15 after the fact and send them for bills, especially when  
16 they're market participants who have left and they're no  
17 longer capable of absorbing their fair share of costs and  
18 those costs get assigned to the people who are left  
19 behind.

20 So I -- I would suggest that some of those  
21 initial losses were associated with the opening up of the  
22 MISO market, not with Manitoba Hydro's skill in buying  
23 and selling electricity.

24 MR. BOB PETERS: Wow, I forgot what my  
25 question was. But I think --

1 MR. DAVID CORMIE: I've been -- I've been  
2 waiting to say this for a long time.

3 MR. BOB PETERS: Well, I -- I was hoping  
4 you wouldn't come over the back row at me when ICF was  
5 here or over the table at a Vietnamese restaurant or  
6 anything like that, but the -- the -- the -- you --  
7 you've said a lot to the Board, so let's make sure that I  
8 understand it and the Board probably is well ahead of me.

9 But you've told the Board -- and I'm not  
10 asking about the skill, I'm not suggesting otherwise, but  
11 there are certain aspects of merchant trading that pose  
12 an immediate risk for Manitoba Hydro and there are  
13 certain aspects that pose a risk longer term for Manitoba  
14 Hydro?

15 MR. DAVID CORMIE: Yes.

16 MR. BOB PETERS: Now, the immediate risk  
17 issues are Manitoba Hydro knows its internal labour  
18 costs, those costs are known?

19 MR. DAVID CORMIE: Yes.

20 MR. BOB PETERS: Manitoba Hydro will know  
21 the volume it wants to purchase. There's not a volume  
22 risk, is there?

23 MR. DAVID CORMIE: There's no volume risk  
24 because we know exactly what we're going to buy and what  
25 we're going to sell. So that won't change during the



1 term of the transaction.

2 MR. BOB PETERS: And you know exactly  
3 what your buy price is on the day you pull the trigger?

4 MR. DAVID CORMIE: Yes, because the MISO  
5 market you get to set the price. If the market clears  
6 above that price you don't -- you don't purchase that  
7 energy. If it clears below that price then you're okay.

8 MR. BOB PETERS: And that leaves the  
9 transmission costs, but you buy those on a term basis so  
10 you expect those to be fixed, correct?

11 MR. DAVID CORMIE: A portion of the  
12 transmission costs are term -- term purchase. And the  
13 real-time transmission costs are built into the costs  
14 associated with the purchase. So if transmission is  
15 purchased at that -- on -- for that particular hour, for  
16 that particular day, that's part of the -- the -- the  
17 trading decision to, you know, what your -- what your  
18 cost associated with -- they're the transaction costs.  
19 They're not sunk costs.

20 MR. BOB PETERS: All right. But if it's  
21 not a real-time transaction that is part of the merchant  
22 transaction being done at that particular time, it could  
23 be a transaction out for a day or two (2), a couple days  
24 ahead?

25 MR. DAVID CORMIE: I -- generally we buy

1 it -- we can buy it by the month. It could be a -- a  
2 monthly transaction or a season trans -- a season  
3 purchase of the -- of the transmission, yes.

4 MR. BOB PETERS: All right. But when the  
5 purchase of the transmission is done it's expected to be  
6 fixed for that period in which you've purchased the  
7 transmission rights?

8 MR. DAVID CORMIE: Yes.

9 MR. BOB PETERS: All right. And so that  
10 leaves the sell price -- the -- the selling price as the  
11 variable that could move against Manitoba Hydro. Is that  
12 correct?

13 MR. DAVID CORMIE: That's right.

14 MR. BOB PETERS: And regardless of the  
15 skill level involved there is a risk in the market  
16 turning against Manitoba Hydro's expectation of the  
17 market?

18 MR. DAVID CORMIE: That's right.

19 MR. BOB PETERS: And in addition to the  
20 market turning against Manitoba Hydro on a transaction,  
21 you've also brought to the Board's attention that the  
22 market rules were at best in a state of flux, and maybe  
23 worse were -- were somewhat retroactively punitive  
24 against Manitoba Hydro's actions in the marketplace?

25 MR. DAVID CORMIE: Yes, and many other

1 market participants.

2 MR. BOB PETERS: Did you win or did you  
3 lose when you went to FERC about the transmission  
4 complaint?

5 MR. DAVID CORMIE: We lost.

6 MR. ROBERT MAYER: That -- that's --  
7 that's interesting. And -- and I want to get back to the  
8 co-op analogy again, as I understand your explanation,  
9 price -- or somebo -- some people didn't pay their bills.  
10 The rest of the co-op members who were still around got  
11 to pick up the difference. Is -- is that a fair  
12 explanation of what happened, because I don't find that  
13 as quite unfair as somebody just changing the price on  
14 you after the fact.

15 MR. DAVID CORMIE: On the resettlement  
16 charges the -- that's what happened is that those people  
17 who were still left in the market were -- were -- were  
18 forced to pick up the -- those costs. But with regard to  
19 the transmission charges, it would be like renting a  
20 cottage for the summer.

21 And then in -- on the 1st of August the  
22 owner comes to you and said, I've changed the -- the --  
23 the re -- the monthly rental rate. Instead of five  
24 hundred (500) a month it's now a thousand a month, take  
25 it or lea -- and you have -- and -- and you have no

1 choice, you bought it and you now have to pay the new  
2 rent.

3 So that's -- that's -- that's what we  
4 appealed. And -- and there were many of us in the -- the  
5 case before FERC appealing that -- that -- that decision.

6

7 CONTINUED BY MR. BOB PETERS:

8 MR. BOB PETERS: Can you explain to the  
9 Vice-Chair the basis on which Manitoba Hydro lost that  
10 argument?

11 MR. DAVID CORMIE: We believed we have a  
12 cont -- we had a contract to purchase transmission  
13 service and -- I don't know the reasons ultimately why  
14 FERC -- but apparently the tariff allowed them to do that  
15 and the discounted tariff was discontinued.

16 MR. ROBERT MAYER: This is the prices may  
17 change without notice plan?

18 MR. DAVID CORMIE: Yes.

19

20 CONTINUED BY MR. BOB PETERS:

21 MR. BOB PETERS: Mr. Cormie, does  
22 Manitoba Hydro purchase transmission rights on a longer-  
23 term basis, that is, longer than week or a month basis,  
24 for these merchant transactions?

25 MR. DAVID CORMIE: Yes. The initial

1 purchase starting in 2004 was for a five (5) year period  
2 at the discounted tariff, Mr. Peters.

3 MR. BOB PETERS: Sorry, when that initial  
4 agreement expired in 2009, has Manitoba Hydro gone  
5 shorter term, or have you taken another long-term  
6 arrangement?

7 MR. DAVID CORMIE: We rolled -- we had  
8 the rights to roll it over, and we did.

9 MR. BOB PETERS: You rolled it into  
10 another five (5) year --

11 MR. DAVID CORMIE: Yes.

12 MR. BOB PETERS: -- term? And in  
13 addition to that right of transmission, Manitoba Hydro  
14 can also do real-time transactions on other transmission?

15 MR. DAVID CORMIE: Yes, on a -- on a --  
16 if -- if we wanted to saw -- sell more than the firm  
17 transmission that we hold at the time, we can buy hourly  
18 or -- or short-term transmission.

19 Those short-term transmission purchase  
20 decisions are -- the costs associated with those are  
21 built into the cost of purchases shown on the second line  
22 of exhibit number 23.

23

24

(BRIEF PAUSE)

25

1 MR. BOB PETERS: Is it correct, Mr.  
2 Cormie, that the real-time transactions are not subject  
3 to the same risk as are the -- the longer-term  
4 transactions that you conduct on a merchant sales basis?

5 MR. DAVID CORMIE: The -- they're --  
6 they're exactly the same, Mr. Peters. Our management  
7 control plan limits Manitoba Hydro's activity in this  
8 market to three (3) days. However, because there is only  
9 a day-ahead market in practicality, we only ever enter  
10 into day-ahead transactions, so they are only one (1) day  
11 in duration.

12 So they are all of the same risk. You buy  
13 power and sell it for one (1) day, and -- and they are by  
14 the hour, and so because the volume in terms of megawatt  
15 hours is -- is very -- very small in -- in relative  
16 terms, the -- the amount of -- that's at risk for any  
17 particular transaction is small.

18 MR. BOB PETERS: If for some reason  
19 Manitoba Hydro doesn't consummate a merchant transaction,  
20 Manitoba Hydro is still stuck with the transmission  
21 costs. Would that be fair?

22 MR. DAVID CORMIE: Yes. The transmission  
23 costs are a sunk cost.

24

25

(BRIEF PAUSE)

1 MR. BOB PETERS: When I looked at the  
2 transmission costs on Manitoba Hydro Exhibit 23, Mr.  
3 Cormie, I was struck by the fluctuation in the amount,  
4 ranging from a low of three hundred thousand (300,000) in  
5 2004, all the way up to 8.5 million in 2007.

6 What caused the fluctuation in the amount  
7 expended on transmission when Manitoba Hydro acquired the  
8 rights under a five (5) year agreement?

9 MR. DAVID CORMIE: Well, we were only --  
10 the -- the five (5) year agreement was -- was only for  
11 one (1) piece of the transmission. There were other term  
12 transmission purchases in addition to that.

13 We -- we put them in the transmission  
14 category because they are sunk costs. If we buy them on  
15 a -- on a month-ahead or a season-ahead basis, they --  
16 they -- they're not associated with the trading decision,  
17 the power traders. To the extent that they incur costs  
18 at the time of the decision, those go into the -- the  
19 purchase item because they're -- they're part of the cost  
20 of making that transaction, so they're transaction costs.

21 To the extent that we hold other  
22 transmission, the -- those -- is generally purchased in  
23 advance, and that is put in the -- in the third line.  
24 The amount has gone up because of the -- we lost the --  
25 the discount to the tariff, and so that caused the

1 transmission costs to go up over that period of time.

2 And then in the -- and then in several of  
3 those years there was additional transmission purchased  
4 throughout the year that wasn't done at the time of  
5 trading.

6 MR. BOB PETERS: All right. You  
7 explained that the resettlement on the after-the-fact  
8 charges from MISO as well as the transmission discount  
9 tariff being removed, happened in the early years of the  
10 MISO market, meaning the -- I guess the '04 to '07 years?

11 MR. DAVID CORMIE: Yes.

12 MR. BOB PETERS: And so when Manitoba  
13 Hydro lost money on its merchant transactions in 2010 was  
14 it due -- it was not due to either resettlement or a  
15 change in the transmission tariff, was it?

16 MR. DAVID CORMIE: No, in -- in 2010 we  
17 were suffering under the soft markets, both in MISO and  
18 in Ontario, as a result of the recession, and in that  
19 year we -- we just barely broke even.

20 MR. BOB PETERS: No, you lost money that  
21 year.

22 MR. DAVID CORMIE: Okay, we just barely  
23 lost money.

24 MR. BOB PETERS: Okay. But -- but --  
25 well -- sorry, Mr. Cormie. I mean, what I was trying to



1 get at is, is that where the market turned again on the  
2 sale price? That was the explanation for why the loss in  
3 2010?

4 MR. DAVID CORMIE: Well, there -- there  
5 were 4.6 million in trading profits, and we had \$4.8  
6 million in fixed costs. So the -- the four hundred (400)  
7 -- or the two hundred thousand dollars (\$200,000) is  
8 associated with the -- with the sunk costs.

9 MR. BOB PETERS: And you also had four  
10 hundred thousand dollars (\$400,000) of internal labour  
11 charged to that account?

12 MR. DAVID CORMIE: Well, what we've said  
13 on the exhibit is that a lot of those internal staff  
14 costs were probably going to be there anyways, but out of  
15 -- out of a conservative perspective. We put them in at  
16 that amount. We believe that we need these people to be  
17 available as -- to give depth to the trading department,  
18 and this is an activity they can do that can generate  
19 money and at the same time give us the robustness.

20 If Manitoba Hydro isn't able to go to the  
21 market on a day-ahead basis because we have -- we don't  
22 have the people on staff, that's \$3 million a day in lost  
23 revenue. There's no way of recovering that. And the --  
24 so the risk of not having adequate staff justifies having  
25 these additional two (2) positions on staff, and we -- we

1 make good use of them in this activity. But ultimately,  
2 they're -- the staffing is dictated by our MISO market  
3 requirements, not by the trading requirements.

4 MR. BOB PETERS: I'm sorry, the \$3  
5 million a day loss isn't related to merchant trading, is  
6 it?

7 MR. DAVID CORMIE: No, but Manitoba Hydro  
8 has to offer all its energy into the market on a day-  
9 ahead basis. And if we miss that because we don't have  
10 the experienced staff, we're able to take that energy to  
11 market, that's the risk. There are only two (2) day-  
12 ahead traders. We need to have more than two (2), and so  
13 we have four (4). The people who man the merchant desk  
14 are also capable of manning the day-ahead base -- the  
15 day-ahead desk.

16 So it's -- it's a way of keeping people  
17 gainfully employed and at the same time managing the  
18 risks of being in the market.

19 MR. BOB PETERS: And just back to my  
20 question. The loss in 2010 then was attributed to the  
21 sale price being lower than what Hydro expected at the  
22 time it purchased the energy in MISO market?

23 MR. DAVID CORMIE: No, the -- the -- we  
24 still made \$4.6 million in buying and selling  
25 electricity. We just didn't make enough to offset the

1 sunk cost of the transmission that was bought five (5)  
2 years in advance.

3 MR. BOB PETERS: But my point, Mr.  
4 Cormie, is you knew in advance what your transmission  
5 costs were, correct?

6 MR. DAVID CORMIE: Right. And the  
7 margins weren't sufficient in 2010 to offset those costs,  
8 yes.

9 MR. BOB PETERS: But don't you build in  
10 the margin for the -- the cost of the transmission into  
11 the margin that you expect to clear when you make the tra  
12 -- when Manitoba Hydro makes the sale?

13 MR. DAVID CORMIE: No, because those are  
14 sunk costs, and all -- all -- what the power traders are  
15 trying to do on a daily basis is maximize their profit.  
16 And -- and we hope in the long-run -- we expect in the  
17 long-run that -- that we will recover fully the cost of  
18 the long-term transmission positions, and -- and in the  
19 long-run we expect to make a profit, and -- and we do.

20 MR. BOB PETERS: Well, on a -- on a \$340  
21 million expenditure after the better part of eight (8)  
22 years, Manitoba's made \$8.9 million cumulative.

23 Is that correct?

24 MR. DAVID CORMIE: That's correct, yes.

25 MR. BOB PETERS: And on a percentage

1 basis that's probably less than a 3 percent profit on the  
2 -- on the \$340 million investment?

3 MR. DAVID CORMIE: It's still \$9 million,  
4 Mr. Peters.

5 MR. BOB PETERS: Mr. Cormie, the book of  
6 documents, Volume III, at Tab 52, and this is PUB Exhibit  
7 18 for those who have a paper copy, it is a report from  
8 Dr. N. Bhattacharyya, and I'll spell that again, B-H-A-T-  
9 T-A-C-H-A-R-Y-Y-A.

10 You've seen the report?

11 MR. DAVID CORMIE: Yes.

12 MR. BOB PETERS: When the Board looks at  
13 page 71 on the report and 70 -- this, by the way, Mr.  
14 Chairman, does come out of Appendix -- I'm sorry, out of  
15 Manitoba Hydro Exhibit 31B, I believe. But turning to  
16 page 71 of the third book of documents circulated today,  
17 or maybe it was yesterday, there's a -- information about  
18 how the consultant engaged by Manitoba Hydro looked at  
19 the merchant trading activity.

20 You're familiar with that, Mr. Cormie?

21 MR. DAVID CORMIE: Yes.

22 MR. BOB PETERS: And is it not correct  
23 that Dr. B., as I will call him, determined that in the  
24 fiscal year, certainly from April 2006 through to March  
25 of 2007, the trading activity was mostly a loss making

1 activity?

2 That was his conclusion?

3 MR. DAVID CORMIE: Yes.

4 MR. BOB PETERS: And in the graph that is  
5 provided on page 71, found under Tab 52 of Board  
6 council's third book of documents, for some reason not in  
7 colour, but the graph demonstrates many months  
8 settlements of the merchant trading took place below the  
9 profitability level -- or below -- they lost money in  
10 many months.

11 Is that correct?

12

13 (BRIEF PAUSE)

14

15 MR. DAVID CORMIE: Yes. And  
16 unfortunately, Manitoba Hydro didn't have an opportunity  
17 to review Mr. -- or Dr. Bhattacharyya's report before it  
18 was issued for -- for accuracy. And -- and this is the  
19 issue where Manitoba Hydro was charged 5.5 million in RSG  
20 charges after the fact. And those charges end up  
21 distorting the numbers that Mr. -- or Dr. Bhattacharyya  
22 looked at.

23 And, ultimately, Manitoba Hydro received  
24 3.5 million of those charges. And -- so his chart is not  
25 an accurate representation of the profitability of the

1 transactions and -- and it's unfortunate that we weren't  
2 able to explain that to him before he drew his  
3 conclusions.

4 MR. BOB PETERS: Well, when he drew his  
5 conclusions would he have known, or would Manitoba Hydro  
6 have even know that there was going to be resettlement  
7 charges put back to Manitoba Hydro?

8 MR. DAVID CORMIE: Yes, but this was a  
9 situation where the doctor asked for some information and  
10 drew conclusions without asking Manitoba Hydro whether he  
11 fully understood the circumstances. And -- and I -- I  
12 wish that we had had that -- had had that opportunity.

13 MR. BOB PETERS: And so you're telling  
14 the Board that the difference between Dr. B.'s conclusion  
15 and Manitoba Hydro's is that Manitoba Hydro's would  
16 adjust for the resettlement charges that were  
17 subsequently reversed to the extent of 3 or \$3 1/2  
18 million by -- by MISO?

19 MR. DAVID CORMIE: Yes, and that -- that  
20 adjustment, had we known what those RSG charges -- that -  
21 - those RSG charges were going to be retroactively  
22 applied.

23 Had we known that the rules weren't fixed  
24 with regard to RSG and the MISO would come back up to  
25 three (3) years after the fact and -- and resettle, we

1 would -- may have -- may have made a different decision  
2 on -- on buying and selling electricity. But the numbers  
3 that -- that Dr. Bhattacharyya was provided with were the  
4 all-in numbers at the time, because we had to show the \$5  
5 million payment to MISO into the operating statement of  
6 the company. And ultimately 4 million of that was -- I'm  
7 sorry, yeah, 3 1/2 million of that was refunded, and we -  
8 - we have shown the accurate information on the Exhibit  
9 23 reflecting all the charges that occurred  
10 retroactively.

11 MR. BOB PETERS: All right. Thank you  
12 for that explanation, Mr. Cormie. I think maybe you  
13 deserve a break, and it's time for Mr. Surminski to -- to  
14 grab the microphone.

15 And we'll turn to historical flow database  
16 information, Mr. Surminski. Would that be an area you're  
17 comfortable to at least start the discussion on?

18 MR. HAROLD SURMINSKI: Yes, we can start  
19 there.

20 MR. BOB PETERS: Prior to the Kelsey  
21 generating station coming into service, would -- would  
22 Manitoba Hydro agree that there was actually very little  
23 actual recorded flows on the Nelson River?

24

25

(BRIEF PAUSE)

1 MR. HAROLD SURMINSKI: Mr. Cormie may be  
2 more familiar with it.

3 MR. BOB PETERS: I was trying.

4 MR. DAVID CORMIE: Mr. Peters, the -- the  
5 Kelsey station was put into service in the late '50s, and  
6 we have a continuous flow record at that site since then.  
7 Prior to that there were no continuous flow record  
8 stations on the Nelson River.

9

10 (BRIEF PAUSE)

11

12 MR. BOB PETERS: And those flow  
13 conditions that you talk about in terms of the record at  
14 Kelsey, that would have been created somewhere in the,  
15 like you say, the early '50s, employing Lake Winnipeg  
16 water levels at Berens River, together with Winnipeg  
17 River flows, Red River flows, and Saskatchewan River  
18 flows?

19 MR. DAVID CORMIE: Well, we -- we do have  
20 a history of Lake Winnipeg levels that go back to 1912.  
21 And through that level history and the relationship  
22 between level and outflow of Lake Winnipeg into the  
23 Nelson River, there's what's called a rating curve. So  
24 if you know the level of Lake Winnipeg, you know the time  
25 of year, you can determine what the release out -- what



1 the outflow from Lake Winnipeg was prior to the  
2 construction of the dams.

3 The rating curve changed throughout the  
4 year. In the wintertime, it was less efficient than it -  
5 - than it is in the summertime because of ice  
6 restrictions, but then in the summer weed growth in the  
7 Playgreen Lakes, and in the channel -- the outlet  
8 channels of Lake Winnipeg also retarded the flow. And so  
9 -- but there have been sufficient meterings of the Nelson  
10 River at Warren Landing under a natural condition, that  
11 there was a well-defined rating curve that can be used  
12 back to 1912.

13 So we know what the outflows from Lake  
14 Winnipeg were with some certainty back to that date.  
15 That -- so we know what the outflows are, and because we  
16 have a level record on the lake we know what changes in  
17 storage occur on lake, and so then we can take the  
18 outflows, adjust it for whatever came in at -- or came  
19 out of storage. Now we have a -- a record of inflows  
20 into Lake Winnipeg going back to 1912.

21 Downstream of -- of Lake Winnipeg, there  
22 were no direct measurements of tributary flows until the  
23 -- until the 1950s, and with the development of -- of the  
24 northern mining industry there started to be more and  
25 more gauged streams. But the -- on the Churchill River

1 we have a history of flows going back to 1928 at Island  
2 Falls. And so with that -- with the combination of Lake  
3 Winnipeg outflows, and the -- and the -- the history of  
4 flow at -- at the Manitoba border with Saskatchewan, in  
5 effect we have probably 90 percent of the flow catchment  
6 area of -- of Manitoba Hydro back to 1928. Prior to that  
7 there are less records on the Churchill River, so.

8                   On the Winnipeg River we have full records  
9 going back to 1892, but the main gauging station at Slave  
10 Falls starts in 1912. And so we have a good record on  
11 the Saskatchewan River -- or on the Winnipeg River. And  
12 at the Saskatchewan River at -- at Grand Rapids, that  
13 record started in 1912, and ultimately it was moved to  
14 The Pas, and we have a very long-term flow record at --  
15 at The Pas.

16                   So we do have very good records based on  
17 measured flows on the main stream tributaries, for the  
18 most part, completely going back to 1928, and, for the  
19 most part, to 1912.

20                   MR. BOB PETERS:    Would it be correct that  
21 the Lake Winnipeg levels were -- were defined by taking  
22 the flows and water levels certainly at Berens River, and  
23 then also together with the Winnipeg River flows, the Red  
24 River flows, and the Saskatchewan River flows, Mr.  
25 Cormie?

1 MR. DAVID CORMIE: No, that -- that's not  
2 correct, Mr. Peters. The Lake Winnipeg outflows were  
3 determined based on the average of the water levels that  
4 were measured at the recording gauges around Lake  
5 Winnipeg.

6 Initially Lake Winnipeg was measured at  
7 Winnipeg Beach, and -- and then it was moved to -- to  
8 Gimli, and ultimately a gauge was set up at Berens River.  
9 And now we have nine (9) gauges on the lake that give us  
10 an accurate estimate of the lake.

11 But we do have a record of daily levels of  
12 Lake Winnipeg going back to 1912.

13 MR. BOB PETERS: Well, in terms of the  
14 inflows that didn't include the major rivers that we've  
15 talked of, Mr. Cormie, were those estimated using the  
16 smaller gauged tributaries into Lake Winnipeg?

17 MR. DAVID CORMIE: No, because we can  
18 determine the -- the total inflow based on the total  
19 outflow and the change in storage.

20 And -- so let's say that there was -- the  
21 rating curve said there was a 100,000 cubic feet per  
22 second going out of the lake in a particular month. And  
23 let's say the lake changed level by -- it dropped by half  
24 a foot, which would be 50,000 CFS came out of storage.  
25 That would mean that the total inflow to the lake would

1 be fifty thousand (50,000).

2 So we know what the total supply is. If  
3 we know that the Winnipeg River was ten (10) and the  
4 Saskatchewan River was ten (10), that mean -- means that  
5 there's thirty (30) coming from the local tributaries  
6 where -- whether -- wherever they are, whether it's the  
7 Barens, the Pigeon, the Red.

8 So through the process of -- of  
9 subtraction you can -- you end up with what's called the  
10 unregulated inflow to Lake Winnipeg, which is the -- some  
11 of the all the natural inflows from all the tributaries,  
12 plus the input that comes from direct precipitation, less  
13 the evaporation and any groundwater that leaves the lake  
14 and doesn't leave through the outlet.

15 MR. BOB PETERS: In those early years  
16 where Manitoba Hydro was using the flows on the Nelson  
17 River, what updates have been done and which agency  
18 carried out those -- those updates or those derivations  
19 of levels?

20 MR. DAVID CORMIE: For the main part, the  
21 record of water levels and river flows in Manitoba and  
22 across Western Canada has been the responsibility of the  
23 Water Survey of Canada. It's a department of Environment  
24 Canada.

25 And -- and so it's based on those official

1 records that Manitoba Hydro derives its stream flow  
2 records.

3 In addition to that, Manitoba Hydro has  
4 its own gauging network that was mainly put in during the  
5 period of Lake Winnipeg regulation and Churchill River  
6 diversions. So we have our own extensive network that's  
7 -- that we've been managing since about 1970.

8 MR. BOB PETERS: Prior to 1970, would  
9 Hydro agree that when Lake Winnipeg regulation and  
10 Churchill riven -- riv -- River diversion were designed,  
11 you were relying on the data derived during the 1950s  
12 era, supplanted -- or I guess supplemented by some  
13 fifteen (15) years of actual recorded flows to define the  
14 Nelson River situation?

15 MR. DAVID CORMIE: At the time that the  
16 Lake Winnipeg regulation project and the Churchill River  
17 Diversion projects were being designed, the Nelson  
18 Churchill Basin Board did a study that -- of Western  
19 Canada water supply that included the -- all the gauges,  
20 the important mainstream gauges that Manitoba Hydro  
21 relies.

22 There's a -- there's a very large report  
23 that documents the -- the history of water measurements  
24 across Western Canada including Manitoba. And it -- to  
25 the extent that there were gaps in that record, those

1 gaps were filled using standard static -- statistical  
2 techniques. And that formed the basis of the development  
3 of the Manitoba Hydro historic flow record.

4           Since that time we have been -- we have  
5 built many of the hydro stations and we rely on the flow  
6 records at the hydro stations to fill in those, to -- to  
7 add to the official Water Survey of Canada record. But  
8 there is an extensive record based on actual measurements  
9 by Water Survey Canada on the maj -- on the vast majority  
10 of the -- of the major rivers going back to 1912, with  
11 the exception of the Churchill River where that river was  
12 only gauged starting in 1928.

13           MR. BOB PETERS:     Who did the Nelson River  
14 flow redevelopment?

15           MR. DAVID CORMIE:    The Nelson/Churchill  
16 Basin Board Study. It was a study that was funded by the  
17 federal government and I'm not sure if the Province of  
18 Manitoba had -- and the Province Saskatchewan and Alberta  
19 may have cost-shared in that, but it's a -- a major work  
20 and it's the basis of the historic stream flow record and  
21 -- across Western Canada used by many agencies.

22           MR. BOB PETERS:     What was the year in  
23 which that was developed for the Nelson River?

24           MR. DAVID CORMIE:    Yeah, the -- I believe  
25 the report was probably published in -- around 1970, and

1 -- because the flow records that they -- that they have,  
2 I think end in about 1966. So they were able to -- they  
3 produced a report that brought flows from 1966 back to  
4 1912 across Western Canada.

5

6

(BRIEF PAUSE)

7

8 MR. BOB PETERS: Can you indicate to the  
9 Board in terms of the current system, Red River would be  
10 a hundred percent measured, or gauged as you've been  
11 calling it?

12

13

14

15

16

17

MR. DAVID CORMIE: There is a gauge at  
Lockport that captures probably 95 percent of the basin.  
There is some ungauged flow downstream of Lockport  
towards Lake Winnipeg, but it's -- it would involve  
streams like Netley Creek and those, and it -- they're a  
small percentage of the drainage area.

18

19

MR. ROBERT MAYER: Small problem with the  
floodway.

20

21

22

23

24

MR. DAVID CORMIE: The -- the floodway  
doesn't change the flow in the river, Mr. Mayer, it just  
moves it around Winnipeg. It -- the flow splits upstream  
Winnipeg and it comes together downstream of Winnipeg.  
The total flow is --

25

MR. ROBERT MAYER: Down -- downstream of

1 Selk -- down -- oh, sorry, downstream of Lockport.

2 MR. DAVID CORMIE: Yes.

3 MR. ROBERT MAYER: You said Selkirk.

4 Sorry.

5

6 CONTINUED BY MR. BOB PETERS:

7 MR. BOB PETERS: And the Winnipeg River  
8 is also gauged virtually 98 to 100 percent?

9 MR. DAVID CORMIE: Well, the main -- the  
10 main stem has been gauged at many locations, but the  
11 early official record was at Pointe du Bois starting in,  
12 you know, about 1908. And some of the upstream lakes  
13 like Lake of the Woods, those records started in 1892.

14 We have a record of -- of Lac Seul levels  
15 and a rating curve that start around 1921. So there's a  
16 -- there is a -- at least from the perspective of power,  
17 on the Winnipeg River we have a -- we have a -- a  
18 complete record of flows starting in 1912 on the Winnipeg  
19 River. And as the basin is developed and as more gauges  
20 were put in place, it added to the detailed knowledge of  
21 the water shed, but we've always had a long reliable  
22 record at -- at the Winnipeg hydro plants just inside the  
23 Manitoba/Ontario boundary.

24 MR. BOB PETERS: And so currently the  
25 Winnipeg River is virtually 100 percent gauged?



1 MR. DAVID CORMIE: Yes, because the  
2 downstream gauge at Pine Falls is essentially at the  
3 mouth of the Winnipeg River.

4 MR. BOB PETERS: And the Saskatchewan  
5 River would also be 100 percent gauged at Grand Rapids?

6 MR. DAVID CORMIE: Yes.

7 MR. BOB PETERS: And what about --

8 MR. DAVID CORMIE: Well, I have to  
9 qualify Grand Rapids because approximately 5 percent of  
10 the flow that goes down the Saskatchewan River leaks  
11 underneath the -- through the -- through the limestone  
12 below the Grand Rapids Dam, and -- under the Grand Rapids  
13 Dam, and -- and it's not measured.

14 MR. BOB PETERS: So 95 percent of the  
15 Saskatchewan River is -- is gauged.

16 MR. DAVID CORMIE: We have a gauge there.  
17 There's some groundwater flow that's not accounted for.

18 MR. BOB PETERS: And what about Lake  
19 Winnipeg local measurements? You say you have nine (9)  
20 gauges on the lake?

21 MR. DAVID CORMIE: We have nine (9)  
22 gauges that are -- that are smoothed, and it's -- we --  
23 we can determine the average wind eliminated level of the  
24 lake based on those gauges, but at the outlet we have the  
25 Jenpeg Generating Station that measures 85 percent of the

1 flow of the Nelson River.

2 The balance of the flow, it goes down the  
3 east channel, and there is a water level gauge and a  
4 rating curve near Norway House that is used to determine  
5 that flow.

6 MR. BOB PETERS: And the Lake Winnipeg  
7 precipitation and evaporation measurements, is that  
8 accounted for?

9 MR. DAVID CORMIE: Those are included in  
10 the calculation of inflow available for outflow because  
11 we know what the outflow is from the lake because of our  
12 measurements. We know what the change in level is, and  
13 so we know what the total inflow.

14 That total inflow is comprised of the  
15 tributary inflows plus the net of evaporation and  
16 participation in ground water. So it's -- it's all  
17 accounted for. We -- we just don't have a detailed  
18 record of what the actual components are, and that's not  
19 necessary for our operation, to know how much is  
20 evaporating versus how much is being added to from  
21 precipitation.

22 We would never really know that because  
23 we don't have precipitation gauges at the density that  
24 would be necessary to know exactly what the water balance  
25 would be for the lake.

1                   MR. BOB PETERS:     What was the size of the  
2 lake that you had put on the record before? Was it  
3 40,000 square kilometres?

4                   MR. DAVID CORMIE:     It's approximately  
5 10,000 square miles. I'm not sure what it is in metric.

6                   MR. BOB PETERS:     Mr. Cormie, in terms of  
7 the lower Nelson River, are there mea -- measured flows  
8 to a high degree on -- on that river?

9                   MR. DAVID CORMIE:     The major tributaries  
10 downstream of Lake Winnipeg are metered. The Grass  
11 River, the Odie River, the Taylor River, the tributaries  
12 to the Burntwood are metered, and we know what the  
13 Burntwood River is, so I would judge that 80 to 90  
14 percent of the -- of the flows on the main stem are --  
15 the tributary flows are known.

16                   MR. BOB PETERS:     And the Burntwood River  
17 would be 100 percent measured?

18                   MR. DAVID CORMIE:     The Burntwood River is  
19 -- the vast majority of the flow in the Burntwood River  
20 is what's released at Notigi, and that's measured on an  
21 hourly basis, and we have rating curves along the river.  
22 The main gauging location is at Thompson, and we have an  
23 estimate of the flow there.

24                   MR. BOB PETERS:     All right. If we can  
25 just run down a few of the rivers in terms of what is

1 regulated. The Saskatchewan River is fully regulated, is  
2 that correct?

3 MR. DAVID CORMIE: I'm not sure what you  
4 mean by regulated. There are dams on the Saskatchewan  
5 River, and there is regulation, but not every stream on  
6 the -- that feeds the Saskatchewan River is regulated, so  
7 -- but I -- I would, yeah, consider it a regulated river.

8 MR. BOB PETERS: And would you consider  
9 the Red River totally unregulated?

10 MR. DAVID CORMIE: Essentially, yes.

11 MR. BOB PETERS: And the Winnipeg River  
12 would be maybe as much as 50 percent regulated. I think  
13 you mentioned Lac Seul and was it St. Joseph's Diversion?

14 MR. DAVID CORMIE: A hundred (100)  
15 percent of the Winnipeg River at Kenora is regulated, and  
16 50 percent of the English River is regulated at Lac Seul,  
17 so how about 75 percent of the Winnipeg River is  
18 regulated.

19 MR. BOB PETERS: The St. Joseph  
20 Diversion. Is that a form of regulation as well on the  
21 Winnipeg River?

22 MR. DAVID CORMIE: Yes, Ontario Hydro  
23 regulates the Lake St. Joseph Diversion, and those flows  
24 are metered.

25 MR. BOB PETERS: And in those situations,

1 water is diverted into the Winnipeg River, and in  
2 exchange for that water, Manitoba Hydro pays money to  
3 Ontario Hydro or returns the energy?

4 MR. DAVID CORMIE: Half the energy that's  
5 generated from the diverted water is returned to Ontario.

6 MR. BOB PETERS: The local inflows to the  
7 -- Lake Winnipeg would be considered unregulated. Would  
8 that be correct, maybe with the exception of the Fairford  
9 River?

10 MR. DAVID CORMIE: Yes, there are several  
11 major tributaries on the east side of Lake Winnipeg: the  
12 Berens, the Pigeon, the Poplar, the Gunisao, the  
13 Bloodvein, Manigatogan. They are unregulated, but they  
14 are metered, and Manitoba Hydro has access to those flow  
15 records in real-time, and so we -- we included those as  
16 forecasting locations in our water supply forecasting  
17 process.

18 MR. ROBERT MAYER: You missed Little  
19 Black, Wanipigow, and Rice.

20 MR. DAVID CORMIE: I'm sorry, Mr. Mayer?

21 MR. ROBERT MAYER: You missed Little  
22 Black, Wanipigow, and the Rice River.

23 MR. DAVID CORMIE: we -- we have a very  
24 extensive gauging network in a forecasting system, and so  
25 the extent that there is a re -- a river out there, no

1 matter how big or small it is, we include it because it  
2 always improves the accuracy of our -- our flow  
3 forecasting.

4 So we don't ignore any available  
5 information, Mr. Mayer. And if -- even though you might  
6 think it's a small river, we think it's all important.

7 MR. ROBERT MAYER: I know that because  
8 I've taken advantage of checking the water flows on the  
9 Manigatogan, which I quite enjoy canoeing and I've done  
10 several times, but, yeah, the information is really  
11 interesting.

12 MR. DAVID CORMIE: Those rivers on the  
13 east side of Lake Winnipeg have lots of storage upstream.  
14 And so if you know what the current flow is, it allows  
15 you to use that current flow to predict how much flow  
16 will come over the next month or two (2) months. It's --  
17 there's -- to the extent that there's lots of storage,  
18 our forecasting process takes advantage of that.

19 MR. ROBERT MAYER: When you call for --  
20 when you call "storage," I mean, the Bloodvein isn't  
21 regulated. I know there are a bunch of lakes upstream  
22 and all the way into Ontario. If I recall correctly, the  
23 Berens and the Pigeon come out of -- I forget the name of  
24 the lake. Little Grand Rapids is on it, but the --  
25 there's one (1) lake where both -- are -- are those kind

1 of lakes we're talking about as storage?

2 MR. DAVID CORMIE: Well, they do. They -  
3 - all those lakes are linked together like bathtubs, and  
4 so it takes time for water to flow from one into the  
5 next. And a rainfall event upstream may take months for  
6 it -- for that water to work its way downstream, and  
7 that's the bathtub effect, and that's the effect of  
8 storage. It's a natural storage basin. It's the beaver  
9 dams and the -- the waterfalls. They all act to  
10 attenuate the stream flows.

11

12 CONTINUED BY MR. BOB PETERS:

13 MR. BOB PETERS: In terms of Lake  
14 Winnipeg, Mr. Cormie, does Manitoba Hydro rely  
15 substantially on Lake Winnipeg total unregulated monthly  
16 inflow data that it's collected?

17 MR. DAVID CORMIE: No, because we know --  
18 we know where the co -- the -- the main components of the  
19 unregulated inflow are -- are coming from. They're  
20 coming, in the most part, from the tri -- from the --  
21 from the tributary streams, like the Berens and the  
22 Pigeon.

23 So as I described earlier, through a back  
24 calculating process of using the change in storage and  
25 the outflow, we know what the total inflow is. And from

1 that, we can start subtracting off the gauged flows, like  
2 what's on the Red, what's coming from the Fairford,  
3 what's on the Pi -- Pigeon.

4 And -- and then the -- the residual ends  
5 up being the -- the local inflow or the residual inflow.  
6 And to the extent that we can reduce that down to the  
7 smallest component possible, that will reflect just the  
8 evaporation and the precipitation and the groundwater  
9 components.

10 MR. BOB PETERS: Does Manitoba Hydro rely  
11 substantially on Lake Winnipeg total unregulated monthly  
12 inflow data for the Winnipeg River and the Saskatchewan  
13 River?

14 MR. DAVID CORMIE: No, the -- the -- from  
15 an operation perspective we have detailed forecasting  
16 programs that look at all the inputs to the major  
17 reservoirs in Northwest Ontario, the Rainy/Namakan  
18 system, the tributaries to Lac Seul, those all form  
19 forecast locations, and then our modelling routes that  
20 water down through the regulated reservoirs and we end up  
21 with a -- a flow forecast at the -- at the -- for the  
22 Winnipeg River at the Manitoba border.

23 And on the Saskatchewan River, upstream  
24 reservoirs are regulated by the Saskatchewan Water  
25 Authority in Saskatchewan and by the Alberta authorities



1 and so we rely on our contacts with them and through  
2 their published forecasts to indicate what stream flows  
3 can be expected from those upstream jurisdictions.

4 Some of the modelling is very detailed and  
5 extensive, especially in Alberta, having to do with flood  
6 management objectives, and some of it is long-term water  
7 supply forecasting consistent with the things that  
8 Manitoba Hydro does.

9 Saskatchewan has to regulate Lake  
10 Diefenbaker on a seasonal and an annual basis. On the  
11 Churchill River they regulate Reindeer Lake and they  
12 provide us with their forecasts of what they intend to do  
13 with those waters and we rely on those as inputs into our  
14 forecasts.

15 MR. BOB PETERS: Are the local inflows to  
16 the Nelson River virtually 100 percent unregulated, Mr.  
17 Cormie?

18 MR. DAVID CORMIE: No, because there are  
19 gauged streams downstream of Lake Winnipeg like the --  
20 like the Grass River, the tributaries to the Burntwood  
21 River, the Odie River, the Kettle River at Kettle  
22 Generating Station.

23 So there's a -- there is a portion of the  
24 basin that is ungauged. And by prorating local stream  
25 flows using area adjustment factors we can estimate what

1 the runoff from the ungauged portion of the --

2 MR. BOB PETERS: What portion of the --  
3 of the inflows to the Nelson or from the local inflows  
4 would be un -- ungauged or un -- unregulated?

5 MR. DAVID CORMIE: Well, in the  
6 wintertime I'd suspect that 99 percent of the flow is --  
7 in the -- in the river is gauged or is the release from  
8 Lake Winnipeg and Notigi. In the summertime the -- the  
9 percentage is much higher. At times it can be -- 15  
10 percent might be un -- from ungauged runoff.

11 MR. BOB PETERS: In turning to the -- the  
12 Burntwood River, which I think you told the Board was  
13 approximately 100 percent measured or gauged, it would  
14 only be approximately 70 percent regulated?

15 MR. DAVID CORMIE: Well, the -- the mean  
16 flow in the Burntwood River prior to regulation was  
17 around 3,000 CFS. The mean flow now is thirty-four  
18 thousand (34,000). So, you know, 90 percent of it is --  
19 of the flow down the Burntwood is regulated by Notigi.

20 At the time of the peak spring runoff it  
21 is probably less than that and in the wintertime it's  
22 probably much more than that. The local inflows would be  
23 a -- a very small percentage of the total flow.

24 MR. BOB PETERS: All right. And then  
25 lastly, the -- the lower Nelson River flows would be

1 virtually 100 percent regulated by way of the generating  
2 stations Hydro has on the -- on the river?

3 MR. DAVID CORMIE: Yes. There's some  
4 gauge tributaries that -- like the -- the -- the in --  
5 the local inflow to the Long Spruce forebay and the  
6 Limestone forebay, we have gauge tributaries, but there  
7 is additional flow there.

8 But again, as a proportion of the total  
9 flow in the river it's a tiny, tiny fraction.

10 MR. BOB PETERS: Mr. Chairman, perhaps  
11 this might be an appropriate time for the afternoon  
12 recess if it suits the Board.

13 THE CHAIRPERSON: That's fine.

14 MR. BOB PETERS: Thank you.

15

16 --- Upon recessing at 2:59 p.m.

17 --- Upon resuming at 3:23 p.m.

18

19 THE CHAIRPERSON: Ms. Ramage, you have a  
20 couple more exhibits it would appear.

21 MS. PATTI RAMAGE: Yes, I do. Let's see.  
22 I'll get the right order. The first is Manitoba Hydro  
23 Undertaking 55, and that was ICF's providing a list of  
24 reports, presentations, and articles reviewed subsequent  
25 to preparation of the ICF report of September 2009.

1                   And if I could just add that I believe the  
2 -- the undertaking asked for reports. In putting it  
3 together, we expanded to presentations and articles  
4 because it appeared that that was what was being sought,  
5 and things like PowerPoint presentations had been  
6 referred to as reports.

7                   And by way of an additional comment, Mr.  
8 Rose had indicated he had reviewed IR responses and the  
9 materials general -- generally, but that wasn't included  
10 in here because it was -- unless it was the specific  
11 report that he zoned in on.

12

13 --- EXHIBIT NO. MH-66:           Response to Undertaking 55

14

15                   MS. PATTI RAMAGE:    The second document is  
16 Manitoba Hydro Undertaking 83, which we've assigned  
17 Exhibit 67, and that was Manitoba Hydro was to inquire  
18 whether there was an update to the June 2010 filing by  
19 Xcel Energy.

20

21 --- EXHIBIT NO. MH-67:           Response to Undertaking 83

22

23                   THE CHAIRPERSON:    Thank you.

24                   Mr. Peters...?

25                   MR. BOB PETERS:    Thank you, Mr. Chairman.

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: If I could ask Messrs  
3 Surminski and Cormie to turn to Tab 41 of Board counsel's  
4 Volume II book of documents, PUB Exhibit 16, please.  
5 That would be Tab number 41 in Board counsel's Volume II  
6 book of documents, Exhibit 16.

7 MR. DAVID CORMIE: We have that, Mr.  
8 Peters.

9 MR. BOB PETERS: And is Manitoba Hydro  
10 able to confirm that that document summarizes Hydro's, I  
11 guess first of all, their April 1st energy in storage  
12 information?

13 Is Manitoba Hydro comfortable with the  
14 accuracy of the information provided or does it have any  
15 corrections?

16

17 (BRIEF PAUSE)

18

19 MR. DAVID CORMIE: Mr. Peters, this chart  
20 is not -- does not represent actual conditions in the  
21 Manitoba Hydro system prior to 1992. It's a restatement  
22 of conditions had the Limestone Generating Station been  
23 in service at that time, so...

24 MR. BOB PETERS: So with that  
25 qualification, you're comfortable with the information

1 that has been restated?

2

3

(BRIEF PAUSE)

4

5 MR. ROBERT MAYER: There are a number of  
6 footnotes for -- a number of footnotes, in any event, on  
7 the annual hydraulic generation.

8 I take it that's the stuff that might --  
9 oops, I lost Mr. Cormie -- I take it that's the ones that  
10 had to be recreated because Limestone wasn't in place at  
11 that time? Or those footnotes must refer to something,  
12 and I don't know what it -- what it is.

13 MR. BOB PETERS: No, the -- the  
14 footnotes, Mr. Vice-Chair, relate to the eight (8) lowest  
15 years of hydraulic generation numerically in terms of the  
16 lowest to the highest of the eight (8).

17 MR. DAVID CORMIE: Yeah, and Mr. Peters,  
18 Manitoba Hydro restates those numbers, so that we can  
19 compare current conditions to those conditions that we've  
20 experienced since the regulation of Churchill River  
21 diversion and CRD in 1976.

22 And -- and we've normalized it as if the -  
23 - as if Limestone had been in service. And -- and  
24 subject to that qualification, we accept the -- the  
25 numbers for discussion purposes.

1 CONTINUED BY MR. BOB PETERS:

2 MR. BOB PETERS: And -- and that goes  
3 with all the numbers on the page. There's no -- there's  
4 no -- nothing that jumps out at you as being  
5 inappropriate or incorrect?

6 MR. DAVID CORMIE: Well, let's see where  
7 it goes.

8 MR. BOB PETERS: It may not go very far,  
9 Mr. Cormie and Mr. Surminski, but let me turn to Hy --  
10 Hydro explaining to the Board how Manitoba Hydro looks to  
11 apprehend an impending drought.

12 Is it deteriorating or adverse conditions?  
13 Does Manitoba Hydro look at the hydraulic energy from  
14 inflows as an indicator?

15 MR. DAVID CORMIE: No, the water in  
16 storage is not a leading indicator of drought, it just  
17 reflects the state of the watershed at that time. What  
18 is a leading indicator of drought to -- to the extent  
19 that it provides any information, is accumulated  
20 precipitation over the winter.

21 If at the end of the winter you have 60  
22 percent of average winter precip you can expect that the  
23 snowmelt runoff will be below average. So as leading  
24 indicators of drought we use -- we monitor precipitation  
25 across western Canada. We look at the published

1 precipitation long-range forecasts to the extent that  
2 they have any value.

3           But, ultimately, neither of those provide  
4 enough information that Manitoba Hydro relies on them to  
5 ensure that there's an adequate energy supply. Our skill  
6 at forecasting is no better than anyone else in the  
7 world, which is -- which is very low, so Manitoba Hydro  
8 has adopted as a strategy to protect against the worst  
9 possible condition at all times, and -- and that's our  
10 practice.

11           And as I've indicated previously, last  
12 spring we were faced with the situation where there was  
13 going to be a very poor spring snow melt runoff, exactly  
14 the same condition that we had in the spring of 2003.  
15 And we put together a power -- a plan for the power  
16 system operation based on a worst-case situation that  
17 recognized the amount of energy that was in reservoir  
18 storage at that time and protected the supply based upon  
19 those two (2) factors.

20           But precipitation is -- is not an  
21 indicator of -- current precipitation, not an indicator  
22 of what is to come in the future. It's just an  
23 indication of what has happened. And weather forecasts  
24 beyond a few days have very little value when you're  
25 trying to manage against a risk that will take a year, or



1 two (2) years, or even five (5) years to mature, so we  
2 have to guard against the worst case.

3 MR. BOB PETERS: In looking at Tab 41 of  
4 the book of documents, Volume II, Mr. Cormie and Mr.  
5 Surminski, if we go down to the -- I suppose the 2003/'04  
6 year, that was a year in which the energy in storage was  
7 amongst the lowest -- lowest, at about 4.2 terawatts?

8 MR. DAVID CORMIE: Yes.

9 MR. BOB PETERS: And, likewise, this is  
10 where the hydraulic generation had the -- the lowest on  
11 recorded record of Manitoba Hydro, at 18,500 gigawatt  
12 hours that year?

13 MR. DAVID CORMIE: It's the lowest since  
14 Limestone came into service.

15 MR. BOB PETERS: That's fair. And even  
16 with the restatement, as Manitoba Hydro has done pre-  
17 1992, it's the lowest on -- on record?

18 MR. DAVID CORMIE: Yeah, and if we had  
19 extended this table back to 1912 you would have seen it  
20 was the third lowest on -- on record and -- Manitoba  
21 Hydro, because its criteria is to protect against the  
22 lowest on record, we were -- we had planned for the  
23 lowest, and it came in at the third lowest, and I think  
24 we did a good job in protecting against that situation.

25 We were fortunate it wasn't the worst on

1 record and -- but we had planned for that.

2 MR. BOB PETERS: And the spring pre --  
3 the spring precipitation in the watershed was actually  
4 above average in that year?

5 MR. DAVID CORMIE: No, that's not true.  
6 The spring precipitation in the spring of 2003 and '04  
7 was much below average, and there was no spring runoff.  
8 And -- and, ultimately, June was the -- had the lowest  
9 inflows since 1912 for the month of June, so.

10

11 (BRIEF PAUSE)

12

13 MR. BOB PETERS: Sorry, the -- the winter  
14 precipitation then would have been amongst the -- the  
15 lowest on record is what the -- what the table with sta -  
16 - will say?

17 MR. DAVID CORMIE: Yes, and then what --  
18 what happens is that if you have -- there's no -- no  
19 snowmelt runoff, because the -- there's no snow to melt.  
20 The ground dries and to the extent that you have average  
21 rainfall it just soaks in. There not enough to create  
22 any runoff. So as the chart indicates, March and April  
23 was 109 percent, but that wasn't enough to offset the  
24 deficit that accumulated over the winter.

25

And so there may not have been a

1 agricultural drought, but there clearly was a -- a water  
2 supply drought.

3 MR. BOB PETERS: And then on a winter and  
4 spring combined basis the precipitation was only 75  
5 percent of average, so it was significantly below  
6 average?

7 MR. DAVID CORMIE: Yes. And when you  
8 start looking at events that are at 75 percent of  
9 average, these are, as a percentile, probably 1 or 2  
10 percentile events, so they're -- they're extremely rare  
11 compared -- and you don't get the sense of how infrequent  
12 they are by just looking at the percent of average.

13

14 (BRIEF PAUSE)

15

16 MR. BOB PETERS: When we talked about  
17 apprehending a drought situation, you indicated that a --  
18 the hydraulic energy in storage wasn't a major factor  
19 considered, correct?

20 MR. DAVID CORMIE: In formulating our  
21 plans to respond to the situation, the amount of water  
22 that's in reservoir storage is a key component. And for  
23 example, going into the spring we have 6 million megawatt  
24 hours more than average.

25 So clearly we're much better off in being

1 able to manage a drought than we were in the spring of  
2 2003 when we probably had 3 terawatt hours below average.

3 MR. BOB PETERS: But in terms of  
4 apprehending whether there's a drought or no drought, the  
5 amount of energy in storage isn't used as an indicator by  
6 Manitoba Hydro?

7 MR. DAVID CORMIE: No, storage is -- ends  
8 up being where it is because that's how it was managed.  
9 You can draw reservoirs down and that may be independent  
10 of the hydrologic condition.

11 MR. BOB PETERS: And what about a  
12 precipitation index, is that -- while you say you -- you  
13 look at the forecasts, is that -- is that a factor that  
14 is used by Manitoba Hydro to consider whether a drought  
15 is at hand?

16 MR. DAVID CORMIE: Well, yes, we do  
17 monitor the precipitation across Western Canada daily as  
18 a -- from a system perspective we can express that in  
19 percentile terms and that is an indicator of how severe  
20 the lack of precipitation has been.

21 If -- if -- for example, I think for the  
22 system as a whole this winter we're at a 34 percentile  
23 event. So in spite of the fears of flooding on the Red  
24 River, the basin as a whole is experiencing quite dry  
25 condition from a -- from a winter snowpack perspective.

1                   MR. BOB PETERS:     If you take the Board  
2 back to 2006/'07, Mr. Cormie, how was the factors that  
3 we've talked about, being the hydraulic energy from  
4 inflows, the energy in storage and the precipitation  
5 index, how were they put into play by Manitoba Hydro in  
6 the summer of 2006/'07?

7                   MR. DAVID CORMIE:    Well, the -- the -- in  
8 the spring of 2006 reservoirs were essentially full.  
9 There was a -- a high flow event came down the Red River.  
10 Most of the Red River water and the spring runoff from  
11 the Winnipeg River watershed had to be spilled down the  
12 Nelson River because of -- there was no room in the  
13 reservoirs to store it.

14                   The spring melt wasn't followed by normal  
15 spring rains and river flows quickly deteriorated. And  
16 it wasn't until the middle of August that we finally were  
17 able to get the river flows at the lower Nelson River  
18 plants down to a point where we weren't spilling and  
19 selling off-peak energy just because of the time lags  
20 involved in making flow reduction and our licence  
21 restrictions on Lake Winnipeg.

22                   But all through that summer we were  
23 monitoring conditions, we were adjusting our release  
24 schedules to the extent that it was possible, given our  
25 licence restrictions, and by the -- by August the flows

1 on the Winnipeg River were getting down into the very low  
2 percentile levels.

3 We were affected by the effects of  
4 upstream regulation. We lost the use -- full use of our  
5 capacity on that river. It caused us to have to purchase  
6 on-peak to meet our summer load obligations.

7 But there was a constant process of  
8 monitoring and forecasting, and adjusting based on the  
9 conditions. And -- but to the extent that we had water  
10 in storage in Lake Winnipeg, that was used, and the  
11 storage was used to ensure that there was adequate supply  
12 through the winter.

13 And -- but we can only manage the  
14 reservoirs that we have control over. Those who are  
15 upstream, we're at their mercy, and -- and during the  
16 winter of '06/'07 those reservoirs were -- didn't release  
17 the water that we would liked to have had in order to  
18 meet our requirements.

19 MR. BOB PETERS: Those -- excuse me,  
20 those reservoirs that are regulated by others amount to  
21 about 30 percent of the Manitoba Hydro flow?

22 MR. DAVID CORMIE: Well, in a -- in a  
23 normal year the water that comes in from northwest  
24 Ontario and Minnesota provides eighty (80) -- or 40  
25 percent of the hydro-electric production in the system,

1 so a critical -- it's a critical issue when the flows on  
2 the Winnipeg River dry up. It has a huge effect on the  
3 power system.

4 MR. BOB PETERS: Can you tell the Board  
5 in what point in the year did Hydro realize there was a  
6 supply shortfall? Was it in August?

7 MR. DAVID CORMIE: Well, there was never  
8 a supply shortfall, Mr. Peters. We always had adequate  
9 sources to serve the -- the sale obligations and -- and  
10 meet our customer needs.

11 It just became more and more expensive to  
12 -- to serve them, but we always had adequate supply.

13 MR. BOB PETERS: Well, then let's call  
14 it, when did Manitoba Hydro realize it had a hydraulic  
15 shortfall?

16 MR. DAVID CORMIE: Well, as the -- as the  
17 summer progressed and the -- the normal rainfall didn't  
18 arrive, and -- and the fall rains didn't arrive by -- by  
19 the time we put together our final forecast for inclusion  
20 in the IFF, it was pretty certain that there was no or  
21 very little chance of a recovery.

22 And so we really don't get certainty until  
23 -- until late in the -- in the fall of -- of the year  
24 when it starts to snow, and at that point water  
25 conditions can't improve anymore.

1                   MR. BOB PETERS:     So it was well into  
2 November before Manitoba Hydro realized there was a --  
3 going to be an issue supplying hydraulically the energy  
4 that was needed?

5                   MR. DAVID CORMIE:     No.  As -- as I think  
6 I've said before, we prepare an operating plan each week.  
7 So each week we know what our supply and demand plans are  
8 for every week and month of the future until the end of  
9 the year.

10                   And as we go by, and there's another week  
11 of no rain and the hydraulic forecast gradually  
12 diminishes, it -- it becomes more and more apparent that  
13 alternative supplies of energy will be required, and so  
14 it's a gradual process.

15                   We would have first prepared a -- an  
16 initial estimate for the IFF in July.  We probably would  
17 have updated it early in September.  And -- and probably  
18 updated it again just before the -- the final estimate  
19 was approved by the Board in October or November.

20                   So there's a constant monitoring of the  
21 conditions and adjusting the financial expectations of  
22 the Corporation around those updated forecasts.

23                   MR. BOB PETERS:     Do you recall, Mr.  
24 Cormie, at what point did Manitoba Hydro cut off the --  
25 the peak exports, seven (7) by eight (8) exports?



1                   MR. DAVID CORMIE: Well, I think the off-  
2 peak exports, if that's what you're referring to, the  
3 seven (7) by eights (8s) would have -- we would have been  
4 out of that market probably by the end of August, and it  
5 wasn't that we wanted to be in that market, it was that  
6 Lake Winnipeg was full, and we had to release the water.

7                   In spite of what was coming into the lake,  
8 the lake was above the full supply level, and it had to  
9 be brought down and -- to the maximum level allowed by  
10 the licence at which power production can be considered.  
11 And the forces us to release water from storage that in  
12 spite of the lack of inflows, we have no choice; that's a  
13 requirement of our licence.

14                   So the last water -- the -- the point in  
15 time when Lake Winnipeg dropped below seven fifteen (715)  
16 would have been the first point in time that Manitoba  
17 Hydro could actively reduce the flows and store water,  
18 and that was probably about the -- sometime in July. But  
19 it then takes several weeks for the flows that had been  
20 released prior to that time to work its way down the  
21 river and ultimately arrive at the generation stations.

22                   And we got out of the off-peak market as  
23 soon as it was possible, although it wasn't apparent --  
24 it's not apparent from the sales record because of the  
25 time delays between reservoir releases and the time it

1 takes the water to arrive to the stations.

2 MR. BOB PETERS: How many months is that  
3 time delay? Is that a month and a half?

4 MR. DAVID CORMIE: Well, the time it  
5 takes the full effect of a change from Lake Winnipeg is  
6 five (5) -- fo -- four (4) to five (5) weeks. So if you  
7 were to cut the flow at Lake Winnipeg by let's say 25,000  
8 CFS, for the full 25,000 CFS to show up downstream,  
9 probably five (5) weeks.

10 MR. BOB PETERS: At what point in year in  
11 2006/'07, for the fiscal year of the Corporation, did  
12 Hydro cut off the opportunity sales?

13 MR. DAVID CORMIE: I'm sorry, Mr. Peters.

14 MR. BOB PETERS: No, I apologize, as  
15 well. I didn't realize you were otherwise engaged.

16 But do you recall at what point in time in  
17 '06/'07 Hydro shut off their opportunity sales?

18

19 (BRIEF PAUSE)

20

21 MR. DAVID CORMIE: I -- I don't think we  
22 ever -- we ever actually shut off opportunity sales, Mr.  
23 Peters, because there's -- there may be very, very short-  
24 term opportunities that are -- are possible. And -- and  
25 it may not be possible to -- given the high flows in the

1 system on the Nelson River in the wintertime, to -- to  
2 avoid selling in the shoulder hours or on weekends.

3 Because it wasn't the Nelson River that  
4 was short of water in the winter of '06/'07; it was the  
5 Winnipeg River. And there -- there was no -- there was  
6 never a declaration that they should not sell. They --  
7 the power traders look at the supply demand situation on  
8 a daily basis, and they maximize Manitoba Hydro's  
9 revenues or they minimize the costs for the current --  
10 current day and -- and given the outlook for the next few  
11 weeks.

12 So there's -- it -- it's an optimization  
13 that occurs continuously, and it doesn't involve just  
14 saying, We're -- we're not selling anymore. There may be  
15 opportunities to buy a little bit more and to sell a  
16 little bit more if it's a profitable activity.

17 MR. ROBERT MAYER: Mr. Cormie, just a  
18 little clarification. When you say five (5) or six (6)  
19 weeks after you release the water from Lake Winnipeg  
20 something's done. Where -- when -- the five (5) or six  
21 (6) weeks -- after that five (5) or six (6) weeks are  
22 over where is that water? Is it gone past Limestone, or  
23 is it just into the lower Nelson?

24 MR. DAVID CORMIE: It -- it would be --  
25 gone past Limestone. Just imagine the Nelson River as

1 being a series of bathtubs. There's Cross Lake,  
2 Sipiwesk, Split, and even though you turn off the tap,  
3 these lakes take time to drain. So if you reduce the  
4 outflow by 25,000 CFS for the full effect of that flow  
5 reduction, all else being the same, it takes many weeks  
6 for that full effect to -- to work its way downstream.

7

8 CONTINUED BY MR. BOB PETERS:

9 MR. BOB PETERS: Mr. Cormie, when Jenpeg  
10 was shut down did Manitoba Hydro manage to get the  
11 Winnipeg River flows reduced?

12 MR. DAVID CORMIE: I think by that time  
13 the -- the Winnipeg River flows were already essentially  
14 at their minimum flows, Mr. Peters.

15 MR. BOB PETERS: Manitoba Hydro didn't  
16 request of the regulating authority to reduce the flows?

17 MR. DAVID CORMIE: I'm not sure what  
18 Manitoba Hydro's recommendations were to the Lake of the  
19 Woods control board at that time, and so I can't -- I  
20 can't -- I can't answer that. But usually in the  
21 summertime the power interest is not the predominant  
22 interest in the regulation of the -- in the regulation of  
23 the reservoirs, although, we would have had some input;  
24 whether we were acknowledged or not, I -- I don't know  
25 the answer to that.

1 MR. BOB PETERS: Back in 2006, Mr.  
2 Cormie, when the situation was below average in terms of  
3 water, as you've indicated, you were aware -- aware of  
4 that, you said at least by July when you were doing an  
5 IFF draft?

6 MR. DAVID CORMIE: Yes.

7 MR. BOB PETERS: And would the middle  
8 office have been aware at that time as well? Or was  
9 there a middle office back then?

10 MR. DAVID CORMIE: The middle office is  
11 not involved in the hydraulic operation of the power  
12 system. They do sit in on our weekly planning meetings  
13 as observers, but I'm not sure if they were at the  
14 meetings in the summer of 2006.

15 MR. BOB PETERS: And the decision, Mr.  
16 Cormie, to continue opportunity sales into June and July  
17 and August of '06, were those made by -- by the front  
18 office?

19 MR. DAVID CORMIE: The -- there are two  
20 (2) types of opportunity sales. There's the real-time  
21 and the day-ahead sales, and there's the term  
22 transactions. Subject to check, I believe that we were  
23 not in the business of entering into any term  
24 transactions during the summer of 2006 for the subsequent  
25 months.

1                   And so, any transactions that were made  
2 were made by the power trading office in response to the  
3 conditions that were available at that time, based on  
4 river flows.

5                   So the front office just manages the --  
6 they're in effect a salvage operation. If there's extra  
7 water in the system they take it to market. If they're  
8 short they buy the energy back. The front office  
9 activities are independent of the water management  
10 activities.

11                   MR. BOB PETERS:     So the power trading  
12 office or the front office would have made the decision  
13 on the real-time and day-ahead opportunity sales  
14 throughout the summer of 2006?

15                   MR. DAVID CORMIE:    Yes, because they --  
16 they have -- if they have surplus they have to take it to  
17 market or they have to spill it. They -- they -- there's  
18 no way of making the water go back into storage.

19                   MR. BOB PETERS:     And after September of  
20 2006, the curtailment, if not the cessation as we've  
21 talked about, of opportunity sales, was that decision  
22 likewise made at the front office?

23                   MR. DAVID CORMIE:    Well, no the -- the --  
24 as I said, the front office manages around the resources  
25 that are available from the hydraulic generation, and

1 that's -- that's an outcome of a water management  
2 process. And in effect, the front office people are just  
3 managing the water that's in the river. They don't  
4 influence the reservoir releases. The reservoir releases  
5 are determined from the HERMES modelling and the  
6 operations planning process that is independent of the --  
7 of the power trading activity.

8 MR. BOB PETERS: In 2003/'04, Mr. Cormie,  
9 do you recall when Manitoba Hydro initially realized that  
10 it would be a below average flow year?

11 MR. DAVID CORMIE: Well, there's not  
12 really a day, Mr. Peters, where we actually say, A-ha,  
13 there's a drought. It's a progressive development. It -  
14 - as the winter of November and December of 2002 there  
15 was no snow on the ground, the condition persisted; the  
16 executive was notified in -- in December and -- that this  
17 was -- if this trend continued it would likely mean that  
18 there would be very little snow melt runoff in the  
19 spring.

20 As we got into January, continued to  
21 monitor: no change in conditions. The potential for a  
22 poor spring runoff increased, and -- and Manitoba Hydro  
23 put in place a -- a plan to deal with that. The plan  
24 wasn't activated until some time in May when it was clear  
25 that no matter what happened that year, there was going

1 to be a -- a poor hydraulic -- there was going to be poor  
2 hydraulic generation, and that significant activities  
3 needed to be undertaken to manage the supply and demand  
4 portfolio for the year.

5 That's exactly what happened last year,  
6 with the exception that on the long weekend of 2010 it  
7 rained huge amounts and the situation was completely the  
8 opposite.

9 We never know for certain if -- if it's  
10 going to rain after a period of dry. I remember in the  
11 spring of 1993, the -- it's exactly the same conditions,  
12 dry conditions across the water shed. And we went home  
13 on the weekend to news reports of forest fires and  
14 evacuations caused by forest fires, and then by Monday  
15 morning the news reports were of flooding and bridges  
16 being washed away. And we don't know whether those  
17 things are going to happen, but we have to protect  
18 against the continuation of the drought, and not try and  
19 guess when it's going to rain, but assume that it's not,  
20 and make sure that there's enough supply available if  
21 that situation were to persist.

22 And that's what we did in the spring of  
23 2003, that's what we did in the spring of 2010, and --  
24 and that's what we will continue to do, because there are  
25 no accurate long range precipitation forecasts available



1 that we can rely on to give us a heads-up.

2 MR. BOB PETERS: And between those two  
3 (2) years, the '03/'04 year, and the -- the ten (10) --  
4 2010 fiscal year, there was a significant difference in  
5 the energy in storage, as of April 1st of those years.

6 Is that correct?

7 MR. DAVID CORMIE: Yes, because in the  
8 years up to the Spring of 2010, I think, as -- as I  
9 testified earlier, we've been at maximum discharge out of  
10 Lake Winnipeg 63 percent of the time for the last three  
11 (3) years. We've been in a high water period. And Lake  
12 Winnipeg is -- is at the highest level it's been since we  
13 began regulations.

14 So there's lots of carryover occurring  
15 from year to year, and -- and that's in spite of the fact  
16 that we were at maximum discharge. We just can't get the  
17 water out of the system to -- because of the ice  
18 restrictions in the wintertime.

19 We weren't in that -- we didn't have that  
20 situation leading up to 2003/'04, where we were suddenly  
21 in a period of average flows, plunged into a -- a deep  
22 drought. And this -- this year we were fortunate to --  
23 to have lots of carryover water from the previous years.  
24 And although the winter was dry, we had 6 million  
25 megawatt hours more last spring than -- I think it was

1 six (6) -- we had much car -- significant carryover from  
2 the previous year that would hedge against the financial  
3 costs if drought were to occur this year.

4 MR. BOB PETERS: Can you tell the Board,  
5 Mr. Cormie, what specific parameters Hydro looked at in  
6 deciding to curtail, firstly, the off-peak exports back  
7 in '03/'04?

8

9 (BRIEF PAUSE)

10

11 MR. DAVID CORMIE: I don't believe we  
12 were in the off-peak export business in '03/'04 at all.  
13 As we went into the winter of '02/'03 conditions were  
14 already below average, and -- and we weren't exporting in  
15 the off-peak in winter. So I don't believe there were  
16 any off-peak exports in the -- in '03/'04 at all.

17 MR. BOB PETERS: What about the on-peak  
18 opportunity sales? When -- when -- or what parameters  
19 did Hydro look at in deciding to curtail the on-peak  
20 opportunity sales?

21 MR. DAVID CORMIE: Well, the on-peak  
22 opportunity cur -- were -- opportunity sales were  
23 curtailed because there was no surplus indicated in our -  
24 - in our forecasts.

25 And we weren't concerned with managing

1 surplus energy supplies. We were concerned about dealing  
2 with a potential drought of record, and that was the  
3 farthest thing from our mind as whether we should be  
4 exporting. There were a few exports that occurred, but  
5 they were -- they were very minor in nature. But the  
6 focus of our activities was mainly about ensuring that  
7 there were sufficient resources to meet the load demands.

8

9 MR. BOB PETERS: Mr. Cormie, at Tab 42 of  
10 the book of documents, the second volume, on page 100,  
11 specifically, would the Board be correct in interpreting  
12 Hydro's answer as indicating the 2002 to 2004 experience  
13 was of no value in defining Manitoba Hydro's forecasting  
14 and operational capabilities?

15

16 (BRIEF PAUSE)

17

18 MR. DAVID CORMIE: I believe the  
19 fundamental issues that Manitoba Hydro faced in 2003/'04  
20 are no different than the fundamental issues that we face  
21 today. And our tool set is essentially the same except  
22 that we've had to modify it because of the evolution of  
23 the markets.

24 But the issue of the importance of meeting  
25 Manitoba load with a high level of confidence, of

1 creating a robust supply plan so that, should unforeseen  
2 events occur, we're capable of managing them without  
3 creating an emergency situation. The nature of flow  
4 forecasting and the ability of foreseeing -- or  
5 anticipating drought hasn't changed.

6 So computers may have got faster in the  
7 last seven (7) or eight (8) years, but the fundamental  
8 problem is -- is that we don't have a forecast of -- of  
9 when drought will start, how long it will last, and how  
10 deep it will be. And we haven't changed our situation in  
11 that we're still energy constrained. We are not  
12 infinitely tied to the North American grid and we can  
13 become energy short.

14 And -- and -- so our fundamental problem  
15 hasn't changed. And we have -- we're better able to  
16 manage the financial aspects of a drought because of the  
17 evolution of the mico -- MISO market and we've evolved  
18 with that. But from a water management perspective, the  
19 issues are still identical to what they were in 2003.

20 MR. BOB PETERS: So that suggests that  
21 Manitoba Hydro's drought-preparedness plan won't be any  
22 different this year than it would have been in 2002 to  
23 2004?

24 MR. DAVID CORMIE: The fundamentals of  
25 our drought-preparedness plan had to do with the level of

1 risk that the Utility was prepared to take on behalf of  
2 its customers. What's the risk of not being able to  
3 serve our customers in the manner that doesn't involve  
4 emergency actions? And our criteria at that time is that  
5 there should be something less than a 1 percent chance  
6 that we would face an emergency. To go much beyond that  
7 risk tolerance would be asking the power system to  
8 produce power for which it wasn't designed, and it would  
9 be inconsistent with Manitoba Hydro's long-term planning  
10 criteria.

11                   During the drought of 2003 and '04,  
12 management and the executive reviewed those tolerances  
13 and it was agreed that those were appropriate for the  
14 circumstances, and -- and those risk tolerances were  
15 built into the -- into the operationing -- operation plan  
16 of the Utility.

17                   And we needed to have a high level of  
18 confidence that -- that domestic demand for electricity  
19 would be met. And although it's not the same level of  
20 risk tolerance that you -- that you might expect for the  
21 -- the supply of a critical public service, like flood  
22 protection or those things, that's consistent with  
23 Manitoba Hydro's long-term view of the reliability that  
24 should be there in serving its customer's demands. And -  
25 - and management and the executive reviewed those

1 tolerances and they concurred with what management was  
2 suggesting, and we operated according to those criteria.

3           Since that time there's been additional  
4 thinking around those criteria and -- and would -- and --  
5 and -- and when we were talking about the potential for  
6 drought this year we were talking about the same risk  
7 tolerances, the same issues that needed to be dealt with.

8           And I think the Company is still confident  
9 that those were the -- our -- our appropriate tolerances.  
10 Again, to ask the -- the power supply system to produce a  
11 level of reliability greater than that would be asking it  
12 to do something that it wasn't designed for. And -- and  
13 it would cost much more than Manitoba Hydro had planned  
14 for financially.

15           So we thought that those were appropriate  
16 tolerances then, and I believe that they're still  
17 appropriate. So to the extent that we were to update our  
18 drought-management plan, it would be to restate those  
19 numbers, get a -- bring them forward to the EPRMC that  
20 has executive responsibility for reviewing those, but in  
21 -- in effect it would be to reconfirm the tolerances that  
22 had been re-established previously.

23           There are additional risks and issues that  
24 need to be managed having to do with the operation of  
25 Brandon 5 and the declaration of an emergency. The EPRMC

1 has already dealt with that issue. We know where we  
2 stand when and we can use Brandon 5.

3 So I think the Company is -- knows what  
4 the issues are, knows how to manage them, and there may  
5 be some benefit in -- in putting that in a document, but  
6 I don't think it will result in a change to our -- our  
7 strategy in managing droughts.

8 MR. BOB PETERS: Is 100 percent of the  
9 current plan then dependent on institutional knowledge,  
10 Mr. Cormie?

11 MR. DAVID CORMIE: No, there are  
12 processes in place that -- that are -- have been  
13 established that are not reliant on any one (1)  
14 individual.

15

16 (BRIEF PAUSE)

17

18 MR. BOB PETERS: Did that knowledge exist  
19 back in '03/'04 to the same extent it exists today?

20

21 (BRIEF PAUSE)

22

23 MR. DAVID CORMIE: In '03/'04 the people  
24 that were managing the -- had the responsibility for  
25 drought management had been in the -- in that area

1 through the drought of -- several previous droughts, had  
2 built on those experiences, and it was those experiences  
3 that led to the successful implementation of the drought  
4 plan that was put in place in 2003/'04.

5           And I think we've -- we've all benefited  
6 from that. I think that -- that is -- I always describe  
7 2003/'04 as our most successful year. Not financially,  
8 but in -- as organizationally in -- in -- in -- in being  
9 able to in -- in the presence of the threat to the power  
10 supply to be able to confidently and responsibly manage  
11 the crisis and not create an emergency for our customers.

12           And the people and the tools that we have  
13 in -- we have -- we had in place at that time delivered  
14 on that and -- and -- and -- and with that learning and -  
15 - and those capabilities we've continued to deal with the  
16 risk of drought in a very confident and very professional  
17 way that -- that has received the support of the  
18 executive and -- and I -- I think that 2003 was a -- a  
19 very significant event from that perspective.

20           MR. BOB PETERS:     Would it be correct, Mr.  
21 Cormie, that then the -- the risk by not having a written  
22 drought-preparedness plan really now rests in the  
23 execution of it, to make sure that it's executed the way  
24 that you and the rest of management thinks it should be  
25 executed?



1                   MR. DAVID CORMIE:     Yes, and that's why we  
2     have quarter -- at a minimum, quarterly reporting on our  
3     -- our drought risk to the executive, having to  
4     demonstrate every quarter that we've looked at the risk  
5     of drought, raising all the significant risks that the  
6     Corporation is facing.  And -- and demonstrating that we  
7     are prepared at -- at all times, and that the EPRMC will  
8     meet as frequently as required once -- if we are faced  
9     with that situation again.

10                   So to the extent that we formalized that  
11     process and -- and are required to engage with the  
12     executive on these very critical issues to the Company,  
13     that has been an improvement.

14                   MR. BOB PETERS:     Can you confirm, Mr.  
15     Cormie, that Hydro withdraws at least 6,000 gigawatt  
16     hours from storage in the October to March winter period,  
17     as a typical year?

18                   MR. DAVID CORMIE:     That's not an -- an  
19     objective that Manitoba Hydro has, Mr. Peters.  All that  
20     is is an indication that, on average, reservoirs across  
21     western Canada are drawn down by 6 terawatt hours.

22                   We don't have an objective.  Our objective  
23     is to optimize the use of storage in combination with the  
24     runoff that is forecast so that net revenues of the  
25     Corporation are optimized.  We don't have an objective of

1 drawing water from storage.

2 MR. BOB PETERS: Well, do you have an  
3 objective of not drawing down the energy in storage below  
4 4,000 gigawatt hours effective April 1st in any given  
5 year, but rather to have hopefully double that?

6 MR. DAVID CORMIE: No, we don't have that  
7 as an objective. Our objective is to have -- for every  
8 year have sufficient water in storage, whatever that  
9 amount is, given the availability of alternative  
10 resources.

11 And to the extent that we have to have  
12 storage in addition to those other resources, we will do  
13 that. Holding water in storage of and in itself is -- is  
14 expensive. Water held in storage ultimately gets  
15 spilled.

16 And -- and there was a good example of  
17 that this last summer, to the extent that we held back  
18 water in April, May, and June of -- April and May of last  
19 spring, that water was ultimately spilled. It's a very  
20 expensive activity. So our objective is not to hold back  
21 water in storage.

22 And I think in the last thirty (30) years  
23 there's probably only been two (2) winters when we  
24 haven't been at maximum discharge out of Lake Winnipeg  
25 each and every winter.

1                   And so our -- our objective is to optimize  
2 the use of storage, not to draw it down to any prescribed  
3 level, or to hold it at any prescribed level. To find  
4 that balance of -- of storage that provides the best  
5 balance between summer sales and winter sales, and winter  
6 purchases.

7                   MR. BOB PETERS:     Mr. Cormie, in terms of  
8 your math, would four (4) -- would 14,000 gigawatt hours  
9 in storage in Lake Winnipeg equate to an approximate  
10 level of 713 feet above sea level?

11                  MR. DAVID CORMIE:    No. I'm -- I'm not  
12 sure what that -- that 14,000 gigawatt hours is -- there  
13 are a lower level of -- the minimum level of Lake  
14 Winnipeg is seven eleven (711), the average -- the -- the  
15 level that you talked about is seven thirteen (713),  
16 that's 2 feet. That's about 4,000 gigawatt hours in  
17 storage, not fourteen thousand (14,000).

18

19   (BRIEF PAUSE)

20

21                  MR. BOB PETERS:     Is it then, in light of  
22 your second-last answer, Mr. Cormie, is it coincidental  
23 that drought years have almost always been experienced in  
24 years following October Lake Winnipeg levels being below  
25 713 feet?

1 (BRIEF PAUSE)

2

3 MR. DAVID CORMIE: Well, to the extent  
4 that Lake Winnipeg is a barometer of hy -- hy --  
5 hydraulic conditions, you know, wet year Lake Winnipeg  
6 will probably get up to seven fifteen (715), in a -- in a  
7 low-water year it'll be --it'll be lower.

8 Seven thirteen (713) is kind of the  
9 average level of Lake Winnipeg, so if you start out with  
10 the average level, sometimes it's followed by high water  
11 years and sometimes it's followed by low water years.  
12 That -- that may just be coincidence. I haven't looked  
13 at that statistic.

14 MR. BOB PETERS: Mr. Cormie, can you  
15 confirm that, historically, Lake Winnipeg regulation was  
16 designed to provide additional winter flows and  
17 generation for Manitoba's native load?

18 MR. DAVID CORMIE: Yes. And the issue  
19 there was that the outlet channels of Lake Winnipeg in a  
20 state of nature choke with ice, reducing the outflow  
21 capacity by 50 percent. So Manitoba Hydro built three  
22 (3) major channels that increased the outflow capability  
23 of Lake Winnipeg by 50 percent. And that outflow  
24 capability is now -- allows us to have higher hydraulic  
25 generation in the wintertime, and that's when our peak

1 load demands are, and -- and so that was the -- that was  
2 the driving factor in increasing the outlet capacity.

3 MR. BOB PETERS: And if the Lake Winnipeg  
4 regulation was designed for the native load, then exports  
5 were really a byproduct of excess hydraulic resources?

6 MR. DAVID CORMIE: Yes. And I think when  
7 the Lake Winnipeg regulation project was designed, that  
8 it wasn't anticipated that Manitoba Hydro would be so  
9 strongly interconnected to the North American grid. And  
10 -- and I think if we look at the -- the system expansion  
11 plans at the time, rather than selling the water, the  
12 surplus water, the water was stored in -- in the lake  
13 until the lake was full, and -- and lake levels under the  
14 planning scenario were relatively high.

15 However, because Manitoba Hydro has now  
16 become strongly interconnected, there's -- there's an  
17 option to storing the water, and that's take the water to  
18 the export market and -- and extract some value from the  
19 surplus rather than just storing it and subjecting it to  
20 spill.

21 MR. BOB PETERS: Well, in fact, now  
22 circumstances, Mr. Cormie, have evolved where Hydro will  
23 commit to firm exports which can frequently mean  
24 importing to meet the domestic load shortfalls.

25 MR. DAVID CORMIE: Yes. And when we

1 enter into those long-term firm export contracts the  
2 production costs of the system need to be calculated, and  
3 those incremental costs associated with those imports are  
4 built into the cost of making the sale. And ra -- the  
5 operation of Lake Winnipeg regulation is considered in  
6 determining those production costing estimates.

7 And -- and we look at the revenues from  
8 the sale and the incremental costs associated with  
9 serving the sale, including the need to have imports, and  
10 -- and the economic evaluation is -- is appropriate given  
11 that we're looking at all the revenues and all the costs.

12 MR. BOB PETERS: Mr. Surminski, I tried  
13 to keep Mr. Cormie off the microphone earlier. Let's try  
14 again. In terms of the SPLASH model, that's a model that  
15 -- that you personally have operational responsibilities  
16 for within Manitoba Hydro?

17 MR. HAROLD SURMINSKI: Yes, generally. I  
18 was involved in development of the model also.

19 MR. BOB PETERS: And Ms. Flynn also is  
20 involved in the operation of the SPLASH model?

21 MR. HAROLD SURMINSKI: As is Mr. Miles.

22 MR. BOB PETERS: Thank you that cameo  
23 reminder. It's a forecast model for long-range planning,  
24 Mr. Surminski. Would that be fair?

25 MR. HAROLD SURMINSKI: Yes, correct.

1 MR. BOB PETERS: Would the Board  
2 understand the first year inputs are approximately six  
3 (6) months of actual and six (6) months of projections  
4 based on actuals?

5 MR. HAROLD SURMINSKI: We're -- we're  
6 talking planning, so can you describe -- I don't  
7 understand your question.

8 MR. BOB PETERS: I'm talking about the  
9 first year out in the planning cycle.

10 MR. HAROLD SURMINSKI: The first year out  
11 is -- is Mr. Cormie's responsibility, first and second  
12 years, but it's -- it's correct. What you're saying  
13 there is actuals in that period.

14 MR. BOB PETERS: Well, in the second year  
15 it starts with some assumed actuals based on the prior  
16 year. Is that -- is that an appropriate understanding?

17 MR. HAROLD SURMINSKI: It's based on the  
18 storage levels that occurred from the previous year, and  
19 median inflows in all river tributaries from that point  
20 on.

21 MR. BOB PETERS: And is it after the  
22 second year that SPLASH uses the mean flows for the long  
23 term?

24 MR. HAROLD SURMINSKI: After the second  
25 year, SPLASH uses all possible flow conditions, all

1 ninety-six (96) flow conditions.

2 MR. BOB PETERS: Is it the actual ninety-  
3 six (96) flow conditions?

4 MR. HAROLD SURMINSKI: They are -- the  
5 historic records that have been modified for present use  
6 conditions, meeting regulation under today's usage or --  
7 or controls by -- by man.

8 MR. BOB PETERS: That -- that really  
9 means to the Board restated to reflect what has developed  
10 subsequent to, for example, using Limestone as an  
11 example, the results would be restated as if Limestone  
12 existed prior to 1992?

13 MR. HAROLD SURMINSKI: Yes, but not only  
14 that, it's -- it's also the regulation upstream.  
15 Regulation of the Lake of the Woods, of the Winnipeg  
16 River upstream could have been different in earlier  
17 years, so it's been modified or restated for today's  
18 operating rules.

19 MR. BOB PETERS: Is it correct that  
20 SPLASH assumes perfect foresight, Mr. Surminski?

21 MR. HAROLD SURMINSKI: That terminology  
22 has been used only for -- in -- in a certain context that  
23 would be correct, and making decisions on -- on a window  
24 of one (1) year it assumes that it knows perfectly well  
25 what the flows for each of the next twelve (12) months



1 will be, that's correct.

2 MR. BOB PETERS: The definition of  
3 perfect foresight that you're giving the Board is that  
4 Hydro will know what will happen in the following year  
5 respecting lake levels and flows. Would you accept that?

6 MR. HAROLD SURMINSKI: Only in inflows.  
7 The inflows coming in the next twelve (12) months result  
8 in the elevations. So the model -- all the model  
9 utilizes is the -- the inflows for the next period.

10 MR. BOB PETERS: And that perfect sor --  
11 foresight is based on the ninety-six (96) years of data,  
12 which Hydro has?

13 MR. HAROLD SURMINSKI: Yes, each one (1)  
14 of those flow conditions is modelled separately as -- as  
15 being one (1) of the possible next twelve (12) months.

16 MR. BOB PETERS: And Hydro assumes that  
17 one (1) of those flow conditions will repeat itself in  
18 the upcoming year?

19 MR. HAROLD SURMINSKI: It assumes that  
20 it's equally possible that any of those flow conditions  
21 could -- could occur and the composite of all of them is  
22 utilized in our estimates.

23 MR. BOB PETERS: Can you explain to the  
24 Board how in a specific year SPLASH would determine the  
25 starting energy in storage?

1 MR. HAROLD SURMINSKI: The energy in  
2 storage is -- is just a running average. In the  
3 beginning, in -- in the first year we have to assume --  
4 we could assume today's levels and -- and from that point  
5 on is just a running series of operation. So in -- in  
6 one (1) year out from now we use the ending point for the  
7 modelling of the first year and it just continues on.

8 So it depends on -- on whether you're in a  
9 low-flow sequence or a high-flow sequence. The  
10 elevations of that storage vary with the magnitudes of  
11 the inflows.

12 MR. BOB PETERS: Well, then how does  
13 SPLASH determine the system water inflows or energy  
14 inflows?

15 MR. HAROLD SURMINSKI: I don't quite  
16 understand your question. It's...

17 MR. BOB PETERS: In a specific year, Mr.  
18 Surminski, would it be correct that SPLASH will give  
19 Manitoba Hydro a determination of what the system water  
20 inflows will be?

21 MR. HAROLD SURMINSKI: It provides the  
22 outflows at all regulation points at all our stations, at  
23 our reservoir controls. So SPLASH is a simulation of  
24 system operation and provides all the outflows given the  
25 assumed inflows that we are modelling.

1                   MR. BOB PETERS:     But how does -- how does  
2     SPLASH get those assumed inflows?

3                   MR. HAROLD SURMINSKI:   It is each of  
4     those ninety-six (96) possible flow conditions. Present-  
5     use flow conditions as the starting point.

6                   MR. BOB PETERS:     And how does SPLASH  
7     determine the water level compliance to the licences that  
8     Manitoba Hydro has on -- on some of its reservoirs?

9                   MR. HAROLD SURMINSKI:   They are -- SPLASH  
10    doesn't determine those. It obeys the -- the  
11    requirements -- fulfills the requirements of the  
12    licences. They are constraints that are input into the  
13    modelling process, so any reservoir constraints, or  
14    maximum or minimum flow constraints, those are all  
15    constraints in the modelling.

16                   And the model attempts to -- to simulate  
17    actual operations based on -- on the constraints that  
18    exist.

19                   MR. BOB PETERS:     And then it -- this  
20    process repeats itself for each of the ninety-six (96)  
21    flow years that Manitoba Hydro has data for?

22                   MR. HAROLD SURMINSKI:   Yes, you could  
23    think of it in that way. The more appropriate way to  
24    think of it is you start with a particular load year and  
25    just chronologically follow through. If you're -- if

1 you're modelling up to 2045, so you start in -- in 2010,  
2 or '12, and -- and just chronologically follow your flows  
3 through because it's the chronological aspect that's  
4 important because you need a end-of-period storage level  
5 to start from for your next period. So by starting --  
6 and then we -- we do all the flow cases after that by  
7 chronologically shifting by one (1) year, and  
8 chronologically maintaining the sequence of -- of  
9 history.

10 MR. BOB PETERS: How, Mr. Surminski, is  
11 the energy pricing incorporated into the model?

12 MR. HAROLD SURMINSKI: We have  
13 relationships for each month of the year and for each --  
14 for various quantities of on-peak and off-peak sales. So  
15 there's a -- there's a relationship. The first increment  
16 that you would be selling would be a highest price  
17 because you could capture your highest-priced hours. The  
18 second increment would be the -- the second-lowest, and  
19 we have several increments in that way.

20 Depending on the volume of sales that you  
21 have, you capture high -- highest prices first and lower  
22 prices as you have more and more volumes. So basically  
23 you could call it a price-volume type of relationship,  
24 but that's based on -- on picking and selecting your  
25 highest-priced hours and -- first, and just filling up

1 your hours as you have more and more volume.

2 MR. BOB PETERS: You're not using then an  
3 average price, you're using specific prices for -- for  
4 virtually every situation as peak, off-peak, opportunity  
5 --

6 MR. HAROLD SURMINSKI: Yes.

7 MR. BOB PETERS: -- peak, opportunity  
8 off-peak.

9 MR. HAROLD SURMINSKI: Yes, very much so.  
10 And that's the complexity when we were requested to -- to  
11 fix prices in our model when -- when there was the  
12 request to say run a model with specific prices.

13 Well, we'd have to develop a whole  
14 relationship. We can't just take an annual on and off-  
15 peak price, and just input that. We have to develop a  
16 whole family of curves, and it changes over the years, it  
17 changes over the months, so it's a complex process to  
18 develop that family of -- of relationships.

19 MR. BOB PETERS: How many different base  
20 price forecasts are tested in SPLASH?

21 MR. HAROLD SURMINSKI: I think your  
22 question is -- we use normally three (3) scenarios: an  
23 expected, a high, and a low.

24 MR. BOB PETERS: Are those scenarios  
25 commercially purchased or are they derived by Manitoba

1 Hydro?

2 MR. HAROLD SURMINSKI: Yes, they are  
3 purchased. We asked our -- our consultants to -- to  
4 provide these as a starting point.

5  
6 MR. BOB PETERS: But the consultants  
7 provide all three (3) of those forecasts is what my --  
8 what I'm trying to get at.

9 MR. HAROLD SURMINSKI: Yes.

10 MR. BOB PETERS: Okay. Thank you. And  
11 when you were telling me that repeating the process  
12 chronologically you start with a load year and you follow  
13 through, and you -- you gave the examples  
14 chronologically.

15 That -- does that mean that Manitoba Hydro  
16 is assuming that history will repeat itself  
17 chronologically?

18 MR. HAROLD SURMINSKI: Yes, that's  
19 implied. It's better than -- than trying to arbitrarily  
20 select something else. There's a large sample that's  
21 there, so it's assumed that -- that be so -- '96 year  
22 sample is -- is representative of possible things that  
23 could happen.

24 MR. BOB PETERS: Just to conclude on this  
25 thought, Mr. Surminski, back in '03/'04, would the Board

1 be correct in its understanding that Hydro did not take  
2 Lake Winnipeg down to the licensed limit of 711 feet  
3 above sea level?

4 MR. HAROLD SURMINSKI: Is your question  
5 in the modelling that we did not take it down?

6 MR. BOB PETERS: No -- no, my question is  
7 in operations it -- it didn't get taken down. Or did it?

8 MR. DAVID CORMIE: No, we ended the  
9 winter of 2003/'04 with Lake Winnipeg above seven eleven  
10 (711).

11 MR. BOB PETERS: And that was to maintain  
12 a reserve in case the droughts continued -- the drought  
13 continued into the following year.

14 Isn't that correct, Mr. Cormie?

15 MR. DAVID CORMIE: Yes, we may have been  
16 in the first of a multi-year drought, and it's -- was  
17 necessary to have energy in reservoir storage should the  
18 drought persist into a second, third, or fourth year.

19 MR. BOB PETERS: Mr. Surminski, on its  
20 own, would it be correct that the SPLASH model would have  
21 assumed that Lake Winnipeg could have been taken down to  
22 711 feet in the '03/'04 water conditions?

23 MR. HAROLD SURMINSKI: No. In fact, our  
24 modelling does not get down to -- to the minimum  
25 elevation either. There are the -- the physical

1 constraint. You just cannot get enough water out in the  
2 winter months in order to meet the loads, so -- it's  
3 because of the ice restrictions at the outlet.

4 MR. BOB PETERS: What -- what is the --  
5 the modelling limit on the lower end?

6 MR. HAROLD SURMINSKI: It's often in the  
7 seven eleven and a half (711 1/2) --

8 MR. BOB PETERS: And the high end?

9 MR. HAROLD SURMINSKI: At the high it'll  
10 -- it'll go above seven fifteen (715) if -- if there's  
11 too much water.

12 MR. BOB PETERS: All right. Thank you  
13 for those answers.

14 Mr. Chairman, this would be a --

15 THE CHAIRPERSON: Thank you to the panel  
16 and Mr. Peters. And we'll see you back tomorrow at 9:30.  
17

18 And tomorrow, you'll recall our comments  
19 on January 31st, so we were looking for the submissions  
20 of the parties on the question of potential and other  
21 interim rate change for April 1st. So we'll start with  
22 that in the morning. And we'll start with Manitoba  
23 Hydro, and then we will go to the Intervenors and return  
24 to Manitoba Hydro. And when we're done with that we'll  
25 go back to the cross.



1 Thank you and goodnight.

2

3 (PANEL RETIRES)

4

5 --- Upon adjourning at 4:31 p.m.

6

7 Certified Correct,

8

9

10

11

-----

12

Cheryl Lavigne, Ms.

13

14

15

16

17

18

19

20

21

22

23

24

25