



“When You Talk - We Listen!”



MANITOBA PUBLIC UTILITIES BOARD

Re:

MANITOBA PUBLIC INSURANCE CORPORATION (MPI)

2026/27 MPI GRA

Before Board Panel:

Irene Hamilton, K.C.- Panel Chairperson

Patrick Ireland - Board Member

Kim Sharman - Board Member

HELD AT:

Public Utilities Board

400, 330 Portage Avenue

Winnipeg, Manitoba

Oct 21, 2025

Pages 1052 to 1241

- 1 APPEARANCES
- 2
- 3 Todd Andres) Board Counsel
- 4 Kara Moore) Board Counsel
- 5 Trevor Yakimchuk) Board Counsel
- 6 Darren Christle) Board Staff
- 7 Jennifer Dubois) Board Staff
- 8 Kristen Schubert) Board Staff
- 9 Christie Dweh) Board Staff
- 10 Roger Cathcart) Advisor
- 11 Michael Gandhi) Advisor
- 12 Blair Manktelow) Advisor
- 13
- 14 Steve Scarfone (Counsel) (np)) Manitoba Public
- 15 Ted Meira (Counsel) (np)) Insurance
- 16 Eric Wishnowski) Counsel
- 17 Anthony Guerra) Counsel
- 18
- 19 Chris Klassen (np)) CAC (Manitoba)
- 20 Katrine Dilay)
- 21 Victoria Cloutis)
- 22
- 23 Charlotte Meek (np)) CMMG
- 24
- 25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

APPEARANCES (cont'd)

Karen Wittman (np)) Taxi Coalition
Alisen Kotyk (np))

1	Table of Contents	
2		Page No.
3	List of Exhibits	1056
4	List of Undertakings	1057
5		
6	MPI PANEL: CLAIMS FORECASTING AND CONFIDENTIAL CLAIMS	
7	FORECASTING	
8		
9	CARA LOW, previously Affirmed	
10	KHURRAM MASUD, Affirmed	
11	JOHN BOWERING, Sworn	
12		
13	Examination-in-Chief by Mr. Eric Wishnowski	1059
14	Cross-Examination by Ms. Kara Moore	1093
15	Cross-Examination by Ms. Katrine Dilay	1179
16		
17		
18		
19		
20		
21		
22	Certificate of Transcript	1241
23		
24		
25		

1	LIST OF EXHIBITS	
2	Exhibit No.	Page No.
3	MPI-42	2026 GRA claims forecasting
4		1059
5	MPI-43	Error and Omission Rate update
6		1239
7	MPI-44	Error and Omission Rate update
8		1239
9	MPI-45	Other Error and Omission claims
10		1239
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1		LIST OF UNDERTAKINGS	
2	No.	Description	Page No.
3	9	MPI TO reconcile the \$6	
4		million difference between the 82	
5		million in figure 1 in response to PUB-	
6		MPI-1-49 and the difference of 76	
7		million between figure CF1-90 of the	
8		2026 GRA and figure CF-1-40 from the	
9		2025 GRA.	1099
10	10	MPI to produce work-from-home analysis	
11		done on the gas tax as supports the	
12		scaler model.	1163
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:03 a.m.

2

3 PANEL CHAIRPERSON: Good morning,
4 everyone. We will start this morning by hearing from
5 the MPI Claims Forecasting Panel.

6 Mr. Guerra, Mr. Wishnowski, would you
7 introduce your Panel, please?

8 MR. ERIC WISHNOWSKI: Yes. Good
9 morning, Madam Chair and members of the Panel. Good
10 morning, all Interveners and PUB staff. I am Eric
11 Wishnowski, legal Counsel for MPI.

12 Today in the front row for the Claims
13 Forecasting Panel to my right is Cara Low, Vice
14 President and Chief Actuary. To her right, Khurram
15 Masud, Director of Pricing and Actuarial Forecasting.
16 And then John Bowering, Vice President and claims --
17 Chief Claims officer.

18 In the back row, starting in the far
19 right in the screen left would be Christie Way,
20 Director of Injury Claims Management. Then Rob
21 Smithson, Manager Customer Product Design and
22 Specialty Programs. Of course, Satvir Jatana,
23 President and CEO. And then Tyler Clearwater, Manager
24 Actuarial Forecasting.

25 Also in the virtual back row is Simmi

1 Mann, Customer Product Design and Speciality Programs
2 Lead.

3 MPI's one exhibit that it filed this
4 morning, Exhibit number 42, the 2026 GRA claims
5 forecasting presentation.

6

7 --- EXHIBIT NO. MPI-42: 2026 GRA claims
8 forecasting presentation

9

10 PANEL CHAIRPERSON: Thank you. Could
11 we have the witnesses sworn, please.

12 MR. ERIC WISHNOWSKI: And there are a
13 few witnesses to be sworn in.

14

15 MPI PANEL: CLAIMS FORECASTING AND CONFIDENTIAL CLAIMS
16 FORECASTING:

17

18 CARA LOW, previously Affirmed

19 KHURRAM MASUD, Affirmed

20 JOHN BOWERING, Sworn

21

22 EXAMINATION-IN-CHIEF BY MR. ERIC WISHNOWSKI:

23 MR. ERIC WISHNOWSKI: Thank you.

24 Before getting into the presentation this morning, I
25 simply ask -- there's at least one (1) clarification

1 or correction that we'd like to make. If it's
2 possible, Ms. Dweh, if we could bring up the
3 transcript from yesterday, specifically page 849 on
4 the transcripts. I don't know what that would be on
5 the document, but... oh, perfect.

6 And this would be the last paragraph.
7 Ms. -- Ms. Kauk, at line 22, was asked a question.
8 And it says, "Yes, historically" -- and this is her
9 response. And this is my question for Ms. Low for
10 clarification.

11 "Historically, when we filed the
12 application, we included the rate
13 that was being applied for in the
14 rating year and the forecast years
15 assumed a 0 percent rate increase.
16 In this application, we have
17 applied that net trend assumption,
18 which is aligned to the loss cost
19 trends that we're seeing on the
20 claims side.

21 It could be inferred that if we're
22 expecting to see certain loss
23 costs -- loss costs or claims
24 trends, that we would need revenue
25 to offset those expected expense

1 increases.

2 So, in order to provide a forecast
3 that is aligned to expectations
4 and not skew results, we've
5 applied that net trend to
6 revenue."

7 Ms. Low, I understand that you want to
8 make a correction or clarification to that comment.

9 MS. CARA LOW: Thank you. Yes, I
10 would. So, when you think about it, if our claims are
11 going up by 4 percent and our premium trend is going
12 up by 2 percent because of new vehicles being insured,
13 there's a deficit of 2 percent because 4 percent --
14 claims line is going up by 4 percent, premium line
15 going up by 2 percent. Then you would have an implied
16 future rate change of 2 percent.

17 So, the net trend is not equivalent to
18 claims trend. It's a premium trend net of the claims
19 trend.

20 MR. ERIC WISHNOWSKI: Thank you, Ms.
21 Low.

22 DR. DARREN CHRISTLE: Mr. Wishnowski,
23 could you move the microphone closer to you and speak
24 right into it?

25 MR. ERIC WISHNOWSKI: Absolutely.

1 DR. DARREN CHRISTLE: Thank you.

2 MR. ERIC WISHNOWSKI: Thank you.

3

4 CONTINUED BY MR. ERIC WISHNOWSKI:

5 MR. ERIC WISHNOWSKI: Thank you for
6 that, Ms. Low. I will just advise the Panel that
7 there might be another clarification, but it might
8 just come up organically throughout today's questions.
9 I know there was a few questions yesterday that were
10 more geared for claims forecasting.

11 I understand, Ms. Low, your team has a
12 presentation this morning.

13 MS. CARA LOW: That we do.

14 MR. ERIC WISHNOWSKI: Excellent.

15 MS. CARA LOW: If we could go to the
16 first slide. One more slide. Thank you.

17 So, thank you for the opportunity to be
18 here today to discuss MPI's claim forecasting process,
19 the 2026 GRA claims forecast itself, and the
20 initiatives for controlling claims cost.

21 Claim forecasting is not an easy task,
22 especially in the recent past, as the data has
23 reflected global pandemic impacts, high inflation,
24 supply chain issues, shifts in driving behavior due to
25 work from home, delays in reporting during and after

1 the 2023 strike at MPI that occurred at the same time
2 as the largest hailstorm in MPI's history.

3 As the actuaries, we're looking forward
4 to finally seeing stability in the claims data. We
5 entered a new era of uncertainty with tariffs and
6 counter tariffs. The actuarial and claims teams are
7 closely watching the claims costs for any signs of
8 impacts on the tariffs, but have not yet seen anything
9 in the data.

10 Over the past few GRAS, I've spoken
11 about the growth and maturity of the MPI's actuarial
12 team with one of the primary focuses being on building
13 our forecasting capabilities.

14 As no one knows the future, a claims
15 forecast will always be an estimate. However, MPI's
16 continuously looking to improve the predictability and
17 the sophistication of forecasting to strive for
18 increased accuracy and, in the end, stability in
19 rates.

20 This year, the actuarial team has spent
21 time on refining the analysis by creating forecasts
22 split by comprehensive payrolls: fire, glass, hail
23 theft, vandalism, and all other. This split improves
24 MPI's understanding of movements in both frequency and
25 severity of these different payrolls to have more

1 granular insights.

2 Now, with the introduction of a chief
3 claims officer position in 2024, there has been
4 increased collaboration between the actuaries that
5 create the claims forecast and the claims leadership.
6 This increased collaboration supports the
7 interpretation of the data and understanding if there
8 are emerging trends that need to be captured.

9 The internal actuarial team has this
10 benefit of this ongoing dialogue with the claims team
11 that external consultants do not have.

12 The 2026 GRA claims forecast builds on
13 lessons learned from the past. It's important that
14 assumptions and methodologies are refreshed and
15 updated as necessary to ensure the most accurate
16 forecast possible.

17 An example, this year is that MPI
18 revised its approach to how work from home is captured
19 in our claims forecast. As traffic density and
20 commuting times of return to pre-pandemic levels, MPI
21 no longer sees any additional benefits in the claims
22 data even though some Manitobans continue to work from
23 home.

24 In this GRA, MPI removes adjustments
25 for the work from home from future frequency and

1 adjusts the impact applied to historical frequency.
2 The forecast continues to reflect external influences
3 and not only rely on internal data. For example, past
4 GRAs have included external factors such as inflation
5 and wage growth.

6 And this year snowfall has been added.
7 MPI has found a strong correlation between the number
8 of vehicle accidents and the historical amount of
9 snowfall.

10 However, ultimately, a more accurate
11 claims forecast will not provide affordability without
12 claims cost controls, which remain a key focus through
13 targeted initiatives, such as proper repair practices
14 and glass repair first policies. You will be hearing
15 about these initiatives from Mr. Bowering in a few
16 moments. So, if you can go to the next slide.

17 This slide is an important reminder why
18 we have a separate Claims Forecasting Panel. The
19 slide shows a breakdown of where the projected premium
20 dollars for the '26 rating year is expected to be
21 paid.

22 Seventy-one percent is going --
23 expected to go to pay claims, and this is consistent
24 with the 2025 GRA that also had 71 percent of
25 projected premium dollars going to cover claims. The

1 pie chart on the left shows a composition.

2 Forty-four percent of projected premium
3 dollars are expected to pay collision claims, 10
4 percent for Comprehensive claims, and 4 percent for
5 property damaged claims. So, 58 percent of premium
6 dollars are expected to pay for damaged vehicles. The
7 PIPP and third-party liability costs make up another
8 12 percent with 30 percent in the other category,
9 which is nonclaims.

10 If you look at the chart on the right-
11 hand side, it provides a split of the other category.
12 The largest percentage here is a 12 percent for claims
13 expenses, so related claims. So, these are the costs
14 to run the claims team as well as items such as towing
15 contracts and our Manitoba health service levy costs.

16 Another 9 percent goes to the overall
17 operating expenses of the Corporation. Four percent
18 goes to our broker partners, 3 percent to premium tax,
19 and 2 percent for Basic fleet customers for net
20 rebates as they don't qualify for the DSR Program.

21 The claims forecast, especially the
22 collision forecast, drives our AEP and ultimately what
23 Manitobans pay for insurance. MPI continues to
24 strengthen our claim forecasting through collaboration
25 between the actuarial and claims teams to ensure the

1 best estimate can be put forward.

2 I'm now going to hand it over to Mr.
3 Masud.

4 MR. KHURRAM MASUD: Good morning,
5 everyone. Thanks, Cara. My name is Khurram Masud.
6 And I'm the Director of Pricing and Actuary --
7 Actuarial forecasting. Really glad to be here. And
8 it's always been a privilege to represent MPI in these
9 oral hearings and showcase the progress that we've
10 made.

11 Today I'll walk you through the claims
12 forecasting part of MPI's General Rate Application for
13 2026. This section will outline methodology, key
14 assumptions, enhancements that we've made to improve
15 the accuracy and responsiveness of our forecast. Next
16 slide, please.

17 Our forecast -- forecasting approach
18 continues to follow a two (2) step process which we
19 introduced in 2024 GRA. Step 1 involves loss trending
20 where we fit regression models to historical data to
21 identify past trends. These trends are selected based
22 on statistical fit, operational insights from John
23 Bowering's team, and broader macroeconomic factors.
24 We then determine the future trends, which may differ
25 from past trends depending on the emerging patterns

1 and expert judgment.

2 Step 2 is the prediction of loss cost
3 using the selected trends. We trend historical loss
4 costs first to the current year level and calculate a
5 weighted average using a five (5) year through using
6 most recent five (5) years worth of experience.

7 Future trends are then applied to this
8 weighted average to project forward each year's claims
9 forecast. We also adjust for expected product
10 changes, such as in this year's case, the deductible
11 increase. Consistent application of this methodology
12 ensures a balance between responsiveness and
13 stability. Next slide, please.

14 We'll now go through some of the key
15 consideration that influenced our claims forecast for
16 the 2026 GRA. Used vehicles, labour costs, and wage
17 growth are all directly related to inflation. While
18 inflation, as we noticed this year, is stabilizing and
19 returning to pre-pandemic levels, however, broader
20 economic uncertainty still prevails, such as tariff
21 disputes. This introduces volatility and uncertainty
22 into our claims forecasting.

23 As Cara alluded to earlier, we have
24 found a strong correlation between number of vehicle
25 accidents and historical snowfall levels. The

1 severity of these snowstorms helps us better
2 understand the effect weather has on our claims
3 frequency.

4 Vehicle repair costs, caregiver
5 expenses, and weekly indemnity benefits are all
6 influenced in part by wage growth. Manitoba's minimum
7 wage increased to sixteen dollars (\$16) per hour
8 effective October, 2025, representing a 1.27 percent
9 rise. This change directly affects the cost of our
10 services, cost of the claims cost, and is reflected in
11 our severity trend selection.

12 Effective April 1st, 2026, the Basic
13 deductible will increase from seven fifty (\$750) to a
14 thousand dollars (1,000). This change is expected to
15 reduce claim costs for Collision and Comprehensive and
16 an impact to third-party liability deductible
17 transfer.

18 The impact of this product change is
19 fully reflected into our claims forecast and
20 contributes to an overall reduction in the project
21 predicted losses, which we will see in the next few
22 slides. Next slide. Yes. Thank you.

23 We've made two (2) key enhancements in
24 this year's GRA. First, as Cara alluded to earlier,
25 we've introduced payroll-by-payroll forecasting for

1 Basic comprehensive coverage. What does that mean?
2 Instead of treating Basic Comprehensive claims as one
3 (1) large bucket, we've split them into each payroll.

4 How does this help us? This allows us
5 to isolate and analyze trends for specific payrolls
6 and helps us in improving the understanding of what
7 drives these changes to claims.

8 Second, we've revisited and revised our
9 approach to work-from-home adjustment. With traffic
10 patterns returning to pre-pandemic levels, we've
11 removed work-from-home adjustment from future
12 frequency predictions. This ensures our forecast
13 reflect current and expected driving behavior more
14 accurately. Next slide.

15 This slide compares projected ultimate
16 losses per unit insured, sometimes referred to as loss
17 costs, for the rating year '26/'27, the one that we
18 are filing for, between what we projected last year in
19 2025 GRA versus what we are projecting now in the 2026
20 GRA.

21 Overall, the Basic claims per unit
22 insured, which is, as I said, generally referred to as
23 loss cost, has increased by 2.5 percent, or twenty-
24 seven point three four dollars (\$27.34) per unit.
25 Notably, you will notice Collision has seen an

1 increase of 2.3 percent while Comprehensive has
2 decreased by 6.4 percent. Next slide.

3 This slide breaks down this change that
4 we showed you in the previous slide between '25 and
5 '26. The largest contribution of this change comes
6 from the change in the past claims, which includes
7 changes in the ultimate historic losses and their
8 underlying trends.

9 The future losses reduces the loss cost
10 by sixteen dollars (\$16). The new work-from-home
11 adjustment which we'll talk about in a second
12 increases the loss cost by twenty-one dollars (\$21).
13 And finally, the deductible change reduces the loss
14 cost by twenty-four dollars (\$24). Next slide,
15 please.

16 Now we'll go into more detail of our
17 work-from-home assumption and how it has changed from
18 the prior GRA. Next slide.

19 What did we do in 2025 GRA? We relied
20 on Google mobility reports and our commuter behavior
21 survey to estimate the work-from-home impacts;
22 however, both sources have limitations. Moreover,
23 Google data relates to 2020 and 2021, which is
24 becoming a little aged.

25 The Google baseline was based on a

1 short winter period and may not be representative of
2 two (2) pre-pandemic mobility. Our surveys, while
3 helpful, had limited sample sizes and was based on
4 perceptions of the participants rather than two (2)
5 underlying ground data.

6 While relying on small aging data sets
7 with periodic survey-based adjustments was acceptable
8 as an interim measure, we believe it now warrants a
9 comprehensive review and a more permanent solution.
10 In the absence of an alternate reliable source -- data
11 source, we propose adopting an intuitive approach,
12 avoiding unnecessary complexity for an issue that has
13 now normalized with no remaining impact on future
14 accident frequency.

15 As a solution, we are proposing the use
16 of a linear declining scaler adjustment in the
17 regression model to deflect gradual normalization of
18 driving patterns as work-from-home effects subsided to
19 zero.

20 2024 claims experience already showed a
21 higher than expected frequency, suggesting a return to
22 pre-pandemic traffic levels. And if we can go to the
23 next slide.

24 Supporting our revised work-from-home
25 assumption, stats scan data shows commute times have

1 returned to pre-COVID levels. TomTom's Traffic Index
2 also indicates condition levels have actually
3 surpassed the pre-pandemic norms. These findings
4 reinforce our decision to remove work-from-home
5 adjustment from future forecasts. Next slide.

6 This chart compares the ultimate
7 frequency across different work from home models. If
8 you notice, the blue line represents our new work-
9 from-home model. The old work-from-home model is the
10 green line. And an alternative model proposed by
11 Oliver Wyman is represented by the yellow line.

12 You will notice our new model reflects
13 gradual declining work from home impact from 2020 to
14 2024 with no adjustments from 2024 onwards. This
15 approach aligns with observed data and provides a more
16 accurate representation of the current driving
17 behavior. Next slide, please.

18 Now, we'll talk about some other
19 forecasting as assumptions for the 2026/'27 rating
20 year. This slide shows the distribution of ground-up
21 glass only replacement claims by claim severity bands.

22 On the horizontal axis, what do we see?
23 We see that claims severity bands grouped in roughly
24 fifty dollars (\$50) increment. You'll see -- from
25 left to right, you'll see the severity increasing

1 while the vertical axis shows the number of claims
2 within each of these buckets.

3 Given the Basic deductible level at
4 seven fifty dollars (\$750), the claims to the left of
5 the vertical thick yellow line represents those paid
6 either through Extension buydown if the policy holder
7 has that extension coverage or out of pocket paid by
8 the policyholders, whereas claims to the right of the
9 thick yellow line is where the claims exceed seven
10 fifty dollars (\$750), so they will be paid for under
11 the Basic coverage.

12 If you notice, the shape of the curve
13 is gradually flattening, but the mass is shifting to
14 the right, indicating that a greater proportion of
15 claims now fall into higher severity bands. In other
16 words, more glass claims are becoming costlier,
17 leading to an overall increase in claim severity over
18 time. What that also means is that a higher share of
19 claims are falling under the Basic coverage than in
20 the prior -- prior years. Next slide, please.

21 Effective 1st of April, 2026, the Basic
22 deductible increases to a thousand dollars. This
23 change is driven by rising vehicle prices, labour
24 costs, and repair complexity. In particular, looking
25 at Comprehensive payroll, we noticed very high

1 severity trends in glass-only Comprehensive claims
2 that we demonstrated in the previous slide. Some of
3 it is attributable to ADAS calibration. The impact on
4 Basic coverage in total is 24.4 million reduction in
5 claims costs. Next slide, please.

6 In line with PUB Order 145/23, we
7 continue to apply 20 percent equal weights to the most
8 recent five (5) accident years, including 2020. This
9 approach supports focus stability and comparability.
10 We will only revise this assumption with clear
11 justification and may consider alternatives. We are
12 opening -- open to use -- offer differing weights, but
13 only if they enhance the long-term reliability of
14 claims forecast.

15 This concludes my part of the
16 presentation. I thank you for your time and your
17 attention. And I'll now pass it over to Mr. Bowering.

18 MR. JOHN BOWERING: Thank you, Mr.
19 Masud. Good morning, Panel. My name is John
20 Bowering. I am the Vice President of Claims at MPI.
21 I've been with MPI for twenty-three (23) years, but
22 I've been in this role for about a year. And during
23 that time, I've learned a lot about our claims process
24 and the controls we have in place.

25 So, I'd like to take a few minutes just

1 to walk you through and educate you on how we really
2 work to manage our claims costs as effectively as we
3 can while still promoting proper repair and road
4 safety.

5 So, I'm going to take you through the
6 claims journey and highlight some of the key steps
7 that we have in this process, starting right from the
8 first notice of loss when somebody reports a claim.
9 So, right at that point, we have our trained call
10 takers that are triaging claims and taking data to
11 help us understand the different risks associated with
12 different claims.

13 And based on the answers we get from
14 our customers, that unlocks different options and
15 paths that they can go through, for example, the
16 estimate service options. This is whether your
17 vehicle is -- has to come to one of our service
18 centres because we deem it a higher risk. Or maybe
19 you're eligible to go directly to a repair shop to
20 have that efficient process of working directly with
21 the shops, and they'll do that initial estimate.

22 And then we have some -- some types of
23 losses that are eligible for photo-based estimating,
24 where you can take the pictures of the vehicle
25 yourself. You send those into us, and it saves you a

1 trip into one of our locations, and the estimate can
2 be written for you.

3 As we move through, we have claims
4 assignment to repair shops. So, we have an entire
5 accredited repair process that accredits all of our
6 repair shops and makes sure they meet certain
7 standards, have certain tooling.

8 And then we work with them to make sure
9 they're maintaining those standards, maintaining the
10 training that all their staff need to have. And then
11 we work with them to make sure they're only taking the
12 types of repairs that they're capable to complete from
13 start to finish.

14 Once the repairs are in progress, we
15 have audits where we send out people to inspect the
16 vehicles, to inspect the shops unannounced to make
17 sure that repairs are being done properly and to
18 provide assistance and support to -- to these -- to
19 the repair industry.

20 Once the repairs are complete, we have
21 a post-payment audit where we pull a sampling of
22 claims and we go through and we audit them to make
23 sure that everything was done properly, that
24 everything followed our procedures. And -- and we
25 scorecard all of our shops based on their performance.

1 And so, we actually have shop KPIs and
2 a monthly scorecard that goes out to all of our light
3 vehicle shops. And then we have shop relationship
4 advisors whose job is to work with those shops to make
5 sure that they're doing the repair properly, that
6 they're maintaining the scores that we need, that
7 they're getting the savings that we need on things
8 like aftermarket parts, and that they're providing
9 good customer experience.

10 So, we -- we look at things like net
11 promoter score to make sure that they're representing
12 us well in this -- in this claims journey that our
13 customers are going through.

14 Similarly, we have a dedicated total
15 loss valuation that specializes in writing off many --
16 not all, but many -- of our total losses, and that
17 allows us to become really proficient in that area.
18 And similarly, we have a dedicated salvage team that
19 is constantly exploring new ways to -- to maximize the
20 return that we get on the salvage that we sell.

21 And we have a dedicated subrogation
22 team that is experts at recovering where money is owed
23 to us from other parties. So, we have end-to-end
24 controls throughout the entire claims process.

25 I want to focus a little specifically,

1 if you go to the next slide, on some of our PIPP
2 controls. So PIPP is a little bit different. We're
3 really focused on ensuring that we're paying the
4 appropriate entitlement to injured Manitobans at the
5 appropriate time.

6 It's really about following our
7 legislation and making the right payment for the right
8 time and really understanding every individual's
9 circumstances.

10 We have several internal controls in
11 place to support this goal. So, the one I'm
12 highlighting here has to do with our income
13 replacement indemnity, which is by far the largest of
14 -- of the costs on the injury side.

15 And so, we very closely monitor how
16 long it's taking for us to get someone to a point
17 where they can return to work. And so, you can see in
18 this chart here we're highlighting, we monitor these
19 trends to look for outliers so that we can dig into it
20 further.

21 It's not so much about the specific
22 target, but it's still something we monitor. And we
23 saw that in '23/'24, our -- the amount of IRI that's
24 being concluded within six (6) months was down a
25 little bit, and so that prompted us to do an analysis

1 into what's going on.

2 We found that we had some -- there was
3 a slight uptake in -- in our more serious injuries and
4 that's what was driving that. So, this is really just
5 to keep our eye on what's going on and make sure we
6 understand the factors that are driving it.

7 At the same time, we have a
8 multidisciplinary review of claims within the stages
9 so we can make sure we're exploring what's -- what
10 needs to keep this claim moving and what are the next
11 steps.

12 Any claim that extends beyond twenty-
13 four (24) months are schedule -- are -- are subject to
14 an annual review and assessment to make sure that
15 we're managing and monitoring these claims throughout
16 their life cycle 'cause some of these claims can drag
17 on for -- sorry, not drag on -- some of these claims
18 can extend for quite some time. My apologies.

19 And we make sure we're aligning on what
20 are the next steps as it -- as it relates to the
21 rehabilitation plan, and then how can we support our
22 customers through this challenging time and make sure
23 we're providing them with the -- the care that they're
24 entitled to and supporting them as they're needed to
25 get back to -- to as -- as full functionality as

1 possible.

2 Finally, we are weekly doing payment
3 audits for all the payments that we make every week.
4 And then we have a lot of money set aside for
5 reserves, and so we have monthly reserving auditing to
6 make sure those reserves are accurate and reflect the
7 anticipated future costs that we have on a claim.

8 If we go to the next slide, I want to
9 highlight some of the cost control KPIs that we put in
10 place. This was something that was requested by the
11 PUB earlier this year.

12 And so, some of these existed already,
13 but I just want to walk you through what we've pulled
14 together to make sure we have this top level
15 understanding of what are some of our key cost
16 drivers.

17 So, we can't control everything when it
18 comes to claims costs. For example, on a -- on a
19 vehicle write-off, the market value of vehicles isn't
20 directly in our control, but how closely we hold to
21 our primary valuation tools and how much we deviate
22 from that is within our control.

23 So, we're really trying to focus here
24 and select KPIs that aren't just measuring what's
25 going on in the industry, but actually measuring what

1 of that piece of that pie do we actually have some
2 influence over and can we -- can we work towards.

3 So, the first one, the repair one is
4 ask approved variance. And this is where we are
5 looking at how often are the shops asking for things
6 that we don't approve?

7 So, we want to set up a system where
8 the shops know our rules, black and white, they
9 understand what's going on, and when they come to us
10 and say, we would like to add some more parts to this
11 original estimate, we agree as closely as possible
12 with what -- we approve what they've asked for, so
13 that there's a very tight variance there.

14 And that way it avoids situations where
15 they're asking things that they aren't entitled to,
16 and it -- it makes our processes more efficient and
17 more cost effective. So, we monitor that very closely
18 and it's one of their scorecard metrics.

19 Another one of their scorecard metrics
20 is realized part savings. And this is where we set a
21 target as to this is the -- the OEM, the original
22 manufacturer's price for a part that was damaged and
23 needs to be replaced.

24 And we set a target that they need to
25 realize about a 20 percent savings off of that. And

1 they can do that by sourcing recycled parts or
2 aftermarket parts, or if they are able to secure even
3 a new part and find a way to get that cost down.

4 We leave that autonomy to them, and it
5 motivates them to find the best option for us. But
6 then we very closely scrutinize how are they -- what
7 is their -- their realized parts savings?

8 And this has been a very successful
9 program. We've built in collaboration with the repair
10 industry and it results in considerable savings for us
11 and ensures that we are passing them along to -- to
12 Manitobans. So that's something we monitor.

13 On the total loss side, as I mentioned,
14 the -- the bulk of the cost of writing off a vehicle
15 is determined by the external market factors. We use
16 a tool called ADP and it provides us with what the
17 settlement values are for that vehicle. And then we
18 work with the customer to discuss.

19 Maybe they have different options,
20 maybe they -- they've done some recent work to their
21 vehicle. And so, we track how close we are to our
22 primary valuation source, and that's the variance in
23 number 2.

24 Number 3 is about our salvage return.
25 So, this looks at how much of a vehicle's value do we

1 get it back in salvage? And so, I believe we're close
2 to about 20 percent of the vehicle. We get just under
3 20 percent. If a vehicle's worth ten thousand dollars
4 (\$10,000), we're looking to get about nineteen hundred
5 dollars (\$1,900) back in salvage.

6 And so, we track that as closely as
7 possible, and there can be a lot of factors that
8 influence that, what the market demand is for the
9 different vehicles, but it's something we watch very
10 closely.

11 The -- the fourth one or fifth one,
12 depending on how you want to count it, is our
13 subrogation ratio. And this ratio looks at how much
14 money based on that did the claims team pass off to
15 the subrogation department and say, please try to
16 recover this money. What percentage of that -- of all
17 the work that's given to them, what percentage are
18 they successful in recovering?

19 And not just promise to pays. This is
20 actually we have recovered the cash. And so, we have
21 a target that we aim for to -- to make sure we-re
22 we're proactively recovering all -- as much as
23 possible of what we're entitled to and so that we can
24 pass those savings on to our customer.

25 So, if you go to the next slide, I'll

1 actually look at our current standings as it stood in
2 -- in Q1, so our ask approved variance, our target was
3 that we are at 2.63 percent.

4 So that is the delta between what
5 they've asked for based on what we actually approve
6 when they asked for changes to the estimate. And we
7 are above our target. We were actually quite a bit
8 below our target on that, and so that could be -- I'll
9 get to the reviewing our targets periodically

10 Realized parts savings. We -- our
11 target is 19.1 and Q1 we were just above that at 20.3
12 ADP to settlement variances. This is the delta
13 between what our valuation tool says and -- and what
14 we actually settle with the customer. And so, this
15 one, we were slightly below target, and we have some
16 strategies in place that we're working to try to bring
17 this one back in band.

18 Our salvage return. Again, we were at
19 -- our target is 17.3 percent, so that's seventeen
20 (17) cents on the dollar. And we're just above that
21 at 17.5.

22 And finally, our recovery ratio.
23 Again, we're looking to recover 85 percent of every --
24 every dollar that they're asked to recover on, and
25 they're slightly above that -- that team is doing

1 great -- at 87.5.

2 So, these targets were established this
3 year. Some of them were existing targets that we had,
4 but many of them were new. So, we've established
5 those targets using a balanced approach of historical
6 averages and existing targets and some stretch goals.

7 We're going to continue to monitor
8 these and look for opportunities to -- to improve
9 them, and annually we'll review them to say, are they
10 -- are the targets working for us, are these KPIs
11 working for us, and are there some -- any other KPIs?
12 You might know we don't have one yet for the injury
13 team. That could be one we'd look at for at next year
14 to -- to enhance this.

15 If you go to the next slide, I wanted
16 to talk about an exciting continuous improvement
17 initiative. We're always looking at ways to optimize
18 our processes. How can we enhance how we're -- how
19 we're doing to make our processes more efficient?

20 So, I'm going to talk about a glass
21 repair first initiative that the team's working on
22 this year that I'm really excited about.

23 So, over the past five (5) years, glass
24 repair counts have been dropping. So, if you think
25 there's really two (2) buckets for glass, there's

1 repair or replace. So, either we can fix the little
2 chip that you see or else we have to replace the
3 entire windshield.

4 And we had noticed that our glass
5 repair counts had been dropping and customers and
6 shops have been choosing to replace windshields versus
7 repair them. And so, we looked into this and said, we
8 need to make some changes here. And so, we've
9 introduced this glass repair first policy.

10 So as of November 2025, next month,
11 glass repair claims opened for windshield damage will
12 default to repair. And then the windshield
13 replacements will need to be authorized by MPI with
14 full supporting pictures to -- to support the
15 replacement.

16 So, we've embarked on a communication
17 and education campaign to ensure all the shops have
18 the knowledge and the ability to -- to understand
19 exactly what is a repair versus what is a replace.

20 We've equipped them with tools and
21 guides so that they can just hold a little clear
22 transparency up to the crack or the chip and determine
23 whether it needs to be repaired or replaced. And we
24 really want to minimize customer impact of back and
25 forth and -- and set them up for success.

1 There's some wins with this move. It's
2 going to be a reduction of repairable glass going to
3 landfills. You would think glass is glass, it should
4 be recyclable. But actually, with the layers of
5 plastic in between the glass that keeps it safe, it
6 also makes it very cost intensive to recycle it. So,
7 this is going to reduce, you know, the glass going to
8 landfills.

9 It's going to be a reduction in the
10 financial impact to our customers. Many of them have
11 a deductible that they don't have to pay anything for
12 a repair, but they would have to pay a deductible for
13 a replace, and it could reduce some of our rental
14 costs.

15 Also, as Mr. Masud mentioned, we're
16 seeing that a lot more vehicles are now having cameras
17 mounted to the windshield, and that can add some costs
18 and some calibration challenges with removing that and
19 putting it back on versus older vehicles where you're
20 just popping the glass out and putting a new piece of
21 glass in.

22 So, there'll be some cost savings as a
23 result of that, and ultimately a reduction in claims
24 costs by requiring windshield repair over replace when
25 it's proper to do so.

1 So, if we go to the next slide, just to
2 wrap it up, what I hoped you've heard is that we
3 really want to have a balanced approach between
4 customer service, cost-effective repair, and safe and
5 proper repair.

6 We have N-10 (phonetic) controls
7 throughout the lifecycle of our claim. We partner
8 with the industry on repairs tied to road safety.
9 We're giving Manitobans options for service while
10 managing our risks. We're monitoring our performance
11 through data and KPIs, and we're continuously
12 exploring opportunities for improvement.

13 And if we step back even further, going
14 to the next slide, hopefully our key takeaways from
15 today's presentation that I've highlighted some of the
16 claims cost controls, and that that's a key focus of
17 my team to make sure that we're doing our repairs
18 properly, accurately, and managing our responsibility
19 to Manitobans for -- for cost controls.

20 I'll turn it over to -- to Ms. Low for
21 the final wrap up. All right. If you go back one
22 slide.

23 MS. CARA LOW: Yeah, just the wrap-up.
24 The claims forecasting has been an evolution at the
25 MPI, but we feel like we are on track to bring a more

1 predictable and stable forecast.

2 MR. JOHN BOWERING: Thank you.

3

4 CONTINUED BY MR. ERIC WISHNOWSKI:

5 MR. ERIC WISHNOWSKI: Thank you for
6 that presentation. I do have just a couple of
7 questions. If we could just backtrack to slide 21, I
8 think there's a quick typo we can clarify, please.

9 Mr. Bowering, I believe this was your
10 part of the presentation. I just see that in the loss
11 here in the graph on the right-hand side, we have a
12 duplication of 2023/'24. I presume one of those is
13 supposed to be --

14 MR. JOHN BOWERING: My apologies.
15 Yes. I looked at this many times, but somehow, I
16 missed that. It should read -- the first one should
17 read '21/'22. My apologies.

18 MR. ERIC WISHNOWSKI: Okay. Thank
19 you. Mr. Bowering, while I -- while I have you, you
20 talked about KPIs. I know it's sort of a bigger thing
21 that we're seeing more with MPI's presentation this
22 year and application.

23 And I think you -- you said it, but I
24 just want to clarify. Some of these KPIs were things
25 that MPI was already sort of keeping track of, but

1 some are in fact new to the claims cost process.

2 MR. JOHN BOWERING: That's correct.

3 That's correct.

4 MR. ERIC WISHNOWSKI: And you also
5 mentioned that MPI has a scorecard now with repair
6 shops. Do these KPIs play into that scorecard with
7 repair shops?

8 MR. JOHN BOWERING: Yeah. So, the
9 scorecard has many, many measures that -- that play
10 into it. The two (2) that the -- the ask approved
11 variance and the realized part savings are two of the
12 metrics that the shops receive as part of their
13 scorecard every month.

14 MR. ERIC WISHNOWSKI: Okay.

15 MR. JOHN BOWERING: and the targets
16 were directly from that existing -- that existing
17 shop.

18 MR. ERIC WISHNOWSKI: Perfect. And
19 last one, and I think you said it, but I just want to
20 clarify. These KPIs, there might be a new one next
21 year or it might be tweaks. The targets might change.
22 This is sort of an evolving process.

23 MR. JOHN BOWERING: I -- I don't -- I
24 don't think we've hit it out of the park on the first
25 try so, no, there's always opportunities for improving

1 it and enhancing it and looking at other areas where
2 we can really make sure we have our eye on that larger
3 cost control ball.

4 MR. ERIC WISHNOWSKI: Perfect. Thank
5 you. One question for you, Ms. Low.

6 I think you mentioned right off the
7 beginning that not really seeing an impact on the
8 recent tariffs on claim costs, that that hasn't really
9 been part of your team's numbers, or did I mishear
10 that? Or can you just clarify that?

11 MS. CARA LOW: You didn't mishear
12 that. Every month there's a claims dashboard. So,
13 both John's team and my team, we look at it and we
14 look at the average paid going out, and we're not
15 seeing anything unusual because of tariffs.

16 MR. ERIC WISHNOWSKI: Okay. Thank
17 you.

18 MS. CARA LOW: -- at this point.

19 MR. ERIC WISHNOWSKI: And so, you saw
20 the presentations both from MMDA and ATA, and there
21 was a bit of mention of that in their -- in their
22 presentations, but your team hasn't seen those numbers
23 as of right now. Is that correct?

24 MS. CARA LOW: As of right now, but we
25 are monitoring 'cause it could still happen. But at

1 this point, we haven't seen anything.

2 MR. JOHN BOWERING: Yeah. It's
3 something we're watching, but right, not yet, not that
4 we've seen in the data.

5 MR. ERIC WISHNOWSKI: Thank you.
6 Those are my questions.

7 PANEL CHAIRPERSON: Thank you.
8 Ms. Moore...?

9

10 CROSS-EXAMINATION BY MS. KARA MOORE:

11 MS. KARA MOORE: Thank you very much,
12 Madam Chair. Good morning to the panel. My name is
13 Kara Moore, one of the counsel to the Public Utilities
14 Board. I'll be asking you some questions this
15 morning, and as usual, I'll ask my questions generally
16 to the panel, and whoever feels best suited to answer
17 may do so.

18 Just one follow-up to Mr. Wishnowski
19 questions. Do repair shops receive any financial
20 incentive to achieve their KPIs?

21 MR. JOHN BOWERING: They don't receive
22 a financial incentive to receive their KPIs. However,
23 on the -- the realized parts savings, we ask them to
24 receive -- I don't have the number -- roughly 20
25 percent.

1 If they exceed that, there is a -- a
2 return they get back. When they go well above that
3 card savings, we share the -- the savings that they
4 have to try to motivate them to not just hit the
5 target, but to actually exceed the part savings, and
6 then they can receive some back from that.

7 MS. KARA MOORE: And what portion do
8 the repair shops get from that?

9 MR. JOHN BOWERING: I don't have the
10 specifics. I would need to -- to pull that up.

11 MS. KARA MOORE: Okay. Thank you.
12 We'll leave it there.

13 If we can now pull up section CF 1.3 of
14 the Application.

15

16 (BRIEF PAUSE)

17

18 MS. KARA MOORE: Sorry, it's sections
19 not a figure. It's -- it's a narrative section.

20 Yeah. There we go. Thank you.

21 So just kind of to set the stage this
22 year, MPI revised two (2) existing forecasting
23 methodologies, correct?

24 MR. KHURRAM MASUD: Yes. At a high
25 level, two -- two (2) advancements.

1 MS. KARA MOORE: Thank you. And in
2 the second paragraph under this section, we can see
3 that the comprehensive forecast was performed on a by
4 peril analysis of loss trends?

5 MR. KHURRAM MASUD: That's correct.

6 MS. KARA MOORE: And this was to
7 improve MPI's understanding of movements in frequency
8 and severity of different perils?

9 MR. KHURRAM MASUD: That's correct.

10 MS. KARA MOORE: Separate loss trends
11 were selected from non-catastrophe claims data for
12 fire, glass only, hail, theft, vandalism, and other
13 perils?

14 MR. KHURRAM MASUD: Within
15 comprehensive, yes, that's correct.

16 MS. KARA MOORE: And MPI also revised
17 its approach to work -- work from home and how it
18 captured in the -- how it's captured in the claims
19 forecast?

20 MR. KHURRAM MASUD: That's correct.

21 MS. KARA MOORE: Thank you. I'm going
22 to ask some questions now regarding the changes in the
23 2024/'25 accident year from the compliance filing. If
24 we can go to Information Request PUB/MPI1-49.

25 So, if we can just scroll down a little

1 bit so you can see the question there. In this
2 Information Request, MPI was asked to provide a
3 complete detailed reconciliation of the 2024/'25
4 accident year and prior accident year amounts split by
5 coverage and any other items such that the total
6 amount is 101.5 million. You see that?

7

MR. KHURRAM MASUD: Yes.
8 MS. KARA MOORE: And if we can scroll
9 down to Figure 1 in this response, we can see a
10 detailed breakdown of the 101.5 million increase in
11 claims incurred, correct?

12

MR. KHURRAM MASUD: Yes.
13 MS. KARA MOORE: For all the
14 coverages, the 2024/'25 accident year had more claims
15 than projected in the 2025 GRA, it being a total of 82
16 million?

17

18 (BRIEF PAUSE)

19

20 MS. CARA LOW: The '24/'25 loss year
21 came in much higher than expected mostly on the
22 physical damage side, yes.

23

MS. KARA MOORE: Thank you. If we
24 could now go to Figure CF-190 in the Application, at
25 line 14, the total ultimate losses in the 2026 GRA for

1 accident year 2024 were about 1.03 billion, correct?

2 Sorry. You just have to have your microphone on.

3 MR. KHURRAM MASUD: Yes, that's

4 correct.

5 MS. KARA MOORE: Thank you. And if we

6 look at -- we're going to look at from the 2025 GRA

7 Figure CF-140.

8

9

(BRIEF PAUSE)

10

11 MS. KARA MOORE: Thank you, Ms. Dweh.

12 At line 16, total ultimate losses in
13 the 2025 GRA for accident year 2024 were projected to
14 be 953 million?

15 MR. KHURRAM MASUD: Correct.

16 MS. KARA MOORE: And the difference
17 would be about 76 million roughly?

18 MR. KHURRAM MASUD: Subject to check.
19 yes.

20 MS. KARA MOORE: And there's a \$6
21 million difference between the 82 million figure
22 identified in that Information Request response that
23 we looked at and the 76 million that we just
24 identified, correct?

25 MR. KHURRAM MASUD: Right.

1 MS. KARA MOORE: And would this 6
2 million difference be due to the impact of interest
3 rates on the 82 million value included in the
4 financial statements?

5

6

(BRIEF PAUSE)

7

8 MS. CARA LOW: Could we see the first
9 exhibit again?

10 MS. KARA MOORE: Sure. I'm just
11 trying to figure out what the first exhibit --

12 MR. ERIC WISHNOWSKI: We're referring
13 to PUB-1-49.

14 MS. KARA MOORE: Sure, and likely
15 Figure 1 in the response there, yeah.

16 MS. CARA LOW: This one would be from
17 the financial models. It also includes some
18 additional claims expenses, I believe. I believe the
19 ULAE may be in there and also the indexation for
20 inflation of the PIPP benefits, but we would have to
21 probably take it away to do a true reconciliation.

22 MS. KARA MOORE: If we could get that
23 by way of undertaking, just to, I guess, reconcile the
24 \$6 million difference between the 82 million in figure
25 1 in response to PUB-MPI-1-49 and the difference of 76

1 million between figure CF-1-90 of the 2026 GRA and
2 figure CF-1-40 from the 2025 GRA.

3 MR. ANTHONY GUERRA: Yes, Counsel,
4 we'll look at the undertaking.

5

6 --- UNDERTAKING NO. 9: MPI TO reconcile the \$6
7 million difference between the 82
8 million in figure 1 in response to PUB-
9 MPI-1-49 and the difference of 76
10 million between figure CF1-90 of the
11 2026 GRA and figure CF-1-40 from the
12 2025 GRA.

13

14 CONTINUED BY MS. KARA MOORE:

15 MS. KARA MOORE: Thank you. So going
16 back to that difference of 76 million, relative to the
17 2025 GRA estimate of 953 million, that would be 8
18 percent. Correct? Roughly?

19 MR. KHURRAM MASUD: Yes, more or less.

20 MS. KARA MOORE: Thank you. So that
21 means that the claims for accident year 2024/'25 were
22 8 percent higher than what had been projected in the
23 2025 GRA?

24 MR. KHURRAM MASUD: Yes.

25 MS. KARA MOORE: And still looking at

1 figure 1 of PUB/MPI-1-49, for all coverages other than
2 collision, there was unfavorable development on prior
3 accident years?

4 MS. CARA LOW: That is correct.

5 MS. KARA MOORE: Whereas collision had
6 favourable -- favourable development with an
7 unfavourable development for all coverages combined of
8 about 19 million?

9 MS. CARA LOW: Correct.

10 MS. KARA MOORE: Okay, if we can go to
11 Part 9 of the 2025 GRA, EAR Attachment 'A'. Thank
12 you.

13 This was the report on the evaluation
14 of actuarial and other liabilities produced in the
15 2025 GRA by Ernst & Young. You see that?

16 MS. CARA LOW: I see that.

17 MS. KARA MOORE: Is the date on this
18 report correct for December 31; should it not be March
19 31 numbers, or September 30?

20 MS. CARA LOW: If you recall, there
21 was a strike in 2023. So, September 30th, 2023, we
22 didn't really have any data. And so, we deferred that
23 year and did a December 31st Appointed Actuary Report
24 for using as our basis for our claims forecast. And
25 then there would have been a year-end one. So, there

1 was a deviation that year. And even at December 31st,
2 the data was sparse, and so there was a lot of
3 estimation for the collision.

4 MS. KARA MOORE: Thank you. We'll
5 look at page 9 of this report, which is Section 2.7.

6 So, just looking at the table here, if
7 we look at the undiscounted outstanding, in the last
8 row of this table, we can see about 1.573 billion of
9 case outstanding and 851 million of Undiscounted IBNR.

10 MS. CARA LOW: I see that.

11 MS. KARA MOORE: To that 603 million
12 indexation provision is added, 971 million is removed
13 for the time value of money and then about a hundred
14 million is added for risk adjustment.

15 MS. CARA LOW: Correct.

16 MS. KARA MOORE: This results in total
17 unpaid of 2.155 billion. Correct?

18 MS. CARA LOW: Correct.

19 MS. KARA MOORE: And 19 million of
20 Adverse Development relative to over 2 billion of
21 reserves is a little less than 1 percent of Adverse
22 Development?

23 MS. CARA LOW: I would agree.

24 MS. KARA MOORE: So, can we conclude
25 that from the 2025 GRA to the 2026 GRA, MPI saw an 8

1 percent increase in their estimate of the 2024/'25
2 accident year, along with less than 1 percent of
3 Adverse Development on prior accident years?

4 MS. CARA LOW: Agreed.

5 MS. KARA MOORE: Given Adverse
6 Development on the 2024/'25 accident year and slightly
7 unfavourable -- favourable development on prior
8 accident years, it would not be surprising, therefore,
9 to see an increase in expected claims for future
10 accident years versus the projections in the 2025 GRA?

11 MS. CARA LOW: Agreed. Yes.

12 MS. KARA MOORE: Thank you. I'm now
13 going to ask some questions regarding the change in
14 loss cost estimates from the 2025 GRA. We won't --
15 you can ignore what's on the screen for the purposes
16 of my question.

17 Is it correct to say that the 2026/'27
18 rating year is a weighted average of the 2026/'27
19 accident year and the 2027/'28 accident year, with
20 weights based on the amount of 2026/'27 written
21 premium that is expected to be earned over those two
22 (2) fiscal years?

23 MS. CARA LOW: Correct.

24 MS. KARA MOORE: If we could now go to
25 figure CF-3 of this year's Application.

1 This figure compares for the 2026/'27
2 rating year, the ultimate loss estimates from the 2025
3 GRA versus the 2026 GRA. Correct?

4 MS. CARA LOW: Correct.

5 MS. KARA MOORE: We can see that for
6 all coverages, other than Comprehensive, property
7 damage, third-party loss of use and PIPP enhancements,
8 the total loss estimate increased.

9 MS. CARA LOW: It did increase for a
10 number of reasons, one of them being number of
11 exposures are higher than expected.

12 MS. KARA MOORE: Thank you. And this
13 is directionally consistent with the Adverse
14 Development that we saw in the prior exhibit?

15 MS. CARA LOW: Yes.

16 MS. KARA MOORE: We can look now at
17 figure CF-4, which I think is just on the next page.

18 This figure compares for the 2026/'27
19 rating year, the ultimate loss cost estimates from the
20 2025 GRA versus the 2026 GRA. Correct?

21 MS. CARA LOW: Correct. And there --
22 it's lower.

23 MS. KARA MOORE: And these differ from
24 figure CF-3 that we just looked at, in that, the
25 amounts in the prior figure are each divided by the

1 amount of earned exposure units, where exposures are
2 based on vehicles covered by the Highway Traffic Act?

3 MS. CARA LOW: Correct.

4 MS. KARA MOORE: And, sorry, if we
5 just go back up to figure CF-3.

6 We can see that the total difference is
7 a 4.91 percent increase over the previous estimate?

8 MS. CARA LOW: Correct.

9 MS. KARA MOORE: And the 2026 GRA has
10 the higher Basic deductible. Correct?

11 MR. KHURRAM MASUD: Yes, that's
12 correct.

13 MS. KARA MOORE: Okay. If we can now
14 go to Information Request CC/MPI-1-31. And we'll go
15 down to figure 1 here.

16 The figure that was produced in
17 response to this Information Request, shows that the
18 impact of the Basic deductible change was minus 24.4
19 million on the 2026/'27 rating year. Correct?

20 MR. KHURRAM MASUD: That's correct.

21 MS. KARA MOORE: And if we add the
22 24.4 million back into the estimate in the 2026 GRA,
23 we would have about 1.17 billion.

24 Is that correct, subject to check?

25 MR. KHURRAM MASUD: Subject to check.

1 MS. KARA MOORE: And this would be an
2 increase of about 78 million or 7.14 percent.
3 Correct?

4 MR. KHURRAM MASUD: Correct.

5 MS. KARA MOORE: Okay. Now, we're
6 going to compare the 1.145 billion amount for the 2026
7 rating year, in the 2026 GRA, to the value from the
8 2025 GRA for the 2025 rating year.

9 So, if we can go now back to the 2025
10 GRA, figure CF-1. Thank you.

11 If we look at line 11 in the third
12 column, the Basic total for the 2025/'26 rating year
13 is 1.033 billion.

14 MR. KHURRAM MASUD: Yes.
15 MS. KARA MOORE: And this is an
16 increase from 2025 to 2026 of about 113 million or
17 10.9 percent?

18 MR. KHURRAM MASUD: Sorry, can you
19 repeat that?

20 MS. KARA MOORE: Sure. So, if I take
21 this number from the 2025 GRA and compare it to the
22 1.145 billion in the 2026 GRA, that's an increase from
23 2025 to 2026 of about 113 million or 10.9 percent?

24 MR. KHURRAM MASUD: Subject to check.
25 Yes.

1 MS. KARA MOORE: Sure. Thank you.
2 So, the expected claims in the 2026/'27 rating year
3 are 10.9 percent higher than the expected claims were
4 in the 2025/'26 rating year, in the 2025 GRA?

5 MR. KHURRAM MASUD: Just one second.

6

7 (BRIEF PAUSE)

8

9 MR. KHURRAM MASUD: Yes, that's
10 correct.

11 MS. KARA MOORE: Thank you. And if we
12 add the 24.4 million back into the estimate for the
13 2026 GRA, we have the 1.17 billion; that can also be
14 subject to check if you'd like.

15 MR. KHURRAM MASUD: Subject to check,
16 yes.

17 MS. KARA MOORE: And so, this is an
18 increase of 137 million or 13.3 percent --

19 MR. KHURRAM MASUD: Right. Yes.

20 MS. KARA MOORE: -- in that case.
21 Yes?

22 MR. KHURRAM MASUD: Yes.

23 MS. KARA MOORE: And if we can go now
24 to figure REV-7 of this year's GRA.

25 This figure shows the difference in the

1 HTA earned unit forecast from the 2025 GRA to the 2026
2 GRA. Correct?

3 MR. KHURRAM MASUD: Right.

4 MS. KARA MOORE: And if we look at the
5 last column identifying the difference, it shows a
6 1.26 percent difference in growth rate over 2024/'25.

7
8 MR. KHURRAM MASUD: Yes.
9 MS. KARA MOORE: And I'll just go
10 through each one. It also shows a 0.52 percent
11 difference over 2025/'26, a 0.37 percent difference
12 over 2026/'27 and a 0.36 percent difference over
13 2027/'28. Correct?

14 MR. KHURRAM MASUD: That's right.

15 MS. KARA MOORE: And accumulating
16 these differences for the 2026 accident year, we would
17 have the 1.26 percent, plus 0.52 percent, plus 3.7
18 percent for a total -- 0.37 rather, for a total of
19 2.15 percent. Correct?

20 MR. KHURRAM MASUD: Subject to check.
21 It's multiplicative, though, not necessarily
22 additive, but --

23 MS. KARA MOORE: Pardon me?

24 MR. KHURRAM MASUD: -- it's
25 multiplicative, not necessarily the additive, subject
to check though.

1 MS. KARA MOORE: Yes, understood. And
2 for the 2027/'28 accident year, we would have that
3 2.15 percent we just discussed, plus 0.36 percent for
4 a total of 2.51 percent. Correct?

5 MR. KHURRAM MASUD: Subject to check.

6 MS. KARA MOORE: And if we go back to
7 figure CF-4.

8

9 (BRIEF PAUSE)

10

11 MS. KARA MOORE: And if we look at the
12 narrative under this figure, just scroll down a little
13 bit, thank you.

14 In the third sentence, in this
15 narrative, it says,

16 "the assumed HT -- HTA volume is
17 2.24 percent higher in the 2026
18 accident year, and 2.61 percent
19 higher in the 2027 accident year."

20 MR. KHURRAM MASUD: Correct.

21 MS. KARA MOORE: And the percentivig -
22 - percentages that we just added up from figure REV-7
23 are slightly different than these amounts quoted here,
24 because we just added the values instead of taking
25 into account, as you mentioned, multiplicative

1 impacts. Correct?

2 MR. KHURRAM MASUD: I would think so.

3 Yes.

4 MS. KARA MOORE: In total, these
5 additional H2A -- HTA units account for 2.43 percent
6 of the projected increase in projected ultimate total
7 losses for the 2026/'27 accident year.

8 MR. KHURRAM MASUD: Did you say
9 accident year or ...?

10 MS. KARA MOORE: Oh, rating year. My
11 apologies. I did say "accident year."

12 MR. KHURRAM MASUD: Okay. Yeah.

13 MS. KARA MOORE: So, I'll -- I'll
14 restate the question. So, in total, these HTA units
15 account for 2.43 percent of the projected increase and
16 projected ultimate total losses for the 2026/'27
17 rating year. Correct?

18 MR. KHURRAM MASUD: That's correct.
19 Yes.

20 MS. KARA MOORE: Thank you. And given
21 the 4.91 percent increase in estimate of loss costs,
22 adjusting for the 2.43 percent increase in HTA units,
23 the increase in the 2026/'27 rating year projected
24 ultimate loss costs was 2.47 percent versus the
25 estimate for the 2026/27 rating year in the 2025 GRA?

1 MR. KHURRAM MASUD: Subject to check.

2 MS. KARA MOORE: If we just scroll up
3 to figure 4. Oh, just on this same page that we're
4 on, we just need to scroll up.

5 MR. KHURRAM MASUD: Oh, yes. Yes. We
6 showed that in the presentation as well. That 2.47
7 percent. Yeah.

8 MS. KARA MOORE: Thank you. Yeah.
9 Sorry. That was not meant to be a trick question.

10 And the 2026 GRA loss cost -- loss cost
11 is at a thousand dollars (\$1,000) Basic deductible,
12 whereas the 2025 GRA loss cost is at a seven hundred
13 and fifty dollar (\$750) Basic deductible?

14 MR. KHURRAM MASUD: That's correct.
15 Yes.

16 MS. KARA MOORE: The 24.4 million of
17 claims costs translates to about twenty-four dollars
18 and fourteen cents (\$24.14) of loss cost. Correct?

19 MR. KHURRAM MASUD: Yes.

20 MS. KARA MOORE: By comparison, the
21 2026 GRA at a seven hundred and fifty dollar (\$750)
22 deductible would have a loss cost of about one
23 thousand one hundred and fifty-eight dollars and
24 thirty-four cents (\$1,158.34).

25 MR. KHURRAM MASUD: Correct.

1 MS. KARA MOORE: Correct?

2

MR. KHURRAM MASUD: Yes.

3 MS. KARA MOORE: And if we add the
4 twenty-four fourteen (24 14) into the twenty-seven
5 thirty-four (27 34) difference, we would have about
6 fifty-one dollars and forty-eight cents (\$51.48) or
7 about a 4.65 percent increase in the loss costs.

8 MR. KHURRAM MASUD: Correct. Yes.

9 MS. KARA MOORE: Okay. If we can --
10 we're going to go back again to the 2025 GRA at figure
11 CF-2, please, Ms. Dweh.

12

13 (BRIEF PAUSE)

14

15 MS. KARA MOORE: There. Thank you.

16 This figure shows the projected ultimate loss costs
17 for the 2025/'26 rating year in the 2025 GRA to be
18 about one thousand sixty dollars and eighty-four cents
19 (\$1,060.84).

20 MR. KHURRAM MASUD: Correct.

21 MS. KARA MOORE: And this compares to
22 the one thousand one hundred and fifty-eight dollars
23 and thirty-four cents (\$1,158.34) at the same
24 deductible for the 2026/'27 rating year in the 2026
25 GRA.

1 MR. KHURRAM MASUD: Right.

2 MS. KARA MOORE: It's therefore an
3 increase in the 2026 GRA of ninety-seven fifty (97 50)
4 or 9.19 percent. Correct?

5 MR. KHURRAM MASUD: Correct. Yes.

6 MS. KARA MOORE: We can look now at
7 Information Request PUB-1-53. So just generally, if
8 we could just scroll down to the questions.

9 I don't think you need to read them in
10 depth, but this Information Request went over the
11 deductible adjustment factor for each coverage with an
12 applicable deductible?

13 MR. KHURRAM MASUD: Yes, I remember

14 MS. KARA MOORE: And if we can scroll
15 down to MPI's response at the bottom of this second
16 page here. There's two bullet points, and they
17 continue on to the third page. Maybe if we can scroll
18 down a bit, just so we can see.

19 In these bullet points, issues were
20 noted with the appropriateness of the approach used to
21 project savings or costs due to deductible changes.

22 Correct?

23 MR. KHURRAM MASUD: Right.

24 MS. KARA MOORE: And on the third
25 page, we can just scroll a little bit more. Sorry.

1 Higher. Yep. There we go.

2 MPI states that it has corrected the
3 identified issues generating a revised projected
4 savings as shown in figure 1D.

5 MR. KHURRAM MASUD: Right.

6 MS. KARA MOORE: And looking at figure
7 1D here, MPI indicates the projected reduction per
8 claim for collision and various comprehensive
9 coverages?

10 MR. KHURRAM MASUD: Right?

11 MS. KARA MOORE: The deductible
12 adjustment factor issue was not an issue for property
13 damage, third-party deductible transfer. Correct?

14 MR. KHURRAM MASUD: That's right.
15 Yes.

16 MS. KARA MOORE: And MPI calculated
17 the change in total ultimate losses using the revised
18 approach, as well as an alternative approach requested
19 in this Information Request.

20 MR. KHURRAM MASUD: Right.

21 MS. KARA MOORE: And if we look at
22 figure 2D of this Information Request, MPI's revised
23 approach generated a reduction of 1.06 million for the
24 2026/'27 rating year.

25 MR. KHURRAM MASUD: 1.064, 2026. Yes,

1 that's correct. Yes.

2 MS. KARA MOORE: And the alternative
3 approach generated a reduction of 1.766 million for
4 the 2026/27 rating year.

5 MR. KHURRAM MASUD: Yes.
6 MS. KARA MOORE: And I believe that
7 the bottom of this figure, it says average for
8 2026/'27 accident years. Should that be rating years?

9 MR. KHURRAM MASUD: So, it's the
10 average of the two (2) accident years which
11 corresponds to the rating year 2026/'27.

12 MS. KARA MOORE: Understood. Thank
13 you. So based on the \$1.7 million reduction, MPI
14 estimated that the rate indication would decrease from
15 2.07 percent to 1.9 percent. And -- sorry, we can
16 actually go to -- if we go to page 5 of the next page
17 on this response, just so you have a reference in
18 front of you.

19 MPI estimated that the rate indication
20 would decrease from 2.07 percent to 1.9 percent being
21 a decrease of 0.17 percent.

22 MR. KHURRAM MASUD: Correct.

23 MS. KARA MOORE: Would it be
24 reasonable to assume that MPI -- that using MPI's
25 revised approach, the rate indication would decrease

1 from 2.07 percent to about 1.97 percent, which is a
2 decrease of about 0.1 percent.

3 MR. KHURRAM MASUD: Right. More or
4 less 0.1. Yeah.

5 MS. KARA MOORE: Thank you. Which of
6 these two (2) approaches in this Information Request,
7 does MPI consider more accurate?

8

9 (BRIEF PAUSE)

10

11 MS. CARA LOW: The second methodology
12 is more accurate. The one that came through the IR.

13 MS. KARA MOORE: That's the one with
14 the 1.7 million impact.

15 MS. CARA LOW: That's correct. Yes.

16 MS. KARA MOORE: Thank you. MPI did
17 not incorporate the revised approach into the rate
18 update at MPI Exhibit 17. Correct?

19 MS. CARA LOW: That would be correct,
20 but the final rate ask is the June submission of the
21 2.07.

22 MS. KARA MOORE: Thank you. If we can
23 go back into the Application at Section CF-5.4. I
24 believe at the top of page 44 of this chapter. Yes,
25 this is correct.

1 So, to calculate the projected impact
2 of the increase of the Basic deductible from seven
3 fifty (750) to a thousand (1,000), MPI conducted a
4 loss elimination ratio analysis for the affected
5 products. Correct?

6 MR. KHURRAM MASUD: Sorry, can you
7 repeat that.

8 MS. KARA MOORE: Yes. So, to
9 calculate the projected impact of the increase of the
10 Basic deductible from seven-fifty (750) to a thousand
11 (1,000), MPI conducted a loss elimination ratio
12 analysis for the affected products?

13 MR. KHURRAM MASUD: Correct. Yes.

14 MS. KARA MOORE: And this analysis
15 looked at historical claim severity and determined the
16 amount the claim would have been reduced under these
17 changes. Correct?

18 MR. KHURRAM MASUD: Yes.

19 MS. KARA MOORE: Okay. If we can now
20 go to section BDC-1.2. Thank you.

21 So, we're returning to this topic from
22 the Customer and Product Panel from last week. So,
23 the third sentence in this paragraph reads,

24 "The higher deductible may also
25 result in customers choosing to

1 address less damage themselves
2 rather than filing minor claims
3 with MPI reducing the overall
4 number of claims and further
5 controlling costs."

6 Do you see that?

7 MS. CARA LOW: I do see that

8 MS. KARA MOORE: The loss elimination
9 ratio analysis assumes that claims that fall below the
10 higher deductible will no longer be filed.

11 Is that correct?

12 MS. CARA LOW: That would be correct.

13 MS. KARA MOORE: And that is what this
14 point, in this narrative, was referring to?

15 MS. CARA LOW: Yes.

16 MS. KARA MOORE: So, in this case, if
17 the customer has purchased the Extension deductible
18 buy-down, the claim is expected to still be filed, but
19 all costs would be covered by Extension.

20 Is that correct?

21 MS. CARA LOW: We assume that
22 everyone's going to keep their deductible, and there
23 would be a transfer of costs from co -- Basic line of
24 business to Extension. It's not dollar for dollar
25 because not everyone can buy under the Extension, nor

1 does Extension coverage third-party deductible
2 transfer. So, it's not all transferred over.

3 MS. KARA MOORE: Okay. And 94 percent
4 of ratepayers already purchased the Extension
5 deductible buy-down?

6 MS. CARA LOW: Correct?

7 MS. KARA MOORE: So, from the
8 Corporation's perspective, the only claims that may
9 not be filed would be the claims for those who did not
10 buy the Extension deductible buy-down?

11 MR. KHURRAM MASUD: Also, those who
12 don't qualify for deductible buy-down.

13 MS. KARA MOORE: And did that all
14 comprise of the 6 percent with the seven hundred and
15 fifty (750) deductible currently?

16

17 (BRIEF PAUSE)

18

19 MR. KHURRAM MASUD: Sorry, just repeat
20 the question, please. Thank you.

21 MS. KARA MOORE: Sure. So, I was just
22 confirming that those who do not buy the Extension
23 deductible buy-down, as well as those who are not
24 eligible, is -- are those all included in that 6
25 percent of people who don't have the buy-down?

1 MR. KHURRAM MASUD: The 6 percent is
2 from among those who are eligible, yet not buy
3 Extension buy-down.

4 MS. KARA MOORE: Thank you. What --
5 what percentage of repairs are not eligible?

6

7

(BRIEF PAUSE)

8

9 MR. ANTHONY GUERRA: Counsel, we can
10 advise that in response to Undertaking 4, that
11 information will be provided.

12

13 CONTINUED BY MS. KARA MOORE:

14 MS. KARA MOORE: Thank you. If we can
15 look at part 10 of the Application, the proformas EPF-
16 1. So, we will still use the 6 percent because that's
17 what we have for now.

18 When forecasting Extension claims
19 incurred, what assumption was used with respect to the
20 6 percent of customers currently without Extension
21 buy-down coverage? For instance, did MPI assume they
22 would all accept the buy-down coverage, none of them
23 would, or something between the two?

24 MR. KHURRAM MASUD: Yes. All would
25 accept the seven fifty dollars (\$750) deductible buy-

1 down, the new coverage

2 MS. KARA MOORE: That all would accept
3 buy-down coverage?

4 MR. KHURRAM MASUD: Yeah, that was the
5 assumption.

6 MS. KARA MOORE: And the other 94
7 percent of customers were all assumed to continue with
8 their current Extension buy-down deductible level?

9 MR. KHURRAM MASUD: That's correct.

10 MS. KARA MOORE: Okay. Madam Chair, I
11 know it's a little bit earlier than we usually take
12 the morning break, but I'm about to transition into a
13 fairly large area of my cross-examination. So, I'm
14 wondering if we can break now?

15 PANEL CHAIRPERSON: Sure. Let's
16 do that. We'll come back at 10:30, please.

17

18 --- Upon recessing at 10:16 a.m.

19 --- Upon resuming at 10:31 a.m.

20

21 PANEL CHAIRPERSON: Thank you. Ms.
22 Moore...?

23 MS. KARA MOORE: Thank you, Madam
24 Chair.

25

1 CONTINUED BY MS. KARA MOORE:

2 MS. KARA MOORE: I'm now going to move
3 into some questions about the work-from-home approach.
4 So, if we can go to Section CF 2.2 of the GRA. It
5 should be on page 23.

6

7 (BRIEF PAUSE)

8

9 MS. KARA MOORE: If we could just
10 scroll down a little bit to the paragraph that starts
11 with "However." I think it's on the next page maybe.

12 MS. KATRINE DILAY: Ms. Moore, I
13 believe this might be from last year's GRA.

14 MR. KHURRAM MASUD: I think the '26
15 GRA.

16 MS. KARA MOORE: Okay. Sorry. This
17 is -- Thank you, Ms. Dilay. So, we'll need the 26.
18 There we go. This is exactly what we're looking for.
19 Okay.

20

21 CONTINUED BY MS. KARA MOORE:

22 MS. KARA MOORE: So, the paragraph
23 that starts with, "However," if you can just read that
24 to yourselves. And then I'll ask a follow-up
25 question.

1 MR. KHURRAM MASUD: Okay.

2 MS. KARA MOORE: Would it be fair to
3 say that given negative claims frequencies for many
4 coverages, MPI was anticipating a decrease in claims,
5 but instead saw increases?

6 MR. KHURRAM MASUD: Just one (1)
7 second. That's correct, yes.

8 MS. KARA MOORE: Thank you. If we can
9 go to EAR Attachment A. And we're looking at Appendix
10 C, Sheet 11, which is page 198. Thank you.

11 The 2024 accident year claims counts
12 were projections based on September 30th, 2024, values
13 with only six (6) month of -- six (6) months of claims
14 reported with six (6) months to ultimate factors
15 applied to them with the highest factor for collision
16 at 3.046, correct?

17 MS. CARA LOW: That would be correct.

18 MS. KARA MOORE: And the estimated
19 ultimate claims with payments based on September 30th,
20 2024, actual claims count was nine-nine thousand eight
21 hundred and fifty-six (99,856)?

22 MS. CARA LOW: Correct.

23 MS. KARA MOORE: And if we can go to
24 this same PDF -- or nope, sorry, we're going to EAR
25 Attachment B now. Thank you. And we'll look at page

1 233. Thank you. This is Exhibit 9, Sheet 12.

2 The estimated ultimate claims with
3 payment based on March 31st, 2025, actual claims count
4 -- claim counts was ninety-six thousand two hundred
5 and twenty-nine (96,229)?

6 MS. CARA LOW: Correct.

7 MS. KARA MOORE: So, this is a
8 decrease of three thousand six hundred and twenty-
9 seven (3,627), claims or 3.6 percent?

10 MS. CARA LOW: That is correct, but
11 just one (1) clarification. They're still estimates.
12 Both of them are estimates, so this is a refreshed
13 estimate; it's on actuals.

14 MS. KARA MOORE: Thank you. Relying
15 on six (6) months of -- of actual data relative to
16 relying on twelve (12) months of actual data increases
17 the uncertainty of the estimate, correct?

18 MS. CARA LOW: The more data you have,
19 the more certainty you have in your estimate. And
20 eventually, all claims are paid and we'll know the
21 actual number, and that'll take a number of years.

22 MS. KARA MOORE: And in order to
23 submit the GRA on the current schedule, MPI deems it
24 necessary to use the less mature claims data for
25 trending purposes?

1 MS. CARA LOW: Correct, for trend
2 rates. And then they get applied to the year-end
3 data.

4 MS. KARA MOORE: Thank you. And if we
5 can go back to Section CF 2.2 on page 23.

6 Using the survey results for the
7 mobility assumptions, MPI determined that it would no
8 longer produce a statistically significant variable
9 for mobility as it did not explain the higher claims
10 frequency in accident year 2024, correct?

11 MS. CARA LOW: Correct.

12 MS. KARA MOORE: And we can see just
13 towards the bottom of the page -- and maybe if we can
14 just scroll down slightly. Thank you, Dweh.

15 MPI included a reference to Statistics
16 Canada which -- an article which discussed commuting
17 times and the share of commuters with a long commute,
18 correct?

19 MS. CARA LOW: Correct. We looked at
20 Stats Canada. We also, looked at TomTom data. And we
21 also have our own experience as we drive downtown
22 every day.

23 MS. KARA MOORE: And commuting time
24 may reflect the amount of congestion?

25 MS. CARA LOW: Yes.

1 MS. KARA MOORE: But it's not a direct
2 estimate of the number of drivers commuting each day?

3 MS. CARA LOW: Sorry, can you just
4 repeat that?

5 MS. KARA MOORE: That it's -- the
6 commuting time is not a direct estimate of the number
7 of drivers commuting each day?

8 MS. CARA LOW: Correct.

9 MS. KARA MOORE: And if we look at the
10 paragraph at the bottom of this page. And again, Ms.
11 Dweh, if we can just scroll down slightly onto the
12 next page so we can see the full paragraph. Thank
13 you. It reads:

14 "MPI tested a simple model,
15 assuming commuting returns to pre-
16 pandemic levels by using a
17 variable of 4, 3, 2, and 1 for
18 mobility to model the work-from-
19 home impacts during 2020, 2021,
20 2022, and 2023, respectively.
21 MPI assumed no work-from-home
22 impact in 2024 and onwards. This
23 model produced a statistically
24 significant variable for mobility
25 and was able to better explain the

1 recent increases in claim
2 frequency."

3 MR. KHURRAM MASUD: That's correct,
4 yes.

5 MS. KARA MOORE: Thank you. And now
6 if we can go to Information Request PUB-MPI-1-55.
7 Look at question 'B'.

8 MS. KARA MOORE: The question asked:
9 "Does MPI have any new data since
10 the 2025 GRA that indicates that
11 the change in commuter behavior
12 has been linear over the period
13 from 2020 to 2024?"

14 You see that?

15 MR. KHURRAM MASUD: Yes, I see that.

16 MS. KARA MOORE: And if we can scroll
17 down to the response to 'B'. The response reads:

18 "MPI selected a simple linear
19 trend to represent the beginning
20 and end of the years impacted by
21 the pandemic. MPI used commuter
22 behavior as a proxy for the impact
23 frequency in prior GRAs"

24 Correct?

25

1 MS. KARA MOORE: But no data was
2 provided in this response indicating the change in
3 commuter behavior was linear, correct?

4 MR. KHURRAM MASUD: Sorry, can you
5 repeat that?

6 MS. KARA MOORE: There was no data
7 provided in this response indicating that the change
8 in commuter -- commuter behavior was linear?

9 MR. KHURRAM MASUD: That's correct.
10 But even if we use the prior approach, that was
11 reducing the work-from-home adjustment linearly. So
12 that as well was a linear trend in the prior GRAs.

13 MS. KARA MOORE: Does MPI have any
14 evidence that the change in commuter behavior was
15 linear over the period from 2020 to 2024?

16 MR. KHURRAM MASUD: No.

17 MS. KARA MOORE: Okay. If we can
18 scroll back up to the questions. We'll look at
19 question 'C'.

20 MR. KHURRAM MASUD: I -- I'd just like
21 to add to that.

22 MS. KARA MOORE: Sure.

23 MR. KHURRAM MASUD: We don't have any
24 evidence that it's not linear either.

25 MS. KARA MOORE: Thank you. So,

1 again, the question reads:

2 "Does MPI have any basis for the
3 change in approach other than that
4 the 2024 accident year claim
5 frequency at six (6) months of
6 maturity was higher than the 2023
7 accident year claim frequency and,
8 hence, the selected model better
9 fit the observed experience?"

10 You see that?

11 MR. KHURRAM MASUD: I see that.

12 MS. KARA MOORE: Thank you. And if we
13 scroll down to the response to 'C'. MPI again
14 repeated the excerpt from that Statistics Canada
15 article that we looked at earlier?

16 MR. KHURRAM MASUD: Yes, correct.

17 MS. KARA MOORE: And beneath this
18 excerpt, if we scroll down a bit further, MPI
19 commented that there seems to be a disconnect between
20 commuting days and commuting time, correct?

21 MS. KHURRAM MASUD: Yes.

22 MS. KARA MOORE: And MPI did not have
23 an update on commuting days?

24 MR. KHURRAM MASUD: In the 2026 GRA?

25 MS. KARA MOORE: Yes.

1 MR. KHURRAM MASUD: Yes, we did not.

2 MS. KARA MOORE: MPI indicated that
3 traffic density increase was more rapid in 2023/'24
4 relative to 2022/'23, correct?

5 MR. KHURRAM MASUD: Correct.

6 MS. KARA MOORE: And MPI also
7 indicated that commuting time was rapidly increasing,
8 correct?

9 MR. KHURRAM MASUD: Correct.

10 MS. KARA MOORE: Okay. If we can now
11 go to PUB/MPI-2-50. Sorry. And we'll -- just before
12 we go to the figure, Ms. Dweh, if we can just look at
13 question 'B' just for some context.

14 MPI was asked here to provide
15 statistics on commute time for Manitoba, correct?

16 MR. KHURRAM MASUD: Yes, I see that.

17 MS. KARA MOORE: And now we'll go --
18 scroll down to Figure 2, please.

19 This was provided in response to that
20 question. And Figure 2 shows average commute times by
21 province?

22 MR. KHURRAM MASUD: I see that.

23 MS. KARA MOORE: And if we look at
24 line eight for Manitoba, we see -- I'll go through
25 each one -- 22.6 minutes for May 2016, 21.2 minutes

1 for May 2021, 22.5 for May 2022, 22.9 for May 2023,
2 22.1 for May 2024, and 22.7 for May 2025, correct?

3 MR. KHURRAM MASUD: Yes.

4 MS. KARA MOORE: So, the data for
5 2016, 2022, 2023, 2024, and 2025 all appear to be at
6 about the same level, correct?

7 MR. KHURRAM MASUD: I see that, yes.

8 MS. KARA MOORE: So, based on the
9 information provided here, would you agree that
10 commuting time does not appear to be rapidly
11 increasing?

12 MR. KHURRAM MASUD: Yes.
13 MS. KARA MOORE: Okay. But rather
14 commuting time has been stable from 2022 to 2025?

15 MR. KHURRAM MASUD: Right. It does
16 move up and down, but, yeah, it's largely within a
17 broad range.

18 MS. KARA MOORE: Thank you. Would
19 you, therefore, agree that commute times in Manitoba
20 as provided by the Statistics Canada data do not
21 appear to be a good explanation for changes in
22 exposure?

23 MS. CARA LOW: Sure.

24

25 (BRIEF PAUSE)

1

2 MS. CARA LOW: Sorry. I just wanted
3 to clarify. And I got my clarification that this
4 chart doesn't include people not commuting, so that's
5 why it didn't drop during COVID. If you are
6 commuting, this is your commute time.

7 MS. KARA MOORE: Okay. Thank you.
8 But this is -- this does represent the commute time?

9 MS. CARA LOW: Correct.

10 MS. KARA MOORE: Okay. So, my
11 question was, would you therefore agree that commute
12 times in Manitoba do not appear to be a good
13 explanation for changes in exposure?

14 MS. CARA LOW: If this only includes
15 people commuting, this is just saying that people
16 aren't commuting further. And we know that because
17 there hasn't been a huge expansion of the city, so
18 people aren't commuting any further. This doesn't
19 tell us about the frequency of commutes.

20 MS. KARA MOORE: But you don't
21 reference the frequency that you refer to in your
22 rationale for why you've moved to this model, correct?

23 MS. CARA LOW: We referenced driver
24 behavior, and driver behavior being whether they're on
25 the road and commuting to or from work.

1 MS. KARA MOORE: Okay. And, again,
2 there -- but there's no change really in commuting
3 time?

4 MS. CARA LOW: No. And then when you
5 think about it too, we've already talked about the
6 increase in exposure. So, we know that there's more
7 cars. Winnipeg hasn't really got that much bigger.
8 We have in population and cars, but not in
9 geographical areas. So, there is just as much traffic
10 density as there was prior.

11 MS. KARA MOORE: Does MPI have any
12 measure of how many cars are actually driving?

13 MS. CARA LOW: To and from work?

14 MS. KATRINE DILAY: Yeah.

15 MS. CARA LOW: We just know how many
16 cars we insure. And I guess we'd know how many people
17 register for all-purpose driving, which means they
18 drive at least four (4) times, or over -- is it equal
19 to four (4) or more than four (4) -- four (4) or more
20 times per month to work.

21 MS. KARA MOORE: Okay.

22 MS. CARA LOW: And then, of course,
23 commercial vehicles.

24 MS. KARA MOORE: Okay. If we can now
25 go to CC/MPI-1-42. And we will look at question 'C'.

1 Did MPI consider -- the question reads:

2 "Did MPI consider that the
3 conclusions in the Statistics
4 Canada article were conditional,
5 applying only to commutes, but not
6 considering the non-commute days
7 for employees with hybrid or work-
8 from-home schedules?"

9 You see that?

10 MR. KHURRAM MASUD: Which part of the
11 question are you referring to?

12 MS. KARA MOORE: Sorry, I'm just
13 reading question 'C' --

14 MR. KHURRAM MASUD: Okay.

15 MS. KARA MOORE: -- out into the
16 record. And -- and if we can just scroll to the
17 response. The first sentence reads:

18 "MPI believes the commuting time
19 is an indication of traffic
20 congestion."

21 You see that?

22 MR. KHURRAM MASUD: Correct. Yes, I
23 see that.

24 MS. KARA MOORE: And given that we
25 have just discussed that the Statistics Canada data

1 doesn't show any change in commute time from 2022 to
2 2025, can we conclude that it doesn't provide evidence
3 of increased traffic congestion?

4 MS. CARA LOW: I think it's just one
5 of many external factors we've looked at. I mean, as
6 we know in the general community, there is a move to
7 back to the office. We saw that through the province
8 of Ontario mandating people back. People are coming
9 into the office more.

10 So, there is evidence out there that
11 people are starting to go back into the office. Never
12 mind the fact that we have more cars on the road now
13 here in Manitoba. So, whether they're going to work
14 or not going to work, there is an increase in traffic
15 density.

16 MS. KARA MOORE: Thank you. But just
17 referring specifically to the Statistics Canada data,
18 that data doesn't show a change in commute time as
19 we've discussed.

20 And so, we can conclude that it doesn't
21 -- that data specifically doesn't provide evidence of
22 increased traffic congestion?

23 MS. CARA LOW: Agreed.

24 MS. KARA MOORE: Thank you. Does MPI
25 have any statistics on kilometers driven by Manitoba

1 motorists by year that could be used as an estimate of
2 relative exposure and that might explain the decline
3 in frequency during the pandemic?

4 MR. KHURRAM MASUD: No, we don't have
5 any data on number of kilometers. However, in PUB-2-
6 050 R21 (phonetic) of the question, part 'A' of the
7 question, we do show TomTom Index of condition, which
8 does show an increase in condition levels.

9 MS. KARA MOORE: Thank you. Could
10 fuel sales possibly be a reasonable proxy for
11 kilometers driven?

12 MR. KHURRAM MASUD: Not necessarily
13 because as vehicles are improving their fuel
14 efficiencies, it is possible that fuel -- fuel
15 consumption may be lower. And -- and also, in
16 addition to that, there are more electric vehicles on
17 the road who wouldn't be using gas as their fuel.

18 MS. KARA MOORE: Understood. If we
19 can go to Information Request PUB/CC-1D. So, this was
20 a question that the Board asked as an Information
21 Request to Consumer Coalition. And the Board asked
22 whether Oliver Wyman considered looking at annual fuel
23 sales versus HTA units to see if Manitoba drivers have
24 returned to consuming the same amount of fuel and,
25 hence, driving about the same amount as they did prior

1 to the pandemic.

2 Do you see that?

3 MR. KHURRAM MASUD: I see that.

4 MS. KARA MOORE: And if we can scroll
5 down to the response. Oliver Wyman responded -- or CC
6 responded on behalf of Oliver Wyman that it did not
7 examine annual fuel sales versus HTA units during its
8 review. However, they reference a note from
9 Statistics Canada that:

10 "Net of tax remitted gasoline
11 sales dropped in 2020 with the
12 COVID pandemic and has returned to
13 pre-COVID levels as of 2024."

14 You see that?

15 MR. KHURRAM MASUD: I see that.

16 MS. KARA MOORE: And they go on to say
17 that:

18 "This, along with the signal from
19 WHO and Google, paint a picture in
20 which Manitoba drivers have
21 largely returned to pre-pandemic
22 levels of traffic."

23 Do you see that?

24 MR. KHURRAM MASUD: I see that.

25 MS. KARA MOORE: Does MPI examine

1 annual fuel sales in Manitoba as part of their claims
2 forecasting?

3 MR. KHURRAM MASUD: No, we do not.

4 MS. KARA MOORE: Okay. If we can go
5 now to Figure REV5. Thank you.

6 Looking at line 7, total HTA units in
7 2019/2020 was 886,590, correct?

8 MR. KHURRAM MASUD: Right.

9 MS. KARA MOORE: And looking at line
10 12, total HTA units in 2024/'25 was 966,553, correct?

11 MR. KHURRAM MASUD: Right.

12 MS. KARA MOORE: So, this would be
13 approximately a 9 percent increase in vehicles?

14 MR. KHURRAM MASUD: You're comparing
15 this to 2019, 886 to 966?

16 MS. KARA MOORE: Yes. So, yes, 886.

17 MR. KHURRAM MASUD: Not an annual 9
18 percent increase, an overall 9 percent increase over a
19 period of -- I lost my -- lost my math -- six (6)
20 years?

21 MS. KARA MOORE: Yes.

22 MR. KHURRAM MASUD: Yeah.

23 MS. KARA MOORE: If fuel sales in
24 Manitoba have returned to pre-COVID levels but there
25 are 9 percent more vehicles on the road, could this

1 mean that the average amount of fuel consumed per
2 vehicle in Manitoba is lower because they're being
3 driven less?

4 MR. KHURRAM MASUD: There is no
5 evidence that they're being driven less. It's an
6 indicator you might interpret this, but there's no
7 evidence that they're being driven less. Maybe fuels
8 -- maybe cars are more efficient.

9 MS. KARA MOORE: We can go now to
10 PUB/MPI-1-55. And we're going to be looking at Figure
11 PUB-1-55D on page 6. Yes. Thank you.

12 So, if we look at line 8, the fourth
13 column of this table, if the prior work-from-home
14 approach was applied to the data in the 2026 GRA, the
15 alternative rate indication was 0.27 percent, being a
16 decrease of 1.8 percent from the 2.07 percent in the
17 2026 GRA, correct?

18 MR. KHURRAM MASUD: Correct, yes.

19 MS. KARA MOORE: And if we can look at
20 Appendix 2Q still to this Information Request, Table
21 1.

22

23 (BRIEF PAUSE)

24

25 MS. KARA MOORE: We'll look at 2Q.

1 So, the tab's on the bottom there. You'll have to
2 scroll to the right.

3

4 (BRIEF PAUSE)

5

6 MS. KARA MOORE: It's 2Q-1. Yes.

7 Thank you very much.

8 This shows the Basic total ultimate
9 total losses and ultimate loss count, correct?

10 MR. KHURRAM MASUD: That's correct.

11 Yes.

12 MS. KARA MOORE: Oh, loss cost. Yes.

13 Sorry. And for the accident year 2026, which is row
14 29, the loss cost is forecast to be one thousand one
15 hundred and two dollars and twenty-five cents
16 (\$1,102.25), and the ultimate total losses are
17 forecast to be about 1.105 billion?

18 MR. KHURRAM MASUD: Correct.

19 MS. KARA MOORE: For the accident year
20 2027, which is row 30, the loss cost is forecast to be
21 one thousand one hundred and thirty dollars and twenty
22 cents (\$1,130.20), and the ultimate total losses are
23 forecast to be 1.153 billion?

24 MR. KHURRAM MASUD: Correct.

25 MS. KARA MOORE: And if we can now go

1 to Figure CF-190 in the 2026 GRA.

2

3

(BRIEF PAUSE)

4

5

MS. KARA MOORE: In this figure, for
6 the 2026 accident year which we can see at line 17,
7 the loss cost is forecast to be one thousand one
8 hundred and twenty-six dollars and thirty-four cents
9 (\$1,126.34), and the ultimate total losses are
10 forecast to be 1.129 billion, correct?

11

MR. KHURRAM MASUD: Correct.

12

MS. KARA MOORE: And for the 2027
13 accident year at line 18, the loss cost is forecast to
14 be one thousand one hundred and forty-six dollars and
15 three cents (\$1,146.03), and ultimate total losses are
16 forecast to be 1.169 billion?

17

MR. KHURRAM MASUD: Correct.

18

MS. KARA MOORE: Therefore, the use of
19 the prior year approach would result in a decrease for
20 the 2026 accident year of twenty-four dollars and nine
21 cents (\$24.09) loss cost and 24 million ultimate total
22 losses?

23

MR. KHURRAM MASUD: Subject to check.

24

MS. KARA MOORE: Sure. Thank you.

25

And for the 2027 accident year, the use of the prior

1 year approach would result in a decrease of fifteen
2 dollars eighty three cents (\$15.83) loss cost and 16
3 million ultimate total losses?

4 MR. KHURRAM MASUD: Again, subject to
5 check.

6 MS. KARA MOORE: Thank you. If we can
7 now go to Information Request CC/MPI-1-30. Looking at
8 question A, this question asked MPI to prepare a
9 detailed analysis explaining and quantifying the root
10 causes of the increases in forecasted claims incurred
11 for the coverages identified in the preamble above.

12 You see that?

13 MR. KHURRAM MASUD: Yes.
14 MS. KARA MOORE: And if we scroll down
15 to the response, MPI has provided a table marked as
16 Figure 1, and this table provides a breakdown of
17 comparison with 2025 GRA projected ultimate total
18 losses, correct?

19 MR. KHURRAM MASUD: Right.

20 MS. KARA MOORE: And if we look at the
21 line called 'Changing WFH Model' in the top half of
22 the table, this shows a decrease of 1.4 million for
23 accident benefits weekly indemnity?

24 MR. KHURRAM MASUD: Right. I see
25 that.

1 MS. KARA MOORE: And I'll go through
2 each one. It shows an increase of 3.5 million for
3 accident benefits, other indexed; an increase of 17.6
4 million for collision; an increase of 0.8 million for
5 property damage, third party deductible transfer; and
6 an increase of 0.4 million for property damage, other,
7 correct?

8 MR. KHURRAM MASUD: Right, yes.

9 MS. KARA MOORE: And this is a total
10 of approximately 20.9 million, correct, if we add
11 those numbers.

12 MR. KHURRAM MASUD: Yes. Subject to
13 check, yes.

14 MS. KARA MOORE: Thank you. And so,
15 this is about halfway between the 24 million and the
16 16 million that we just discussed?

17 MR. KHURRAM MASUD: Twenty-four (24)
18 and sixteen (16)? You mean 2026 and 2027 accident
19 years?

20 MS. KARA MOORE: Yes.

21 MR. KHURRAM MASUD: Yes.

22 MS. KARA MOORE: Thank you. Was this
23 calculation of these amounts consistent with the
24 alternative approach that we discussed in the
25 Information Request we looked at, PUB/MPI-1-55?

1 Was the calculation of these amounts
2 consistent with the alternative approach used in
3 response to that Information Request?

4 MR. KHURRAM MASUD: When you're saying
5 "consistent," what exactly do you mean? The average?

6 MS. KARA MOORE: So, did you use the
7 same approach in calculating the response to CC-1-30
8 as you did to calculating the response in PUB-1-55?

9 MR. KHURRAM MASUD: I would say yes.
10 Are you referring to a specific part of the
11 calculation which averages the two (2) accident years?

12 MS. KARA MOORE: No. Just generally
13 how you calculated the amount.

14 MR. KHURRAM MASUD: Generally, I would
15 think, yeah, it's -- it's consistent.

16 MS. KARA MOORE: Thank you. If we can
17 now go to Information Request CC/MPI-1-42. And we're
18 looking -- if we can just scroll up slightly to
19 question B.

20 The question asked whether MPI
21 considered models that do not require extrapolation of
22 the Google data, but rather include a new normal
23 variable, correct?

24 MR. KHURRAM MASUD: Correct.

25 MS. KARA MOORE: And if we scroll down

1 to MPI's response to 'B', MPI responds that:

2 "A new normal variable was
3 considered. However, the new
4 normal does not adjust periods
5 before it was introduced."

6 MR. KHURRAM MASUD: Right.

7 MS. KARA MOORE: And MPI considered a
8 number of other approaches that are identified here,
9 but it ultimately selected the approach identified in
10 B-III at the bottom?

11 MR. KHURRAM MASUD: Yes.

12 MS. KARA MOORE: Thank you. And if we
13 go to Information Request CC/MPI-1-43, you can scroll
14 to the question first. So, I'll just read the
15 question out. It says:

16 "For all frequency trend models
17 that MPI includes a variable -- or
18 a mobility variable, please fit a
19 model substituting the Google
20 mobility variability for 2020/'21
21 minus twenty-nine seventy-
22 eight (29.78); 2021/'22 minus
23 twenty-two point 16 (22.16); and
24 2022/'23 minus sixteen point
25 forty-eight (16.48); and a level

1 change variable for 2023/'24 to
2 reflect the post-pandemic new
3 normal. Provide the corresponding
4 goodness of fit measures included
5 in the GRA. This request only
6 applies to the MPI selected
7 model/time period."

8 You see that?

9 MR. KHURRAM MASUD: I see that. I
10 would also like to read the preamble, if we can scroll
11 up.

12 MS. KARA MOORE: Absolutely. If we
13 can just scroll up slightly so that the preamble's on
14 the page.

15

16 (BRIEF PAUSE)

17

18 MR. KHURRAM MASUD: So, we can proceed
19 now.

20 MS. KARA MOORE: Thank you. And if we
21 can go to the response, we'll look at the last line.
22 It says:

23 "MPI highlights that a majority of
24 models produce poor fifths
25 (phonetic) or insignificant 'P'

1 values for the included
2 variables."

3 Correct?

4 MR. KHURRAM MASUD: Correct.

5 MS. KARA MOORE: If we can now look at
6 Information Request PUB/MPI-2-53.

7

8 (BRIEF PAUSE)

9

10 MS. KARA MOORE: Sorry, Ms. Dweh.

11 Before we get to this, if you could actually pull up

12 MPI's presentation from this morning, which is Exhibit

13 42, and we are going to look at slide 7. And about

14 halfway through the page, it says:

15 "MPI found a strong correlation

16 between the number of vehicle

17 accidents and historical amount of

18 snowfall. Severity of snowstorms

19 can explain some of the

20 fluctuations in volume of

21 collision and property damage

22 claims."

23 You see that?

24 MR. KHURRAM MASUD: I see that.

25 MS. KARA MOORE: However, MPI did not

1 use snowfall in its selected regression models for any
2 coverage, correct?

3 MR. KHURRAM MASUD: For the GRA? No,
4 we did not.

5 MS. KARA MOORE: Thank you. So now
6 we'll go back to that Information Request PUB/MPI-2-
7 53.

8 So MPI was asked in this Information
9 Request generally to perform an analysis incorporating
10 snowfall data to see if the snowfall data might help
11 to explain the uptick in claims frequency in 2024,
12 correct?

13 MR. KHURRAM MASUD: I believe it
14 wasn't specific to 2024. It was more generic.

15 MS. KARA MOORE: Okay. Thank you.
16 But the 2024 claims frequency was based on data at
17 September 30th of 2024, so it did not include claims
18 due to the snowfall that would've occurred later in
19 the year?

20 MR. KHURRAM MASUD: For -- for
21 selection of trends?

22 MS. KARA MOORE: Yes.

23 MR. KHURRAM MASUD: That is correct.
24 For the selection of trends, it did not include, but
25 for the selection of trends, we generally use a longer

1 period of time. So, it includes periods of higher
2 snowfall and lower snowfall.

3 MS. KARA MOORE: Right. So, it was
4 projected based on historical rates of claims
5 development?

6 MR. KHURRAM MASUD: Which is what we
7 generally do.

8 MS. KARA MOORE: Thank you.

9 MS. CARA LOW: Could I add to that?
10 When we do a September valuation, even though it's six
11 (6) months into our fiscal year, we're estimating the
12 cost of the full year.

13

14 (BRIEF PAUSE)

15

16 MS. KARA MOORE: There's no reason to
17 expect that the amount of snowfall that occurred after
18 the date of the actual claims would help explain the
19 increased claims frequency in 2024, correct?

20 MR. KHURRAM MASUD: Sorry, can you
21 repeat that? I didn't quite follow.

22 MS. KARA MOORE: There's no reason to
23 expect that the amount of snowfall that occurred after
24 the date of the actual claims would help explain the
25 increased claims frequency in 2024?

1 MR. KHURRAM MASUD: The snowfall after
2 the date of --

3 MS. KARA MOORE: After the September
4 30th date.

5

6 (BRIEF PAUSE)

7

8 MR. KHURRAM MASUD: Snowfall is -- was
9 not used in the trend selection. It was used to
10 explain the prior losses, not past -- past claims
11 experience. It wasn't used in trend selection for the
12 future.

13

14 (BRIEF PAUSE)

15

16 MS. KARA MOORE: Okay. I am going to
17 ask some questions about trending now, so we'll change
18 topics.

19 Claims forecasting uses trends based
20 on, as we were just discussing, the September 30th,
21 2024, valuation?

22 MR. KHURRAM MASUD: That's correct,
23 yes.

24 MS. KARA MOORE: And it applies the
25 selected trends to the ultimate loss cost -- loss

1 costs based on the March 31st, 2025, valuation?

2 MR. KHURRAM MASUD: Correct.

3 MS. KARA MOORE: MPI performs the
4 forecasting in this manner due to -- again, as we I
5 think discussed already -- time constraints to be able
6 to submit the filing as scheduled?

7 MR. KHURRAM MASUD: That's correct,
8 yes.

9 MS. KARA MOORE: Has MPI reviewed its
10 processes to see if it would be possible to speed up
11 the process such as by selecting initial trend
12 approaches based on September 30th data and then
13 finalizing trend values using March 31st data?

14 MS. CARA LOW: We are talking about
15 it. My understanding, but this was my -- prior to my
16 time at MPI, we used to use year end data, but year
17 end used to be February 28th.

18 And then when all of a sudden year end
19 was March 31st, the actuaries lost a month in order to
20 do trend analysis. We're looking at ways trying to
21 speed things up and automate, but there is no promise
22 at this time.

23 MS. KARA MOORE: Thank you. If we
24 could look at Information Request PUB/MPI-1-57,
25 please. Okay. So, this IR -- we'll just stay here

1 for a minute. This IR tested the impact of using the
2 March 31st data trending, but for collision only?

3 MR. KHURRAM MASUD: Correct, yes.

4 MS. KARA MOORE: And then the
5 response, if we just scroll down to your response, we
6 can see that there were a number of cautions listed
7 regarding this request, and so I'll go through them.

8 The first caution was trend selection
9 timing, and the explanation here was basically that if
10 MPI used March 31st data for trending, it wouldn't be
11 able to file the GRA until at least mid-July?

12 MS. CARA LOW: That is correct.

13 MS. KARA MOORE: Okay. And if we
14 scroll down, the next caution was limitations of the
15 current analysis.

16 And the explanation here was that, due
17 to tight timelines for responding to Information
18 Requests, the figures produced in response were not
19 developed through an in-depth analysis, and therefore,
20 these figures don't necessarily provide insight into
21 future projections, correct?

22 MS. CARA LOW: Correct. We only did
23 collision and we stayed with the same selections as in
24 the number of years and which regression model we were
25 selecting.

1 MS. KARA MOORE: Thank you. The third
2 caution listed was accuracy concerns, being that the
3 PUB only requested a refresh for the collision trend.

4 And if all trends were refreshed, the
5 overall claims forecast could differ significantly?

6 MS. CARA LOW: Right. You could have
7 offsetting impacts. And here for the collision, I
8 think there was only a ten (10) -- or just trying to
9 read my notes -- 10 basis point drop in the frequency,
10 no real change in the severity.

11 But collision being such a big amount
12 of dollars that a very small change in the frequency
13 actually had a \$16 million impact to the claims
14 forecast, right?

15 But the thinking is, if you're using it
16 twenty (20) years of data -- or we collect 20 years of
17 data. We don't always select twenty (20) years.
18 Quite often it's ten (10) to fourteen (14) years --
19 you have a long-term average, and six (6) months of
20 data should not skew it that quickly.

21 MS. KARA MOORE: Thank you. The
22 fourth caution listed was implications of routine
23 March 31 refreshes, and we might have to scroll down
24 slightly to see the start of the next page.

25 But essentially, the explanation for

1 this was that if the PUB were to routinely require
2 refresh trends analyses based on March 31 valuations,
3 the June GRA filing and associate rate approved would
4 be rendered ineffective, and the refreshed rate could
5 differ materially from the initial filing?

6 MS. CARA LOW: Correct. Any time we
7 run a claims estimate, we could get a slightly
8 different number because it's an estimate, and every
9 time you have more information. It could go up one
10 year, it might go down, but that it's always going to
11 continuously change until the claims pay out, which
12 will be years from now.

13 So, our thinking is we need to pick a
14 point in time, and that's our point in time for our
15 claims forecast. And then we all move forward and
16 we'll be back next year.

17 MS. KARA MOORE: Thank you. And
18 finally, the fifth caution, if we can just scroll
19 down, was impact on rate approval. And the
20 explanation for this was that, once the refresh data
21 is submitted, the PUB can't disregard it.

22 And while the PUB would likely prefer
23 the updated figures when approving rates, MPI may not
24 be in a position to refute the accuracy as it will not
25 have conducted its own analysis, correct?

1 MS. CARA LOW: Correct.

2 MS. KARA MOORE: Thank you. So,
3 moving away from this, we previously discussed the
4 fact that collision claims estimated at March 31st for
5 the 2024 accident year were 3.6 percent lower than
6 those estimated at September 30th.

7 Do you recall that? Sorry, I didn't
8 catch an answer.

9 MR. KHURRAM MASUD: Yes.
10 MS. KARA MOORE: Thank you. If we can
11 now go to PUB/MPI-1-57, Appendix 1, Figure 2. So,
12 it's still on this Information Request. Yes. Thank
13 you.

14 So, due to this decrease of three (3)
15 oh, sorry. Next page, please.

16 Due to the decrease of 3.6 percent that
17 we discussed when the more recent claim count estimate
18 was included, the trend decreased from minus 2.33
19 percent to minus 2.43 percent?

20 MR. KHURRAM MASUD: Correct.

21 MS. KARA MOORE: And the mobility
22 parameter coefficient changed from minus 5.15 percent
23 to minus 4.89 percent, looking at the 2012 row?

24 MR. KHURRAM MASUD: What was it
25 before?

1 MS. KARA MOORE: It was -- and I can
2 bring you -- it's the -- the original is not shown
3 here.

4 MR. KHURRAM MASUD: Sure.

5 MS. KARA MOORE: I can bring you to a
6 reference if you'd like.

7 MR. KHURRAM MASUD: That's right,
8 subject to check, yeah.

9 MS. KARA MOORE: Sure.

10 MR. KHURRAM MASUD: Yeah.

11 MS. KARA MOORE: So, the reference,
12 I'll -- I'll -- I don't think we need to go there
13 unless -- unless you'd like me to -- you can let me
14 know -- but it's CF Appendix 3E, Table 2. And that
15 shows the original mobility parameter coefficient at
16 minus 5.15 percent. But we can see in this table that
17 it's now minus 4.89 percent.

18 MR. KHURRAM MASUD: Right.

19 MS. KARA MOORE: Thank you. If we
20 could now go to PUB-1-57B, Figure 2.

21

22 (BRIEF PAUSE)

23

24 MS. KARA MOORE: Thank you, Ms. Dweh.

25 This is an updated Figure RI-13 based on the

1 alternative trend analysis for collision based on the
2 March 31st, 2025, valuation?

3 MR. KHURRAM MASUD: Right.

4 MS. KARA MOORE: And the alternative
5 analysis reduced -- if we look at line 2, it reduced
6 the claims cost per unit to seven hundred and ninety-
7 eight dollars and six cents (\$798.06).

8 And that's down from eight-o-two sixty-
9 four (802.64), eight hundred and two dollars and
10 sixty-four cents (\$802.64), being a decrease of four
11 dollars and fifty-eight cents (\$4.58)?

12 MR. KHURRAM MASUD: Right.

13 MS. KARA MOORE: And if we just scroll
14 up to Figure 1 -- should just be on the page above --
15 this is an updated figure RMO-1.

16 At line 8, the alternative analysis
17 reduced the overall rate indication to 1.53 percent,
18 being a decrease of 0.54 percent?

19 MR. KHURRAM MASUD: Correct.

20 MS. KARA MOORE: Okay. I'd now like
21 to ask some questions regarding the comparison of
22 graphs of projected loss costs under two (2) different
23 work-from-home approaches. So, we're going to go back
24 to PUB/MPI-1-55, Appendix 2 which is the Loss Cost
25 Projection appendices. Yeah, it's another Excel

1 spreadsheet.

2

3

(BRIEF PAUSE)

4

5 MS. KARA MOORE: Okay. So, we're
6 going to go through several of the tabs in this
7 workbook. So, we'll start by looking at tab 2-A, 6
8 and 7.

9 And at table 7 on the right side of the
10 page, Accident Benefits Weekly Indemnity, if we look
11 at this graph, the orange dots show the 2026 GRA and
12 the green dots show 2026 data, but using 2025 mobility
13 assumptions. Correct?

14 MR. KHURRAM MASUD: Correct.

15 MS. KARA MOORE: And we can see that
16 with the Alternative Mobility Assumption, or the
17 Alternate Mobility Assumption being the green dots,
18 the trend is steeper, but it started slightly lower.

19 MR. KHURRAM MASUD: Can you repeat
20 that, please?

21 MS. KARA MOORE: Sure. So, the -- the
22 green dots being the Alternate Mobility Assumption,
23 the trend is steeper but started slightly lower.

24 MR. KHURRAM MASUD: When you're saying
25 "started slightly lower," are you referring to 2025 --

1 the dot about 2025, yeah, it's very close, but I can
2 see it's slightly lower, but it has a steeper slope.

3 MS. KARA MOORE: Thank you. So, we're
4 going to do this with several of these -- these
5 graphs. So, now we'll look at tab 2-B 6 and 7.

6 Okay, so at table 7, Accident Benefits
7 Other Indexed, you can see that in the 2026 GRA, there
8 is a jump up in the expected loss costs for the 2026
9 GRA values starting in Accident Year 2025.

10 MR. KHURRAM MASUD: Right. Yes.

11 MS. KARA MOORE: Where the green dots
12 start more in line with the historical, but then have
13 a steeper slope. Correct?

14 MR. KHURRAM MASUD: When you're saying
15 "green dots are more in line with the historical loss
16 costs," what are you referring to exactly?

17 MS. KARA MOORE: There's less of a
18 jump-up on the green dots when compared to the -- the
19 orange.

20 MR. KHURRAM MASUD: Right. That is
21 true.

22 MS. KARA MOORE: Thank you. If we can
23 now go to tab D 6 and 7, table 7, Bodily Injury.

24 You can again see the orange dots start
25 a bit higher and the green dots have a sleeper --

1 steeper slope. Correct?

2 MR. KHURRAM MASUD: That's correct,
3 yes, green dots have a steeper slope, start lower.
4 Eventually they converge but green dots then overtake
5 the orange dots.

6 MS. KARA MOORE: Thank you. And if we
7 can now go to tab 2-E 6 and 7, Collision, table 7.

8 Again, the orange dots start a bit
9 higher and the green dots have a slightly steeper
10 slope. Correct?

11 MR. KHURRAM MASUD: Right.

12 MS. KARA MOORE: Okay. If we can go
13 to 2L 6 and 7, table 7, Property Damage Third Party
14 Loss of Use, the orange dots start a bit higher and
15 the green dots have a less negative slope. Correct?

16 MR. KHURRAM MASUD: Right.

17 MS. KARA MOORE: If we can go to tab
18 2M, 6 and 7, table 7 Property Damage Third Party
19 Deductible Transfer.

20 The orange dots start a bit higher and
21 the green dots have a slightly steeper slope.
22 Correct?

23 MR. KHURRAM MASUD: Correct.

24 MS. KARA MOORE: If we can now go to
25 tab 2N, 6 and 7, table 7, Property Damage Other.

1 Again, the orange dots start a bit higher and the
2 green dots have a slightly steeper slope.

3 MR. KHURRAM MASUD: Right. They're
4 very close though for this (INDISCERNIBLE) this
5 property damage. Okay.

6 MS. KARA MOORE: And the last one, if
7 we can go to Q --

8 MR. KHURRAM MASUD: Oh, I was having
9 fun.

10 MS. KARA MOORE: -- tab 2Q 5 and 6.
11 One more, sorry. Table 6, Basic Total. Again, the
12 orange dots start a bit higher and the green dots have
13 a slightly steeper slope.

14 MR. KHURRAM MASUD: Correct.

15 MS. KARA MOORE: Thank you. Would it
16 be fair to conclude that the use of the 4-3-2-1
17 approach appears to result in higher loss estimates
18 for the 2025 accident year for all coverages with a
19 mobility factor?

20 MR. KHURRAM MASUD: That's correct.
21 By definition, it is expected to result in higher loss
22 costs for future years because we are anticipating --
23 we're expecting that the effect of work from home,
24 essentially, goes to zero. So, this, by definition,
25 means that the loss cost would be higher under the

1 new-work-from home adjustment.

2 MS. KARA MOORE: Thank you. And the
3 2025 GRA approach appears to result in a larger trend
4 for the same coverages?

5

6 (BRIEF PAUSE)

7

8 MR. KHURRAM MASUD: Can you repeat the
9 question?

10 MS. KARA MOORE: Yes. My question was
11 that the 2025 GRA approach appears to result in a
12 larger trend for the same coverages. Correct?

13

14 (BRIEF PAUSE)

15

16 MR. KHURRAM MASUD: I believe we are -
17 - what -- what we noticed in all the charts is green
18 line was always steeper. So, wouldn't that be a
19 larger trend?

20 MS. KARA MOORE: Yes, I believe we're
21 saying the same thing.

22 MR. KHURRAM MASUD: Okay.

23 MS. KARA MOORE: Yeah.

24 MR. KHURRAM MASUD: All right. All
25 right. I thought when you said -- you said 2025 GRA

1 work-from-home adjustment results in larger trend.

2 MS. KARA MOORE: Yes.

3 MR. KHURRAM MASUD: Okay. Okay. I
4 understand the question now.

5 MS. KARA MOORE: Yeah.

6 MR. KHURRAM MASUD: We are both --

7 MS. KARA MOORE: We're in agreement.

8 MR. KHURRAM MASUD: -- we are both
9 saying the same thing. Yes.

10 MS. KARA MOORE: Okay, so, as such,
11 the selection of the appropriate trend is dependent on
12 the selection of the mobility approach. Correct?

13 MR. KHURRAM MASUD: Yes, by
14 definition, yes.

15 MS. KARA MOORE: Thank you. I'll now
16 ask a few questions regarding Claims Expenses. If we
17 can pull up section EXP 4.1.1.

18 MS. CARA LOW: Could I just quickly
19 add one (1) thing?

20 MS. KARA MOORE: Absolutely.

21 MS. CARA LOW: As we talk about the
22 scaler model for the work from home, we have done some
23 analysis on the gas tax as supports the scaler model.
24 If you want us to take an undertaking, but --

25 MS. KARA MOORE: Sure. We'll take

1 that undertaking.

2 MR. ANTHONY GUERRA: I typically
3 advise them not to volunteer undertakings, but in this
4 particular case, we're happy to do that.

5 MS. KARA MOORE: Okay, thank you.

6

7 --- UNDERTAKING NO. 10: MPI to produce work-from-
8 home analysis done on the gas tax as
9 supports the scaler model.

10

11 CONTINUED BY MS. KARA MOORE:

12 MS. KARA MOORE: Okay. Thank you very
13 much. If we can look at section EXP 4.1.1., yes, we
14 have it here.

15 MPI establishes the incurred claims
16 allocator using a 4-year rolling average based on the
17 proportion of incurred claims for each line of
18 business relative to the incurred claims expected
19 corporate wide. Correct?

20 MS. CARA LOW: Correct.

21 MS. KARA MOORE: And if we can go to
22 figure -- it -- it -- just below figure EXP 36.

23 This figure shows that MPI will
24 allocate a larger proportion of corporate expenses to
25 the Basic line of business in the 2026 GRA, as

1 compared to that forecast in the 2025 GRA.

2 MS. CARA LOW: I do see this, but I
3 don't -- this comes from our Finance team, so I may
4 run into a limit of how much I know here.

5 MS. KARA MOORE: Okay. And it's about
6 a -- I mean I think if we're just looking at the
7 table, we can agree it's about a 1.7 to 1.9 percent
8 higher proportion of the corporate expenses?

9 MS. CARA LOW: Agreed. Yeah.

10 MS. KARA MOORE: Great. If we can go
11 to section RI 2.2 of the Application, and, yeah, at
12 the top of page 11 there.

13 It reads:

14 "To determine the ULAE ratio, MPI
15 calculated the forecasted paid-to-
16 paid ULAE ratios for 2026 through
17 2029."

18 Correct?

19 MS. CARA LOW: Correct.

20 MS. KARA MOORE: And just for the
21 record, ULAE stands for Unallocated Loss Adjustment
22 Expense?

23 MS. CARA LOW: Correct. They are
24 expenses related to settling claims. They're not
25 attached to very specific claims. So, it would be the

1 salary of an adjuster would be example.

2 MS. KARA MOORE: Thank you. And the
3 paid claims expense was based on the Incurred Claims
4 Allocator?

5 MS. CARA LOW: That is my
6 understanding, yes.

7 MS. KARA MOORE: Thank you. And if we
8 can look at, still on part 8, RI Appendix 2, table 3.

9

10 (BRIEF PAUSE)

11

12 MS. KARA MOORE: I think it's another
13 Excel spreadsheet, Ms. Dweh.

14

15 (BRIEF PAUSE)

16

17 MS. KARA MOORE: And is this table 3?

18

19 MR. KHURRAM MASUD: Yes.
20 MS. KARA MOORE: Okay. Thank you.

21 So, again, we're just on RI Appendix 2, table 3. This
22 table shows the paid claims expense on row 12 for each
23 fiscal year and calculates a weighted average claims
24 expense ratio of 13 percent. Correct?

25 MS. CARA LOW: Correct. Yes.

MS. KARA MOORE: And, sorry, I said

1 row 12 for the paid claims expense, but it's row 13,
2 just for the record. Okay, sorry, Ms. Dweh, after all
3 that work we can close out of this now. We're going
4 to go to PUB/MPI-2-57.

5

6 (BRIEF PAUSE)

7

8 MS. KARA MOORE: Looking at question
9 'A'. This question asked MPI to indicate how it takes
10 changes in coverage into consideration when
11 calculating the Claims Incurred Allocator. Correct?

12 MS. CARA LOW: Correct.

13 MS. KARA MOORE: And we'll just go to
14 your response. And we might have to zoom out a little
15 bit so that you can see it. I'm not going to read it
16 in, if you can just review it to yourself quickly and
17 then I'll ask a follow-up question.

18

19 (BRIEF PAUSE)

20

21 MS. KARA MOORE: Can you please
22 confirm that the current ICAM approach does not take
23 into consideration changes in coverage?

24 MS. CARA LOW: I confirm that.

25 MS. KARA MOORE: And if we scroll back

1 up to question 'B', MPI was asked to adjust Historical
2 Claims for known changes in coverage and provide the
3 Alternative claims Incurred Allocator for Basic, and
4 also to provide the alternative expense and all -- a
5 number of figures.

6 And if we can scroll down to the
7 response. So, we're actually just going to scroll to
8 the last paragraph there. It reads, you -- you've --
9 you've of course answered the Information Request and
10 then it reads:

11 "Therefore, while MPI cannot rerun
12 Historical Claims Incurred under
13 new product change, it has
14 provided the forward-looking
15 impacts in this filing to show the
16 impact on future claims
17 experience, which is the accurate
18 and relevant basis for
19 evaluation."

20 Correct?

21 MS. CARA LOW: I do see that.

22 MS. KARA MOORE: And if we can scroll
23 back up to question 'C'. MPI was asked to use
24 projected claims during the test year for each line of
25 business, instead of Historical Weighted Average

1 Claims and provide the change in the Claims Incurred
2 Allocator for Basic. And, then again, to provide the
3 Alternative Expense and the alternative figures.

4 Correct?

5 MS. CARA LOW: Correct.

6 MS. KARA MOORE: And if we scroll down
7 to figure 2. This was the updated figure, RI-13, and
8 at line 17, it shows that the required rate indication
9 would be 1.69 percent, which is a decrease of 0.38
10 percent from the 2026 GRA value of 2.07 percent.

11 Correct?

12 MS. CARA LOW: Correct.

13 MS. KARA MOORE: And this is due to a
14 decrease of one dollar ninety-eight cents (\$1.98) in
15 the variable claims expense per unit, which is at line
16 4. And it's listed here as being a hundred two
17 dollars and thirty-six cents (\$102.36).

18 And that's down from a hundred four
19 dollars and thirty-four cents (\$104.34) in the
20 original RI-13?

21 MS. CARA LOW: Subject to check. Yes.

22 MS. KARA MOORE: Thank you. This
23 would, therefore, correspond to a reduction in the
24 weighted average claims expense ratio to about 12.75
25 percent. Correct? And what I'm doing there is line 4

1 divided by line 2. So, the 102.36 divided by 802.64,
2 it brings us to 12.75.

3 MS. CARA LOW: We would agree with
4 that.

5 MS. KARA MOORE: Thank you. So, if
6 the ICAM was based on projected claims, which would
7 consider changes in coverage instead of a four-year
8 rolling average, which does not consider changes in
9 coverage, the corporate expenses allocator to Basic
10 would be less, and the rate indication for Basic would
11 be 0.38 percent less. Correct?

12 MS. CARA LOW: Correct.

13 MS. KARA MOORE: Thank you. So, my
14 last area of questioning is going to be a series of
15 questions that were deferred from yesterday's
16 financial forecasting panel to today's panel. So,
17 I'll start with the Extension impact of the Basic
18 deductible change.

19 MPI will charge a premium to customers
20 to purchase the additional Extension buy-down to cover
21 the layer between seven hundred and fifty (750) and a
22 thousand dollars (\$1,000). Correct?

23 MR. KHURRAM MASUD: That's correct.
24 Yes.

25 MS. KARA MOORE: And this coverage did

1 not exist at the time of the 2025 GRA.

2 MR. KHURRAM MASUD: Are you referring
3 specifically to the new product that we will create,
4 the seven fifty dollars (\$750).

5 MS. KARA MOORE: Correct.

6 MR. KHURRAM MASUD: But -- yes --

7 MS. KARA MOORE: A thousand dollars
8 (\$1,000).

9 MR. KHURRAM MASUD: Under Extension
10 seven fifty dollars (\$750).

11 MS. KARA MOORE: Right. Okay. Yes.
12 The seven fifty (750). Yeah.

13 MR. KHURRAM MASUD: That's correct.
14 It will also impact the premium of the other
15 deductible buy-downs because they will now cover from,
16 for example, two hundred dollars (\$200) will now come
17 from two hundred (200) to a thousand dollars (\$1,000).

18 MS. KARA MOORE: Thank you. And the
19 premium forecast in the 2025 GRA compliance filing,
20 therefore, did not include any premiums for this new
21 coverage. Correct?

22 MR. KHURRAM MASUD: That's correct.
23 Yes.

24 MS. KARA MOORE: The total premium for
25 2026/'27 did not change materially in the 2026 GRA

1 after MPI added in the additional coverage. Correct?

2 MR. KHURRAM MASUD: Correct. Because
3 the rate change, we are anticipating now, is the
4 selected rate change for Extension remains to be 2
5 percent.

6 MS. CARA LOW: And to clarify, that's
7 2 percent for the line of business. We're still
8 working through by product and by levels within each
9 product.

10 MR. KHURRAM MASUD: It's still based
11 on preliminary rate indication. So, the full work of
12 Extension rate indication is still underway.

13 MS. KARA MOORE: Okay. And so, in
14 order for this to occur, whatever amount was
15 previously forecast for existing coverages would have
16 to have been reduced by the amount that MPI will
17 charge for the seven hundred and fifty (750) to one
18 thousand dollar (\$1,000) layer. Correct?

19 MR. KHURRAM MASUD: In addition, we
20 also revisited the claims forecast. So, the claims
21 forecast, compared to GRA compliance filing last year
22 has reduced under Extension,

23 MS. KARA MOORE: But you did have to
24 reduce the premiums for the other coverages. Correct?

25 MR. KHURRAM MASUD: In order to still

1 stay at 2 percent rate change for Extension?

2 MS. KARA MOORE: Yes.

3 MR. KHURRAM MASUD: Not necessarily
4 because the claims forecast has reduced for Extension
5 from compliance filing last year to now. So, we
6 require a lower rate increase.

7 MS. KARA MOORE: If there had been no
8 change in the Basic deductible in the 2026 GRA, would
9 the Extension premium forecast for 2026/'27 have been
10 lower than the level of the 2025 GRA compliance
11 filing?

12 MR. KHURRAM MASUD: That is correct.

13 MS. CARA LOW: If -- similar to how we
14 keep improving our claim forecasting for Basic, we've
15 done the same for Extension and we're doing it by
16 product now, the physical damage buy-down is by far
17 the largest product, but there's many other products
18 in there, too.

19 MS. KARA MOORE: If we could go to
20 Information Request CC/MPI-1-31. We will look at
21 question 'A'.

22 MPI was asked to prepare a detailed
23 analysis by coverage showing the reduction in claims
24 incurred for Basic insurance and the increase in
25 claims incurred for Extension insurance for the

1 2026/'27 rating year. Correct?

2 MR. KHURRAM MASUD: That's correct.

3 Yes.

4 MS. KARA MOORE: And if we scroll down
5 to the response. By bringing the additional
6 deductible exposure into Extension, it includes 29.8
7 million of claims. Correct?

8 MR. KHURRAM MASUD: Right. I would
9 like -- also like to see the exhibit underneath.

10 Could we go to that?

11 MS. KARA MOORE: Yeah. Please scroll
12 down, the figure.

13

14 (BRIEF PAUSE)

15

16 MR. KHURRAM MASUD: Not the entire
17 24.4 will flow into Extension because there are some
18 vehicles who don't qualify for all that is deductible.

19 MS. CARA LOW: The savings on Basic is
20 24.4 million and what we'll go over to Extension is
21 29.8 million because what we're seeing with the
22 property damage deductible transfer, that doesn't
23 impact the Extension. So, it's not a dollar for
24 dollar.

25 MS. KARA MOORE: Thank you. If we can

1 now go to PUB/MPI-1-70. We'll look at the response to
2 this Information Request.

3 And in the third paragraph, it says
4 that:

5 "For 2026/'27 and onward,
6 Extension profitability was
7 revised lower to account for the
8 actual results experienced in the
9 fiscal 2024/'25, along with the
10 impact to Extension incurred
11 claims from the Basic deductible
12 increase."

13 Correct?

14 MR. KHURRAM MASUD: Correct.

15 MS. KARA MOORE: By not changing the
16 total Extension premium, MPI has reduced the net
17 income of Extension for the 2026/'27 rating year from
18 what it would otherwise be by a comparable amount.

19 Correct?

20 MR. KHURRAM MASUD: That's correct,
21 yes.

22 MS. KARA MOORE: Okay. So, switching
23 gears entirely now to reinsurance. With respect to
24 catastrophe reinsurance, there was -- and I can bring
25 you to a reference if you needed. There was a

1 previous 67.1 percent allocation of the catastrophe
2 program to Basic. Do you recall that?

3 MS. CARA LOW: I do recall that, yes.

4 MS. KARA MOORE: And what was the
5 rationale for that -- that amount?

6 MS. CARA LOW: It was based on premium
7 for comprehensive coverage because comprehensive is a
8 weather event, and that was true for Basic and for
9 Extension. But for some historical reason for SRE
10 included collision as well. So, it was premium base,
11 comprehensive for the most part, but SRE collision was
12 also included for the weighting.

13 MS. KARA MOORE: Okay. And if we can
14 pull up figure REV-33. Thank you, Ms. Dweh.

15 The revised allocation and change in
16 overall catastrophe premium resulted in changes to the
17 catastrophe program premiums allocated to Basic by
18 layer. Correct?

19 MS. CARA LOW: Correct.

20 MS. KARA MOORE: Would it be fair to
21 say that the largest increase was for the 80 million
22 excess of the 70 million layer at line 3?

23 MS. CARA LOW: Correct.

24 MS. KARA MOORE: Was this increase,
25 which was larger than the increase for the other

1 layers, due to an increase in the overall catastrophe
2 premium charged to MPI for this layer, or due to a
3 change in the allocation for this layer?

4 MS. CARA LOW: A little bit of both.
5 We did have -- not only did we have the largest
6 hailstorm in 2023, we had a hard time figuring out the
7 cost of that hailstorm because of late reporting.

8 So, we had quite a bit of prior year
9 deficiency, and we're -- we think we have a good
10 estimate now, but it took us a couple of years to get
11 a really solid estimate.

12 MS. KARA MOORE: Thank you. And if
13 we'll just scroll down on this page to figure REV-34.

14 This figure shows the casualty program
15 re-insurance premiums. Correct?

16 MS. CARA LOW: Correct.

17 MS. KARA MOORE: And it shows that
18 the 10 million -- excess of 10 million layer was not
19 renewed.

20 Was -- was this due to claims which
21 affected the layer and the resulting increase in
22 premiums requested by the reinsurers, or was it a
23 decision by MPI to increase risk tolerance for
24 exposure?

25 MS. CARA LOW: A lot of that was

1 because of the SRE, which is mainly the long-haul
2 trucking book of business. We no longer offer third-
3 party liability limits in excess of 10 million because
4 we had some nuclear verdicts coming out of the US.

5 So, we still assist our biggest
6 customers in purchasing reinsurance, if they want more
7 than 10 million, especially if they're crossing into
8 the US; but we don't need to buy reinsurance because
9 we're not selling that anymore.

10 So -- and that's why the allocation
11 changed because we're allocating some of those costs
12 over to SRE and they no longer even have that risk.
13 So those SRE customers shouldn't be paying for that
14 reinsurance treaty. So, it's a hundred percent
15 allocated now over to the Basic. And so, it's only
16 for over \$20 million.

17 So, these are sleep-at-night coverage -
18 - this is a sleep-at-night coverage for those humble
19 type of claims or, you know, if someone runs into the
20 Santa Claus Parade and we have a lot of injured young
21 folks.

22 MS. KARA MOORE: And the layer 30
23 million excess of 20 million at line 2 appears to have
24 increased substantially for Basic.

25 How much of the overall premium for

1 this layer increased?

2 MS. CARA LOW: This would be mainly
3 due to the reallocation from the SRE book of business.

4 MS. KARA MOORE: So, I'll ask and this
5 will likely be -- will require to be answered by
6 Undertaking.

7 The question that I have is: How many
8 individual claims in Basic have exceeded 10 million to
9 date?

10 MS. CARA LOW: I believe there's been
11 two (2).

12 MS. KARA MOORE: Two (2). Okay. And
13 how many individual claims in Basic have exceeded \$20
14 million to date?

15 MS. CARA LOW: None.

16 MS. KARA MOORE: None.

17 MS. CARA LOW: But the casualty treaty
18 is per occurrence. So, it would be how many people
19 are injured in a particular incident, too, right.

20 MS. KARA MOORE: Would the answer --
21 with that information, would the answer still be two
22 (2) and none?

23 MS. CARA LOW: Apparently, they did
24 check yesterday and we thought it was two (2).
25 There's three (3) that exceeded 10 million and none

1 over 20 million.

2 MS. KARA MOORE: Thank you for that
3 correction. I have no further questions for this
4 panel.

5 PANEL CHAIRPERSON: Thank you, Ms.
6 Moore. Ms. Dilay, we are at roughly 10 to 12:00. Do
7 you want to carry on now or adjourn for lunch and
8 maybe we come back a little bit earlier?

9 MS. KATRINE DILAY: Just given my
10 first area of questioning, it might make sense to
11 break now and -- and start after lunch.

12 PANEL CHAIRPERSON: Okay. Can we
13 please come back at quarter to 1:00. Thank you.

14

15 --- Upon recessing at 11:52 a.m.

16 --- Upon resuming at 12:45 p.m.

17

18 PANEL CHAIRPERSON: Good afternoon.
19 Ms. Dilay...?

20 MS. KATRINE DILAY: Thank you, Madam
21 Chair, and good afternoon.

22

23 CROSS-EXAMINATION BY MS. KATRINE DILAY:

24 MS. KATRINE DILAY: I know I've met
25 some of you before, but just by way of reminder, my

1 name is Katrine Dilay, along with my colleague,
2 Victoria Cloutis. We're here on behalf the Consumers
3 Coalition.

4 I do have a number of questions for
5 you. Similar to Ms. Moore, I'll ask it of -- I'll ask
6 my questions of the Panel generally, and whoever's
7 best suited, feel free to jump in.

8 We'll start. You'll agree that MPI
9 aims to be as accurate as possible in its claims
10 forecast?

11 MS. CARA LOW: I would agree.

12 MS. KATRINE DILAY: In order to do
13 this, MPI aims to have a robust claims forecasting
14 methodology?

15 MS. CARA LOW: Yes.

16 MS. KATRINE DILAY: And this is
17 because MPI's claims forecast for the relevant
18 accident years are used for determining the indicated
19 rates for the rating year itself, correct?

20 MS. CARA LOW: Correct.

21 MS. KATRINE DILAY: And MPI continues
22 to enhance its claims forecasting analysis?

23 MS. CARA LOW: Correct.

24 MS. KATRINE DILAY: Including by
25 reviewing existing forecasting methodologies and

1 assumptions?

2 MS. CARA LOW: Correct.

3 MS. KATRINE DILAY: And adapting these
4 to improve accuracy while adhering to industry best
5 practices, correct?

6 MS. CARA LOW: Correct, and actuarial
7 standards of practice.

8 MS. KATRINE DILAY: Thank you. And
9 you'll agree that one (1) reason to improve accuracy
10 in claims forecasting is to avoid significant rate
11 fluctuations for customers?

12 MS. CARA LOW: The hope would be that
13 would create some stability in rating.

14 MS. KATRINE DILAY: Because if a given
15 forecast turns out to be much less or much more than
16 actuals, MPI will need to adjust rates for the
17 following year, correct?

18 MS. CARA LOW: Correct. Yes.

19 MS. KATRINE DILAY: Which will have an
20 impact on ratepayers, correct?

21 MS. CARA LOW: Correct.

22 MS. KATRINE DILAY: And as part of a
23 robust claims forecasting methodology, MPI remains
24 informed of broader trends relating to vehicle
25 repairs?

1 MS. CARA LOW: Yes.

2 MS. KATRINE DILAY: Because these
3 trends may impact the cost of claims going forward?

4 MS. CARA LOW: Yes.

5 MS. KATRINE DILAY: And because these
6 trends in vehicle repairs could impact the accuracy of
7 MPI's forecast going forward, correct?

8 MS. CARA LOW: Correct.

9 MS. KATRINE DILAY: So, it's fair to
10 say that MPI does research on factors that will
11 potentially impact collision severity or frequency in
12 the future, correct?

13 MS. CARA LOW: Correct.

14 MS. KATRINE DILAY: And in terms of
15 what that research looks like, does MPI prepare
16 research papers or briefing memos regarding the
17 research that they do that can -- regarding
18 potentially -- potential impacts on collision severity
19 or frequency?

20 MR. JOHN BOWERING: We don't prepare
21 memos and briefings. No. But we do participate with
22 our peers, the other insurance Crowns. We do go to
23 industry events to keep on top of what's going on in
24 the industry, so it's -- it's education and awareness.

25 And then we partner with our -- our

1 trade partners, our -- our vendors such as Mitchell
2 and Car Part (phonetic) that are our key vendors that
3 are -- are across North America, and we gain a lot of
4 insight from them.

5 MS. KATRINE DILAY: Thank you for
6 that. So, given that -- what you've described in
7 terms of gaining insights and conducting research in
8 those ways, how would that research and those insights
9 then be incorporated into the claims forecasting
10 methodology?

11 MR. KHURRAM MASUD: So, the claims
12 forecasting, the process is a collaborative process
13 where whenever we make selections, whether it's
14 related to past data or future forecast trends, we
15 collaborate with the claims teams to understand what's
16 happening on the ground and inputs from John and his
17 team are essential part of our trend selection for the
18 future.

19 MS. KATRINE DILAY: And given that
20 there's no research papers or briefing memos, this
21 would be done mostly through verbal discussions?

22 MR. JOHN BOWERING: We have a standing
23 monthly meeting where both teams come together and
24 review any trends, any changes that are going on, and
25 we give updates from all the different areas. So, we

1 understand what is the, you know -- and we can be a
2 key input to -- to the ratemaking team.

3 MS. KATRINE DILAY: Thank you. You'll
4 agree that staying informed of broader trends in
5 vehicle repairs can help MPI identify drivers of
6 increases in claims costs?

7 MR. KHURRAM MASUD: Correct, yes.

8 MS. KATRINE DILAY: Which in turn can
9 help MPI identify tools that could assist in
10 mitigating the impact of increases in claims costs?

11 MR. JOHN BOWERING: I guess I -- I see
12 what you're saying, but I don't know if I would -- I
13 would phrase it that way. Much of how we repair
14 vehicles and proper repair is dictated -- is provided
15 by the original equipment manufacturers. So, as
16 vehicles have become more complicated over the years,
17 it's less about a smart mechanic figuring it out.

18 And now they have computers at the
19 workstations that tell them, this is how you fix this
20 damage and this is what you need to do, these are the
21 parts you need to pull off.

22 So, it's less about MPI doing research
23 on how to repair a vehicle because that doesn't really
24 make sense in -- in the way the world has gone over
25 the past few years.

1 Toyota tells you exactly how to fix the
2 -- the magnesium and the aluminum where they meet on a
3 Toyota vehicle. That's -- so, we -- we follow those
4 proper repair procedures.

5 So, our focus becomes ensuring that all
6 of our repair shops -- accredited repair shops have
7 the right information and are following those
8 procedures that are in place.

9 So, when you talk about proper repair,
10 that's the proper repair that we're -- we're more
11 enforcing and not creating. And we're not doing our
12 own research on how to fix vehicles because this
13 problem has been solved industrywide by the -- the
14 reality of how the OEMs put out their -- their proper
15 repair procedures.

16 MS. KATRINE DILAY: Thank you. And
17 so, I think what -- what we're hearing in terms of
18 your answer is that, in terms of increasing repair
19 costs, a lot of that MPI would see as outside of its
20 control, correct?

21 MR. JOHN BOWERING: And -- and we
22 don't blindly follow whatever they say. We certainly
23 do review what the latest procedures are and we have
24 discussions with our peers. For example, some OEMs
25 suggest you can only use their OEM parts for -- for

1 replacement, and we won't necessarily follow that.

2 But when it comes to safety, when it
3 comes to how to properly deal with the complexity
4 that's in vehicles today, much of that is coming
5 directly from the OEMs.

6 MS. KATRINE DILAY: Thank you for
7 that. And I -- I may have a couple of follow-ups, but
8 I think we'll keep going for now. And we may come
9 back to that point.

10 At a high level, you'll agree that a
11 strategic approach to containing claims costs is
12 desirable?

13 MR. JOHN BOWERING: Sorry, say that
14 one (1) more time.

15 MS. KATRINE DILAY: At a high level,
16 you'll agree that a strategic approach to containing
17 claims costs is desirable?

18 MR. JOHN BOWERING: Agree.

19 MS. KATRINE DILAY: And that's because
20 any reduction or containment of claims costs could
21 lead to a reduction in MPI costs, which could be
22 passed on to customers?

23 MR. JOHN BOWERING: Absolutely.
24 That's our focus.

25 MS. KATRINE DILAY: For example, in

1 the form of lower rates than otherwise could be?

2 MR. JOHN BOWERING: Agree.

3 MS. KATRINE DILAY: You'll agree that
4 staying informed of broader trends in vehicle repairs
5 and costs may involve looking outside of Manitoba?

6 MR. JOHN BOWERING: Agreed.

7 MS. KATRINE DILAY: And includes
8 looking at relevant national and international
9 Research on trends in vehicle repairs and costs?

10 MR. JOHN BOWERING: Agree.

11 MS. KATRINE DILAY: Would it also
12 include being aware of innovations relating to
13 mitigating claims costs in other jurisdictions, both
14 national and international?

15 MR. JOHN BOWERING: Yeah, agree.

16 MS. KATRINE DILAY: Including looking
17 at what innovations are working and which ones are not
18 working?

19 MR. JOHN BOWERING: Agree.

20 MS. KATRINE DILAY: And indeed, I'm
21 not sure if you were -- if you were listening, but we
22 heard from Ms. Fraser last week about the research
23 that MPI does to investigate new and cost-effective
24 vehicle repair techniques, tools, and equipment for
25 use by Manitoba collision repair shops.

1 Do you recall that?

2 MR. JOHN BOWERING: Yes, I was -- I
3 was there, yeah.

4 MS. KATRINE DILAY: Thank you. I'm
5 not sure if this is possible, but would MPI be able to
6 provide a few samples of that type of research as an
7 undertaking?

8 MR. JOHN BOWERING: I -- I think from
9 what I remember, she was describing that we are
10 researching all -- are the shops properly implementing
11 the procedures that have been defined, not researching
12 those procedures themselves. We -- we're not -- we're
13 second guessing the OEMs. We are researching on how -
14 - how best to implement that process across our -- our
15 network of repair shops. That was my recollection.

16 MS. KATRINE DILAY: Thank you. Can we
17 please turn to Part 7 of the GRA claims forecasting at
18 page 17, please? And I believe we will -- we'll look
19 at a figure that we looked at this morning, but just
20 to confirm again, a few of the numbers. Thank you,
21 Ms. Dweh.

22 So, here in Figure CF-3 that we have
23 before us, we see the comparison of projected ultimate
24 total losses between the 2025 GRA and the 2026 GRA for
25 the rating year 2026/'27, correct?

1 MR. KHURRAM MASUD: That's correct.

2 MS. KATRINE DILAY: And if we look at
3 the bottom, that is the total for Basic, correct?

4 MR. KHURRAM MASUD: Yes.
5 MS. KATRINE DILAY: And if we look at
6 the very bottom right, we see that the total is higher
7 in the 2026 GRA by 4.91 percent, correct?

8 MR. KHURRAM MASUD: Yes.
9 MS. KATRINE DILAY: And looking at the
10 breakdown between coverages towards the middle of the
11 chart and in the -- the column to the far right under
12 difference, percentage difference, we see that
13 collision -- and the percentage difference for
14 collision in Line 5 is 4.68 percent --

15 MR. KHURRAM MASUD: Yes.

16 MS. KATRINE DILAY: -- correct?

17 MR. KHURRAM MASUD: Correct.

18 MS. KATRINE DILAY: And it would be
19 fair to say that the collision coverage represents the
20 largest driver of the total Basic ultimate total
21 losses, correct.

22 MR. KHURRAM MASUD: Yes.

23 MS. KATRINE DILAY: And turning to
24 CC/MPI-1-30, please. And so, at a high level here, if
25 we look at the preamble, you'll agree that the

1 Consumers Coalition here was asking about the main
2 drivers of the increase in the claims forecast between
3 the 2025 GRA and the 2026 GRA?

4 MR. KHURRAM MASUD: Yes, specifically
5 for these five (5) coverages in this IR.

6 MS. KATRINE DILAY: Yes. Thank you.
7 And looking at Part C of the questions, here the
8 Consumers Coalition asked to provide a narrative
9 discussion on how MPI might mitigate such significant
10 variances in its year-over-year forecasts going
11 forward.

12 Do you see that?

13 MR. KHURRAM MASUD: I see that.

14 MS. KATRINE DILAY: And then turning
15 to the response, which is at the bottom of page 4, and
16 looking at the second paragraph, MPI says there that
17 its experience since 2020 accident year has not been
18 stable.

19 You see that reference?

20 MR. KHURRAM MASUD: I see that.

21 MS. KATRINE DILAY: And then MPI
22 refers to the experience from the COVID-19 lockdowns
23 and ends this -- the response by indicating:

24 "MPI will continue to engage in
25 internal discussions and with

1 industry experts to formulate a
2 view on claims forecasting
3 experience."

4 You see that reference?

5 MR. KHURRAM MASUD: I see that.

6 MS. KATRINE DILAY: And to clarify,
7 does this last sentence refer specifically to the
8 experience relating to driving behavior post-COVID or
9 does it also refer more broadly to trends and claims
10 costs?

11 MR. KHURRAM MASUD: More broadly,
12 including the effects of pandemic, but this statement
13 is not specific to COVID only.

14 MS. KATRINE DILAY: Thank you. And
15 so, it would include broader trends relating to
16 vehicle repair costs, for example?

17 MR. KHURRAM MASUD: That is correct,
18 yes.

19 MS. KATRINE DILAY: Thank you. Could
20 we please turn to CC/MPI-2-10? Thank you. And if we
21 look to the question to Part E at the bottom of this
22 page here, the Consumers Coalition asked MPI to file
23 any recent reports from insurance industry
24 organizations -- and then there's a few examples in
25 parentheses -- on guidance relating to potential auto

1 loss experiences relating to the future of auto repair
2 costs, if any.

3 You see that -- that question?

4 MR. KHURRAM MASUD: Yes, I see that.

5 MS. KATRINE DILAY: And going down to
6 the response on page 4. I think it should be lower
7 down in page 4. Thank you.

8 MPI indicated there that it is not
9 aware of any recent reports available from insurance
10 industry partners that are being leveraged to provide
11 guidance relating to potential auto loss experiences
12 relating to the future of auto repair costs.

13 You see that response?

14

MR. KHURRAM MASUD: Yes.

15 MS. KATRINE DILAY: And I'm wondering
16 if we could put on the screen a website page for RCAR
17 spelled R-C-A-R, please.

18 And just while that's being pulled up -
19 - thank you -- I did provide a heads up to your --
20 your counsel that I might be referring to this.

21 Were you provided that information?

22 MR. JOHN BOWERING: I did get a quick
23 look at it, yes.

24 MS. KATRINE DILAY: Great. And I
25 won't be asking, you know, in-depth questions of the

1 website. But at a high level, is MPI familiar with
2 this organization.

3 MR. JOHN BOWERING: So, I -- I did
4 some quick research this morning. This is before my
5 time, but MPI was a member of RCAR up until 2020.

6 MS. KATRINE DILAY: Yes. Thank you.
7 And we heard from Ms. Fraser indeed last week that MPI
8 is no longer a member of RCAR.

9 That's also your understanding?

10 MR. JOHN BOWERING: That's correct.

11 MS. KATRINE DILAY: And if we could go
12 to the -- perfect -- Just lower down on this page.
13 Great.

14 So, this is where the purpose of RCAR,
15 R-C-A-R, is listed. And so, would it be your
16 understanding that RCAR's purpose is to reduce the
17 human and economic costs of motor vehicle losses, and
18 this is done through research, into improved vehicle
19 damage resistance, repairability, security, and
20 safety.

21 You see that on the screen?

22 MR. JOHN BOWERING: Yeah. My
23 understanding is that RCAR in sort of the pipeline of
24 -- of vehicle development and, you know, crash testing
25 vehicles, that they help sort of deciding what should

1 be tested by someone, like the -- some of the --
2 there's some American ratings groups that give ratings
3 on vehicles.

4 They could use some inputs from RCAR to
5 decide what they should be testing. And then they can
6 inform the public about the safety ratings on various
7 vehicles. That's my limited understanding.

8 MS. KATRINE DILAY: Thank you. And
9 maybe we'll -- we'll look on the -- the right side of
10 the page under, "What does RCAR do," just to dig a
11 little bit into that.

12 So, in terms of their activities,
13 you'll confirm your understanding that RCAR is an
14 International Association of Automotive Research
15 Centres owned or operated by insurer or groups of
16 insurers whose primary goal is to support the RCAR
17 purpose.

18 This is achieved by research into
19 improved vehicle damage resistance, repairability,
20 security, and safety. And currently RCAR has twenty-
21 two (22) members spanning eighteen (18) countries in
22 five (5) continents.

23 You see that?

24 MR. JOHN BOWERING: I do.

25 MS. KATRINE DILAY: And if we look

1 just at the next paragraph, it states that:

2 "RCAR issues policy statements,
3 design guides, position papers,
4 and other information for use by
5 those involved in designing,
6 constructing, repairing, or
7 Insuring motor vehicles."

8 You see that?

9 MR. KHURRAM MASUD: I do, yes.

10 MS. KATRINE DILAY: And it also says:

11 "This research is then used as a
12 starting point to enter into
13 meaningful dialogue with vehicle
14 manufacturers and others about
15 putting that research to practical
16 use."

17 You see that?

18 MR. JOHN BOWERING: I do.

19 MS. KATRINE DILAY: Does MPI review
20 the research outputs from RCAR or other similar
21 publications to inform both its claims forecasts and
22 how MPI can mitigate increases in claims costs?

23 MR. JOHN BOWERING: So, my
24 understanding is they're taking this information --
25 again, my limited understanding -- they're taking this

1 information and they're trying to help auto
2 manufacturers change how they manufacture vehicles.

3 So, I guess down the chain eventually
4 that data would work into safer vehicles, which then
5 would lower our severity. And we would see that in
6 our loss experience ratios.

7 But I think there's a bit of a gap
8 between this early research for vehicle design and us
9 setting rates based on the fleet of vehicles that we
10 have.

11 So, that's a long way of saying I'm not
12 personally reviewing the RCAR, but I don't know if I
13 see a direct connection in this pipeline, unless I'm
14 misunderstanding.

15 MS. KATRINE DILAY: No, this is
16 helpful. But you do -- you -- you -- it's your
17 understanding that MPI was a member of RCAR in the
18 past?

19 MR. JOHN BOWERING: In the past, yes.

20 MS. KATRINE DILAY: And would it have
21 been your understanding, or your assumption, that MPI
22 would have been a member of RCAR to try to influence
23 auto manufacturers?

24 MR. JOHN BOWERING: I -- I can't say
25 for certain. I wasn't around at that point when they

1 were involved in it, or at least not involved in this
2 part -- part of the Corporation.

3 MS. KATRINE DILAY: Thank you.

4 MR. JOHN BOWERING: One (1) second.

5

6 (BRIEF PAUSE)

7

8 MR. JOHN BOWERING: Sorry about that.

9 We're just -- we -- we use -- the Insurance Bureau of
10 Canada puts out CLEAR rate group tables that help us
11 understand the safety of vehicles.

12 So again, much upstream of that would
13 be the vehicle manufacturers taking this RCAR
14 information, then they would see what the loss
15 experiences are of those vehicles. And that would be
16 inputted into the Insurance Bureau of Canada's
17 database, which we would intake.

18 So, while we don't have any evidence
19 that we directly used that, and -- and from the quick
20 chat, even when we were a member, that we were
21 directly using that, you could argue that there is an
22 indirect route that it does make it into -- into our
23 ratemaking after a few hops.

24 MS. KATRINE DILAY: Thank you. But
25 you'd agree that currently MPI is not entering into

1 discussions with auto manufacturers regarding
2 improving the repairability of cars?

3 MR. JOHN BOWERING: I mean, we -- we
4 have sessions. We had a working group this spring
5 with -- where we had some of the other Crown insurance
6 companies come together, and Toyota was there
7 presenting.

8 And we mentioned, you know, concerns
9 with some of their pieces, but I don't know if we're
10 directly influencing Toyota. Lexus was there, a few
11 of the groups were there. So, we are engaged in that,
12 but I don't know if it -- I don't know what -- what
13 impact Manitoba has in that regard.

14 MS. KATRINE DILAY: Thank you. And
15 we'll just stay on this website just -- just for one
16 more document. If we could go under the papers tab of
17 this website. Great. Thank you. And if we go under
18 the Design Guides section of this, just a bit lower
19 down the page. Thank you.

20 And do you see there the second
21 document under Design Guides called 'RCAR New
22 Repairability Design Guide'? Do you see that?

23 MR. JOHN BOWERING: Yes, I do.

24 MS. KATRINE DILAY: And is this a
25 document that you would be familiar with?

1 MR. JOHN BOWERING: I'm not, no.

2 MS. KATRINE DILAY: If we could just
3 look -- I'll just point you to a couple of excerpts
4 from the document just to confirm what the intention
5 is. So, if we could look at the document itself on
6 page 2 of that document.

7

8 (BRIEF PAUSE)

9

10 MS. KARA MOORE: Thank you. And if we
11 look at the forward here on page 2, about two-thirds
12 down the page, do you see the paragraph that starts
13 with "The contribution"?

14 MR. JOHN BOWERING: I do.

15 MS. KATRINE DILAY: And so, you'll see
16 reference to:

17 "The contribution of the guide to
18 car design is of the utmost
19 importance for manufacturers,
20 insurance companies, and consumers
21 because if cars are less costly to
22 repair, insurance premiums will be
23 lower, the cost of ownership of
24 the car cheaper, and therefore
25 cars will be more competitive in

1 the market."

2 You see that?

3 MR. JOHN BOWERING: I do.

4 MS. KATRINE DILAY: And then looking
5 at page 3 of this document, the last paragraph on page
6 3, you see there reference to:

7 "All the RCAR centres involved in
8 the development of this guide
9 intended to serve as a useful
10 bridge, linking insurers and
11 repairs with designers and
12 manufacturers, with the overall
13 goal of placing better cars in the
14 hands of consumers who are their
15 common customers."

16 You see that?

17 MR. JOHN BOWERING: I do.

18 MS. KARA MOORE: And so, would you
19 understand, based on those references, that the
20 purpose of this document is essentially to try to
21 influence auto manufacturers with respect to the cost
22 of repairing vehicles?

23 MR. JOHN BOWERING: I do.

24 MS. KATRINE DILAY: But again, you'll
25 confirm that this is not a document that you are

1 familiar with.

2 MR. JOHN BOWERING: That's correct.

3 MS. KATRINE DILAY: At a high level,
4 are you aware that some insurance companies have
5 insurer owned and operated collision centres?

6 MR. JOHN BOWERING: Yes.
7 MS. KATRINE DILAY: And if we could
8 just pull up one example from the company Aviva on the
9 screen, please.

10 And again, while that's being pulled
11 up, were you advised by your counsel that we may refer
12 to this in today's questions?

13 MR. JOHN BOWERING: I was.

14 MS. KARA MOORE: Thank you. And so,
15 is it your understanding that in this news release,
16 Aviva Canada is announcing that it is opening a
17 collision centre?

18 MR. JOHN BOWERING: Yes.
19 MS. KATRINE DILAY: And that customers
20 can choose to have their car repaired at this Aviva
21 Collision Centre? That's what it's announcing there?

22 MR. JOHN BOWERING: Yeah.

23 MS. KARA MOORE: And you'll confirm
24 your understanding that Aviva Canada is an insurance
25 company?

1 MR. JOHN BOWERING: I -- I agree.

2 MS. KATRINE DILAY: Which provides
3 auto insurance in certain provinces?

4 MR. JOHN BOWERING: Yeah.

5 MS. KARA MOORE: And in this news
6 release from 2023, Aviva is announcing here:

7 "The first centre to open its
8 doors in Toronto with more to open
9 in the Greater Toronto Area and
10 Alberta by the end of the year."

11 You see that?

12 MR. JOHN BOWERING: I do.

13 MS. KATRINE DILAY: And if we look at
14 the end, just under the bolded heading, we look at the
15 end of the second line, we see reference to:

16 "Once there, the customer can drop
17 off their vehicle and, if needed,
18 leave in a rental vehicle."

19 So, it would be your understanding that
20 this particular centre includes an onsite car rental
21 service as well based on this?

22 MR. JOHN BOWERING: Yep.
23 MS. KATRINE DILAY: Would you agree
24 that, under this model, the insurance company would
25 have more direct control over the parts, repairs, and

1 labour rates?

2 MR. JOHN BOWERING: I don't know if
3 they would. I mean, I'm happy to say that we have a
4 very similar model here right now. We have a direct
5 repair program where you can go directly -- once
6 you've opened your claim -- and you can do that online
7 -- you can go directly to one of the many repair shops
8 that are part of the direct repair program.

9 And it's, you know, branded direct
10 repair through MPI. The shops advertise this feature,
11 and then you can come in. Many of them have their own
12 repair -- or -- or rental companies that they will get
13 the vehicle ready for you right away.

14 We've had this Manitoba for years, and
15 so it's the same kind of customer convenience that we
16 offer today, but being a Crown Corporation, I think we
17 want to make sure that we're supporting the industry
18 across Manitoba.

19 And so, I think our mandate's a little
20 different than on the private side where it's about
21 differentiation and really trying to set yourself
22 apart. I think we still maintain the same controls
23 through our accreditation agreement, through our score
24 carding that we can control the costs.

25 And -- and we have an advantage as a

1 monopoly that we are a huge player in the industry.
2 And so that gives us some leverage to really manage
3 and control our costs around the different shops
4 without having to staff up and -- and do something
5 which probably isn't core to our mandate to be running
6 a repair -- a repair shop.

7 So, I think we kind of get the best of
8 both worlds in the model that we have right now at
9 MPI.

10 MS. KATRINE DILAY: Thank you. And so
11 just kind of going back one step, so MPI was aware of
12 the model being used by Aviva?

13 MR. JOHN BOWERING: Yeah. I've
14 actually talked to people from Aviva and TD. There's
15 a few that have tried this. I'm not sure if it's
16 growing. I remember just in anecdotal conversation
17 that there were some challenges with it, but I know
18 other -- other insurers are trying different things,
19 so yeah.

20 MS. KATRINE DILAY: Great. And that
21 was going to be my next question, whether you're aware
22 of other insurance companies turning to this model.

23 MR. JOHN BOWERING: I know some have
24 tried it. I haven't seen it, you know, explode across
25 the area, but I know some have tried this -- this

1 vertical integration.

2 MS. KATRINE DILAY: And has MPI looked
3 into the costs and benefits of this particular
4 approach?

5 MR. JOHN BOWERING: Not -- not with
6 any detail because I think we have a good working
7 model right now that checks a lot of the boxes that
8 are being described here.

9 MS. KATRINE DILAY: But you'd agree
10 it's possible that another model could check even more
11 boxes?

12 MR. JOHN BOWERING: It's possible.

13 MS. KATRINE DILAY: Thank you. At a
14 high level, are you aware that some insurers
15 communicate with their insured through their mobile
16 application to provide timely safety and weather
17 alerts, including advice on how to reduce the risk of
18 losses arising from weather events?

19 MR. JOHN BOWERING: I've heard of
20 this, yeah.

21 MS. KATRINE DILAY: Could one example
22 of that be an insurance company notifying of expected
23 hail and sending alerts to park cars in covered areas
24 or garages to reduce risk of hail loss?

25 MR. JOHN BOWERING: Yeah. Yes.

1 MS. KATRINE DILAY: Could another
2 example be an insurance company notifying of large
3 snowstorms or potential icy conditions during -- and
4 advise people to stay indoors and avoid unnecessary
5 trips until the storm has passed and roads have been
6 cleared?

7
8 MR. JOHN BOWERING: Yes.
9 MS. KATRINE DILAY: And all that in
10 order to avoid losses, correct?

11 MR. JOHN BOWERING: Correct.

12 MS. KATRINE DILAY: At a high level,
13 you would be aware of the use of usage-based insurance
14 to identify risky driving behavior to adjust premiums?

15 MR. JOHN BOWERING: Yes.
16 MS. KATRINE DILAY: And you would
17 agree that driving data can also be used as parts of
18 the -- as part of the claims investigation, correct?

19 MR. JOHN BOWERING: Correct.

20 MS. KATRINE DILAY: And again, at a
21 high level, you'll agree that, to support the delivery
22 of the personal injury protection plan, MPI must do
23 medical research, including on treatment plans and
24 pain treatment models, among other things?

25 MR. JOHN BOWERING: I don't think MPI
is mandated to do medical research. I think we work

1 with the medical experts to understand what's out
2 there, but I don't think we're doing the research
3 ourselves.

4 MS. KATRINE DILAY: Thank you for that
5 clarification. And working with the medical
6 professionals would be to ensure that MPI is providing
7 appropriate benefits to its insured?

8 MR. JOHN BOWERING: Correct.

9 MS. KATRINE DILAY: And also, in order
10 to effectively manage claims costs, correct?

11 MR. JOHN BOWERING: Correct.

12 MS. KATRINE DILAY: And this would
13 include looking at practices from other jurisdictions
14 and not just Manitoba?

15 MR. JOHN BOWERING: Correct.

16 MS. KATRINE DILAY: We'll be shifting
17 gears now, turning more to the claims forecasting
18 methodology, so I expect that Ms. Low and Mr. Masud
19 will likely jump in here.

20 So, I have a few questions which are
21 meant to confirm MPI's procedure for developing the
22 future accident year claims projections.

23 At a high level, you'll agree that MPI
24 estimates average claim cost for the 2026/'27 rating
25 year based on its projections for accident years

1 between April 1st, 2026, and March 31st, 2028?

2 MR. KHURRAM MASUD: That's correct.

3 MS. KATRINE DILAY: So, the accident
4 years, 2026/'2027 and 2027/'28 underlie the
5 projections for the rating year '26/'27, correct?

6 MR. KHURRAM MASUD: Yes.
7 MS. KATRINE DILAY: And at a high
8 level, you'll agree that, for each coverage, MPI
9 develops trends based on the results of a regression
10 analysis of adjusted historical loss costs?

11 MR. KHURRAM MASUD: That's correct.

12 MS. KATRINE DILAY: And you'll agree
13 that regression analysis is a statistical method that
14 attempts to determine the strength and character of
15 the relationship between one dependent variable and
16 one or more independent variables?

17 MR. KHURRAM MASUD: Yes.
18 MS. KATRINE DILAY: And one example of
19 a dependent variable would be frequency?

20 MR. KHURRAM MASUD: Yes.
21 MS. KATRINE DILAY: And another
22 example of a dependent variable would be severity,
23 correct?

24 MR. KHURRAM MASUD: Yes.
25 MS. KATRINE DILAY: And you would

1 agree that frequency and severity are not entirely
2 independent from one another?

3 MR. KHURRAM MASUD: Not entirely.
4 They are related, but there could be separate factors
5 influencing frequency and severity --

6 MS. KARA MOORE: Thank you.

7 MR. KHURRAM MASUD: -- that may be
8 independent.

9 MS. KARA MOORE: Thank you for that.
10 And an example of an independent variable could be
11 time?

12 MR. KHURRAM MASUD: Correct, yes.

13 MS. KATRINE DILAY: And a regression
14 model is able to show whether changes we see in the
15 dependent variable are associated with changes in one
16 or more of the independent variables?

17 MR. KHURRAM MASUD: Yes.

18 MS. KATRINE DILAY: And the regression
19 model does this by essentially fitting a best line --
20 sorry, a best fitted line and seeing how the data is
21 dispersed around this line, correct?

22 MR. KHURRAM MASUD: Correct. Best
23 fitted curve, I would say, 'cause it may not be a
24 straight line.

25 MS. KATRINE DILAY: Thank you. In

1 order for the regression results to be properly
2 interpreted, you will agree that there are several
3 assumptions about the data and the model itself that
4 have to be made?

5 MR. KHURRAM MASUD: That is correct.

6 MS. KATRINE DILAY: And then from
7 MPI's regression analysis, trend factors are
8 developed, correct?

9 MR. KHURRAM MASUD: That's right, yes.

10 MS. KATRINE DILAY: And the trend
11 factor that MPI develops from the results of the
12 regression analysis provides a measure of change over
13 time?

14

MR. KHURRAM MASUD: Yes.

15 MS. KATRINE DILAY: And the trend
16 factor is essentially telling the general direction
17 and magnitude that the data is taking during a
18 specific period of time, correct?

19 MR. KHURRAM MASUD: Yes.

20 MS. KARA MOORE: And MPI develops a
21 past trend as well as a future trend, correct?

22 MR. KHURRAM MASUD: That's right.

23 MS. KATRINE DILAY: For the past
24 trend, the data and the experience period under
25 consideration reflects observed changes in cost

1 conditions that have taken place?

2

MR. KHURRAM MASUD: Yes.

3

MS. KATRINE DILAY: And the future

4 trend reflects future changes in cost conditions that

5 are expected to occur between the end of the

6 experience period and the period the new premiums will

7 take into effect?

8

MR. KHURRAM MASUD: Correct, yes.

9

MS. KATRINE DILAY: And -- and, sorry,

10 I should say will -- will be in -- in effect, the new

11 premiums will be in effect?

12

MR. KHURRAM MASUD: Yes.

13

MS. KATRINE DILAY: Thank you. And

14 MPI relies on regression analysis to determine past

15 trend rates applicable to the cost level changes

16 occurring during the experience period?

17

MR. KHURRAM MASUD: That's right, yes.

18

MS. KATRINE DILAY: And past trends

19 are required to trend the relevant experience period

20 to the common accident year's cost level?

21

MR. KHURRAM MASUD: That's right, yes.

22

MS. KATRINE DILAY: And this is

23 accident year 2024 in this GRA, correct?

24

MR. KHURRAM MASUD: 2024. Can you

25 repeat that again? Sorry.

1 MS. KATRINE DILAY: This is accident
2 year 2024 in this GRA.

3 MR. KHURRAM MASUD: What is accident?
4 The one before? Can you repeat that?

5 MS. KATRINE DILAY: The question
6 before?

7 MR. KHURRAM MASUD: Yes, please.

8 MS. KATRINE DILAY: Past trends are
9 required to trend the relevant experience period to
10 the common accident year's cost level?

11 MR. KHURRAM MASUD: Yes. That would
12 be 2024.

13 MS. KATRINE DILAY: Thank you.

14 MR. KHURRAM MASUD: Yes.

15 MS. KARA MOORE: And selected accident
16 year weights are then applied to derive a weighted
17 average loss cost?

18 MR. KHURRAM MASUD: Correct.

19 MS. KATRINE DILAY: Then MPI must
20 select a future trend?

21 MR. KHURRAM MASUD: Yes.

22 MS. KATRINE DILAY: And the first
23 indicator of how MPI selects the future trend is the
24 selected past trend based on the regression analysis?

25 MR. KHURRAM MASUD: That's correct.

1 The selection of past trends enables us to select a
2 future trend and, as I said in my presentation, which
3 may differ from past trends.

4 MS. KATRINE DILAY: Perfect. Thank
5 you. And MPI then assesses additional information
6 available that provides guidance on future cost
7 levels, correct?

8 MR. KHURRAM MASUD: That's correct,
9 yes.

10 MS. KARA MOORE: Would the additional
11 information include information obtained from claims
12 research to mitigate future claims incurred cost
13 increases?

14 MR. KHURRAM MASUD: I would say
15 broadly, yes.

16 MS. KATRINE DILAY: Such as the
17 research or the information collected from Mr.
18 Bowering's group?

19 MR. KHURRAM MASUD: Correct, yes.

20 MS. KATRINE DILAY: Would the
21 additional information also include possible
22 management actions that may impact future cost levels?

23 MR. KHURRAM MASUD: Yes.
24 MS. KATRINE DILAY: And that type of
25 information could come from the executive committee of

1 MPI, for example?

2

MR. KHURRAM MASUD: Yes.

3

MS. KATRINE DILAY: And in some cases,

4 actuarial judgment is applied to select the most

5 appropriate future trend rate for the forecast period.

6

Correct?

7

MR. KHURRAM MASUD: Yes.

8

MS. KATRINE DILAY: And as was

9 discussed this morning, MPI also applies a mobility

10 parameter to account for the historical work-from-home

11 impact of the COVID-19 pandemic?

12

MR. KHURRAM MASUD: That's correct.

13

MS. KATRINE DILAY: Which is intended,

14 at a high level, to measure changes in driving

15 activity. Correct?

16

MR. KHURRAM MASUD: That's correct.

17 Yes.

18

MS. KATRINE DILAY: And we'll just dig

19 a little bit more into the mobility parameter and

20 MPI's approach to working-from-home on the Claims

21 Forecast.

22

And, of course, I was listening this

23 morning, so some of the questions may -- may be

24 similar, but hopefully we'll get to a few different --

25 different answers, or points, rather.

1 If we could please turn to Part 7,
2 Claims Forecasting at page 21, please. Thank you.
3 And we'll go to the bottom of this page. Just one
4 second, I'll just double-check my reference.

5

6 (BRIEF PAUSE)

7

8 MS. KATRINE DILAY: My apologies, it's
9 page 22. Thank you.

10 And so, you'll agree that MPI
11 experienced a reduction in claims since March 2020 due
12 to the COVID-19 pandemic. Correct?

13 MR. KHURRAM MASUD: Yes, partially due
14 to COVID-19 pandemic.

15 MS. KATRINE DILAY: Which meant that
16 less people were on the road. Correct?

17 MR. KHURRAM MASUD: That is our
18 belief.

19 MS. KATRINE DILAY: Sorry?

20 MR. KHURRAM MASUD: That is our
21 belief. Yes.

22 MS. KATRINE DILAY: Thank you. And,
23 again, that would be because more people were working
24 from home during that time?

25 MR. KHURRAM MASUD: That's correct.

1 MS. KATRINE DILAY: And when there are
2 such sustained level change within the trend rate, MPI
3 uses model parameters to isolate and remove the
4 impact. Correct?

5 MR. KHURRAM MASUD: This -- in this
6 case, that is what we resorted to.

7 MS. KATRINE DILAY: Thank you. And
8 that's because -- or it's so that such impacts do not
9 unduly influence the forecast. Correct?

10 MR. KHURRAM MASUD: That is correct.

11 MS. KATRINE DILAY: And so, to do this
12 in prior GRAs, so not in the '26 GRA, but prior, MPI
13 quantified the effect of work from home on Historical
14 Loss Experience using Google's COVID-19 Community
15 Mobility Report. Correct?

16 MR. KHURRAM MASUD: That's correct.
17 Yes.

18 MS. KATRINE DILAY: To the date of
19 October 15, 2022, when Google stopped collecting the
20 data. Correct?

21 MR. KHURRAM MASUD: That is correct.

22 MS. KATRINE DILAY: Then MPI used the
23 Commuter Behavior Survey data to project from November
24 2022 to November 2023 and November 2024. Correct?

25 MR. KHURRAM MASUD: Yes.

1 MS. KATRINE DILAY: So, what that
2 means is that MPI used the Google report and the
3 Commuters -- Commuter Survey data to quantify the
4 effects of the pandemic for the past trend. Correct?

5 MR. KHURRAM MASUD: That is correct.

6 MS. KATRINE DILAY: And you do this in
7 order to adjust the past trend for purposes of
8 selecting the future trend. Correct?

9 MR. KHURRAM MASUD: Yes.

10 MS. KATRINE DILAY: You'll agree that
11 Google COVID-19 Community Mobility Report is third
12 party collected data?

13 MR. KHURRAM MASUD: That's right.

14 MS. KATRINE DILAY: And you'll agree
15 it is verifiable, in the sense that Google's
16 methodology and data is publicly available?

17 MR. KHURRAM MASUD: That's correct.
18 Yes.

19 MS. KATRINE DILAY: You'll agree that
20 the Commuter Behavior Survey is third-party collected
21 data?

22 MR. KHURRAM MASUD: Just a second.
23 Yes, I would agree.

24 MS. KATRINE DILAY: And, similarly, it
25 is verifiable in the sense that the methodology and

1 the data sources were disclosed?

2 MR. KHURRAM MASUD: That's correct.

3 MS. KATRINE DILAY: And if we look at
4 the next page here, although you may not need it, but
5 you'll agree the 2024 accident year experienced higher
6 than expected claim frequency for key coverages such
7 as collision. Correct?

8 MR. KHURRAM MASUD: That's right.

9 MS. KATRINE DILAY: And in the
10 paragraph towards the top of the page here, MPI
11 indicated that when it updated its loss trends,
12 inclusive of the 2024 accident year, the statistics of
13 fitted regression models indicated that continued
14 reliance on survey results would no longer produce a
15 statistically significant variable for mobility, which
16 cannot explain recent increases in claims frequency.

17 You see that?

18 MR. KHURRAM MASUD: I see that.

19 MS. KATRINE DILAY: And in that
20 sentence, the reference to the survey results refers
21 to the Commuter Behavior Survey. Would that be right?

22 MR. KHURRAM MASUD: Yes.

23 MS. KATRINE DILAY: And so, given this
24 MPI tested a simple model, assuming commuting returns
25 -- commuting returns to pre-pandemic levels by using a

1 value of 4-3-2-1 for mobility to model the work-from-
2 home impacts during 2020, 2021, 2022 and 2023
3 respectively. Correct?

4 MR. KHURRAM MASUD: That's correct.

5 MS. KATRINE DILAY: So, these
6 variables were used to model the past impacts of
7 working from home on the Claims Experience. Correct?

8 MR. KHURRAM MASUD: Yes.

9 MS. KATRINE DILAY: And as we
10 previously confirmed, before this year's GRA, MPI used
11 the Google report and the Commuter Behavior Survey to
12 quantify the work from home effect on the past
13 experience. Correct?

14 MR. KHURRAM MASUD: That's correct.

15 MS. KATRINE DILAY: And you'll agree
16 that the 4-3-2-1 values are not derived from third-
17 party collected data. Correct?

18 MR. KHURRAM MASUD: That's correct.
19 Data being third party doesn't necessarily make it
20 more accurate or appropriate for use.

21 MS. KATRINE DILAY: Thank you. And
22 regarding the 4-3-2-1 values, you'll agree that
23 there's an implicit zero (0) that follows that?

24 MR. KHURRAM MASUD: Before and after
25 the four (4).

1 MS. KATRINE DILAY: Thank you. Thank
2 you for clarifying that.

3 And you'll confirm that MPI selected
4 these values or these numbers. Correct?

5 MR. KHURRAM MASUD: That's correct.

6 MS. KATRINE DILAY: And in past GRAs,
7 MPI used the Commuter Behavior Survey to predict the
8 work-from-home impact for the forecast year, so for
9 the future impact. Correct?

10 MR. KHURRAM MASUD: Yes.

11 MS. KATRINE DILAY: And in the 2026
12 GRA, the current GRA, MPI assumes that 2023 was the
13 last year impacted by work from home and that there
14 would be no further increases in the forecasted
15 frequency due to the expectations of commuting
16 patterns. Correct?

17 MR. KHURRAM MASUD: Yes. It won't be
18 any decreases, is that what you mean? Or adjustment
19 to -- adjustment to your Claims Frequency based on
20 work from home. We are saying there's no benefit of
21 an adjustment for work from home from 2024 onwards.

22 MS. KATRINE DILAY: Exactly. Thank
23 you. And so that means that MPI assumes that
24 commuting patterns have returned to pre-pandemic
25 levels. Correct?

1 MR. KHURRAM MASUD: That is correct.

2 MS. KATRINE DILAY: And I'd just like
3 to turn to the Statistics Canada article that was
4 discussed in a few questions this morning.

5 If we -- so if we look at page 23 of
6 the document before us, we see that MPI relies on the
7 2024 Statistics Canada article, which has the title
8 'More Canadians Commuting in 2024'. Correct?

9 MR. KHURRAM MASUD: That's correct.
10 MPI believes this article supports MPI's view.

11 MS. KATRINE DILAY: And you'll agree
12 that while there are some references to Manitoba and
13 Winnipeg, the article is not specific to Manitoba.

14 Correct?

15 MR. KHURRAM MASUD: That's correct.

16 MS. KATRINE DILAY: And you'll agree
17 that the -- the portion of the article excerpted by
18 MPI here refers to commute times. Correct?

19 MR. KHURRAM MASUD: Yes.

20 MS. KATRINE DILAY: And if we could
21 please turn to the article itself, which is footnoted
22 at the bottom of the page before us.

23

24 (BRIEF PAUSE)

25

1 MS. KATRINE DILAY: Great. Thank you,
2 Ms. Dweh. And so, we see there the title of the
3 article itself is, 'More Canadians Commuting in 2024'.
4 You see that?

5 MR. KHURRAM MASUD: I see that.

6 MS. KATRINE DILAY: And we also see a
7 bolded headline about halfway down the page, which
8 states that the proportion of employed Canadians
9 mostly working from home has fallen since May 2021,
10 but remains more than twice as high as it was before
11 the pandemic. You see that as well?

12 MR. KHURRAM MASUD: Yes.

13 MS. KATRINE DILAY: And so, you'll
14 confirm your understanding that this article finds
15 there are still more people working from home, as
16 compared to before the pandemic. Correct?

17 MR. KHURRAM MASUD: That is correct.
18 We believe that very few people were working entirely
19 from home before the onset of pandemic.

20 MS. KATRINE DILAY: So --

21 MR. KHURRAM MASUD: And then it did
22 start a trend of people working from home, which,
23 since then has diminished over time.

24 MS. KATRINE DILAY: Thank you. But
25 has not disappeared. Correct?

1 MR. KHURRAM MASUD: Yes, where -- at
2 the time this article was written, which was 2024.
3 Since then, things have changed. For example, Ontario
4 is bringing everyone back to work five (5) days a
5 week.

6 MS. KATRINE DILAY: Thank you. And
7 you'll agree that the number of cars on the road can
8 impact claims frequency. Correct?

9 MR. KHURRAM MASUD: Yes, that's
10 correct.

11 MS. KATRINE DILAY: I'll now have a
12 few areas of questioning looking at specific areas of
13 coverage. If we could, please, turn to Part 7 of the
14 GRA Claims Forecasting Appendix 3, and that'll be an
15 Excel document.

16

17 (BRIEF PAUSE)

18

19 MS. KATRINE DILAY: Thank you, Ms.
20 Dweh. And if we could look at Appendix 3, E-2, in
21 particular. Thank you.

22 And you'll agree that the information
23 in this table provides the underlying data for MPI's
24 development of the past trend for collision frequency.

25 Correct?

1 MR. KHURRAM MASUD: Yes.

2 MS. KATRINE DILAY: And if we look at
3 line 27, so sort of the -- the second line from the
4 bottom on this table, MPI indicates that the correct -
5 - the current method, rather, is that the trend is
6 based on thirteen (13) years of data starting at 2012.

7 Correct?

8 MR. KHURRAM MASUD: Yes.

9 MS. KATRINE DILAY: And then if we go
10 to tab 3 E-5, so, just a few to the right. Thank you.

11 We see the information in the table
12 provides the underlying data for MPI's development of
13 the past trend for collision severity. Correct?

14 MR. KHURRAM MASUD: Yes, I see that.

15 MS. KATRINE DILAY: And here if we
16 look at line 26, so, again, the current method, the
17 second line from the bottom, MPI states that the
18 current method is that the past trend is based on
19 fourteen (14) years of data starting in 2011.

20 Correct?

21 MR. KHURRAM MASUD: Yes.

22 MS. KATRINE DILAY: So, you'll confirm
23 that MPI chose different time periods to determine the
24 past trend for this coverage, namely, 2012 for
25 frequency and twenty (20) -- pardon me, 2011 for

1 frequency and 2012 for severity. Correct?

2 MR. KHURRAM MASUD: Sorry, can you
3 repeat that? I think it's 2011 for severity and 2012
4 for frequency.

5 MS. KATRINE DILAY: Yes. Thank you.

6 MR. KHURRAM MASUD: Okay.

7 MS. KATRINE DILAY: Thank you for
8 correcting --

9 MR. KHURRAM MASUD: Yeah.

10 MS. KATRINE DILAY: -- my question.
11 You would agree that selecting the same time periods
12 for frequency and severity models helps include any
13 offsetting effects in the selected trend rates?

14 MR. KHURRAM MASUD: As I said earlier,
15 there may be different factors affecting severity and
16 frequency. So, even though they might be offsetting,
17 but in order to capture full effect of those
18 contributing factors, it is possible and not uncommon
19 to use different periods for selection of frequency
20 and severity.

21 MS. KATRINE DILAY: Thank you for
22 that. And at a -- at a high level, you'll agree that
23 if the same time period was considered for frequency
24 and severity, the fit and regression coefficient would
25 be different?

1 MR. KHURRAM MASUD: That is correct.

2 MS. KATRINE DILAY: Thank you. And
3 just a few questions about MPI's approach to Accident
4 Year Weighting.

5 You'll agree that after adjusting all
6 historical years to the same cost level as the most
7 recent accident year, equal weight of 20 percent was
8 applied to the most recent five (5) accident years?

9 MR. KHURRAM MASUD: That is correct

10 MS. KATRINE DILAY: For all coverages.
11 Correct?

12 And we can go to a reference if you'd
13 like, but is it your recollection that in PUB Order
14 Number 145 of '23, the Board approved an alternative
15 indication for the 2024 GRA, which included that the
16 Claims Forecast was to be adjusted using 20 percent
17 weights for each of the most recent five (5) accident
18 years?

19 MR. KHURRAM MASUD: Yes.

20 MS. KATRINE DILAY: Do you recall
21 that?

22 MR. KHURRAM MASUD: Yes.

23 MS. KATRINE DILAY: And did MPI take
24 that to mean that the PUB'S guidance was for that
25 specific GRA or for all later GRAs as well?

1 MR. KHURRAM MASUD: It was specific to
2 that -- that specific GRA, but I think it provides
3 good guidance on -- for -- for -- for consistent
4 instability, as you mentioned earlier on. Do not
5 change method unless there are compelling reason to do
6 so.

7 MS. KATRINE DILAY: Great. Thank you.
8 And so, you'll agree that if there are compelling
9 reasons, or in particular circumstances, there may be
10 a need not to apply equal weights in a particular GRA.

11 MR. KHURRAM MASUD: That is correct.

12 MS. KATRINE DILAY: Thank you. Ms.
13 Dweh, if we could please turn back to that Excel
14 document we had open, Part 7 Claims Forecasting
15 Appendix 3. And we'll look at tab 3 C-3, please.
16 Thank you.

17 And here we see the underlying data for
18 MPI's development of the frequency trend for accident
19 benefits, other not indexed. Correct?

20 MR. KHURRAM MASUD: Yes.

21 MS. KATRINE DILAY: And you'll agree
22 that from 2014 to 2016 the data is increasing.

23 Correct?

24 MR. KHURRAM MASUD: Yes.

25 MS. KATRINE DILAY: And from 2016 to

1 2020, the data is essentially decreasing?

2 MR. KHURRAM MASUD: 2016 to -- you
3 said 20 --

4 MS. KATRINE DILAY: To 2020.

5 MR. KHURRAM MASUD: To 2022 you mean,
6 or you mean 2020, because it keeps going down.

7 MS. KATRINE DILAY: So, from 2016 to
8 approximately 2022, the data is decreasing. Correct?

9 MR. KHURRAM MASUD: That's correct,
10 yes.

11 MS. KATRINE DILAY: And then from 2022
12 to 2024, the data appears to be increasing. Correct?

13 MR. KHURRAM MASUD: Yes.

14 MS. KATRINE DILAY: And would you
15 agree that when we refer to the term 'cyclical',
16 that would refer to cycles where the data exhibits
17 rises and falls?

18 MR. KHURRAM MASUD: That's correct.

19 MS. KATRINE DILAY: And you'll agree
20 that in the graph before us, the data rose then fell
21 then rose again?

22 MR. KHURRAM MASUD: That is correct.

23 MS. KATRINE DILAY: And it's not
24 impossible that the data could fall again, given the
25 cycles since 2014. Correct.

1 MS. CARA LOW: So, the first load dip
2 that we have there from 2014 up to 2016, that's well
3 known that there was some changes to how we were doing
4 our reserving on some of the permanent impairment.
5 So, we wouldn't expect to see that again, and
6 processing times as well and centralized reserving.
7 So that was a known dip.

8 MS. KATRINE DILAY: Thank you. That's
9 helpful. And you'll agree that MPI's model fit to
10 loss cost data for 2019 to 2024 and extrapolates the
11 frequency increases?

12 MR. KHURRAM MASUD: Sorry, can you
13 repeat that?

14 MS. KATRINE DILAY: You'll agree that
15 MPI's model fit to loss cost data for 2019 to 2024 and
16 extrapolates the frequency increases?

17 MR. KHURRAM MASUD: I would like to
18 see the period that we've used for developing the
19 trend, because applying, or using equal weights, to
20 bring last five (5) years to 2024 accident year, does
21 not necessarily mean we are using the trend that was
22 applicable to those five (5) years.

23 It means applying the selected trend to
24 the weighted average of last five (5) years. So that
25 would not mean extrapolating just the last five (5)

1 years trend. It just means applying the selected
2 trend on the last five (5) years loss cost.

3 MS. KATRINE DILAY: Understood. And
4 so I -- I think we'll leave it at that. Yeah. I'll
5 take that answer for now.

6 MR. KHURRAM MASUD: Okay.

7 MS. KATRINE DILAY: And just a few
8 last questions for this panel. If we could turn to
9 part 7 of the GRA claims forecasting, page 155,
10 please. Thank you.

11 And this is where MPI shows the
12 historical accident year ultimate comprehensive theft
13 loss cost with and without SERP adjustment. Correct?

14 MR. KHURRAM MASUD: That's correct.

15 MS. KATRINE DILAY: And we see the
16 experience mostly increasing from 2011 to 2022 with
17 the exception of 2020. Correct?

18 MR. KHURRAM MASUD: Yes.

19 MS. KATRINE DILAY: And 2020 would
20 reflect the pandemic experience?

21 MR. KHURRAM MASUD: Yes. You could
22 argue that.

23 MS. KATRINE DILAY: And from 2022 to
24 2024, the experience has been almost flat. Correct?

25 MR. KHURRAM MASUD: Yes. Slightly

1 downwards, but with a slope that's not too high.
2 Steepness is not too high. So, it's relatively flat
3 but still downward trending from 2020 to 2024.

4 MS. KATRINE DILAY: Thank you.

5 MS. CARA LOW: I do believe this is
6 due to the legislative changes for the catalog
7 converters. And so that was making headlines at the
8 time. So those were partial theft of vehicles, not
9 the total thefts that were more of a national story,
10 because we don't necessarily have ports where cars are
11 being shipped from.

12 MS. KATRINE DILAY: Thank you. And if
13 we look at the next page, page 156 towards the bottom.

14 For this area of coverage MPI selects a
15 past loss cost trend rate of plus 10.31 percent.

16 Correct?

17 MR. KHURRAM MASUD: Yes.

18 MS. KATRINE DILAY: And MPI selected a
19 future loss cost trend to be the same as the path loss
20 cost trend, as there's no credible evidence to suggest
21 future experiences likely to deviate significantly
22 from the past. Correct?

23 MR. KHURRAM MASUD: That's correct.

24 And because the experience is volatile, directionally,
25 it -- it's still going upward for the majority of the

1 years, but since there are fewer claims. So, we've
2 used a longer period of time to select that trend.
3 So, if you notice we started from 2011. So, we
4 believe long-term trend is still the best -- it's
5 still the best bet for selection of the future trend.

6 MS. KATRINE DILAY: And so MPI
7 projects that the future loss cost trend will
8 increase. Correct?

9 MR. KHURRAM MASUD: That's correct.

10 MS. KATRINE DILAY: Madam Chair, if I
11 can just have two (2) minutes to review my notes and I
12 may be done with this panel.

13

14 (BRIEF PAUSE)

15

16 MS. KATRINE DILAY: Thank you very
17 much. Those are my questions for this panel. Thank
18 you, Madam Chair.

19 PANEL CHAIRPERSON: Thank you. Ms.
20 Dilay. Mr. Ireland ...?

21 BOARD MEMBER IRELAND: Ms. Dweh, could
22 we get Exhibits 42 up, please. Just had a couple of
23 quick questions. More clarification than anything,
24 Mr. Bowering.

25 Can we go to -- can we go to -- sorry,

1 can we go to slide 24? Great. Thanks.

2 Just on the new glass repair first
3 policy that you've -- that you've got. It says here:

4 "Reduction in customer financial
5 impacts by avoiding deductibles,
6 rental costs, and items not related
7 to the insurable loss, example the
8 ADAS."

9 Avoiding deductible, is it correct to
10 say that that only affects those who've purchased the
11 two hundred (200) plus deductible?

12 MR. JOHN BOWERING: That's correct.

13 BOARD MEMBER IRELAND: That's correct.

14 Okay.

15 MR. JOHN BOWERING: But that is a
16 sizable chunk of our -- I think it's our most popular
17 Extension product. But you're right. That's all --

18 BOARD MEMBER IRELAND: I was just
19 going to ask you what the percentage population that
20 was?

21 MR. JOHN BOWERING: One second. In
22 2024 of the Extension eligible, it was 73 -- 74
23 percent.

24 BOARD MEMBER IRELAND: Seventy-four
25 percent. And the reference to the ADAS, I'm assuming

1 that it's not going to be part of a repair, but
2 potentially could be part. So, it would still be
3 included if circumstances --

4 MR. JOHN BOWERING: Yeah, it's damaged
5 or -- and yeah. And then there's just the cost of
6 realigning it and making sure the cameras are --
7 sensors are all accurate.

8 BOARD MEMBER IRELAND: Okay. Great.
9 And the -- because it's going to be the default
10 program, are you still looking to move that ratio
11 repair and replace to 35 percent, or are you looking
12 to go beyond that?

13 MR. JOHN BOWERING: I -- I think
14 historically, I'm going from memory here,
15 historically, it was higher than that. And so, we've
16 conservatively set that target, and we will -- we will
17 monitor it to see what the new normal it settles at,
18 and we'll continue to adjust our program based on
19 where it lands. But yeah.

20 BOARD MEMBER IRELAND: I saw 20
21 percent for 2024. I was just wondering --

22 MR. JOHN BOWERING: Yes.

23 BOARD MEMBER IRELAND: Yeah. Okay,
24 Great. And, Ms. Low, quick question for you.

25 This morning, you mentioned that the

1 take-up rate for the new deductible was estimated to
2 be a hundred percent.

3 MS. CARA LOW: That is what we
4 factored into the impact analysis.

5 BOARD MEMBER IRELAND: Just idle
6 curiosity on my part. I'm wondering what the analysis
7 was that went into that to show a hundred percent
8 take-up? Because I think we talked the other day of
9 50, 60,000 units being -- get the -- Extension
10 eligible.

11 And just wondering what would go into
12 that analysis, to say, all of those would actually
13 move over.

14 MS. CARA LOW: Anyone who is eligible
15 for extended product -- assumed they were going to --
16 because they will get a policy at the seven hundred
17 and fifty dollar (\$750) deductible. They assume that
18 they were going to keep that policy.

19 BOARD MEMBER IRELAND: So, there's no
20 analysis, it's just an assumption.

21 MS. CARA LOW: Right.

22 BOARD MEMBER IRELAND: Okay, great.
23 Thank you.

24 PANEL CHAIRPERSON: Thank you. Ms.
25 Sharman ...?

1 BOARD MEMBER SHARMAN: No additional
2 questions.

3 PANEL CHAIRPERSON: Thank you. I have
4 one question with regard to a comment that is made in
5 the presentation this morning, and I apologize, I'm
6 not sure what page it's on, but there was a suggestion
7 that there will be people who will, at the thousand
8 dollars deductible level choose to repair, glass
9 repairs in particular, themselves without making a
10 claim.

11 Have you got anything that quantifies
12 how many that might be, both in terms of numbers of
13 claims and dollar value?

14

15 (BRIEF PAUSE)

16

17 MS. CARA LOW: Yeah, we don't have any
18 analysis on that, because if they haven't reported a
19 claim before, then we don't know what percentage made
20 a decision not to report a claim so.

21 PANEL CHAIRPERSON: And do you have
22 any information with regard to the number of glass
23 claims that are currently made under the existing
24 program that would be above seven hundred and fifty
25 dollars (\$750), but not at a thousand (1,000)?

1 And perhaps it's on this chart, and I
2 can't read what the numbers --

3 MR. KHURRAM MASUD: The numbers are
4 not there on the chart. So, if we look at 2024 at
5 payment year, 86 percent of the claims, glass only
6 claims, fall above seven fifty dollars (\$750).

7 And for 2021, that number was 64. So
8 gradually as the severity of glass only claims is
9 increasing, more claims are now falling above seven
10 fifty dollars (\$750) in which case they are paid by
11 Basic.

12 PANEL CHAIRPERSON: Okay. Thank you
13 very much. That's quite helpful. And can you just
14 answer a question for me.

15 In terms of a statement with regard to
16 the increase -- or the raising the Basic deductible
17 level, and the fact that you're -- you're stating that
18 it benefits customers by ensuring premiums for
19 compulsory Basic insurance remain affordable for all
20 ratepayers.

21 And I just wondered how you mesh that
22 with the suggestion that there will be ratepayers who
23 choose to have claims repaired themselves because it
24 seems a little bit inconsistent, but perhaps you can
25 explain that to me.

1 MS. CARA LOW: So, the move from the
2 seven hundred and fifty dollar (\$750) base deductible
3 to the one thousand dollar (\$1,000) deductible, we
4 know, is about 3 percent reduction to the overall rate
5 indication AAP. So that does make it more affordable,
6 and they have the choice in order to purchase through
7 the Extension side if they want to lower their
8 deductible. But not everyone has a claim. So, when
9 they do have a claim, they can choose whether to put
10 the claim in or not.

11 PANEL CHAIRPERSON: Okay. Thank you
12 very much. And thank you very much. Oh, I'm sorry,
13 Mr. Wishnowski ...?

14 MR. ERIC WISHNOWSKI: You know, I
15 don't think I have anything on -- on redirect for this
16 panel. I do have a couple housekeeping things.

17 PANEL CHAIRPERSON: Please proceed.

18 MR. ERIC WISHNOWSKI: I have three (3)
19 exhibits I can read in. I also just will note that
20 there was an in-camera session scheduled, but I don't
21 appear -- just confirming that there are no -- okay,
22 perfect. So, there are no questions there. So just
23 one moment.

24 Exhibit 43 that would be an Air and
25 Emission Rate update Appendix 4, page 1; Exhibit

1 number 44, Air and Emission Rate Update Appendix 4,
2 page 1; and Exhibit 45 would be an Other Air and
3 Emission claims forecasting presentation, all of which
4 were filed today.

5

6 --- EXHIBIT NO. MPI-43: Air and Emission Rate update
7 Appendix 4, page 1

8

9 --- EXHIBIT NO. MPI-44: Air and Emission Rate update
10 Appendix 4, page 1, version 2

11

12 --- EXHIBIT NO. MPI-45: Other Air and Emission
13 claims forecasting presentation.

14

15 PANEL CHAIRPERSON: Thank you very
16 much. Yes, indeed, the next session is the in-camera
17 session for the Confidential Claims Forecasting panel.

18 MR. ERIC WISHNOWSKI: Yes. But it
19 doesn't sound like...

20 MR. TODD ANDRES: Madam Chair, I did
21 have discussions with Mr. Guerra. They don't have
22 anything to present in-camera, and it appears that
23 neither CC nor the PUB have questions for an in-camera
24 panel.

25 PANEL CHAIRPERSON: Thank you, Mr.

1 Andres. So, at this point, is it the suggestion that
2 we adjourn for the day and start again tomorrow
3 morning at 9:00 with ratemaking?

4 MR. TODD ANDRES: Yeah. So, at this
5 point, we'd not canvassed the possibility of starting
6 early. That's something that we could do if the panel
7 is inclined. Otherwise, the answer is we just adjourn
8 and start at 9:00 a.m. tomorrow morning.

9 PANEL CHAIRPERSON: Do you want to
10 just take a few minutes and confer with Counsel and
11 let us know? Thank you.

12 MR. TODD ANDRES: Yes.

13

14 (BRIEF PAUSE)

15

16 MR. TODD ANDRES: Madam Chair, we're
17 not certain if the other Interveners are going to be
18 participating in tomorrow's panel, and given that if
19 they were, it would take them some time to get here.

20 It may be preferable to start tomorrow.
21 And I also understand that the preference on MPI's
22 part is also to start in the morning.

23 PANEL CHAIRPERSON: Thank you, Mr.
24 Andres. That's fine. Then thank you very much.
25 Thank you to this panel. We'll see some of you

1 tomorrow morning, and we'll start at nine o'clock with
2 the MPI ratemaking panel, including benchmarking
3 Canadian vehicle insurance rate comparison general
4 linear models and fleet cost/causation. Thanks.

5

6 (PANEL STANDS DOWN)

7

8 --- Upon adjourning at 1:54 p.m.

9

10 Certified correct,

11

12

13

14 _____

15 Wendy Woodworth, Ms.

16

17

18

19

20

21

22

23

24

25